

1 NEW MEXICO OIL CONSERVATION COMMISSION
2 STATE LAND OFFICE BUILDING
3 STATE OF NEW MEXICO
4 CASE NOS. 10446, 10447, 10448, 10449
5 Consolidated

6
7 IN THE MATTER OF:

8
9 The Application of Yates Petroleum
10 Corporation for Authorization to
11 Drill, Eddy County, New Mexico.

12 VOLUME VI

13 BEFORE:

14 CHAIRMAN WILLIAM LEMAY
15 COMMISSIONER GARY CARLSON
16 COMMISSIONER BILL WEISS

17
18 FLORENE DAVIDSON, Senior Staff Specialist

19
20 State Land Office Building

21 October 23, 1992

22
23 REPORTED BY:

24 CARLA RODRIGUEZ
25 Certified Court Reporter
 for the State of New Mexico

RECEIVED

NOV 24 1992

OIL CONSERVATION DIVISION

ORIGINAL

A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

RAND CARROLL, ESQ.

Natural Gas Programs
Room 206, State Land Office Building
Post Office Box 2088
Santa Fe, New Mexico 87504-2088

FOR YATES PETROLEUM CORPORATION:

LOSEE, CARSON, HAAS & CARROLL, P.A.
300 American Home Building
Post Office Drawer 239
Artesia, New Mexico 88211-0239
BY: ERNEST L. CARROLL, ESQ.

FOR NEW MEXICO POTASH CORPORATION:

KEMP, SMITH, DUNCAN & HAMMOND, P.C.
Post Office Drawer 2800
El Paso, Texas 79999
BY: CHARLES C. HIGH, JR., ESQ.

KEMP, SMITH, DUNCAN & HAMMOND, P.C.
500 Marquette, N.W., Suite 1200
Post Office Box 1276
Albuquerque, New Mexico 87103-1276
BY: CLINTON W. MARRS, ESQ.

FOR POGO PRODUCING COMPANY, SANTA FE ENERGY
OPERATING PARTNERS, L.P., and PHILLIPS PETROLEUM
CORPORATION:

THE HINKLE LAW FIRM
217 Montezuma Street
Post Office Box 2068
Santa Fe, New Mexico 87504-2068
BY: JAMES G. BRUCE, ESQ.

FOR BASS ENTERPRISES PRODUCTION COMPANY:

KELLAHIN & KELLAHIN
Post Office Box 2265
Santa Fe, New Mexico 87504-2265
BY: W. THOMAS KELLAHIN, ESQ.

1 **FOR KAISER-FRANCIS OIL COMPANY:**

2 CAMPBELL, CARR, BERGE & SHERIDAN, P.C.
 3 110 N. Guadalupe Street
 4 Post Office Box 2208
 Santa Fe, New Mexico 87504-2208
 4 BY: WILLIAM F. CARR, ESQ.

5 * * * * *

6 I N D E X

7		Page Number
8	Appearances	2
9	WITNESSES FOR YATES PETROLEUM CORPORATION:	
10	1. <u>ROBERT H. LANE</u>	
	Exam by Mr. High	1437, 1546, 1567
11	Exam by Mr. Carroll	1484, 1549
	Exam by Mr. Carlson	1541, 1550
12	Exam by Mr. Weiss	1543, 1555, 1569
	Exam by Chairman LeMay	1562
13		
14	Certificate of Reporter	1572

15

16

17 E X H I B I T S

18	NEW MEXICO POTASH EXHIBITS:	REFERENCE
19	Exhibit No. 2	1443
20	Exhibit No. 3	1442
21	Exhibit No. 4(a) and 4(b)	1444
22	Exhibit No. 5	1456
23	Exhibit No. 6	1450
24	Exhibit No. 7(a) & 7(b)	1452
25	Exhibit No. 8	1483

	NEW MEXICO POTASH EXHIBITS (CONTINUED)	REFERENCE
1		
2	Exhibit No. 8(a) and 8(b)	1453
3	Exhibit No. 8(c) & 8(d)	1482
4	Exhibit No. 9	1446
5	Exhibit No. 10(a) & 10(b)	1457
6	Exhibit No. 11	1484
7	Exhibit No. 25	1460
8	Exhibit No. 26	1468
9	Exhibit No. 28	1459
10	Exhibit No. 29	1482
11	Exhibit No. 30	1482
12	Exhibit No. 38	1453
13	Exhibit No. 41	1436
14	Exhibit No. 42(a) & 42(b)	1441
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 CHAIRMAN LEMAY: We'll look at our
2 schedule at the break and we'll check on
3 schedules when we reconvene. Okay. Day 3,
4 Hearing 3. Day 6, actually. Mr. High?

5 MR. HIGH: Mr. Chairman, before we call
6 our next witness, I would like to offer into
7 evidence an additional exhibit. Yesterday,
8 during the testimony of Dr. Mitchell, he was
9 asked for information and pulled a document out
10 of his briefcase to look at it in response to a
11 question from Mr. Weiss. I would like to put
12 that document into the record so we'll have it,
13 and I'll offer it as New Mexico Potash Exhibit
14 No. 41.

15 CHAIRMAN LEMAY: Exhibit 41 will be
16 admitted into the record without objection.

17 MR. HIGH: We would call Mr. Bob Lane.

18 ROBERT H. LANE

19 Having been first duly sworn upon his oath, was
20 examined and testified as follows:

21 EXAMINATION

22 BY MR. HIGH:

23 Q. Have you already been sworn, Mr. Lane?

24 A. Yes.

25 Q. Would you state your full name please,

1 sir.

2 A. Robert H. Lane.

3 Q. Where do you reside, Mr. Lane?

4 A. 500 Baja, Hobbs.

5 Q. Hobbs, New Mexico?

6 A. Right.

7 Q. Where are you employed?

8 A. New Mexico Potash.

9 Q. How long have you been employed there,
10 Mr. Lane?

11 A. New Mexico Potash, since they purchased
12 it in 85.

13 Q. Tell us, if you will, Mr. Lane, your
14 educational background.

15 A. I have a bachelor of science in mining
16 engineering from New Mexico Tech.

17 Q. What year?

18 A. 1950.

19 Q. After you obtained your mining engineer
20 degree, where did you go to work?

21 A. I went to work for International
22 Minerals and Chemical Corporation in January of
23 1950.

24 Q. At what location?

25 A. Carlsbad, New Mexico.

1 Q. What type of operation was that?

2 A. Potash mining, both langbeinite and
3 sylvite.

4 Q. How long did you stay with IMC?

5 A. With IMC-Carlsbad, from 1950 to 1957 as
6 junior engineer, geologist, mine surveyor, mine
7 engineer.

8 Still with IMC but transferred to
9 IMC-Canada, Ltd., in Esterhazy in 1957. Stayed
10 there until 1960 as mine superintendent.

11 In 1960 to 63, transferred back to
12 Carlsbad with IMC as chief engineer.

13 1963 to 1985, when New Mexico Potash
14 purchased the Kerr-McGee mine, I was with
15 Kerr-McGee as chief engineer, mine superintendent
16 and superintendent of mine engineering.

17 Q. So you have been working in potash
18 mines since 1950?

19 A. Yes, sir, on a continuous basis.

20 Q. That includes potash mines both in
21 Southeastern New Mexico and in Canada?

22 A. Yes.

23 Q. As far as the New Mexico Potash
24 facility is involved, you have worked
25 continuously at that facility since 1963?

1 A. At that facility since 1963.

2 Q. During the time of the change in
3 ownership, you were with the same facility?

4 A. With the same facility, yes.

5 Q. Tell us some of your duties and
6 responsibilities that you had at the New Mexico
7 Potash facility, Mr. Lane, from 1963 through
8 1965.

9 A. 1963 through construction of the
10 underground--missile construction of the
11 underground and surface facilities, we were
12 working on mine plans, general design for both
13 surface and underground.

14 After production started in 65, we had
15 an engineering department which took care of the
16 geology, rate control, mine surveying, lease
17 maintenance for both minerals, water,
18 right-of-ways, tailings, drilling of water
19 wells. On the staff, working on budgets and
20 long-range mining plans.

21 Q. Have you had occasion previously, Mr.
22 Lane, to testify before the Oil Conservation
23 Commission?

24 A. I have.

25 Q. Had your credentials accepted?

1 A. Yes.

2 MR. HIGH: Mr. Chairman, we would ask
3 the Commission to accept the credentials of Mr.
4 Lane as a mining engineer.

5 CHAIRMAN LEMAY: His credentials are
6 accepted.

7 Q. Mr. Lane, were you involved in the
8 designation by New Mexico Potash of its Life of
9 Mine Reserve?

10 A. I was.

11 Q. Tell us, if you will, your involvement
12 in the whole Life of Mine Reserve issue?

13 A. Well, the Life of Mine Reserves, the
14 first one was put out in 1988. I developed that
15 from those plans.

16 Q. Let me interrupt there and focus a
17 little bit more. The Life of Mine Reserve
18 concept is relatively new, isn't it?

19 A. Yes.

20 Q. Did you participate in the process that
21 led up to the adoption by the OCC of the Life of
22 Mine Reserve concept?

23 A. I was. I did.

24 Q. Those were the negotiations between the
25 potash industry and the oil and gas industry?

1 A. That's correct.

2 Q. There have been some references to
3 what's been called the Miner's Bible?

4 A. Yes.

5 Q. You understand that to be some comments
6 that were prepared on behalf of the potash basin?

7 A. That's right.

8 MR. HIGH: Mr. Chairman, given the
9 extensive references to this document, we would
10 like to offer it for inclusion in the record as
11 our Exhibit No. 42, the April 1992 document, I'll
12 call it, prepared on behalf of the potash
13 industry addressing this issue, and we would
14 offer it as our Exhibit No. 42.

15 CHAIRMAN LEMAY: With no objection,
16 Exhibit No. 42 will be admitted into the record.

17 [Discussion off the record.]

18 MR. HIGH: Mr. Chairman, just so we do
19 have a complete record, the document I referred
20 to a moment ago as Exhibit 42, we would like to
21 refer to it and offer it as Exhibit 42(a), and
22 then we would offer, as Exhibit 42(b), a prior
23 bound volume that was prepared by the potash
24 industry in 86?

25 MR. CARROLL: 86 or 87, when the

1 initial--we don't know if there's any difference
2 and that's our problem, Mr. LeMay, between the
3 two documents. I've never seen this bound
4 document, and I've seen this one.

5 MR. HIGH: We'll put them both in the
6 record and Mr. Carroll and I will exchange
7 copies.

8 CHAIRMAN LEMAY: Let the record reflect
9 we have two Exhibit 42s, (a) and (b).

10 Q. (BY MR. HIGH) Now, Mr. Lane, following
11 the adoption of R-111-P that set out the Life of
12 Mine Reserve concept, did you have any
13 responsibilities on behalf of New Mexico Potash
14 to make that designation?

15 A. Yes.

16 Q. And did you do so?

17 A. I did.

18 Q. Look at the book in front of you, if
19 you will, at Exhibit No. 3.

20 COMMISSIONER WEISS: There are no
21 Exhibit 3s in our book.

22 MR. CARROLL: Mine didn't have one,
23 either.

24 Q. Look if you will, Mr. Lane, at Exhibit
25 3, and tell me if you can identify that, please?

1 A. This is a computer--

2 Q. I'm sorry, it's letter I just handed
3 you.

4 A. I'm sorry. This is a letter of
5 transmittal to the State of New Mexico Energy,
6 Minerals and Natural Resources Department, dated
7 March 20, 1989.

8 Q. Is that the letter when you filed the
9 first LMR designation following the adoption of
10 R-111-P?

11 A. It is.

12 Q. Look back at Exhibit 2. It's the large
13 map. Look, if you will, Mr. Lane, at Exhibit No.
14 2, and tell me if you can identify that for us,
15 please.

16 A. This is a computer map. It's the same
17 as the LMR--the first LMR was submitted in 89.

18 Q. Does Exhibit 2 accurately reflect the
19 LMR of New Mexico Potash when it was filed in
20 1989, and the one-quarter mile and the one-half
21 mile buffer zones?

22 A. As submitted in 89, it only had the LMR
23 on it. The quarter-mile, half-mile has been
24 added to this map.

25 Q. When you submitted the LMR map to the

1 state and to the BLM, you didn't put the buffer
2 zones on it?

3 A. No, I did not.

4 Q. But on Exhibit 2 you have added those
5 to this document?

6 A. I also added our drill holes.

7 Q. Now, two of the proposed wells we're
8 talking about, Graham 3 and 4, would be within
9 the buffer zones of the initial LMR of New Mexico
10 Potash?

11 A. They are.

12 Q. Look, if you will, at Exhibit 4(a) in
13 the book. Hopefully, if you turn to Tab 4,
14 you'll find two documents, 4(a) and 4(b)?

15 A. Yes.

16 Q. Can you identify those documents for
17 us, please?

18 A. Exhibit 4(a) is a letter of transmittal
19 dated January 14, 1992, State of New Mexico
20 Energy, Minerals and Natural Resources
21 Department. "Enclosed find two copies of plats
22 showing our Life of Mine Reserves of New Mexico
23 Potash, for the corporation, as per Section 2(a)
24 of order 12-111-P."

25 Q. Is this an update of the LMR?

1 A. This was an update of the LMR as of
2 January 7, 1992.

3 Q. What is Exhibit 4(b)?

4 A. Exhibit 4(b), dated January 14, 1992,
5 to the Bureau of Land Management, Roswell
6 District, in Roswell. Same transmittal as read
7 before.

8 Q. I take it that the reference to Order
9 12-111-P is a typographical error and it should
10 be order R-111-P?

11 A. Right. Correct.

12 Q. Between the time that you filed the
13 initial designation of an LMR with the State and
14 BLM and the date you sent Exhibits 4(a) and 4(b),
15 were there any other modifications to the LMR?

16 A. No.

17 Q. So the first modification to New Mexico
18 Potash's LMR would have been in January of 1992?

19 A. That is correct.

20 Q. Have there been any other modifications
21 of the LMR since that time?

22 A. Not since that date.

23 Q. Do you know whether or not Order
24 R-111-P authorizes changes in an LMR?

25 A. Yes.

1 Q. Look in front of you, if you will, at
2 Exhibit No. 9, and go to page 11, please.

3 A. Exhibit 9?

4 Q. Yes. There should be a copy of Order
5 R-111-P under Tab 9?

6 A. I don't have a copy of it.

7 Q. Let me let you use this one. Look on
8 page 11, if you will, paragraph C.

9 A. All right.

10 Q. Take a minute and read that paragraph
11 if you will, Mr. Lane.

12 A. Paragraph C: "A potash lessee may
13 amend its designated LMR by filing a revised
14 designation with the BLM and the State Land
15 Office, accompanied by the information referred
16 to in Section A above. Such amendments must be
17 filed by January 31st next following the date the
18 additional data became available."

19 Q. And did additional data become
20 available prior to the time that you filed the
21 revised designation with the State and BLM as
22 shown in Exhibits 4(a) and 4(b)?

23 A. It did.

24 Q. And what new data did you have, Mr.
25 Lane?

1 A. The new data was from a new core test
2 which was drilled in December of 1991.

3 Q. All right. Explain to the
4 Commissioners, if you will, how it came about
5 that we drilled Core Hole No. 162 at that time?

6 A. A drilling program was planned in the
7 fall of 91. A series of nine holes were
8 planned. The drilling program wasn't finalized
9 until about the first of November. Actual
10 drilling was towards the end of November, the
11 first of December.

12 In that time, Mr. Case requested an
13 additional hole to be placed in Section 2. I
14 located the hole and we put it into the drilling
15 program.

16 Q. Had you previously been asked to
17 approve wells in Section 2?

18 A. Yes.

19 Q. And this is before you drilled Core
20 Hole 162?

21 A. That's right.

22 Q. Did you object to the wells that were
23 sought in Section 2 prior to the drilling of Hole
24 162?

25 A. I did.

1 Q. Which holes were you objecting to? Are
2 these the four along the east side?

3 A. The four holes along the east side. I
4 objected to the original location as they wanted
5 them, and they moved them back to a minimum
6 location of 330 from the east line.

7 Q. When you say you objected to the wells
8 being moved back, we're talking about the wells
9 that were, in fact, drilled along the east side
10 of Section 2?

11 A. Correct.

12 Q. Do you recall who drilled those wells?

13 A. Yates Petroleum and Pogo Producing.

14 Q. The two northern wells were Yates and
15 the two southern wells were Pogo? Is that the
16 way you recall it?

17 A. I think so.

18 [At this time, Mr. Rand Carroll is
19 present.]

20 Q. Why did you ask Yates and Pogo to move
21 those wells back closer to the east section line?

22 A. There was langbeinite indicated by an
23 AEC hole to the south, with a trend coming to the
24 northeast, and that would be the minimum loss if
25 there was langbeinite in that section.

1 Q. And when you objected to the original
2 location of these four existing wells and asked
3 them to move them back, how far did they move
4 them back?

5 A. 330 feet to the east.

6 Q. But they were still within Section 2?

7 A. Yes.

8 Q. How close, do you recall, Mr. Lane, did
9 that put those four wells along the east side of
10 Section 2? How close were they to the existing
11 other wells?

12 A. Generally, it would be 990 feet.

13 Q. Why did you even allow those four wells
14 along the east side, Mr. Lane?

15 A. I didn't have Section 2 in our present
16 LMR, and at the time we did this I had no plans
17 for drilling a well in that section.

18 Q. At the time the original was approved?

19 A. At the time it was approved, yes.

20 Q. And after you drilled Core Hole 162,
21 what did you find?

22 A. We found good mineralization in the
23 10th ore zone and also in the 4th ore zone, the
24 10th ore zone being sylvite, the 4th ore zone
25 being langbeinite.

1 Q. Before you drilled Core Hole 162, you
2 felt like there was mineralization in Section 2
3 already, didn't you?

4 A. Yes.

5 Q. What type mineralization?

6 A. The 4th ore zone langbeinite.

7 Q. And New Mexico Potash, of course,
8 doesn't process langbeinite?

9 A. No.

10 Q. After you drilled Core Hole 162, you
11 also found there was some sylvite in Section 2?

12 A. Yes.

13 Q. Was it of a grade that New Mexico
14 Potash was capable of mining?

15 A. Yes.

16 Q. Look, if you will, Mr. Lane, to Exhibit
17 No. 6 in front of you there.

18 A. All right.

19 Q. Can you identify that document for us?

20 A. Exhibit 6 is a copy of our abandonment
21 of the Core Test Well No. 162.

22 Q. Does that have attached to it the Core
23 Hole Analysis of 162?

24 A. It does.

25 Q. Does it reflect the level of

1 mineralization of sylvite?

2 A. Yes.

3 Q. Is the amount reflected there of
4 sufficient grade and thickness that New Mexico
5 Potash can mine it?

6 A. It is.

7 Q. There's been some testimony, Mr. Lane,
8 that you may have heard about the speed at which
9 Core Hole 162 was drilled. Tell us, if you will,
10 how many core holes, during the time you've been
11 at New Mexico Potash, you've been involved in
12 having drilled, just roughly?

13 A. 70.

14 Q. And of those, how long does it
15 generally take to drill a core hole?

16 A. Two days or less, without any troubles
17 or breakdowns of the rig and equipment.

18 Q. Is there anything unusual in your mind
19 about Core Hole 162 being drilled in what someone
20 said was 48 hours?

21 A. No.

22 Q. Now, after you got the results of Core
23 Hole 162, what, if anything, did you do with
24 respect to your existing LMR?

25 A. Revised it and put it in in January.

1 Q. Were there any other core hole data or
2 data from core holes that you relied upon to
3 revise the LMR?

4 A. There is.

5 Q. Look at Exhibit 7(a) in front of you
6 there, if you will, please, sir.

7 A. All right.

8 Q. What is that document?

9 A. Exhibit 7(a) is a summary sheet for
10 Core Test F-52 drilled by Farmers Educational
11 Cooperative Union of America.

12 Q. Is that one of the core holes that you
13 used in revising the LMR?

14 A. It is.

15 Q. All right. Look at Exhibit 7(b).

16 A. Exhibit 7(b) is the same data for Core
17 Test FC-65.

18 Q. Did that go into your revisions of the
19 LMR in 1992?

20 A. It did.

21 Q. Look at Exhibit No. 8, if you will, and
22 tell me what those are.

23 A. Exhibit 8?

24 Q. Yes.

25 A. I have 6, 7 and 9. Sorry, no 8. Wait,

1 I'm sorry. 8(a), yes, sir.

2 Q. Look at Exhibits 8(a) and 8(b) and tell
3 me if you know what those are, please.

4 A. Exhibit 8(a) is United States
5 Department of Interior Geological Survey, potash
6 ore reserves in proposed waste isolation plant
7 area, Eddy County, Southeastern New Mexico.

8 Q. Which core hole is that for, or does
9 that report cover?

10 A. This covers potash tests drilled by the
11 government, P-21.

12 Q. Was that considered by you and relied
13 on in the LMR in 1992?

14 A. Yes, and also AEC-8.

15 Q. Now, Mr. Lane, how do you go about,
16 when you get core hole data, how do you go about
17 giving influence to the analysis of the core
18 hole? How do you go through that process and how
19 did you go through that process at New Mexico
20 Potash when you got the results of Core Hole 162?

21 A. With the five adjacent holes available,
22 I used a triangular method plotting isogrades on
23 each of the legs and connecting the grade at
24 which it's using as a cutoff grade.

25 Q. Let me show you Exhibit No. 38. I

1 believe the Commissioners have a copy of this
2 from yesterday. Does Exhibit No. 38 show the
3 triangulation method that you just referred to,
4 Mr. Lane?

5 A. Yes.

6 Q. And explain to the Commissioners how
7 you go about using that triangulation method to
8 plot out an LMR.

9 A. Are we giving the grades?

10 Q. No. Just refer to the core hole, if
11 you would.

12 A. Going from--we start from 162 in
13 Section 2, over to F-65, which is in the
14 southeast corner of Section 34, 21-31, we have a
15 grade for each of those holes, a value. And
16 where the red line crosses that leg of that
17 triangle, that would be our cutoff grade.

18 Q. Do you project it out to each of those
19 core holes?

20 A. Yes.

21 Q. By what method?

22 A. By plotting isograde points and then
23 connecting equal points.

24 Q. You're extrapolating out from each
25 hole?

1 A. That's correct.

2 Q. And go ahead and complete the triangle
3 for us.

4 A. The same thing would be from F-65 to
5 F-52. We have an isograde point as a cutoff.
6 F-52 back to 162, both are above the cutoff
7 grade. The same thing going down from F-62 to
8 AEC-8. Both are above cutoff grade. F-62 to
9 P-21, both data points are above cutoff grade.
10 So there's no crossing. No line.

11 Q. Using that triangulation method, Mr.
12 Lane, what did you conclude with respect to the
13 mineralization in Section 2?

14 A. That the majority of Section 2 was
15 mineralized.

16 Q. Is the triangulation method something
17 that you have used for a long time in New Mexico
18 Potash?

19 A. I have used it ever since being on this
20 property.

21 Q. That would be since 1963?

22 A. 29 years.

23 Q. Now, look at Exhibit No. 5 in front of
24 you there, Mr. Lane. Do you have Exhibit 5 in
25 front of you, Mr. Lane?

1 A. Yes.

2 MR. HIGH: For the Commissioners'
3 information, I could have used Exhibit 38.
4 There's nothing different between the two.

5 Q. Look at Exhibit 5, Mr. Lane. Does that
6 document reflect the LMR as you revised it in
7 January of 1992?

8 A. It does.

9 Q. Based upon the core hole data you just
10 told us about?

11 A. Correct.

12 Q. This was the new LMR designation you
13 filed with the State and the BLM?

14 A. Yes.

15 Q. Now, after you filed this new
16 designated LMR with the State Land Office, did
17 you, thereafter, have some communications with
18 them concerning the new designation?

19 A. Yes.

20 Q. Tell me how that came about.

21 A. The LMR was sent in mid-January to the
22 State Land Department. In early February I
23 received a letter asking for additional
24 information.

25 Q. Look at Exhibit No. 10(a) and tell me

1 if that's the letter you're referring to.

2 A. Yes.

3 Q. Did you respond to that letter?

4 A. I did.

5 Q. Look at Exhibit No. 10(b) and tell me
6 if you could identify that?

7 A. Exhibit 10(b) is in response to the
8 letter of February the 10th from Mr. Prando,
9 which passes on the information that Hole 162 was
10 mineralized in both the 4th and the 10th ore
11 zones; and he also pointed out in his letter of
12 February 10th that sylvite mineralization also
13 existed in that hole instead of just langbeinite.

14 Q. Look at Exhibit 11 and tell me if
15 that's the letter you received from Mr. Prando
16 also.

17 A. It is.

18 Q. Now, in this letter, Mr. Lane, in the
19 first paragraph, Mr. Prando says that the
20 quality--and this is the last sentence in the
21 first paragraph, after he acknowledges that Core
22 Hole 162 does shows an economic accumulation of
23 sylvite, the last sentence says, "The quality of
24 ore is such that the southeast quarter of Section
25 2, Township 22 South, Range 31 East, contains a

1 commercial deposit." Do you see that?

2 A. Correct.

3 Q. Does a statement like that have any
4 basis at all in mining?

5 A. No, it doesn't.

6 Q. Why is that so?

7 A. The main reason, that the influence of
8 Hole 162 is not equal in all directions.

9 Q. Should it be?

10 A. It should be in this case, at least
11 minimum.

12 Q. What minimum distance or influence
13 should you give a core hole like 162, from your
14 experience?

15 A. My experience, half-mile by itself.

16 Q. So you would assume that whatever Core
17 Hole 162, the same type ore and the same type
18 grade would be found within a half-mile circle of
19 that core hole?

20 A. Correct.

21 Q. Has that been the system you've used
22 during the time you've been at the New Mexico
23 Potash facility?

24 A. I used 2500 feet, not the half-mile.

25 Q. Which is close to a half-mile?

1 A. Right. Oh, half-mile, yes. 2500
2 feet. Close to it.

3 Q. Instead of a half-mile, you just use a
4 straight 2500 feet?

5 A. Yes.

6 Q. Is that what you've generally used
7 throughout your work there at New Mexico Potash?

8 A. Yes, without information on the off
9 side of it, if I don't have any of the drill hole
10 data.

11 Q. Have you found that process to be
12 predictable with respect to what's out there?

13 A. Reasonably so, yes.

14 Q. Now, at the time Core Hole 162 was
15 drilled, you were aware, I take it, Mr. Lane,
16 that International Minerals and Chemicals was
17 interested in acquiring Section 2 from New Mexico
18 Potash?

19 A. I was aware of it, yes.

20 Q. Do you know whether or not they were
21 aware of some wells that were being proposed to
22 be drilled in Section 2?

23 A. Yes.

24 Q. Look at Exhibit No. 28, if you would,
25 please. What is that document, Mr. Lane?

1 A. Exhibit 28 would be the letter from
2 Michael Stogner to IMC Fertilizer, Incorporated,
3 in Carlsbad, dated November 5, 1991.

4 Q. What's the second page? Is that
5 dealing with Section 2?

6 A. Yes. Section 2, 22 South, 31 East.

7 Q. And it has reference to the possible
8 drilling of the very wells we're talking about
9 here?

10 A. Yes.

11 Q. What's the second page of that
12 document?

13 A. It's a letter from IMC Fertilizer,
14 Incorporated, to the New Mexico Oil Conservation
15 Commission, protesting wells in Section 2, 22
16 South, 31 East.

17 Q. And what's the date of that letter?

18 A. October 31, 1991.

19 Q. Now, without referring specifically to
20 the numbers, Mr. Lane, let me direct your
21 attention to Exhibit No. 25, please.

22 Do you have Exhibit No. 25 in front of
23 you, Mr. Lane?

24 A. I do.

25 Q. What are those documents, please, sir?

1 Just take the first page and explain them, if you
2 will. Explain to us what that document shows.
3 Don't refer to the numbers, just tell us what it
4 shows.

5 A. It's a copy of daily mine production
6 statistics.

7 Q. All right--

8 A. And it's the one for the last
9 production day of that month.

10 Q. Let's start with the left-hand column,
11 and let me ask you which one of these to
12 describe, because this document is marked
13 "Confidential."

14 The left-hand column, what does the
15 first entry, 8220 mean?

16 A. That's a mining machine number.

17 Q. Would the same be true for those below
18 that number?

19 A. It would.

20 Q. All those would be machines at these
21 various stages?

22 A. Individual machine numbers.

23 Q. And column 2, then, would be what?

24 A. Tons produced.

25 Q. What does the little mark--

1 A. Are you on the top line or on the
2 bottom?

3 Q. I'm on the top line.

4 A. Top line, second column, is the area in
5 which that machine and production came from.

6 Q. That would be 203, and what's that
7 entry after that? Is that an X?

8 A. I don't know what that is. It's
9 something.

10 Q. It has no meaning as far as you know?

11 A. Not right now.

12 Q. So Mining Machine 8220 on this
13 particular day was working in what we call Area
14 203?

15 A. It was.

16 Q. Now, I notice in the next couple of
17 columns there, there's entries for some mining
18 machines and no entries for the others?

19 A. That's correct.

20 Q. What does that mean?

21 A. It did not operate during that shift.
22 The first column was day shift, middle column was
23 afternoon, and the third set of numbers would be
24 night shift.

25 Q. Where would the day shift cut off? Is

1 the entire top portion of the document the day
2 shift?

3 A. No, just the top left set of numbers is
4 day shift. The center set is afternoon shift,
5 the right-hand side is night shift.

6 Q. Across the top one-half of the
7 document, it should be divided into three
8 columns?

9 A. Right.

10 Q. The first column being the day shift,
11 the next column being the second shift and the
12 third column on the right-hand, top side of the
13 page, being the third shift?

14 A. Third shift.

15 Q. And the numbers alongside the mining
16 machines would be the ore that was mined by each
17 of those particular mining machines?

18 A. That's correct.

19 Q. If there were no entries, it means that
20 that particular mining machine was not operating
21 that shift?

22 A. Not operating that shift, that's
23 correct.

24 Q. After "area" there's the column
25 "tons." I take it that's the number of tons

1 mined by that particular mining machine?

2 A. It is.

3 Q. The next column entitled K20, does that
4 show the grade of the ore that was mined by that
5 mining machine on that shift?

6 A. It is.

7 Q. All right. Let's drop down to the
8 bottom one-half of the page and again, the page
9 we're talking about is for September 28, 1989?

10 A. Correct.

11 Q. What does the bottom one-half of the
12 page show?

13 A. It's a summation of the upper lines,
14 the upper three shifts. It brings it down and
15 totals it for the day in the second column, month
16 to date in the third column. The day's grade in
17 the fourth column, and month-to-date grade in the
18 fifth column.

19 Q. So, by looking at these documents, you
20 could tell, on a daily or monthly basis, how much
21 ore was mined and the grade of that ore?

22 A. Yes.

23 Q. Now, all of Exhibit No. 25, Mr. Lane,
24 appear to be the same document. Is this just for
25 different periods of time?

1 A. Yes. I think there's six sheets here
2 and it runs from the last day of each month, from
3 September through January of 90. The line runs
4 through December. We're talking about 89.
5 Okay. September through January. This is
6 February.

7 Q. We have already seen, Mr. Lane, the
8 grade of the ore in Section 2. Now, I would like
9 for you to go with me through these documents,
10 and let's point out to the Commissioners the
11 lowest grade of ore on each page which we have
12 mined in our mine. Let's start with the first
13 page.

14 A. On a monthly basis or a shift basis?

15 Q. Let's go ahead and do it on a shift
16 basis.

17 A. Shift basis.

18 Q. What's the lowest that we mined on
19 September 28, 1989?

20 A. 10.94.

21 Q. Go to the next page and tell me the
22 lowest grade we mined on October 31, 1989.

23 A. 9.73.

24 Q. Next page is November 30, 1989. What's
25 the lowest grade in the mine?

1 A. 10.86 percent K20.

2 Q. Look that up on the top on the
3 afternoon shift?

4 A. I'm sorry. 10.57.

5 Q. And go to the next page, which is
6 December 31, 1989, and tell me the lowest grade
7 ore we mined?

8 A. 11.85.

9 Q. Go to the next page, January 31, 1990,
10 and tell me the lowest grade we mined.

11 A. 11.37.

12 [Commissioner Carlson is not present.]

13 Q. The next page was February the 28th of
14 19--

15 MR. HIGH: Should we wait on
16 Commissioner Carlson?

17 CHAIRMAN LEMAY: Two of us are all
18 that's necessary.

19 Q. Okay. Look at February 28, 1990, Mr.
20 Lane, and tell me the lowest grade ore we mined.

21 A. 9.22.

22 Q. If we continued throughout these
23 documents, we could determine on a daily basis
24 the grade of ore that New Mexico Potash was
25 actually mining?

1 A. Actually mining, yes.

2 Q. Does this document also show the tons
3 of ore that we take out of the ground and ship up
4 to the mills?

5 A. It does.

6 Q. Where would I go to find that number,
7 Mr. Lane? Let's go back to the very first page
8 of the exhibit, and tell me where it shows the
9 number of mined tons that we take out.

10 A. It would be in the lower set of
11 numbers, the third column, in the "total" line.

12 Q. So, under the column at the bottom, the
13 bottom-half of the paper, the column entitled
14 "tons," to the right there's a column with the
15 initials "MTD" at the top of it?

16 A. That's correct, the third column.

17 Q. And if I dropped down to the line under
18 that that says "total," which on this particular
19 document is 191028?

20 A. That's correct.

21 Q. That would give me the mined tons taken
22 out of the mine and sent to the surface?

23 A. Sent to the surface.

24 Q. That's month-to-date as of September
25 28, 1989?

1 A. That's correct.

2 Q. So that's roughly a month's worth of
3 production?

4 A. That's the last working day for that
5 month.

6 Q. Now, once we get the ore up to the
7 surface, Mr. Lane, we send it through a refining
8 process, I take it?

9 A. That's correct.

10 [Commissioner Carlson is present.]

11 Q. And we recover ore out of what we bring
12 up from underground?

13 A. Correct.

14 Q. Look at Exhibit No. 26, please, and
15 tell me if you can tell me what that is.

16 A. Exhibit 26 is month-end metallurgical
17 statistics, New Mexico Potash. This exhibit was
18 entered to show mill recovery, recovery of potash
19 from the total potash.

20 Q. Is that an internal document that's
21 kept by New Mexico Potash?

22 A. It is.

23 Q. And used in its potash business?

24 A. Yes.

25 Q. Are there any numbers that have been

1 removed from that exhibit?

2 A. All numbers except the actual recovery.

3 Q. And, of course, this document is
4 stamped "Confidential," is it not?

5 A. Yes.

6 Q. Can you, by looking at Exhibit No. 26,
7 determine on a monthly basis what your mill
8 recovery was of the ore that you mined as shown
9 on production curves?

10 A. Yes.

11 Q. Do these documents that are set forth
12 in Exhibit 26 show the mill recovery of New
13 Mexico Potash?

14 A. It does.

15 Q. Now, taking all those things into
16 consideration, Mr. Lane, is it your opinion that
17 New Mexico Potash has the capability of mining
18 the ore in Section 2?

19 A. I do.

20 Q. Let's talk in terms of getting down
21 there. You mentioned earlier that you have had
22 some involvement in mine planning during the
23 course of your, what, almost 30 years at that
24 property?

25 A. Correct.

1 Q. What is New Mexico Potash's plan with
2 respect to mining down towards Section 2?

3 A. Their plans have always been, and the
4 plans we've had in the past, whatever, to mine
5 all the reserves in that south ore body. That
6 extended down in the north line of Section 2 in
7 past planning. Since Drill Hole 162 was drilled,
8 it extended that area and it can be added to
9 existing plans.

10 Q. In your position at New Mexico Potash,
11 Mr. Lane, did you have responsibility over the
12 the haulage and belt lines and that sort of
13 thing?

14 A. Yes, that's taken into consideration in
15 yearly plans, long plans, short range, whatever.

16 Q. Looking at where New Mexico Potash is
17 currently mining, and let me refer you
18 specifically to Exhibit No. 38, which might be a
19 little easier to follow, it looks like the
20 southernmost penetration of New Mexico Potash's
21 mining is in Section 23. Do you see that?

22 A. Yes.

23 Q. Tell the Commissioners what additional
24 capital equipment, such as underground
25 transportation, belt lines, that sort of thing,

1 that New Mexico Potash would have to go out and
2 purchase to get down to Section 2?

3 A. Mr. Case testified to the
4 transportation end of that, which is available
5 and makes that range comply with state laws, I
6 mean time-wise, for travel. I want to correct
7 his statement of the other day on the amount of
8 conveyor belt that's in use at the present time.
9 I think Mr. Case stated 10 miles. That is plus
10 16 miles.

11 Q. Let's make clear, you say plus 16
12 miles. You don't mean 10 plus 16?

13 A. No, correcting it from 10 miles to 16
14 plus miles, and with mining plans, that amount of
15 conveyor belt would reach into Section 2 if
16 maintained, without new equipment.

17 Q. So to mine the ore in Section 2, New
18 Mexico Potash would not have to buy any
19 additional belt lines?

20 A. Just for maintenance. Maintaining the
21 additional structures.

22 Q. That's true today?

23 A. That's true everywhere.

24 Q. Whether we have Section 2 or not?

25 A. That's correct.

1 Q. To mine Section 2, we would have to buy
2 no additional belt lines, is that correct?

3 A. No. With a balanced mining plan, you
4 wouldn't have to have new footage.

5 Q. No new transportation equipment?

6 A. Yes, it will take some new
7 transportation equipment which Mr. Case
8 mentioned.

9 Q. Is that transportation equipment that
10 we would have to buy or which we now have?

11 A. Buy and modify ourselves. We have
12 some.

13 Q. We have some of the modified equipment
14 now?

15 A. In use, yes.

16 Q. Would it take a large purchase of
17 equipment for us to go down and mine Section 2?

18 A. No.

19 Q. Now, let's talk about getting to
20 Section 2, Mr. Lane. Mr. Hutchinson has done
21 some calculations and said it would take us a
22 whole lot of time to get down there. In fact he
23 said, according to his calculations, we only
24 mine, I think it was, 136 acres a year. Do you
25 recall that?

1 A. Yes.

2 Q. Do you agree with that?

3 A. I do not.

4 Q. He got his numbers, as he said, by
5 comparing the October 1, 1988 mine working map
6 that's on file with the State, along with the
7 January 1992, I believe it was, mine working map
8 that's also on file. Do you recall that?

9 A. Yes.

10 Q. Have you, yourself, compared those two
11 mine working maps and reached a calculation on
12 the number of acres that we have mined?

13 A. I did.

14 Q. Would you explain to the Commissioners
15 how you went about calculating the acres that we
16 mine by comparison of those two maps?

17 A. I had the LMR map and the mine working
18 map of October 89 and the one of January 92. All
19 I had was an off-breed scale to do it, but I put
20 it into square units of the change between the
21 two maps.

22 I added up the square units for the
23 change, the square units for one section, divided
24 the two to see how many sections were mined in
25 that 39-month period.

1 Q. What number did you come up with, Mr.
2 Lane, in terms of the acres mined per year, by
3 comparing the 88 to 92 mine working maps?

4 A. The numbers are over there.

5 Q. Do you have it written down somewhere?
6 Where is it?

7 A. The yellow--no, wait a minute.

8 Q. How many acres per year did you come up
9 with by comparing those two maps?

10 A. 293 acres per year.

11 Q. And it wasn't the most accurate scale.

12 A. It was a smaller scale.

13 Q. Do you feel like the 293 acres per year
14 is more accurate than the 136 that was testified
15 to by Mr. Hutchinson?

16 A. I do.

17 Q. Is there any reason or explanation you
18 think might exist for Mr. Hutchinson's
19 calculation of 136?

20 A. I don't know what it is.

21 Q. Are there any other ways, Mr. Lane, if
22 we want to put to bed the issue of how many acres
23 we mine a year, are there any other ways we can
24 make that calculation?

25 A. Yes.

1 Q. How would that be?

2 A. Looking at an average monthly tonnage,
3 take that to a yearly tonnage and relate that
4 back to acres.

5 Q. Let's refer back to Exhibit No. 25,
6 please, sir.

7 A. All right.

8 Q. How would you go about using the
9 production to determine the number of acres we
10 mine per year?

11 A. We could get an average monthly rate
12 off of these sheets for tonnage produced, move it
13 up to yearly rate. Then we could get it back
14 into acres, one acre, which is 43,560 square
15 feet, estimate the height--five feet for both
16 retreat mining and advanced mining--which gives
17 you a figure of some 218,000 cubic feet.

18 You divide that by our cubic feet per
19 ton for the ore we mine, which is 15.3. We come
20 out with an acre, that five-foot height
21 containing 14,235 tons in place.

22 Then estimating, since I don't have the
23 split here of the retreat areas to advance areas,
24 I used a figure of 65 percent extraction for
25 combined. That would give, one acre would have

1 9,252 tons per acre at that extraction.

2 The tonnage we used an average of, if
3 we looked at three sheets, 205,000 tons per month
4 or 2,460,000 tons a year. Dividing that by the
5 tons per acre, we come out at 266 acres per year.

6 Q. Now, using those numbers, Mr. Lane, or
7 in your experience, what would you project to be
8 the time for us to get down to Section 2, if you
9 know?

10 A. A reasonable mine plan for that area,
11 it must be within the next 10 years.

12 Q. And to mine Section 2, since it's on
13 the outside of our lease, what would be the
14 standard mining procedure, in terms of how you're
15 going to mine Section 2?

16 A. It would be mined in the same fashion
17 as we're mining today, in the other 10 areas.

18 Q. When you're driving down to mine
19 Section 2, would you drive down to the far lease
20 line and mine back, or would you mine on the way
21 down there?

22 A. You would try to make the lease line or
23 ore cutoff.

24 Q. Referring to Exhibit No. 38, you're
25 saying you would drive down to the south side of

1 Section 2 and then develop panels off into
2 Section 2 from that point?

3 A. No. The mine plan I would recommend
4 would be coming off our main entry system, which
5 is just on the left-hand side of the centerfold,
6 and develop south from there.

7 Q. And is that consistent with the
8 southerly direction that New Mexico Potash has
9 been mining over the last few years, Mr. Lane?

10 A. Yes.

11 Q. Looking again at Exhibit No. 38--and
12 you have that in front of you?

13 A. Yes.

14 Q. Let's look up at the top or toward the
15 northeast corner of the exhibit, in the green
16 part, where it says mined 4/1983. Do you see
17 that?

18 A. Yes.

19 Q. Tell us, Mr. Lane, why it is we stopped
20 mining there in 1983.

21 A. There was a decision of management to
22 consolidate workings and start the development of
23 the south, and also to stop development at that
24 point so that the northeast ore body would not be
25 cut up for long periods of time, any entries into

1 it.

2 Q. What is the northeast ore body?

3 A. Extending to the northeast of where it
4 says mined 4/83.

5 Q. Is that in the area where the state
6 leases are shown in red on Exhibit 38?

7 A. Yes, just to the west of 36.

8 Q. Did the decision to stop mining at the
9 point that mining was stopped in 1983, have
10 anything to do with state royalties?

11 A. No.

12 Q. Do state royalties play any role at all
13 in that?

14 A. None whatsoever.

15 Q. Do you know what the state royalties
16 were in 83?

17 A. Yes, they were lower than federal.

18 Q. If you had a state lease in 1983 and
19 you mined it, your royalty would be less than it
20 would be on the federal lease at that time?

21 A. That is correct.

22 Q. Now, looking over directly to the left
23 there, Mr. Lane, at the state lease that has
24 M15-171 and M19--looks like--393, do you see that
25 one?

- 1 A. Yes.
- 2 Q. That shows that mining took place in
3 and around that area from 1970 to 74?
- 4 A. Correct.
- 5 Q. You were, of course, with New Mexico
6 Potash at that time, right?
- 7 A. I was.
- 8 Q. Do you know why the remaining part of
9 that section was not mined?
- 10 A. That was what we considered cutoff
11 grade at that time.
- 12 Q. And what does that mean to a layman?
- 13 A. To as low as we wanted to mine it in
14 blending at that time.
- 15 Q. Have the grades that New Mexico Potash
16 can mine and process and sell, changed since
17 1974?
- 18 A. It has.
- 19 Q. Can you now mine lower grades than you
20 could in 1974?
- 21 A. Yes.
- 22 Q. Can you get back in to mine that state
23 lease?
- 24 A. Yes.
- 25 Q. How would you do that?

1 A. It would be in Section 2 of 21-31, the
2 state section that's in the red. It would be
3 Lease 14-957. There's an entry system going to
4 the northwest. It would be mined in conjunction
5 with the open ground in that area.

6 Q. As we look at the section just east of
7 the state lease that we're talking about here,
8 Mr. Lane, there's been some mining in that
9 section already, right?

10 A. Yes.

11 Q. The white part around the green slash,
12 is that ore?

13 A. Yes.

14 Q. Is that ore that will eventually be
15 mined?

16 A. Eventually.

17 Q. Let's go to the next section just east
18 of that one, that has mostly white in it but some
19 green.

20 A. Same thing.

21 Q. Does that have ore in it?

22 A. Same thing.

23 Q. That has yet to be mined by New Mexico
24 Potash?

25 A. Correct.

1 Q. The state lease toward the west will be
2 mined in connection with the same time when those
3 others are mined up there?

4 A. Correct.

5 Q. Do you know about the time period, Mr.
6 Lane, that the state royalties were less than the
7 federals? Do you recall about when that was?

8 A. Yes. I think the state went to a
9 sliding scale around January 1st of 1984. Before
10 that date, they were less.

11 Q. So, up until 1984, the state was less
12 than the federal?

13 A. Yes.

14 Q. And then in 1984, when the state went
15 to a sliding scale, it was equal with the
16 federal?

17 A. Uh-huh.

18 Q. Do you know at what point in time they
19 became unequal?

20 A. In 86, I think.

21 Q. Now, during the time you were drilling
22 Core Hole 162, Mr. Lane, you were talking with
23 Yates about their desire to drill the four wells
24 we're contesting here today, correct?

25 A. Yes.

1 Q. Look at Exhibit No. 29, please. That
2 appears to document a telephone conversation that
3 you had with Mr. Clifton May?

4 A. That's correct.

5 Q. On December 4, 1991?

6 A. That's correct.

7 Q. It goes on to say, "They," being New
8 Mexico Potash, "will not approve our locations.
9 Unless the tests are poor, we will not be able to
10 drill the wells at this time." Is that
11 essentially the conversation you had with Mr.
12 Clifton May?

13 A. That's correct.

14 Q. Look at Exhibit No. 30. Is that a
15 letter that Mr. May sent you--

16 A. It is.

17 Q. --inquiring about the test results in
18 Core Hole 162?

19 A. It is.

20 Q. Look at Exhibit No. 31. Is that a
21 letter you sent Mr. Clifton May on January 21,
22 1992?

23 A. It is.

24 Q. Let me show you, Mr. Lane, Yates
25 Exhibits 8(a), (b), (c) and (d). Did you receive

1 those letters?

2 A. Yes.

3 Q. Did they have attached to them either a
4 plat or an APD?

5 A. Not to my knowledge.

6 Q. All right. Let me show you Yates
7 Exhibit No. 8, which includes a letter dated
8 January 21, 1992, addressed to you, which says
9 it's enclosing copies of the APDs?

10 A. Yes.

11 Q. You did receive the APDs on these four
12 wells at that time?

13 A. At that time.

14 MR. HIGH: Mr. Chairman, at this time
15 we would offer into evidence Exhibits 2, 3, 4(a),
16 4(b), 9, 6, 7(a), 7(b), 8(a), 8(b), 5, 10(a),
17 10(b), 11, 25, 26, 29, 30 and 31.

18 CHAIRMAN LEMAY: Without objection,
19 those exhibits will be admitted into the record.

20 MR. HIGH: And we'll pass the witness.

21 CHAIRMAN LEMAY: Let's take about 10
22 minutes and then come back.

23 [A recess was taken.]

24 CHAIRMAN LEMAY: Okay. We'll start the
25 cross-examination now of Mr. Lane, by Mr.

1 Carroll.

2 EXAMINATION

3 BY MR. CARROLL:

4 Q. Mr. Lane, let's start, first of all,
5 with this concept of LMR. When you're defining
6 an LMR, what is your criteria? Do you use or
7 include a minimum grade cutoff to draw the
8 boundaries of your LMR?

9 A. Yes.

10 Q. What is the minimum grade that you use
11 to draw your LMR?

12 MR. HIGH: Excuse me, Mr. Chairman.
13 This is confidential information and it's shown
14 on the documents in evidence, and I would object
15 to bringing it out in here unless we go into
16 confidential session.

17 CHAIRMAN LEMAY: Can he identify the
18 document and, by pointing to the document, say is
19 this the grade?

20 MR. HIGH: I don't have any problem
21 with that.

22 CHAIRMAN LEMAY: Or could you write it
23 down on a piece of paper?

24 MR. CARROLL: I'm just looking for a
25 minimum.

1 CHAIRMAN LEMAY: It's the confidential
2 part he's having a problem with.

3 MR. CARROLL: That's fine.

4 Q. Can you tell me some reference?

5 A. The reference would be Exhibit 38.

6 Q. Yes, sir.

7 A. In the center, left-hand side, you see
8 the 10th ore zone? The red line under it?

9 Q. I see it. Okay.

10 A. Percent indicated will then draw up to
11 the red line.

12 Q. All right. Thank you. Now, when you
13 are in the LMR drawing process, do you give
14 consideration to barren areas?

15 A. Some, yes.

16 Q. Some. What is the basic criteria? How
17 do they influence an LMR?

18 A. There is some core data inside of those
19 barren areas or they wouldn't be drawn. I still
20 use triangles. They aren't completely blank.
21 There is some mineralization.

22 Q. Do you figure the ore in a barren area
23 as part of your ore reserves?

24 A. No.

25 Q. So at least within the areas, let's

1 say, that are drawn in barren areas on Exhibit
2 38, you exclude that area from your ore reserves?

3 A. Yes.

4 Q. Now, Mr. Case made a statement
5 yesterday that there were barren areas up in the
6 north part of the--north area of your mine, which
7 were barren but weren't indicated on this map as
8 barren.

9 My main question is, if that is, in
10 fact, a true statement, where would they be? Are
11 you aware of any?

12 A. North portion. Yes, there's two that
13 were left off.

14 Q. All right, sir. Where would--

15 A. And that would be in Section 5, 21-31.
16 It's still shaded as being unhatched in blue, in
17 Section 5, 21-31.

18 Q. All right. That's within the mined out
19 ore body, is that correct? These are the
20 abnormally sized sections, Section 5, because
21 they're not numbered "5," for the Commissioners'
22 benefit.

23 A. Yes, the upper tier of that township is
24 the correction line.

25 Q. These are barren areas that are within,

1 except for the one in Section 5?

2 A. Section 5, and the northeast corner of
3 Section 4 of 21-31.

4 Q. The one in Section 5 has been totally
5 mined around?

6 A. Yes, sir.

7 Q. And one in Section 4, there is at least
8 a small opening?

9 A. Yes.

10 Q. Any others that you're aware of?

11 A. Not that I can see.

12 Q. Okay. Now, when you're defining this
13 LMR, do you honor all core holes available?

14 A. Try to.

15 Q. You try to. You're aware of a core
16 hole numbered--or the nomenclature ERDA-6 that
17 was drilled in the 1970s?

18 A. Yes.

19 Q. You're also aware that ERDA-6 shows the
20 10th ore zone as barren, is that correct?

21 A. That's correct.

22 Q. And reference to your Exhibit No. 38,
23 ERDA-6 is in the southwest quarter of Section 35,
24 is it not?

25 A. No.

1 Q. Where is ERDA-6?

2 A. Southeast quarter of 35.

3 Q. You're correct. I misspoke myself.

4 The southeast quarter of Section 35?

5 A. Yes.

6 Q. Your LMR is approximately, not quite
7 but close to a half-mile further to the east of
8 ERDA-6, is it not?

9 A. This line, yes.

10 Q. And ERDA-6 is approximately a half-mile
11 from the nearest barren zone as depicted on your
12 map, is that correct?

13 A. That's correct.

14 Q. So, in fact, this LMR line did not give
15 credit to ERDA-6?

16 A. This line doesn't, no.

17 Q. And this line is your new LMR as of
18 1992?

19 A. The one that was sent in the LMR, as
20 originally sent in, had a dashed line on that
21 east side, questionable. And I think one of your
22 witnesses pointed that out.

23 Q. Now, you did know there was a
24 map--well, in fact it's Exhibit 38, you did
25 triangulation for three core holes, did you not?

1 I mean, you drew two triangles on Exhibit 38?

2 A. Yes.

3 Q. And utilized K-162, F-65, and--

4 A. There's three triangles on that.

5 Q. I see. You went up to F-52?

6 A. Yes.

7 Q. There are so many cross hatches, I'm
8 losing that one. Now, you could very well have
9 used ERDA-6 as a triangle, couldn't you, as part
10 of one of your points for triangulation?

11 A. I could have.

12 Q. And that could have, if you used that
13 triangulation method, that could very well affect
14 the number you're placing on the ore body in
15 Section 2, couldn't it?

16 A. It could, as connecting the LMR coming
17 down through Section 25, 24, to the Section 2.
18 There's ore indicated by the U.S.G.S. in 36,
19 also, but I don't know how much or what the
20 values are.

21 Q. Now, Mr. Lane, you say that you
22 normally give a sphere of influence to each of
23 these core holes of somewhere around 2500 feet,
24 close to a half-mile, roughly?

25 A. Yes.

1 Q. Now, you would also give that same
2 sphere of influence to a barren core hole?

3 A. Not to a complete barren hole, no.

4 Q. Not to a complete barren hole?

5 A. No.

6 Q. Why is that?

7 A. Past experience. Major large areas are
8 not completely barren, usually. There's usually
9 some mineralization in the larger ones. You can
10 find small areas. You can't give a definite area
11 of influence to a barren hole.

12 Q. But you can give it to good core holes?

13 A. Yes.

14 Q. You don't disagree with the statement
15 of Mr. Lammers that the mineralization that we're
16 looking at down here is fairly erratic?

17 A. By the barren areas that are shown, you
18 might say that.

19 Q. What about by the differing percentage
20 rates of K20? Wouldn't that also tell you it's
21 pretty erratic, because they do differ
22 considerably?

23 A. There's a good range, yes.

24 Q. You also get a good range in the actual
25 heights where you find the percentages of or

1 where you can find potash?

2 A. Not too much change in the height.

3 Q. Between Core Hole F-52 and K-162,
4 you've got a difference of from 48 inches to 61
5 inches, don't you?

6 A. Yes.

7 Q. And then, if you drop down to AEC-8,
8 you've got 75 inches, right?

9 A. Coming up from the south, yes.

10 Q. In ERDA-6, you've got no inches?

11 A. I don't know what the bed was in
12 ERDA-6. There are inches of the 10th ore zone.

13 Q. Now, this barren zone we've got, this
14 big one here in Sections 26, 27, 22, you have
15 three core holes in there, don't you? K-157, 158
16 and 151?

17 A. I don't have it here in front of me,
18 but 157--I know of two right off.

19 Q. I'll show you what for reference, it's
20 our exhibit that Mr. Lammers testified to, No.
21 41. It has those core holes depicted, does it
22 not, 151, 157 and 158 with a K letter?

23 A. Yes.

24 Q. Just a general question. Were these,
25 you talked about a nine-hole program that you

1 drilled here in the last year. Were these part
2 of that nine-hole program, 151, 157 and 158?

3 A. No. 157 and 158 were.

4 Q. Okay. Do you recall what numbers
5 started that nine-number program just offhand?

6 A. K-153.

7 Q. K-157 and K-158 are on the southernmost
8 leading edge of this barren area, are they not?

9 A. They are.

10 Q. And you did not give a half-mile or
11 2500 feet reference to those?

12 A. No, I didn't.

13 Q. Those showed barren in the 10th ore
14 zone because you included those within your
15 barren area?

16 A. Within the barren area, low cutoff
17 grade.

18 Q. Let's look at your Exhibit No. 7(b),
19 please. I think it's 7(b).

20 A. Just a second. I didn't get this
21 exhibit book back together right. What exhibit
22 is that?

23 Q. 7(b), as in boy.

24 A. I have it.

25 Q. I guess that is the recapitulation of

1 Core Hole F-65?

2 A. That is correct.

3 Q. And Core Hole F-65 formed one of the
4 legs of your triangulation of the three
5 triangles, did it not, in the very corner of
6 Section 34--

7 A. That is right.

8 Q. --on your Exhibit 38. Now, you show on
9 Exhibit 38, 9.19 percent K20 with--

10 MR. HIGH: Excuse me, Mr. Chairman,
11 again I have the same problem.

12 CHAIRMAN LEMAY: I agree.

13 MR. CARROLL: I'm sorry.

14 Q. You have on your Exhibit 38 a number,
15 do you not?

16 A. Yes.

17 Q. If you look at Exhibit 7(b), when you
18 go down to the 10th ore zone under the beds
19 analyzed, I find a number that is only one-third
20 of that. Do you see what I'm talking about?

21 A. Yes.

22 Q. We have no way of correlating that
23 number to the one on your Exhibit 38?

24 A. It's a combination of the first two
25 numbers under the K20 in that deal. And the

1 height, the bottom portion of that, of the bed
2 itself, that's the total height of the 10th ore
3 zone.

4 Q. New Mexico Potash does not have the
5 ability to process carnallite, does it?

6 A. In certain amounts, yes. It's soluble.

7 Q. Where it's two-thirds of the product?

8 A. In limiting blending, yes.

9 Q. How much is "limited"?

10 A. One unit, or something in that area.

11 Q. One unit--

12 A. One mining unit, at the most.

13 Q. When we're talking about mining units,
14 is that a weight measurement?

15 A. No. One mining area. And maybe
16 limited scheduling. It can be controlled.

17 Q. It creates problems and it has to be
18 watched very carefully?

19 A. Yes, sir.

20 Q. Now, did you combine carnallite with
21 sylvite on any of these other core holes to
22 arrive at the--

23 A. Not that I know of.

24 Q. So this is the only one that we did
25 that to, as far as you understand?

1 A. To my knowledge at this time, yes.

2 Q. Now, this nine-hole core, as Mr. Case
3 told us that there had not been a coring program
4 for several years out here in New Mexico Potash,
5 and then there was a management decision to do
6 these nine, what was the criteria that you picked
7 the first nine before you got to 162?

8 Why did you pick those? As a general
9 comment, and I'm not trying to get you to go
10 through each one, but generally what determined,
11 what was the criteria that you used to determine
12 where we're going to put our core holes?

13 A. Short-range mining plans.

14 Q. Short-range mining plans. So the
15 placement of these core holes was in advance of
16 or in the areas where you were mining then, I
17 take it?

18 A. Right.

19 Q. Now, K-162 was not determined on the
20 basis of short-range mining plans, was it?

21 A. No, it wasn't.

22 Q. How was the exact location of K-162
23 picked or determined, as opposed to the southwest
24 quarter, the northwest quarter, or the northeast
25 quarter?

1 A. No scientific way, I'll put it that
2 way. That's where I put the availability of
3 roads and a fair location.

4 Q. It was almost like throwing a dart in a
5 dart board?

6 A. Or a rabbit sitting under a mesquite
7 bush. In the same general area, yes.

8 Q. We've had a lot of discussion about the
9 core holes that are drilled by potash companies,
10 and we saw depicted in earlier testimony, I think
11 by Mr. O'Brien, we have two exhibits that
12 depicted that. In one example we've been able to
13 determine that the core holes are drilled fairly
14 rapidly, they're drilled all the way down, cored,
15 and then cement is put in without any casing.

16 Then there was another example that
17 there was actually casing set through water
18 bearing strata, it was mudded in rather than
19 cemented; when the coring was done, cement was
20 put in the hole.

21 Are those the general methods used by
22 your company and, to your knowledge, any other
23 companies, for the coring and then the cementing
24 of that core hole?

25 A. New Mexico Potash and Kerr-McGee has

1 never cased.

2 Q. So those two examples would be
3 representative of how New Mexico Potash does a
4 coring operation with respect to the issue of
5 plugging it?

6 A. One of those examples. The one without
7 casing.

8 Q. So New Mexico Potash, then, just never
9 uses casing, then?

10 A. No.

11 Q. Casing, like the mudding, does that
12 increase the cost of the coring operation?

13 A. It will raise it some.

14 Q. Why don't you use it? Is there a
15 reason why or a management decision why you've
16 elected not to use it?

17 A. Yes.

18 Q. What is that, Mr. Lane?

19 A. In our general area of Lea and Eddy
20 County, the culebra and the magenta are nearly
21 dry of water.

22 Q. You have a number of core holes that
23 have actually been mined through, have you not?

24 A. Yes.

25 Q. Have you ever encountered a problem

1 with leakage of any kind of liquid when you've
2 gone through these plugged core holes?

3 A. No problem.

4 Q. We heard from Mr. Case that there were
5 some large tailing dams and tailing ponds. Are
6 any of the tailing dams which hold these ponds of
7 water, are they located over second-mined areas,
8 to your knowledge?

9 A. The coarse tailings pond is over some
10 second mined.

11 Q. Would that be the dam and the pond,
12 both?

13 A. Yes.

14 Q. What's about the size of that coarse
15 tailing pond?

16 A. Approximately one section, including
17 the catch basin, the tailings pond, and a runoff
18 basin.

19 Q. All right. Now I notice, too, there's
20 one thing about this Exhibit 38, where when you
21 say this is your LMR, that's not your complete
22 LMR? This is only for the area of concern, is
23 that correct?

24 A. That's correct.

25 Q. The LMR that you have drawn on Exhibit

1 38, actually a good portion of it is not on
2 acreage that New Mexico Potash owns or controls,
3 is it?

4 A. That's correct.

5 Q. Was the only change in your LMR from
6 the 1990 or 88 version to the 92, did the only
7 change occur in Section 2 to your knowledge?

8 A. No. Some of what you're calling barren
9 areas, which are what they're called on the map,
10 were added.

11 Q. Did you accept that this area of
12 Section 2, did you push your LMR downside
13 boundary to include more acreage as you've done
14 here? Was this the only example of that?

15 A. One area was extended.

16 Q. Was that in the area where you
17 purchased new leases?

18 A. Purchased new leases?

19 Q. Or acquired.

20 A. Not as of this date.

21 Q. So there's at least one other area
22 where you moved the LMR to acreage you don't own?

23 A. Right.

24 Q. As just a general proposition, Mr.
25 Lane, do you think it's unfair to object to

1 drilling of oil wells which are inside an LMR
2 when you don't control the lease acreage?

3 A. I don't. I consider that as a possible
4 reserve and try to protect it. We lease them as
5 needed and, at times, we're ordered to cross out
6 of our lease line and continue mining.

7 Q. Now, you were part of the original team
8 that went down and started this whole mine, as I
9 understand it?

10 A. Yes.

11 Q. When you were getting ready to sink
12 your shaft and you were--apparently, there was a
13 program where you went out and drilled core holes
14 first, right?

15 A. Yes.

16 Q. Did you give a half-mile or 2500 feet
17 sphere of influence to those core holes you were
18 drilling when you were trying to decide on the
19 location of your shaft?

20 A. I was not there for some 92 core tests,
21 the original core tests, which went into the
22 initial planning and decision to build a plant.

23 Q. Well, isn't it a fair statement that
24 Kerr-McGee would not have given a sphere of
25 influence for single core holes of a half-mile

1 when they were just trying to determine where to
2 set that mine shaft, judging by the number of
3 core holes you're talking about, just by that
4 alone, the 92 core holes?

5 A. The policy, I don't know exactly what
6 that policy was.

7 Q. Now, when we were talking about, you
8 said the main--I guess when you were deciding and
9 you say this is going to be the consideration
10 that guides you in the development of Section 2,
11 is that when you strike off in a direction, you
12 usually go to the lease limit or the limit of the
13 ore, is that correct, and then you stop there and
14 work back?

15 A. Generally, unless there's indicated
16 ore. If you run into an unexpected barren area
17 or below-grade ore, if there's indicated ore on
18 the other side, you'll decide possibly to take
19 and drive through it.

20 Q. That's a decision that's governed by
21 economics, isn't it?

22 A. You might say that.

23 Q. Well, let's go up to the northeast
24 corner of your mine here on Exhibit 38, where you
25 stopped your mining in 4/83 just adjacent to

1 Section 36, the state lease acreage?

2 A. Uh-huh.

3 Q. Now, you told us that mine management
4 decided to move to the southernmost part of your
5 ore reserves and leave that area, is that
6 correct?

7 A. Yes.

8 Q. Was that an economic decision?

9 A. In part. It was two-fold there.

10 Q. You didn't go to the lease lines or the
11 end of the ore body with respect to that mine
12 shaft in April of 1983, did you?

13 A. No, we didn't.

14 Q. What was the economic consideration
15 that stopped you there?

16 A. We were working in what they call the
17 southwest ore body, finishing up over in an area
18 to the east. The decision was to come back and
19 start the development of the south and reserve
20 the east for a later date, without cutting up
21 that block of ore, and leaving the entry standing
22 as long as it might be.

23 Q. There's plenty of ore up there in the
24 northeast, isn't there?

25 A. Yes.

1 Q. Now, when we talk about the royalty on
2 this state acreage, some of your acreage out here
3 also has overriding royalties that go to persons
4 other than the State of New Mexico?

5 A. That is correct.

6 Q. Section 36 and 31 have some of those
7 overriding royalties?

8 A. There is sections. I'm not sure which
9 ones.

10 Q. You just don't know if Section 36 has--

11 A. Not right now, no. I don't have the
12 list with me.

13 Q. Isn't it true that when we look at the
14 lease burden and the economics of mining a
15 particular area, you don't look just at the
16 federal or state royalty but you look at all
17 burdens on that acreage, don't you?

18 A. To my knowledge, royalty has never
19 entered into mine plans, starting or stopping of
20 an area, in any decisions.

21 Q. But economics dictated that you
22 completely leave the area of the northeast and
23 move down to the south?

24 A. Possibly, yes.

25 Q. How important is it to mine close to

1 your shaft?

2 A. You leave a barrier pillar, and within
3 that pillar you have limited extraction.

4 Q. How important is it when you're
5 planning your mine faces, the mining faces, such
6 as where you've got your current areas of
7 mining? How important is that to get them close
8 to your shaft?

9 A. It's important, yes.

10 Q. From an economic standpoint it's
11 important, isn't it?

12 A. Safety and possible damage through
13 subsidence.

14 Q. Section 2, the mining in Section 2
15 would be the farthestmost point that you've ever
16 mined from your shaft, wouldn't it?

17 A. Yes, sir.

18 Q. And you've said that right now that New
19 Mexico Potash does have approximately 16 or so
20 miles of conveyor capacity, and that would get
21 you to Section 2, wouldn't it?

22 A. Yes.

23 Q. But that would mean that you would have
24 to stop mining in other areas and you would have
25 to concentrate your mining in just one area?

1 A. No.

2 Q. What other areas, if you drove down
3 into Section 2, would you be mining at?

4 A. As I said, the main entry or main
5 access, it would be my access, what I would do,
6 would be this main entry system, which is to the
7 left of the centerfold of the map. You would be
8 mining to the west of that, along with the south
9 down here. There would be different blocks
10 coming back along that belt line.

11 MR. HIGH: With Mr. Carlson out of the
12 room, do you want to break now?

13 CHAIRMAN LEMAY: I thought I'd let him
14 get through with his point.

15 MR. HIGH: I would like to have all
16 three Commissioners here. Yates had the benefit
17 of having all three Commissioners and I would
18 request the same. I would like to adjourn when
19 someone has to leave.

20 MR. CARROLL: I can stop. It won't
21 bother me at all.

22 CHAIRMAN LEMAY: You might want to pick
23 it up again after the recess.

24 MR. CARROLL: Sure.

25 CHAIRMAN LEMAY: I'm sorry for our

1 schedule.

2 MR. HIGH: That's fine. All I ask is
3 that my witnesses be heard by all three
4 Commissioners. And I understand budget hearings,
5 so whatever you need is fine with me.

6 CHAIRMAN LEMAY: We'll come back at
7 12:30.

8 [The noon recess was taken.]

9 CHAIRMAN LEMAY: We shall continue.
10 Before lunch, Mr. Carroll, you were
11 cross-examining Mr. Lane.

12 EXAMINATION RESUMED

13 BY MR. CARROLL:

14 Q. Mr. Lane, I think right at the close of
15 our morning session, I had just asked you a
16 question concerning if you had run your conveyor,
17 the conveyor belt or systems that you now have,
18 run them down to Section 2, I had asked you
19 whether or not that would allow for additional
20 mining off in other areas, and I think you told
21 me it would?

22 A. It would.

23 Q. Now, in order to accomplish that mining
24 in other areas, would that require you to
25 purchase any new conveyor belts or systems at

1 all?

2 A. I don't think it would.

3 Q. Turn to your Exhibit 38, would you,
4 again. Let me ask you a question. There are
5 three areas that are termed current area of
6 mining. Let's start with these on the right-hand
7 side here, on the east edge. There's one above
8 each other.

9 The ones up above Section 22, do you
10 intend to mine out that particular area before
11 going to Section 2?

12 A. Yes. The section right above 22, yes,
13 it would be mined out.

14 Q. All of that white area above Section
15 2. It seems you have a number of belts and
16 tunnels going in different directions. You're
17 saying you would intend to mine all of that area
18 before going to Section 2. And would that also
19 include driving to the lease line over here that
20 runs north and south along the eastern edge of
21 Sections 24 and 25 and the section above that?

22 A. The area which would be Section 13,
23 north of 24?

24 Q. Yes.

25 A. 13 and 12 would follow the mining of

1 the section above 22, in the west half of Section
2 14.

3 Q. Would that include both first and
4 secondary mining?

5 A. In that portion there, yes.

6 Q. What about this current area of mining
7 over here to the left side of your map? Do you
8 intend to turn those tunnels back to the west and
9 drive all the way to the lease line there before
10 going to Section 2?

11 A. Looking at the bottom of that M-651
12 lease where it says current mining areas?

13 Q. Yes.

14 A. West of the word "current," there's
15 some drifts turned off and they are proceeding
16 west, also, west and south.

17 Q. So before you get to Section 2, you
18 would intend to drive to the lease line and mine
19 that, is that correct?

20 A. That west side, yes.

21 Q. Really the term "ore body," many times
22 New Mexico Potash, that ore body, you're talking
23 about blocks of ore, and New Mexico Potash has
24 gone out here and classified blocks and they
25 would go in and mine that block and move into

1 another block? Isn't that really the way you do
2 it?

3 A. Blocks?

4 Q. Blocks.

5 A. No, we had a northwest ore body and a
6 northeast ore body, a southwest ore body and now
7 the south ore body, not as a block.

8 Q. Let's look to the north of your Lease
9 No. M-651, the full section of that lease. You
10 say this was a mined area. It starts 6/79 and
11 ends 5/81; is that correct?

12 A. That's correct.

13 Q. That would mean that in that area, the
14 secondary mining terminated at the end of the
15 1981--

16 A. --period there. Yes.

17 Q. Then you see there's a block even
18 further away from your mine shaft, to the west,
19 which shows that it would begin mining and
20 actually terminated almost a year later?

21 A. That is correct.

22 Q. So you didn't drive all the way to the
23 end and secondarily mine and work back towards
24 your mine shaft, did you?

25 A. This one case here, this last panel

1 came out before the entry system was retreated
2 back, for access to that part over there we mined
3 from 80 to 82. We still had an entry system
4 through there.

5 Q. But you did not mine all the way--just
6 totally mine and retreat from that area until
7 1982, did you?

8 A. Not completely, no. We found more ore
9 out in this other area than we planned on.

10 Q. Well, is it the finding of the more ore
11 that somehow affects your driving to the lease
12 line?

13 A. That lease line moves. That was a new
14 lease, that south half of the north half of 13, I
15 think it is.

16 Q. Just one question, and it just occurred
17 to me as I was looking here. When we were
18 talking with Mr. Case, he was pointing out the
19 oil wells, there were three of them. I'm not
20 sure that we actually got them pinpointed. I
21 made a note to myself that we didn't. You're
22 familiar enough with this map and you can point
23 out the oil wells? I just noticed the dry hole
24 symbol in this area we were talking about?

25 A. Yes, I can.

1 Q. Would you, so that we do know what
2 we're talking about?

3 A. It shows one in the southeast quarter
4 of Section 8, 21-31.

5 Q. That's just above Section 17 or just
6 diagonally offset from this M-651?

7 A. Right, to the northeast.

8 Q. That dry hole symbol, I guess the dry
9 hole symbol, that's the well?

10 A. That's correct.

11 Q. Where's the next one?

12 A. Section 14, just a little southwest of
13 the plant site or the shaft area.

14 Q. It's right snuggled up in that corner
15 of that section, isn't it, the northwest corner?

16 A. Pretty close.

17 Q. Is that an entry or development shaft
18 that runs north and south there?

19 A. That is right.

20 Q. That well is right against that, is
21 that correct?

22 CHAIRMAN LEMAY: You have to find that
23 one again for us.

24 A. You see where the mine shaft symbol is,
25 pointing up to this dark area right in the

1 center? It's in Section 4, Section 14, the next
2 section to the southeast in the northwest
3 corner.

4 MR. CARROLL: Do all three of you see
5 that one now?

6 A. That's Section 14. No, not 14. 12,
7 11, 10. Section 10.

8 CHAIRMAN LEMAY: That would be 10, not
9 14?

10 THE WITNESS: Section 10. I'm sorry.

11 Q. And there is a third one up close to
12 the area where it says mined 4/1983?

13 A. Yes, up in Section 35 of 20-32.

14 Q. Starting back with the last one we
15 talked about, do you know the distance that your
16 mine shaft is actually from the wellbore in
17 Section 35?

18 A. At least 200 feet.

19 Q. The one down here in Section 10, do you
20 know how close that one was?

21 A. The same. We mined with the 200 pillar
22 around it.

23 Q. The third one to the east, was that a
24 200-foot pillar?

25 A. That's approximately 400 off the main

1 drifts heading northeast.

2 Q. Is it in a pillar, then?

3 A. Yes, it's in a pillar.

4 Q. This is in a secondary mined area, is
5 that correct?

6 A. Where is that, out in the east?

7 Q. No, the one to the west.

8 A. The one in the west is.

9 Q. It's in a pillar?

10 A. Uh-huh.

11 Q. The size of that pillar, then?

12 A. That was 200 feet.

13 Q. When we were talking about the change
14 in the royalty rates, you said it was in 1984
15 that New Mexico went to the sliding scale?

16 A. Yes.

17 Q. In this area, when you stopped mining
18 up there in the northeast, was in April of 1983.
19 You were aware before 1984 that the change was
20 coming, weren't you?

21 A. I don't think I was. I wasn't.

22 Q. That change was dictated by the
23 legislature, wasn't it?

24 A. I don't know.

25 Q. When you say you don't use royalty in

1 your calculation, can you say that the management
2 of the mine does not consider royalty?

3 A. I think I can, yes. I've sat in on
4 budgets.

5 Q. Did I understand you that in an overall
6 sense, you expect to mine Section 2 completely
7 before returning back to the north part of your
8 mine area, this area where mining was stopped
9 back in the early 80s?

10 A. I would say Section 2 would be mined
11 before we go west--I mean going to the
12 northeast. There would still be mining in the
13 south but not in Section 2. It would be
14 retreating the entries out in the remaining ore.

15 Q. Mr. Case indicated that you could tell
16 us approximately how much fresh air would be
17 circulating by the work faces. There is a
18 federal requirement?

19 A. Yes.

20 Q. What is the federal requirement?

21 A. The federal requirement, I think, is
22 9000 cubic feet in the last open break.

23 Q. That's cubic feet per minute?

24 A. Yes.

25 Q. Across the mine face?

1 A. The last opening.

2 Q. Your main entryways for air, are they
3 up here in the areas around the mine shaft for
4 ventilation of your mine?

5 A. They're located in this main area, yes.

6 Q. Now, if you drive down to Section 2,
7 you're going to have to move the air that you
8 ventilate your mine with, then, from the mine
9 shaft all the way down to Section 2?

10 A. That's correct.

11 Q. Have you done any calculations--well,
12 first of all, you lose some of your velocity, you
13 can't just put fans up here at the shaft and
14 expect it to go all the way to the mine working
15 faces, can you?

16 A. No.

17 Q. You have to increase or put booster
18 fans, I take it, all the way along?

19 A. That's correct.

20 Q. Does the fact that your mine enlarges,
21 are you able to channel your air so that you're
22 not losing air off into areas that have already
23 been mined and that sort of thing? Can you
24 pretty well predict the volume of air you're
25 going to need as you go into your mine?

1 A. Yes, we have moved the air
2 satisfactorily.

3 Q. Have you done any calculations on what
4 the additional cost will be to move air from your
5 mine shaft all the way down to Section 2?

6 A. No, I haven't.

7 Q. That, at least, as a general
8 proposition, is going to involve some additional
9 boosting and capital outlay to increase your air
10 flow all the way down there, is that correct?

11 A. I don't know about the capital outlay.
12 We have booster fans now throughout, and they'll
13 be moved as areas are retreated and reused and
14 relocated.

15 Q. The same way with problems of
16 electrical power, and your continuous miners are
17 electrically powered, are they not?

18 A. Correct.

19 Q. You're going to have to lay electric
20 lines and compensate for, if you're coming from
21 the mine shaft, you do have electricity loss and
22 those things where you'll have to step it up so
23 that you have a sufficient amount of power to run
24 your continuous miners, don't you?

25 A. Correct.

1 Q. And that is additional cost? The
2 farther you get away from that, that's an
3 expensive item, isn't it?

4 A. Yes, but we've already installed a
5 borehole in the south portion of the mine, and we
6 have new power located in the south part of the
7 mine now. It's not coming from the shaft area.
8 It's already there.

9 Q. But you'll have to run lines all the
10 way down into Section 2, then, to convey that
11 power?

12 A. Correct.

13 Q. Where is that location, just roughly?

14 A. Section 15, which would be south of
15 that indicated barren area that's cut by the main
16 drift going south. In that corner down here,
17 below the barren area, in that corner in Section
18 15.

19 Q. That would be just above what is marked
20 Section 22?

21 A. Right, in the next section up in the
22 southwest corner.

23 Q. All right. That particular area is
24 about two miles from the shaft, is it not?

25 A. About two and a half.

1 Q. All right. When you're having power
2 loss problems already down here on the southern
3 advance of your mining, that necessitated--

4 A. No. When we put in this new borehole,
5 we compensated for that by--before, we only had
6 4,160-volt primary, and we now have 13,000
7 primary coming down into the mine, which doubles
8 or triples the distance.

9 Q. Mr. Lane, we've had indicated, I think,
10 and correct me if I'm wrong, I believe Mr. Case
11 indicated that for the year 1991, you were mining
12 about 400,000 tons of product, or selling 400,000
13 tons?

14 A. Selling.

15 Q. And that is approximately 60 percent
16 K20, is that correct?

17 A. 62 percent K20.

18 Q. Is that what the market sets the level
19 at and you meet that market, then, that level of
20 purity?

21 A. That level is purity is from our mill.
22 Our mill is set for that.

23 Q. For the year prior to 1991, do you
24 recall how many tons of product you sold,
25 roughly?

- 1 A. No, I don't.
- 2 Q. Was it in the order of 400,000 tons?
- 3 A. In the order of it. Somewhere in
4 there.
- 5 Q. Do you think it was less or more?
- 6 A. I'm not sure. It's in that range or
7 should be.
- 8 Q. As a proposition, over the last three
9 or four years, has the amount of product you've
10 been selling going down or going up?
- 11 A. Going up.
- 12 Q. Do you have any idea, percentage-wise,
13 what it is? One or two percent or anything like
14 that?
- 15 A. No, I don't.
- 16 Q. Do you recall what the lowest amount
17 was in the last five years that you may have
18 sold?
- 19 A. No. I do not know.
- 20 Q. If you would, I want to run through a
21 calculation here, and I'm just about through with
22 my cross-examination, what you have told us is
23 that your mine is capable of, what you're
24 figuring, I think you said you used a scale to
25 measure your map or the map that's been

1 submitted, basically you've been mining at a rate
2 of roughly 265 acres per year, is that correct?
3 Is that what you testified to?

4 A. Around that number.

5 Q. And I believe you gave me a number,
6 there are 43,560 square feet per acre, and that's
7 just a normal--

8 A. Right.

9 Q. That's a volumetric calculation, I
10 guess?

11 A. Correct.

12 Q. So that's 43,560, and is that square
13 feet or cubic feet?

14 A. Square feet.

15 Q. And I think you said that for your
16 calculation you were using an average mining
17 height of approximately five feet?

18 A. Approximately five. Five feet for that
19 period.

20 Q. So to find out the square feet that you
21 would be mining in a five-foot mining height, you
22 would need to multiply this figure here, the
23 43,000, times five feet, right?

24 A. Correct.

25 MR. CARROLL: Let me borrow a

1 calculator.

2 MR. HIGH: Here's a calculator.

3 Q. All right. By my calculations, and if
4 you check me, if you multiply five times 43,000,
5 you end up with 57,717,000 cubic feet or square
6 feet cubed?

7 MR. HUTCHINSON: Cubic feet.

8 Q. That's cubic feet, right? Is that the
9 right number?

10 A. No.

11 Q. Okay. What is the number?

12 A. Well, if you had a 10-foot mining
13 height you would only have 435,000 cubic feet.
14 You got 57 million cubic feet?

15 Q. Well, tell me what the number is.

16 A. 217,800.

17 CHAIRMAN LEMAY: Why don't we break for
18 a minute.

19 MR. CARROLL: No, I can figure this out
20 now.

21 Q. All right. What I haven't done, and I
22 goofed up here, we should have multiplied 265
23 times this first of all, isn't that correct, if
24 we're going to try and determine how many feet
25 are in this mined-out area?

- 1 A. Go ahead.
- 2 Q. If we multiply 265 times 43,560, and
3 then multiply that figure times five feet, you
4 would end up with this number, wouldn't you?
- 5 A. Correct.
- 6 Q. And that would be, if we're mining 265
7 acres, that would be the cubic feet of ore that
8 we would remove at a five-foot mining height from
9 an acre, or from 265 acres of land?
- 10 A. Correct.
- 11 Q. I am going to put "cubic feet of ore"
12 here, in this 265-acre plot.
- 13 Now, let's convert this to tons. I
14 have been told that there are 5.3 cubic feet per
15 ton.
- 16 MR. HUTCHINSON: 15.3.
- 17 Q. Excuse me, 15.3 per ton.
- 18 A. 15.3 is correct.
- 19 Q. Now, the first step in converting how
20 many cubic feet we have per ton, we would then
21 take the 57,717,000 and divide that by 15.3, is
22 that correct?
- 23 A. That's correct.
- 24 Q. And this number here, would that not be
25 3,772,353? Would that be correct? I would just

1 ask you to check my math.

2 A. Yes.

3 Q. So, this number here, this 3.7 million
4 tons, would be, if we mined out this 265 acres,
5 we've now converted that area to tons, and this
6 is how many tons of material are being removed,
7 right? Would you agree with me?

8 A. Keep going.

9 Q. Now, if we're going to convert this
10 tons of ore mined, then, to tons of product, we
11 need to then determine how much--because really
12 you mine a lot more ore than you actually end up
13 with product? That's a gross way of saying it?

14 A. Correct.

15 Q. So, what we have to do, then, is
16 convert this gross number here to our product.
17 And, for purposes of this illustration--and I'm
18 not trying to be exact but I think we can
19 illustrate this--is that looking at your Exhibit
20 25, which has all these average numbers in it,
21 and then looking at the exhibit that Mr. Herrell
22 prepared, a ballpark figure for the average ore
23 being mined would be roughly 14 percent? That is
24 a ballpark figure?

25 A. Within the ballpark, yes.

1 Q. Let's use 14 even, which is an easier
2 number to divide, but it's a closer number
3 representative of your mind and what Mr. Herrell
4 said. You say your mill is putting out 62
5 percent, is that correct?

6 A. 62 percent.

7 Q. And isn't it true, though, that the
8 market that the industry is looking at is roughly
9 60 percent? That's what the buyers expect for
10 the potash that's being shipped?

11 A. The majority of it, yes.

12 Q. 60 percent is also a nice round, easy
13 number. Now, to be able to use this and to
14 convert this, what you do is to divide, and the
15 common practice is to divide this number into
16 this number, and then take the reciprocal, that
17 is, dividing the results here into one, and you
18 come out with a figure which tells you basically
19 how many tons of ore it takes to produce a ton of
20 potash? Isn't that the formulation that potash
21 miners go through?

22 A. No.

23 Q. What is the formulation or do you even
24 try to formulate that?

25 A. We do it all the time. There's two

1 factors missing. There's mill recovery and mine
2 extraction.

3 Q. How does mill recovery affect the
4 number that I was talking about?

5 A. Product tons are produced by the mill.
6 There is losses to any mill. You don't recover
7 100 percent of the potassium chloride you send to
8 the surface.

9 Q. Do you know about how much that rate
10 is?

11 A. Approximately 80 percent, as shown in
12 the exhibit.

13 Q. You lose 80 percent or you get 80
14 percent?

15 A. 80 percent is what we recover.

16 Q. Is that representative of the industry?

17 A. I couldn't say.

18 Q. And then what was the other? You said
19 mill recovery rate and what other factor?

20 A. And mine extraction.

21 Q. What is that?

22 A. We do not take 100 percent of the ore
23 in an acre.

24 Q. And when you did your compilation, you
25 used approximately 60 percent, is that right?

1 A. 60, 65 percent.

2 Q. Mr. Case testified yesterday it was
3 somewhere between 75 and 80 percent?

4 A. That is on second mining.

5 Q. All right. Are you saying that 60
6 percent is not second mining, and you weren't
7 using the second mining rate when you were
8 figuring this?

9 A. No.

10 Q. Oh, you were not using a second mining
11 rate?

12 A. No. We're doing development mining and
13 second mining at the same time, every day. So
14 it's not maximum, it's not minimum.

15 Q. Wouldn't you agree with me if you mine
16 14-percent ore and you sell 60-percent ore,
17 you're in fact taking care of the problem of your
18 mill and mine recovery?

19 A. No.

20 Q. Well, if you're trying to determine--
21 Let's define what we're trying to determine.

22 A. All right.

23 Q. If we're trying to determine exactly
24 the amount of material being moved out of a mine
25 and then classify that amount in terms of acres,

1 you can do it as I describe?

2 A. You're starting to get on the right
3 track, but you haven't completed it.

4 Q. Let's finish my computation here, and
5 I'll tell you up front, what I'm trying to do is
6 determine right in here exactly the amount of
7 ore, I guess determine the ore that is being
8 mined here, and then recompute that into
9 acreage.

10 So, if we do the calculation that I
11 formed here, it would be dividing .233. The .233
12 would be this computation dividing 60 percent
13 into 14 percent. And then if we do this, what
14 we're ending up with is 4.29? What we're trying
15 to do here, what this number is, if you'll agree
16 with me, it takes 4.29 tons of ore to give you
17 one ton of potash? Do you follow my calculation
18 now to where I'm going?

19 A. No, I can't follow that.

20 Q. You don't follow that at all? Have you
21 done a computation of how much ore it takes to
22 provide you with one ton of product?

23 A. I can.

24 Q. Have you ever done that?

25 A. Yes.

- 1 Q. Have you done it recently?
- 2 A. Yes.
- 3 Q. What is that most recent number, do you
4 recall?
- 5 A. May I put it up on the board?
- 6 Q. Can you give me what the--
- 7 A. All right. 1. Put a "1" down. Okay.
8 Then, times your 14-percent grade, .14.
- 9 MR. HIGH: Mr. Chairman, I'm afraid
10 we're going to get into numbers we want treated
11 as confidential. I don't mind Mr. Carroll
12 testifying like he's been doing, but if he's now
13 going to let Mr. Lane testify for a while, I'm
14 concerned about the numbers. I don't mind Mr.
15 Lane putting them on the board and letting him
16 see them, I just don't want them broadcast.
- 17 CHAIRMAN LEMAY: That would help.
- 18 Q. Okay. And what is that?
- 19 A. Whatever that figures out there. It
20 would be .18 tons of product.
- 21 Q. Per ton of ore, is that correct?
- 22 A. Yeah.
- 23 Q. Now, the next step would be, then, to
24 take this number times that number to determine
25 how many--well, how would you do it, then? Just

1 tell me the procedure. How do you convert gross
2 tons of ore to tons of potash, procedure-wise?

3 A. We need the mine extraction factor in
4 there.

5 Q. Well, if we're just talking about--if
6 we're just trying to get back to just the gross
7 acres--

8 A. You still need the extraction factor.

9 Q. What is that extraction factor? Is it
10 something that you have to calculate?

11 A. You use that .60, for a combination
12 of--

13 Q. If we use this number, which we talk
14 about acreage per year, you've already used that
15 mine extraction factor up here to arrive at this
16 number, didn't you?

17 A. Uh-huh.

18 Q. What you're doing, our calculation down
19 here, if we use that figure again, we'll get an
20 incorrect factor because we've taken into account
21 this computation of your mine extraction factor
22 to get there?

23 A. It would be close, yes. Mine was a
24 straight unit measurement without grade coming
25 into it. I wasn't working for product tons, I

1 was working for mined tons.

2 Q. Well, if we've already got our mine
3 extraction rate in here, and we understand here,
4 Mr. Lane, that one, I have a calculation and I
5 have a disagreement with you with whether or not
6 we've already taken into account these additional
7 factors, but let's do both computations. Your
8 computation, as I think we've already taken it
9 in, and if we multiply this times that, that
10 should tell us at least for the purposes we're
11 talking about here, how many tons of potash?

12 MR. HIGH: Mr. Chairman, let me
13 object. I've been very patient. Mr. Lane has
14 already told Mr. Carroll that he's off track.
15 Why doesn't Mr. Carroll ask him how he did his
16 calculation to come out with the 265?

17 Mr. Lane obviously does not agree with
18 what Mr. Carroll is trying to do.

19 CHAIRMAN LEMAY: It might help if we
20 could get through here and find out what his
21 testimony is or where it might be different.

22 Q. Let me go ahead and perform my
23 calculation here. Mr. Lane, if you will, just
24 watch my math here and whether or not you believe
25 in my theory, if we've taken into consideration

1 your mill recovery loss and your extraction rate,
2 if we've taken those into account and multiplied
3 this 4.2 times this, it will give us a number,
4 dividing 4.29 into this. That mathematical
5 calculation would give you 879,336 tons of
6 60-percent potash? I know you don't agree with
7 my methodology, but that is correct math, isn't
8 it?

9 A. No. I don't agree at all.

10 Q. Okay. Dividing that number into that
11 number does not give that number?

12 A. I disagree with the 4.29 factor,
13 whatever that is.

14 Q. Okay. Well, let's put aside that
15 disagreement right now, Mr. Lane.

16 A. Okay.

17 Q. And we'll do what you're talking about
18 here, but if you do divide that number into that,
19 that's what you're getting, correct?

20 A. It's possible. That's correct, from
21 your numbers.

22 Q. All right. And if my hypothesis or
23 theory is correct--and I understand that this is
24 the area where you're disagreeing with me--this
25 would show that during this year that you're

1 saying you mined 265 acres, you actually produced
2 more than twice the amount of tons of sellable
3 product? That's what that calculation shows?

4 A. You asked me if the mine extraction was
5 in the 265 acres?

6 Q. Yes.

7 A. No. I have the calculation out in
8 front of the 265,000.

9 Q. You're going to have to repeat that for
10 me, Mr. Lane.

11 A. Well, you do not have the--your
12 3,772,000, whatever it is, it's not in there.
13 That extraction is not in the numbers as they're
14 being peeled out here. Where did that come from
15 there?

16 Q. If you'll remember, you said that
17 there's 15.3--I believe that was cubic feet and
18 this is how many tons.

19 A. The error is up on the top of the page
20 where you have a full section at five feet.
21 You're throwing in a 100-percent mined acre.

22 Q. All right. That's where you think the
23 calculation is wrong?

24 A. Yes.

25 Q. You're not taking into account the 60

1 percent?

2 A. Correct.

3 Q. What I think that does, I think we're
4 down to where we--the difference--

5 MR. HIGH: Mr. Chairman, can I ask that
6 we take a short break?

7 CHAIRMAN LEMAY: Let us take a
8 five-minute break. You all can do your
9 calculations. When we come back, I would like
10 you to, in very simplified terms, tell us where
11 the two figures disagree.

12 MR. CARROLL: That's my last point.

13 CHAIRMAN LEMAY: I like to hear that,
14 but it seems like you need to do some
15 calculations to get there.

16 [A recess was taken.]

17 CHAIRMAN LEMAY: Are we ready to resume
18 with correct mathematics or outline the
19 differences?

20 MR. CARROLL: I think we can outline
21 the differences. And I think this will be up to
22 faith, but let us--

23 MR. HIGH: If you would like, Mr.
24 Chairman, we would be more than willing to sit
25 down with Mr. Hutchinson or whoever Mr. Carroll's

1 expert is, and try to agree upon this acreage
2 thing, if you want us to.

3 CHAIRMAN LEMAY: If might be helpful to
4 at least point out to us where you disagree. Is
5 that what we're looking at?

6 MR. HIGH: I don't know what we're
7 looking at. We've given these two calculations
8 on acreage, one based on production and one based
9 on comparison to two maps.

10 CHAIRMAN LEMAY: Where are you going on
11 this, Mr. Carroll?

12 MR. CARROLL: Ultimately where I'm
13 going is that what Mr. Hutchinson, when he
14 testified to something like 136 acres, what he
15 said basically, that was net acres. What we're
16 talking about, that's absolute. You mine out 100
17 percent and get your net acres.

18 What we feel, and some of the
19 statements Mr. Lane indicated to me, is that this
20 265 acres is not net mined, 100 percent, it's
21 only approximately 60 percent.

22 CHAIRMAN LEMAY: Let me stop you
23 there. Is that about 65 percent, Mr. Lane, the
24 265-acre figure?

25 THE WITNESS: For present mining,

1 that's a combination of second mining, which is
2 high extraction, and development mining, which is
3 at a lower extraction, and 60 would be about the
4 average of the two for today's condition.

5 CHAIRMAN LEMAY: I see. And that's
6 where the difference is?

7 THE WITNESS: Eventually, the
8 development extraction will go back up on the
9 final retreat.

10 MR. CARROLL: And I think when Mr.
11 Hutchinson was developing his testimony, we
12 weren't just measuring the net change here, but
13 we know there was mining going on up in the first
14 mining areas, and we could see the indications of
15 that change. So what we were saying was that
16 this mine was advancing into new territory at the
17 net rate of 136 acres because there was some
18 secondary mining going on, and that was one of
19 the questions I know Mr. Carlson asked earlier
20 on, maybe in the last three-day period, and that
21 was the issue we have been trying to explain.

22 I think Mr. Lane gave it to me. This
23 may be what they figure that they can advance,
24 that's the rate that they might be advancing,
25 producing 400,000 tons of product, but that's not

1 the actual rate of advance because some of their
2 mining is going to go back into the secondary
3 areas. And that's my whole point. I don't know
4 if you agree with what I just said or not.

5 CHAIRMAN LEMAY: Why don't we have Mr.
6 Lane comment on what your point was, Counselor?
7 Is that all right?

8 MR. HIGH: Well, to make sure I
9 understand it, are you saying, Mr. Carroll, that
10 Mr. Hutchinson's 136 acres means a total void
11 underground of taking all the ore out? Is that
12 what it is?

13 MR. CARROLL: Could I let Mr.
14 Hutchinson state it?

15 MR. HIGH: I thought that's what you
16 just said. We haven't found a way to get 100
17 percent.

18 MR. CARROLL: When I said "complete," I
19 meant complete as Mr. Hutchinson defined it, and
20 I think he was using 90 percent. Because we know
21 there's always some ore left in the mining
22 process. You couldn't get out of there quick
23 enough, probably. So, when I say "complete," it
24 has to be redefined.

25 MR. HIGH: We'll agree with that.

1 MR. CARROLL: At least that's what
2 we're told. But that's the point.

3 Q. (BY MR. CARROLL) Can you agree with me
4 as to that, as to how I may have classified or
5 clarified the difference in the two areas?

6 A. You haven't clarified it.

7 Q. Well, have I stated it?

8 A. I don't think you have.

9 CHAIRMAN LEMAY: Mr. Lane, could I
10 interrupt? Would you state it for us, what you
11 consider to be the differences in the two
12 figures?

13 THE WITNESS: May I put up some numbers
14 up?

15 CHAIRMAN LEMAY: You're the witness,
16 anyway. Now, may I ask something here? Gary,
17 see if you agree with Bob's figures there, and if
18 not, the two of you kind of tell me where you're
19 disagreeing.

20 MR. HUTCHINSON: The calculations are
21 correct. However, a few minutes ago this was 65
22 percent and now it's 60 percent. I only had the
23 maps they gave me to planimeter the areas that
24 they mined in that 39-month period.

25 When I got those and adjusted them for

1 what was published information up to a 90-percent
2 recovery, which you can find that published in a
3 lot of places that these mines do that, I think
4 Mr. Case suggested that they get at least 80
5 percent in this particular mine, so I was able to
6 take those areas in that 39-month period and
7 adjust them for either 65-percent recovery, first
8 mining, which we're not too far off, plus in the
9 second-mined areas I kicked that up to 90
10 percent, or an incremental increase of 35
11 percent.

12 MR. HIGH: Let me object. I don't mind
13 us doing this, but I would rather just go off the
14 record and let us sit down again. I don't want
15 Mr. Hutchinson again testifying in the middle of
16 my witness.

17 CHAIRMAN LEMAY: He's not testifying.
18 I'm trying a new procedure. We're trying to find
19 out what the differences are. And we can find
20 out better by asking the scientists rather than
21 getting the lawyers involved.

22 MR. HIGH: I agree with that.

23 CHAIRMAN LEMAY: If the lawyers will be
24 quiet and I can ask the scientists, I'll go back
25 and forth. It may be a little bit off what we're

1 supposed to do, but I think we can get some
2 answers without trying to protect.

3 MR. HUTCHINSON: Within the scale of
4 the maps that he submitted, and adjusting for
5 numbers that I didn't have, mill recovery is a
6 very confidential thing, and this, you know,
7 we're in the same ballpark. But when I wanted to
8 see if the acres that I was using had some basis
9 in fact, I went back to how many tons they were
10 producing and back-calculated and came up within
11 12, 15 percent. So I thought okay, well, I've
12 checked into that through an independent means,
13 and that's where I came up with the 136 or
14 whatever.

15 I never discounted that. When they got
16 further away from the shaft I just held it
17 constant, knowing on an average basis I didn't
18 know where they were going to mine, but wherever
19 they picked to mine, I wouldn't be too far off.

20 CHAIRMAN LEMAY: I'm more interested
21 in, do you tend to agree now, with this new
22 knowledge, with the numbers that Bob put up
23 there?

24 MR. HUTCHINSON: Yes, this is a correct
25 way to calculate it. I didn't have the benefit

1 of this. But we disagree, not in reality, but at
2 the point in time this will be 90 percent rather
3 than the 60 percent.

4 CHAIRMAN LEMAY: Is it fair to say with
5 this new knowledge you would tend to agree with
6 what Mr. Lane has put up here?

7 MR. HUTCHINSON: Yes. We were talking
8 about apples and oranges on the acreage.

9 CHAIRMAN LEMAY: I understand the idea
10 that he is including going back and doing
11 secondary mining, where you were just figuring
12 advance.

13 MR. HUTCHINSON: Yeah. I didn't have
14 the benefit of--

15 CHAIRMAN LEMAY: You're still in
16 disagreement 265 versus 134, but maybe we've
17 defined the disagreement better?

18 MR. HUTCHINSON: If he used his maps
19 and checked the areas more accurately, his
20 numbers would be reduced.

21 CHAIRMAN LEMAY: Do you agree with
22 that? If you looked at your maps and checked it,
23 the numbers would be reduced, or not?

24 THE WITNESS: Very little, if any, if
25 he's using the same two maps.

1 CHAIRMAN LEMAY: All right, Counsel. I
2 hope you don't mind. At least we know exactly
3 where we disagree.

4 MR. CARROLL: That was my whole purpose
5 and we got there.

6 CHAIRMAN LEMAY: I understand your
7 style. You're schooled in that way.

8 MR. CARROLL: Well, I didn't know how
9 else to do that.

10 CHAIRMAN LEMAY: That's why I stepped
11 in. I hope you don't mind. Excuse me.

12 MR. CARROLL: Chairman LeMay, I
13 appreciate it, because that was my sole purpose
14 of this line of cross-examination. And I think
15 you're now aware of it and it's up to you to make
16 the decision. And I have no further questions.

17 CHAIRMAN LEMAY: All right. Are there
18 any questions that we need to ask at this point?

19 MR. CARROLL: Well, I'm through.

20 CHAIRMAN LEMAY: You are?

21 EXAMINATION

22 BY COMMISSIONER CARLSON:

23 Q. I think the gist of this thing is, how
24 much acreage is this mine eating up for a year on
25 its way to Section 2. We've had testimony that

1 we're going to get there in 50 years or 80 years,
2 and Mr. Case yesterday said somewhere between
3 seven or eight and 20 years. As I understand it,
4 that's what we're looking for, this mine is
5 grabbing acreage on its way down there.

6 You say it's 265 new acres per year
7 that the mine is extending out, is that correct?

8 A. That's correct.

9 COMMISSIONER CARLSON: And excuse me,
10 but I guess your testimony is still that it's
11 136?

12 MR. HUTCHINSON: It's going to be less
13 than that considering they stop and take all of
14 the secondary mining as they develop their panels
15 away from the shaft, correct.

16 CHAIRMAN LEMAY: You're shaking your
17 head, but isn't that the point we're looking at?
18 or did I misinterpret you? What we're trying to
19 do is find the difference and see if there's
20 enough agreement as to where the disagreement is
21 and the point that's being raised. That's the
22 reason we're interrupting this
23 cross-examination.

24 MR. HIGH: I can't tell you what the
25 difference is because their numbers are wrong. I

1 don't know the difference. I don't know the
2 difference.

3 CHAIRMAN LEMAY: That's what we're
4 trying to define, the reasonable differences.

5 CHAIRMAN LEMAY: Anything else, Gary?

6 COMMISSIONER CARLSON: No.

7 CHAIRMAN LEMAY: Commissioner Weiss?

8 EXAMINATION

9 BY COMMISSIONER WEISS:

10 Q. If you planimetered the mined area on
11 Exhibit 38, have you done that?

12 A. No.

13 Q. That's how you can tell what the
14 historical mining rate is. This represents 30
15 years of mining?

16 A. Well, you could with planimeters, yes.
17 You could do it with computers.

18 Q. I would think the software would tell
19 you what the area is in hatched green here. Do
20 you know what it is?

21 A. I don't right now. We have answers for
22 ore reserves, which would give you--

23 Q. Can you tell me what this green striped
24 area is?

25 A. No, I couldn't right now.

1 Q. Does your software permit an easy
2 calculation of that number?

3 A. An easy calculation.

4 Q. Was that mined up in 30 years?

5 A. It's been mined to date, yes. And
6 we've been in business 29--no, 25.

7 Q. If we take that area and divide it by
8 29 years--

9 A. 26.

10 Q. 26 years, that's the historical mine
11 rate, the way I see it. That would be a nice
12 number to have.

13 MR. WEISS: Does anybody have that
14 number?

15 MR. CASE: I don't have it, Mr. Weiss,
16 but one word of caution: Until 1985, when we
17 became New Mexico Potash, we were running the
18 mine around the clock 365 days a year,
19 basically.

20 Market conditions at the time we became
21 New Mexico Potash dictated reducing that rate to
22 10 days on, four days off, so you've got to be
23 careful.

24 COMMISSIONER WEISS: I understand, but
25 that would be a historical rate, by definition.

1 MR. CASE: Yes, but with some caveats.

2 COMMISSIONER WEISS: Has anybody made
3 that calculation? Sir?

4 MR. HUTCHINSON: In 26 years, beginning
5 in 1965 through 1991, which is the best
6 information I had, I calculated the gross acres
7 mined to be 9,622. Again, I was doing it on maps
8 that may not be of the best scale, but they were
9 New Mexico Potash maps or copies of them.

10 That averaged 370 gross acres per year,
11 the kind of acres that they're talking about now,
12 I believe, as being gross acres. Much of that
13 time, as Mr. Case just said, they were mining 365
14 days a year, three shifts a day, and now they're
15 mining something like 70 percent of that. So
16 that was another rule-of-thumb judgment I used.
17 And they're further away from the shaft and the
18 demand is less.

19 Q. If we have more of this next month,
20 would you get your computer to tell me how many
21 acres are in the green stripes there, please?

22 A. Yes.

23 COMMISSIONER WEISS: Thank you.

24 CHAIRMAN LEMAY: Anything else? Excuse
25 the interruption, but maybe we got that point

1 covered and you can go on, Mr. Carroll.

2 MR. CARROLL: Mr. LeMay, I was
3 through. That was my last issue.

4 CHAIRMAN LEMAY: Mr. High, do you have
5 some additional direct?

6 MR. HIGH: Yes, sir, I do.

7 EXAMINATION

8 BY MR. HIGH:

9 Q. Mr. Lane, look if you will at Yates
10 Exhibit 41. Do you still have it up there?

11 A. No.

12 Q. Let me give you mine. Mr. Carroll
13 asked you some questions about other core holes
14 drilled in the same drilling program as Core Hole
15 162, and he referred to some that were in the
16 barren area shown on Exhibit 41, one being Core
17 Hole K-157.

18 He asked you a question about how much
19 influence you gave to the data from Core Hole
20 157. Do you remember that?

21 A. He was talking about either 157 or 158,
22 I think, in that combination.

23 Q. What kind of data did you get from Core
24 Hole 157?

25 A. I received no data from 157. We lost

1 that hole.

2 Q. What do you mean you "lost the hole"?

3 A. We lost the hole. It was a blow-out.

4 We had to move the rig off of it.

5 Q. When you say "blow-out," what happened?

6 A. We hit an air pocket.

7 Q. So that core hole was never completed?

8 A. Not completed, no.

9 Q. Now, when someone uses the word barren
10 with reference to a core hole, what does the word
11 barren mean when you use it?

12 A. Below cutoff grade.

13 Q. Would a core hole that has zero
14 mineralization, is that different from a barren
15 core hole?

16 A. It would be located in the barren area.

17 Q. So, if you had a core hole that was
18 below cutoff grade but still had some
19 mineralization, would it still figure into the
20 computation of how much influence you're going to
21 give it?

22 A. Yes.

23 Q. Would you give it some influence?

24 A. I would give it some influence.

25 Q. That would be based upon how much

1 mineralization, even though it's below the
2 cutoff?

3 A. Yes.

4 Q. Now, the location of Core Hole 162, I
5 believe you said, was determined primarily
6 because of access?

7 A. Access, yes.

8 Q. And that's one of the biggest expenses
9 on core holes is getting in and out?

10 A. That's one of the large expenses, yes.

11 Q. Look at Exhibit No. 9 there in front of
12 you, Mr. Lane, which is Order R-111-P. Do you
13 have that?

14 A. I have it over here.

15 Q. Turn to page 10, please, sir. Go down
16 to paragraph G(a)?

17 A. All right.

18 Q. It's talking about a potash operator
19 filing or designating an LMR. Do you see that
20 paragraph? Paragraph (a) under G?

21 A. Yes, I'm on (a). Yes, go ahead.

22 Q. The second sentence of that section
23 says, "For purposes of this agreement, Life of
24 Mine Reserves means those potash deposits within
25 the potash area reasonably believed by the potash

1 lessee to contain potash ore in sufficient
2 thickness and grade to be mineable, using
3 current-day mining methods, equipment and
4 technology."

5 Is it your opinion, Mr. Lane, that with
6 the information you have, you reasonably believe
7 that Section 2 contains potash ore in sufficient
8 thickness and grade that New Mexico Potash can
9 mine it using current-day methods, equipment and
10 technology?

11 A. I do.

12 MR. HIGH: That's all I have.

13 MR. CARROLL: One quick question.

14 FURTHER EXAMINATION

15 BY MR. CARROLL:

16 Q. When you indicated that this K-157 was
17 not completed because of a blow-out, do you
18 recall what depth that blow-out was?

19 A. Not exactly, but above the ore bed.

20 Q. Approximately how far above the ore
21 bed? Was it within a hundred feet?

22 A. Plus or minus. It was within that
23 range.

24 MR. CARROLL: Thank you.

25 CHAIRMAN LEMAY: Commissioner Carlson?

1 FURTHER EXAMINATION

2 BY COMMISSIONER CARLSON:

3 Q. A couple of questions, Mr. Lane. The
4 two Yates wells in Section 2 that are already, I
5 guess, drilled and producing, the Graham State 1
6 and Graham State 2, is that correct? When did
7 you approve those wells?

8 A. I'm not sure the date. Possibly early
9 October. I'm not sure. It's possible. I don't
10 know.

11 Q. At the time you approved them, those
12 wells were within the half-mile buffer zone of
13 your then Life of Mine Reserves, is that correct?

14 A. They were.

15 Q. Weren't you concerned that if you mine
16 to the extent of your Life of Mine Reserves, I
17 guess at the southern portion of Section 35
18 there, that you would be coming dangerously close
19 to producing oil wells?

20 A. The LMR, which was in existence at that
21 time, does not follow the north line of Section
22 2. It's curved off that end. I don't know the
23 exact distance this well is off of that LMR right
24 now.

25 Q. So your LMR was not within a half-mile

1 of those wells?

2 A. It might have been fairly close, yes.

3 Q. Your Exhibit 2 shows, I guess at least
4 the one in the farthest northeast, that's the
5 Graham State No. 1 and No. 2, that's within the
6 quarter-mile buffer zone and the other one is
7 well within the half-mile buffer zone, is that
8 correct?

9 A. That is correct.

10 Q. Mr. Case testified yesterday that he
11 would be afraid to mine within a half-mile of a
12 producing oil well, and yet here you approved oil
13 wells within a quarter-mile of your LMRs,
14 apparently without too much concern, is that
15 correct?

16 A. We approved it.

17 Q. Were you concerned about mining within
18 a quarter-mile of those when you approved them?

19 A. I, myself--

20 Q. Excuse me?

21 A. My own opinion, I play with the depth
22 plus 10, usually. What Mr. Case feels, that's
23 what it will be at New Mexico Potash.

24 Q. Do you know, and I think this has been
25 testified to last month, do you know if IMC bid

1 on those langbeinite leases that they mentioned
2 in one of your exhibits that were being offered
3 in the area southwest of Section 2?

4 A. I'm not sure. I have no information on
5 it.

6 Q. If I remember the exhibit, they
7 requested that those applications to drill not be
8 approved because they were concerned about
9 langbeinite was going to be leased southwest of
10 there, and they intended on applying for those
11 leases. And I assume those are the leases that
12 Yates got, is that correct?

13 A. They were the only ones up for sale in
14 a recent time.

15 Q. You don't know if IMC--

16 A. No, I don't.

17 Q. Getting back to those three dry holes
18 that are within your present mine workings, do
19 you know when those oil and gas wells were
20 drilled?

21 A. Two were drilled in the early 40s, I've
22 not gone back and checked recently, and one in
23 the early 50s. The early 50s.

24 Q. Do you know how deep those wells were?

25 A. Under 4000. I don't know the exact

1 numbers right here.

2 Q. Do you know if they found any shows of
3 hydrocarbons?

4 A. I checked those wells years ago,
5 meaning off the old logs if I'm not mistaken, and
6 I didn't see any report of hydrocarbons, to the
7 best of my knowledge right now.

8 Q. When New Mexico Potash got to within
9 200 feet of those wells, were you concerned about
10 potential gas in the mine?

11 A. I wasn't, no.

12 Q. What year was that?

13 A. When we mined?

14 Q. Yeah, when you got up to--

15 A. The one out east would be late 60s or
16 real early 80, somewhere in that range.

17 MR. HIGH: What did you say?

18 A. Late 79 or early 80, along in that
19 range. This is plus or minus years. I was
20 trying to look at a map to remember when we were
21 in that area.

22 Q. This is the one in Section 35?

23 A. 35.

24 Q. Do you know when the mining got up to
25 the other two?

1 A. Early 80s for the center one, and I'm
2 not sure the one in the west.

3 Q. At least the one in the early 80s and
4 possibly the one in Section 35 was after your
5 scare in 1981 with MSHA, being a gassy mine--the
6 fear that you would have a gassy mine under MSHA,
7 is that correct?

8 A. It would be in that time frame, yes.

9 Q. And yet you got within 200 feet of
10 these wells and weren't that concerned about gas
11 getting into your mine?

12 A. There's always concern for gas.

13 Q. You say you don't want to mine any
14 closer than depth plus 10 percent?

15 A. That's my personal feeling.

16 Q. And Mr. Case says he doesn't want to
17 mine any closer than a half-mile, and yet you got
18 within 200 feet and it appears that you weren't
19 that concerned. You didn't take any precautions?

20 A. Not in this case here, where there was
21 no indication of hydrocarbons, to my
22 recollection.

23 Q. Okay. I just have one more question.
24 When you extend your mine, say you're going to go
25 into a new section, I assume you do more drilling

1 than you did for--well, in Section 2 you did one
2 drill hole.

3 If you were going to extend your mine
4 down there, would you do another drilling program
5 to delineate the reserves exactly?

6 A. There's another drilling program being
7 planned, to my knowledge, right now, which will
8 still take place, and I'm sure they will put at
9 least one or two holes in that general direction.

10 Q. The intent of that drilling program is
11 to delineate the reserves in this southern
12 portion of your mine?

13 A. Yeah, to help mine planning and
14 delineation.

15 Q. When is that drilling program?

16 A. I don't know when it will be approved.

17 Q. Five years? next year?

18 A. I would think before that. Possibly
19 next year or within next year.

20 COMMISSIONER CARLSON: That's all I
21 have. Thank you.

22 CHAIRMAN LEMAY: Commissioner Weiss?

23 FURTHER EXAMINATION

24 BY COMMISSIONER WEISS:

25 Q. Mr. Lane, do you have a safety man as

1 such in the mine or with the company?

2 A. Yes, we have a safety department.

3 Q. Safety department. Good. Yesterday,
4 Professor Mitchell said that the Exeter rig
5 caught fire and burnt, down in Section 2, I
6 believe, or 36, perhaps, last year?

7 A. I missed that.

8 Q. Well, he said that. Was there any
9 change in the methane readings in your group C's
10 and the mine faces that were related to that?

11 A. Would you repeat your question again?

12 Q. Was there any change in the methane
13 readings in the mine as a result of the Exeter
14 rig catching on fire, the blow-out?

15 A. I have no knowledge of any.

16 MR. HIGH: Mr. Weiss, I don't want to
17 leave you with the wrong impression. I'm not
18 sure I heard that testimony that way yesterday.
19 We've had no rig in our mine blow up.

20 COMMISSIONER WEISS: No, the Exeter oil
21 well. They were drilling a well for Pogo, wasn't
22 it? That was the testimony yesterday.

23 MR. CARROLL: I understood that to be
24 in some other part of the country.

25 MR. HIGH: Yeah, I didn't understand

1 that to be a fire. That wasn't in our mine.

2 THE WITNESS: That wasn't in our
3 immediate area, that I know of.

4 COMMISSIONER WEISS: That was a
5 misunderstanding on my part there.

6 MR. HIGH: I'm sorry to interrupt.

7 COMMISSIONER WEISS: No, I appreciate
8 it. Thank you.

9 Q. (BY COMMISSIONER WEISS) how are the
10 core holes plugged? Do you use a pump truck? a
11 ready-mix truck? How is that done?

12 A. The last series was done by Halliburton
13 or B & J.

14 Q. That's general practice?

15 A. Yes.

16 Q. Just a moment ago, when we were
17 discussing the green hatched area on Exhibit 38
18 and I asked you to get the area off your computer
19 and then divide it by time, can you normalize
20 that time with your comments and Mr. Case's
21 comments concerning whether you're running three
22 shifts or one?

23 A. I guess it could be done. I can't do
24 it on the computer, but one of our people might
25 be able to.

1 MR. CASE: Commissioner Weiss, if I
2 might, area calculations are helpful at best.
3 Royalties are paid on tonnages removed. And
4 perhaps we can try and close on how many tons
5 we've removed versus how many acres are shown on
6 the map and at different rates.

7 We're currently mining X number of tons
8 per year and previously we were mining Y tons per
9 year. We can back into that calculation or front
10 into it. It would be awfully hard to come off
11 the map, because during the time we've been
12 running the reduced rates, we've been doing
13 second mining in areas that were previously first
14 mined at the higher rate. It will be like a
15 jigsaw puzzle to try and hit areas first.

16 But, to answer your question, yes, you
17 can planimeter all that and say, okay, there are
18 so many acres that have been affected by mining.

19 COMMISSIONER WEISS: Maybe you can give
20 me the average time-related number.

21 MR. CARROLL: Chairman LeMay, if I
22 might make a suggestion here, I have no objection
23 to asking the experts, Mr. Hutchinson and Mr.
24 Case, to get together and come up with a single
25 map so that both of them know what's going on,

1 sometime between now and December 1. That might
2 really save a lot of this.

3 CHAIRMAN LEMAY: Is that something we
4 need? You made the request, Commissioner Weiss.

5 COMMISSIONER WEISS: I would like to
6 know what the historical mining rate is over the
7 life of the mine, not the last six months or the
8 two years. What the real mining rate is.

9 MR. CARROLL: If we don't have the two
10 sit together, we'll probably get a disagreement
11 again.

12 COMMISSIONER WEISS: I think you can
13 come up with one for the life of the mine. I'm
14 not sure if the life of the mine is 30 or 26.

15 MR. CASE: It depends on the rate you
16 pull the ore out.

17 COMMISSIONER WEISS: I mean, when it
18 started. Was it 1962?

19 MR. CASE: 1965.

20 COMMISSIONER WEISS: 1965? I've heard
21 different numbers. So, that's not clear to me.

22 MR. CARROLL: Can we agree, then, that
23 Mr. Hutchinson can come down and sit with you,
24 Walter?

25 MR. CASE: If we can have an agreement

1 on what may or may not be covered during those
2 discussions, and that would be between you and
3 Mr. High, but again we're getting into this odd
4 area of confidentiality between potential
5 competitors.

6 MR. HIGH: I have no objection to
7 sitting down with Mr. Carroll and Mr. Hutchinson
8 and trying to work out some stipulations. I
9 won't open up the mine to Mr. Hutchinson.

10 CHAIRMAN LEMAY: That's not what was
11 requested.

12 MR. HIGH: We'll be more than glad to
13 come up with any stipulations that will speed
14 this thing up.

15 CHAIRMAN LEMAY: Let's leave it at
16 that, then. You have your areas of
17 confidentiality and you heard Mr. Weiss' concern,
18 and I was just trying to accommodate that in some
19 fashion.

20 MR. CARROLL: We'll do that.

21 Q. (BY COMMISSIONER WEISS) And one last
22 question here, there was testimony, I think it
23 was today, I have it down for a question to you,
24 at least, concerning the nonleased area in the
25 LMR of 38.

1 What are the mine lease boundaries down
2 here on Exhibit 38?

3 A. It's the blackout line, generally going
4 around the worked-out areas.

5 Q. The black line goes to the heart of
6 Section 27 and it goes south. What happens in
7 there when it hits Section 34?

8 A. The lease line would be in the
9 northwest corner to the west quarter corner, then
10 over to the center of the section, down to the
11 south quarter corner and back over to the
12 southwest corner section and back over to the
13 southwest corner. That is unleased at the time,
14 that 160 acres of the southwest quarter.

15 Q. Of which section?

16 A. Of Section 27.

17 Q. Is that the only area that was
18 nonleased? Does New Mexico Potash own the leases
19 on most of 34, 35, 36 and 2?

20 A. We own all of 36, all of 35, all of 34
21 and all of 2, yes.

22 Q. I have one more question. Why were the
23 core hole locations left off of Exhibit 38, all
24 of the core hole locations of interest down here?

25 A. That was our preference there, and how

1 much information we would give related to this
2 hearing.

3 COMMISSIONER WEISS: Thank you. That's
4 all I have.

5 EXAMINATION

6 BY CHAIRMAN LEMAY:

7 Q. I just have one follow-up. On those
8 three dry holes that Commissioner Carlson raised,
9 do you remember if you took gas readings at all
10 on the surface around those casings?

11 A. No, I didn't.

12 Q. In the mine itself, did you go around
13 the well at all? I guess you have a sniffer,
14 but--

15 A. That area adjacent to it had been
16 checked on a shift-by-shift basis, as the faces
17 went by, at least.

18 Q. And there were no anomalous readings?

19 A. None that I know of.

20 Q. I would like to explore a little bit,
21 you mentioned the coring you've been involved
22 with. In your career at the mine, have you had
23 any sidewall cores or core slicer cores, or do
24 you need a hole core diameter to do the work you
25 need to do in getting grade?

1 A. No, we quarter the core. We use
2 one-quarter of it to retain three-quarters of it.

3 Q. You use one-quarter to retain
4 three-quarters. Explain that.

5 A. We use one-quarter for analytical
6 analysis.

7 Q. You're talking about a hole core
8 analysis?

9 A. You take one-quarter of the core.

10 Q. For a whole core analysis?

11 A. Yes.

12 Q. What about the other three-quarters?

13 A. We retain that.

14 Q. Have you ever experimented with
15 sidewall coring or any other type of coring
16 method?

17 A. No, I haven't.

18 Q. Could that be useful in your Life of
19 Mine Reserve plans and so forth?

20 A. I never looked into it. I don't know,
21 sir.

22 Q. I would like to ask you more about
23 these barren core holes. You mentioned you don't
24 give them a 2500-foot radius of influence. A
25 barren core hole with zero mineralization, how

- 1 much do you give it, or is it arbitrary?
- 2 A. Enough to get a line around it or, say,
3 500 feet.
- 4 Q. So a barren core hole--
- 5 A. If it sat on the edge, yes.
- 6 Q. --would be somewhere in the
7 neighborhood of 500 feet, radius of influence?
- 8 A. Yes.
- 9 Q. If there was some mineralization, would
10 that effect your radius of influence?
- 11 A. With mineralization, I normally will
12 use a triangle method and bring that line back
13 out to the isopach grade of cutoff.
- 14 Q. So you have a proportional gradation
15 between commercial ore and whatever that grade of
16 influence would be?
- 17 A. Right.
- 18 Q. Isn't that basically what you're doing
19 with those core holes that have cored commercial
20 ore?
- 21 A. Yes, sir.
- 22 Q. So you follow the same procedure with a
23 core below the grade?
- 24 A. Right.
- 25 Q. On your four feet of 11 percent

1 mineralization that you showed on Exhibit 106, is
2 that one percent higher than the BLM? I think
3 I've heard the figure four feet of 10 percent?

4 A. Yes, it is.

5 Q. You're different in that area?

6 A. Yes.

7 Q. Would that affect any of the LMR areas,
8 or is that one percent?

9 A. Very, very little.

10 Q. Who owns the southwest of Section 27,
11 do you know, on your map there?

12 A. Southwest quarter of 27 is federal
13 lands, BLM, unleased.

14 Q. If you have to drive down to Section 2,
15 you would have to go through there, wouldn't you,
16 in order to get ore?

17 A. Chances are we would. And we would
18 apply for a lease.

19 Q. Would you try and lease it or anything?

20 A. Yes.

21 Q. Have you made any effort to try and
22 lease that land?

23 A. We have discussed it and we're looking
24 at possibly leasing, at an early date, some area
25 there in the south.

1 Q. Once you drive down to Section 2,
2 according to your mine plan, it looks like your
3 LMR just kind of opens up. You have Section 11,
4 which looks perspective, and 14, evidently, has
5 pretty good mineralization. You're not
6 interested in those because they're too far away
7 from your main shaft? Is that your reason, or
8 what?

9 A. That will be a decision when we get
10 into Section 2 or close to it.

11 Q. I thought Mr. Case mentioned something
12 about, you have to be so close for your miners to
13 get to the shaft; otherwise you're violating some
14 federal restrictions there?

15 A. In the next 7 to 8 years,
16 transportation might change as much as it did in
17 the past three years.

18 Q. Might put a monorail underground to zip
19 around. So that's an open-ended decision, you
20 might keep going or stop or whatever?

21 A. That's right.

22 CHAIRMAN LEMAY: That's all I have.
23 Thank you very much.

24 MR. HIGH: I have a few more questions.

25 FURTHER EXAMINATION

1 BY MR. HIGH:

2 Q. Mr. Lane, look at Exhibit No. 2, if you
3 will, please. It's the original LMR map. Now,
4 when you said that you approved the four wells
5 along the east side of Section 2, Mr. Lane, the
6 two northernmost wells being Yates and the two
7 southern wells being Pogo, I take it that those
8 people asked you for your approval to drill those
9 wells?

10 A. They did.

11 Q. And you were cooperative and agreed to
12 them?

13 A. Yes.

14 Q. You knew these were Delaware wells,
15 right?

16 A. Uh-huh.

17 Q. Did you recall what the industry
18 agreement was with respect to Delaware wells?

19 A. I do today.

20 Q. What is it?

21 A. One-half mile.

22 Q. For a well drilled to the base of the
23 Delaware, where the bottom hole location is above
24 the base of the Delaware, do you recall if the
25 buffer zone was one-quarter mile?

1 A. It was one-quarter mile.

2 Q. If it went below the Delaware, it was
3 one-half mile?

4 A. Okay.

5 Q. The line on which the northernmost, I
6 guess it's Graham No. 3, it's right at the
7 one-quarter mile?

8 A. Graham 3 is on that line, yes.

9 Q. That would be consistent with what the
10 potash industry agreed to do with the oil and gas
11 people as the industry agreement? We agreed to
12 that one-quarter mile?

13 A. One-quarter above the Delaware, yes.
14 Right. I agree.

15 Q. Now, do you have any different
16 concerns, Mr. Lane, between a dry hole that's
17 been plugged and abandoned and a well that's
18 drilled to 8500 feet and 2,600 to 2,800 psi? Is
19 there a difference in the bottom hole pressure?

20 A. Restate your pressure.

21 Q. Do you have any different concerns
22 between a hole that was dry and then it's plugged
23 and abandoned, and an operating or producing well
24 that's drilled to 8500 feet, bottom hole depth,
25 and has a bottom hole pressure of 2,600 to 2,800

1 psi, is there a difference between those two?

2 A. Yes, there is a difference.

3 Q. Which one would you be the most
4 concerned about?

5 A. The one that was a producer and had the
6 pressures indicated.

7 Q. Looking again at Exhibit 2, the two
8 wells in Section 36 that are within the
9 one-quarter mile buffer zone, were you asked to
10 approve those two wells?

11 A. Yes.

12 Q. Why did you agree to those wells?

13 A. On the LMR that's not the computer run
14 of it, I had a dashed line, a questionable line
15 on that LMR in that area right there, in 36,
16 going through to the west half, and we gave
17 them--we approved the standard location.

18 Q. And even though it was within a
19 quarter-mile of the buffer zone?

20 A. Yes, sir.

21 MR. HIGH: That's all I have, Mr.
22 Chairman.

23 FURTHER EXAMINATION

24 BY COMMISSIONER WEISS:

25 Q. Mr. Lane, on the plugged and abandoned

1 wells, is it the fact that it has 2,800 pounds
2 bottom hole pressure? Or what about a producing
3 well that's no longer producing, it's dry or it's
4 depleted? Do you have the same concern with it
5 as you do a dry hole, or how do you view that?

6 A. I'd have less concern for a dry hole
7 never producing than one that's produced and
8 abandoned.

9 Q. If the bottom hole pressure is 100
10 pounds or 500 pounds, can you quantify that for
11 me?

12 A. No, I can't.

13 COMMISSIONER WEISS: Okay. Thank you.

14 CHAIRMAN LEMAY: Additional questions
15 of the witness? He may be excused. Do you have
16 a quickie you want to put on, or do you want to
17 call it a day?

18 Let's take a 15-minute break and decide
19 whether you want to put another witness on. It's
20 your call.

21 [A recess was taken.]

22 CHAIRMAN LEMAY: Mr. High?

23 MR. HIGH: We would like to insert into
24 the record some information, and we can do so by
25 stipulation or with another witness, some

1 information on those other three wells, when they
2 were mined and when they weren't.

3 I have several questions to ask about
4 when we mined around those dry holes. We want to
5 pin those dates down, and we can either do it by
6 stipulation, an exhibit or another witness.
7 Other than that, we have nothing further.

8 CHAIRMAN LEMAY: Do you have anything
9 else?

10 COMMISSIONER CARLSON: No.

11 CHAIRMAN LEMAY: Bill?

12 COMMISSIONER WEISS: Nothing else.

13 CHAIRMAN LEMAY: We're adjourned until
14 the 1st at 8:30 in the morning.

15 (And the proceedings concluded.)

16

17

18

19

20

21

22

23

24

25


1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4 COUNTY OF SANTA FE) ss.
5

6 I, Carla Diane Rodriguez, Certified
7 Shorthand Reporter and Notary Public, HEREBY
8 CERTIFY that the foregoing transcript of
9 proceedings before the Oil Conservation
10 Commission was reported by me; that I caused my
11 notes to be transcribed under my personal
12 supervision; and that the foregoing is a true and
13 accurate record of the proceedings.

14 I FURTHER CERTIFY that I am not a
15 relative or employee of any of the parties or
16 attorneys involved in this matter and that I have
17 no personal interest in the final disposition of
18 this matter.

19 WITNESS MY HAND AND SEAL November 24,
20 1992.

21
22
23 
24 CARLA DIANE RODRIGUEZ, RPR
25 CSR No. 4