

1 NEW MEXICO OIL CONSERVATION DIVISION

2 STATE LAND OFFICE BUILDING

3 STATE OF NEW MEXICO

4 CASE NO. 10453

5
6 IN THE MATTER OF:

7
8 The Application of Yates Petroleum
9 Corporation for a Nonstandard Gas
10 Proration Unit and an Unorthodox
 Gas Well Location, Eddy County,
 New Mexico.

11
12
13
14
15 BEFORE:

16 MICHAEL E. STOGNER

17 Hearing Examiner

18 State Land Office Building

19 March 19, 1992

20
21
22 REPORTED BY:

23 CARLA DIANE RODRIGUEZ
24 Certified Shorthand Reporter
 for the State of New Mexico

25

ORIGINAL

A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel

State Land Office Building

Santa Fe, New Mexico 87504

FOR THE APPLICANT:

SANDERS, BRUIN, COLL & WORLEY, P.A.

Post Office Box 550

Santa Fe, New Mexico 88202-0550

BY: DAMON RICHARDS, ESQ.

I N D E X

Page Number

Appearances

2

WITNESSES FOR THE APPLICANT:

1.

RANDY G. PATTERSON

Examination by Mr. Richards

5

2.

D'NESE FLY

Examination by Mr. Richards

14

Certificate of Reporter

28

E X H I B I T S

Page Marked

Exhibit No. 1

9

Exhibit No. 2

11

Exhibit No. 3

11

Exhibit No. 4

12

Exhibit No. 5

12

Exhibit No. 6

13

Exhibit No. 7

13

Exhibit No. 8

17

Exhibit No. 9

18

Exhibit No. 10

20

Exhibit No. 11

22

Exhibit No. 12

24

1 EXAMINER STOGNER: I'll call next case,
2 No. 10453.

3 MR. STOVALL: Application of Yates
4 Petroleum Corporation for a nonstandard gas
5 proration unit and an unorthodox gas well
6 location, Eddy County, New Mexico.

7 EXAMINER STOGNER: Call for
8 appearances.

9 MR. RICHARDS: I'm Damon Richards for
10 Yates Petroleum Corporation.

11 EXAMINER STOGNER: Are there any other
12 appearances?

13 Mr. Richards, do you have any two
14 witnesses?

15 MR. RICHARDS: I will have two
16 witnesses, Randy Patterson and D'Nese Fly.

17 EXAMINER STOGNER: Will the witnesses
18 please stand to be sworn at this time.

19 (The witnesses were duly sworn.)

20 EXAMINER STOGNER: Mr. Richards.

21 MR. RICHARDS: Okay. Mr. Patterson,
22 please.

23 This is the application of Yates
24 Petroleum Corporation. They seek approval to
25 complete the Mojave "AJY" Com Well #1 in the

1 undesignated Cemetery-Morrow Gas Pool, at an
2 unorthodox gas well location, 990 feet from the
3 north line and 660 feet from the east line of
4 Irregular Section 35.

5 We'll give you some maps in a little
6 bit, and we'll show you that this is a very
7 irregular section. There's only approximately
8 340 acres in the entire section.

9 RANDY PATTERSON

10 Having been first duly sworn upon his oath, was
11 examined and testified as follows:

12 EXAMINATION

13 BY MR. RICHARDS:

14 Q. Will you state your name and address,
15 please?

16 A. I'm Randy Patterson. 1705 Washington,
17 Artesia, New Mexico.

18 Q. How are you employed and what is your
19 position?

20 A. I'm land manager for Yates Petroleum in
21 Artesia.

22 Q. How long have you been in that
23 employment?

24 A. 15 years.

25 Q. Have you had your credentials

1 previously accepted and of record with the OCD?

2 A. Yes, sir, I have.

3 MR. RICHARDS: I'll submit Mr.

4 Patterson as an expert land person.

5 EXAMINER STOGNER: Mr. Patterson is so
6 qualified.

7 Q. In your Mojave "AJY" Com #1 well, what
8 was your primary objective?

9 A. The primary objective of the Mojave
10 "AJY" Com #1 well is the Canyon formation. We
11 have secondary objectives in the Morrow, Atoka
12 and Strawn.

13 Q. What would be the proration unit for
14 the Canyon formation in this well?

15 A. The Canyon formation in this well will
16 be all of Section 35, Township 20-1/2 South,
17 Range 23 East, Eddy County, New Mexico. It's all
18 of the section because it's a very irregular
19 section. It's composed of 344.92 acres, the
20 whole section.

21 Q. Generally a proration unit is 320
22 acres, but since this one is the entire section,
23 which is 340 acres, the proration unit will cover
24 the entire section, is that correct?

25 A. That's what we're requesting, yes.

1 Q. Is 990 feet from the north line and 660
2 feet from the east line the orthodox location for
3 a Canyon formation well?

4 A. Yes, sir, it is, under the rules of the
5 South Dagger Draw Field.

6 Q. Is that where this well is staked?

7 A. Yes, sir, that is the location for this
8 well.

9 Q. What happened to make you decide to
10 drill to the Morrow formation also?

11 A. We had submitted our AFEs to our
12 partners and had submitted an application or
13 permit to drill to the OCD, which was approved.
14 And then our partner, a majority partner, Conoco,
15 requested that we carry the well on down to the
16 Morrow formation.

17 Q. What is the status of drilling at this
18 time?

19 A. The well is presently drilling at 5200
20 feet yesterday.

21 Q. So it has not yet reached the Canyon
22 formation?

23 A. That's correct.

24 Q. What would a proration unit for a
25 Morrow well be?

1 A. Normally it would be a 320-acre unit.
2 In this case we would again request that it be
3 the whole section.

4 Q. So the proration unit would not be
5 changed if you drill down to the Morrow, is that
6 correct?

7 A. That's correct.

8 Q. What's an orthodox location for a
9 Morrow well?

10 A. Normally an orthodox location in this
11 section would be 660 feet from the north and 1980
12 from the east.

13 Q. Did you instruct me to file an
14 application for an unorthodox location?

15 A. Yes, sir, we did.

16 Q. Please explain the reason for that.

17 A. Well, as I said, our primary objective
18 was the Canyon formation and our APD was already
19 approved. And then our majority partner, Conoco,
20 requested that we carry it on down to the Morrow
21 formation.

22 At that time we were very close to
23 drilling the well, and the location was--it
24 wasn't our desire to change the location, so we
25 requested to file an unorthodox location for the

1 Morrow and the other Pennsylvanian formations.

2 Q. Has someone under your supervision at
3 Yates Petroleum Corporation examined the county,
4 federal and state records to determine the offset
5 operator?

6 A. Yes, sir, we have.

7 Q. Who are the offset operators?

8 A. The offset operators are Conoco,
9 Marathon, Phillips and other Yates leases.

10 Q. Were notices sent to all the offset
11 operators and received by them?

12 A. Yes, sir, they were.

13 Q. Please refer to your Exhibit No. 1,
14 which is a land plat map of this area. Explain
15 to the Examiner how you prepared this map and
16 what it shows.

17 A. This land plat shows their Section 35,
18 20-1/2 South, 23 East, which is the proration
19 unit we're requesting, which is colored in orange
20 and surrounded in red, red line around the
21 section. The location of the well is spotted
22 with a red dot.

23 Yates lease is shown in yellow, the
24 Conoco offset is shown in green, the Marathon
25 offset is shown in purple, and the Phillips

1 offset is shown in blue.

2 Q. What is the ownership working interest
3 in the proration unit for this well that would be
4 the orange color?

5 A. The working interest is
6 56.68-and-a-small-fraction Conoco, and the
7 balance of that is Yates companies.

8 Q. And Conoco is also an offset operator,
9 is that correct?

10 A. That's correct.

11 Q. Directly to the north of the proposed
12 location?

13 A. Yes, sir, that's correct.

14 Q. You indicated that Conoco notified you
15 of its desire to drill on down to the Morrow.
16 When did they notify you that they wanted to
17 drill down to the Morrow?

18 A. It was after our APD was approved. It
19 was approximately a month ago and just before we
20 filed this application. We filed this
21 application after they asked us to do that.

22 Q. Conoco is the majority working interest
23 owner in this proration unit, as well as an
24 offset operator to the north and to the west, is
25 that correct?

1 A. Yes, sir, that is correct.

2 Q. How much deeper will Yates Petroleum
3 Corporation need to drill to test the Morrow
4 formation?

5 A. Approximately 1400 feet more.

6 Q. Will testing the Morrow formation in
7 this well be in the best interest of conservation
8 of the financial resources?

9 A. Yes, it will.

10 Q. Why will that be?

11 A. Well, if we carry this well on down to
12 the Morrow, which is not much further to go to
13 take a look at the Morrow, we don't have to drill
14 a new well.

15 Q. Okay. Look at Exhibit 2, please.
16 Exhibit 2 is a copy of a letter giving notice of
17 this hearing. Would you explain who that was
18 sent to and whether or not they received it?

19 A. Okay. This letter was sent to Conoco
20 giving notice of the hearing. It was sent
21 certified, return receipt, which is shown on the
22 copy, and it requests that Conoco waive its right
23 to appearance to the hearing.

24 Q. Now look at Exhibit No. 3. That is a
25 response from Conoco, is it not?

1 A. Yes, sir, it is. Exhibit No. 3 is a
2 letter back to us from Conoco saying they are
3 offset operator, they have received notice, and
4 that they waived objection to the location and
5 its right to appearance to this hearing.

6 Q. It was actually Conoco who wanted to
7 drill on down to the Morrow, isn't that correct?

8 A. Yes, that's correct. Conoco suggested
9 we do this.

10 Q. Look at Exhibit No. 4. That is a
11 notice that was sent to Phillips with the return
12 receipt, is that correct?

13 A. Yes, sir, that's a similar notice to
14 Phillips Petroleum with a return receipt.

15 Q. Did you receive a response from
16 Phillips?

17 A. No, we did not get any response from
18 Phillips.

19 Q. Phillips is located on the complete
20 west side, which is not even close to the
21 location of the well?

22 A. Yes, sir, that's correct.

23 Q. Look at Exhibit No. 5 and explain it,
24 please.

25 A. Exhibit No. 5 is a similar notice

1 letter to Marathon Oil Company, with a return
2 receipt.

3 Q. Please look at Exhibit 6.

4 A. Exhibit 6 is a letter from Marathon to
5 Yates Petroleum, advising us that they've
6 received notice of the hearing and they waive
7 objection to the application and request that we
8 send them logs and information off the well.

9 Q. Does Yates Petroleum Corporation agree
10 to provide them the logs and test information?

11 A. Yes, we did agree to let them have the
12 information.

13 Q. It's my understanding that a
14 communitization agreement is being prepared.
15 What is the status of that?

16 A. The communitization has been prepared
17 and has been executed by working interest
18 owners. We're presently securing the executions
19 of the final overriding royalty owners.

20 Q. Please look at Exhibit No. 7 and
21 explain it, also.

22 A. Exhibit 7 is a consent to pooling
23 signed by Mobil Producing, Texaco and New Mexico,
24 Inc. The reason for this consent to pooling was
25 because Mobil's fee lease contained no pooling

1 clause, and they have agreed to pool themselves
2 into this Section 35.

3 Q. And that's even if you drill down to
4 the Morrow, is that correct?

5 A. Yes, sir, that's correct.

6 Q. In your opinion, will approval of this
7 application be in the best interest of
8 conservation, the prevention of waste and the
9 protection of correlative rights?

10 A. Yes, sir, we believe it will.

11 MR. RICHARDS: Mr. Stogner, do you
12 have any questions of this witness?

13 EXAMINER STOGNER: I have no questions
14 of Mr. Patterson at this time.

15 MR. RICHARDS: We would like to call
16 D'Nese Fly.

17 D'NESE FLY

18 Having been first duly sworn upon his oath, was
19 examined and testified as follows:

20 EXAMINATION

21 BY MR. RICHARDS:

22 Q. Please tell us your name and give us
23 your address.

24 A. My name is D'Nese Fly, and I live in
25 Artesia, New Mexico.

1 Q. Where are you employed and what
2 position do you have at that company?

3 A. I'm a geologist with Yates Petroleum
4 Corporation.

5 Q. How long have you been in that
6 position?

7 A. I've been employed with Yates for three
8 years.

9 Q. Have you previously testified before
10 the Oil Conservation Division and your
11 credentials been accepted as an expert geologist?

12 A. Yes.

13 MR. RICHARDS: We submit D'Nese Fly as
14 an expert geologist.

15 EXAMINER STOGNER: Miss Fly is so
16 qualified.

17 Q. As part of your duties with Yates, have
18 you mapped the geological structures of the South
19 Dagger Draw-Upper Pennsylvanian Association Pool?

20 A. Yes, I have.

21 Q. Briefly describe for us the
22 characteristics of the Canyon formation in the
23 South Dagger Draw Pool.

24 A. The Dagger Draw-Upper Penn field
25 produces oil, sour gas and water from a combined

1 stratigraphic and hydrodynamic trap, consisting
2 of a lens of porous and permeable fractured
3 dolomite, pinching out updip into a tight sealing
4 limestone.

5 Downdip production is limited by
6 water. Structure on top of the dolomite
7 reservoir is important. There is no water-free
8 production in the Dagger Draw fields. Even the
9 best wells, perforated high in the dolomite,
10 produce significant amounts of water.

11 Importantly, there's a hydrodynamically
12 southwest-down-to-the-northeast tilted surface,
13 below which the dolomite reservoir is virtually
14 all water-filled. This hydrocarbon-producing
15 column in any well is the subsea datum of the Big
16 Water minus the subsea datum of the top of the
17 dolomite reservoir.

18 Picking the Big Water in any given well
19 is just an approximation. In the older wells
20 without having mud logs, DST and perforation
21 information is useful for approximating the Big
22 Water pick.

23 In our experience, it shows that the
24 best information to pick the Big Water are the
25 use of the mud logs, showing the clear base of

1 gas kick in the dolomite. The base of the gas
2 kicks is interpreted to be the top of the Big
3 Water. It is economically crucial not to
4 perforate the Big Water or channel down into it
5 because disastrous amounts of water will be
6 produced, along with reduced amounts of
7 hydrocarbons.

8 South of the Dagger Draw field is the
9 Indian Basin-Upper Penn field, which is a
10 continuation of the same dolomite reservoir with
11 the dolomite being thicker and structurally
12 higher. Short paper by Hugh Frenzel discusses
13 the hydrodynamic nature of the Indian Basin
14 field, stating in this field also there's a
15 southwest-to-northeast tilted gas-water contact,
16 which descends 632 feet between two wells in the
17 field, which are about seven miles apart. And
18 that is my Exhibit No. 1.

19 Q. Which would be Exhibit No. 8 for the
20 Examiner?

21 A. Excuse me, yes.

22 Q. And that's a paper that was written on
23 the water on the Indian Basin of the
24 Pennsylvanian, is that correct?

25 A. Yes.

1 Q. Please refer to your Exhibit 9. This
2 is an isopach map that was prepared by you, is
3 that correct?

4 A. Yes.

5 Q. Please explain the legend on it; the
6 markings.

7 A. Okay. This exhibit is a combined top
8 of canyon dolomite structure map and the top of
9 the Big Water map. The solid contours show the
10 structural configuration on the top of the Canyon
11 dolomite reservoir in hundred-foot intervals.
12 The dotted contours show the approximate
13 configuration of the surface within the dolomite
14 reservoir, known as the Big Water, and it's in
15 50-foot contours.

16 The east and west limits of the
17 dolomite reservoir are shown by the zero dolomite
18 lines. Canyon or deeper penetrations are
19 identified by the circled well spots. Green
20 colored well spots are Canyon or Upper Penn oil
21 wells, and red well spots are Canyon gas wells.

22 The uncolored gas spots or well spots
23 indicate production from zones other than the
24 Canyon, which, in this case, are mostly Morrow.

25 The proration unit, consisting of the

1 entire irregular section of 35, is outlined in
2 red and the proposed location is shown.

3 One can see that the proposed location
4 will have a thicker hydrocarbon-producing column
5 in the Dagger Draw dolomite reservoir than it
6 would in a location which would be orthodox for a
7 Morrow. This is a small red circle to the left
8 of the proposed location.

9 For the proposed location, it may be
10 seen from the map that the Big Water will be
11 encountered at a minus 3927 subsea, which is
12 there above the proposed location spot. Also
13 from the map it can be seen that the dolomite
14 reservoir will be encountered at a minus 3840
15 subsea.

16 In subtracting these numbers, I come up
17 with 87 feet of hydrocarbon-bearing dolomite in
18 this location. If I was to move this to the east
19 for our proposed--for an orthodox location on the
20 Morrow, I would come up with 63 feet of
21 hydrocarbon-bearing column. And that is about 24
22 feet less of hydrocarbon-bearing dolomite than in
23 our main objective location, which is orthodox
24 for the Canyon.

25 This map also shows that, as I move to

1 the west, towards the orthodox position for a
2 Morrow test, I'm going updip on my water level,
3 which are the dotted contours on this map.

4 In addition, the proposed location is
5 on the south flank of a southeast plunging nose,
6 whereas the smaller red circle there is near the
7 axis of a northwest plunging syncline.

8 The Conoco Preston Federal #1 in Unit L
9 of Section 35, to the north of the proposed
10 location, is on the axis of the southeast
11 plunging nose, and is an excellent well, having
12 proposed about 4 Bcf of gas, 23 MBO, and 2.7
13 million barrels of water.

14 Q. In preparing this Exhibit 9, did you
15 also refer to some logs that you've attached as
16 Exhibit 10?

17 A. Yes.

18 Q. This map will assist you in explaining
19 the Big Water, won't it, and depicts the Big
20 Water?

21 A. Right, these logs here. This is a
22 segment of the neutron lithodensity porosity log
23 on the left, and the correspondmg mud log on the
24 right, of a nearby Dagger Draw-Upper Penn south
25 well, the Yates John #4 located in Unit H of

1 Section 14 of 20 South, 24 East, which sits about
2 a mile or two above my map, the previous
3 exhibit.

4 The interval includes the entire Dagger
5 Draw dolomite reservoir with pertinent
6 correlations marked on the log including the top
7 of the Canyon limestone, the top of the Canyon
8 dolomite, the Big Water, and the base of the
9 Canyon.

10 One can see on the gas perfs and the
11 mud log where the gas kicks decreases
12 significantly. It is at the base of these gas
13 kicks that the Big Water is encountered.
14 Matching the drill time and the gas kicks of the
15 mud log to the petrophysical log, gives the log
16 depth of the Big Water which, in this case, is at
17 7784 feet.

18 Note that the perforations do not go
19 below the Big Water, and that a tight interval is
20 present between the base of the perforations and
21 the lower zones of the porous and permeable
22 dolomite below. By not perforating in the Big
23 Water and by not channeling down into it, the
24 completion process of the John #4 made a good
25 Dagger Draw-Upper Penn oil well with a

1 potential--with an IP of about 515 barrels of oil
2 per day plus 1800 Mcf gas per day and 750 barrels
3 of water.

4 Q. Based upon your training, education and
5 experience, and after your review of these
6 documents and the mapping of the area, did you
7 arrive at an opinion as to whether or not you
8 believe this well will be productive in the
9 Canyon formation?

10 A. Yes, I feel it will be.

11 Q. Your testimony to this point has been
12 that you feel like the orthodox location for the
13 Canyon well is a much better location than the
14 orthodox location for the Morrow well?

15 A. Right.

16 Q. Your primary objective is in the Canyon
17 formation, is it?

18 A. That's correct.

19 Q. Was your decision to drill deeper and
20 Conoco's decision to drill deeper, in part based
21 upon the mapping of the Morrow formation and the
22 area of the Mojave "AJY" #1 well?

23 A. Yes.

24 Q. Does Exhibit 11 correctly and
25 accurately depict your mapping of the Morrow

1 formation in this area?

2 A. Yes, it does.

3 Q. Please explain that to Examiner
4 Stogner, please.

5 A. All right. Exhibit 11 is a combined
6 Morrow structure and net sand map. The dotted
7 lines are the structural contours on the top of
8 the Lower Morrow, and the contour interval there
9 is about 100 feet.

10 The solid lines are contours showing
11 the varying thickness of the total clean Morrow
12 sands in the area of the proposed location. The
13 contour interval on this is 20 feet, I have
14 written on here. That's correct, 20 feet.

15 "Clean sand" is defined as the sand
16 with less than 50 gamma ray API units on the
17 neutron density or sonic logs in the area.
18 According to the map, the proposed location
19 should encounter almost 50 feet of clean sand.
20 If the sands are not water wet and/or tight, 50
21 feet of sands is more than adequate to make a
22 Morrow gas well.

23 Note the well in Unit I, Section 6 of
24 21 South, 24 East, which is on the far right side
25 of the map, the Irregular Section 6. This well

1 has produced 4.6 Bcf and has a sand count of 50
2 feet. But a good sand count does not--is not
3 always enough to make a good economic gas well in
4 the Morrow, because the sands can either be tight
5 or wet, which is the case in numerous other wells
6 around this area.

7 Also, according to the map, the Morrow
8 structure is an east regional dip, and the
9 structure does not play a real significant role
10 in determining an economic or non-economic Morrow
11 gas well. It has to do more with your sands, the
12 thickness of your net sands, and if they are not
13 tight or water wet.

14 The point is that the well drilled at
15 the proposed location should encounter an
16 adequate thickness of Morrow Pool to justify
17 drilling an additional 1400 feet to test a
18 secondary objective below the primary objective
19 of the Upper Penn.

20 Q. Did your log, Exhibit 12, also assist
21 you in this mapping?

22 A. Yes.

23 Q. Will you explain your Exhibit 12?

24 A. Okay. Exhibit 12 here is a portion of
25 the neutron density porosity log from the

1 Marathon Indian Hills State #1 located in Unit G
2 of Section 36, 20 South, 24 East. This interval
3 includes the entire Morrow clastic section.

4 The pertinent correlations marked on
5 the log include the top of the Morrow, the top of
6 the Morrow clastics, the Lower Morrow and the
7 Austin cycle of the Mississippian system.

8 On the left side of the log, sand
9 bodies are colored in yellow where they are less
10 than 50 gamma ray API units, and on the right
11 side of the log, the gas effect of the sand
12 bodies is colored in red. Perforations are also
13 marked in the depth column.

14 One may count the sands on the left
15 side of the log and see that there's about a
16 total of 36 feet of net sand in this well, and
17 this well produced 2 Bcf of Morrow gas before it
18 was recompleted in the Upper Penn. It is
19 expected that our proposed location will have
20 some 14 feet more sand than the Indian Hills
21 State #1 well shown here.

22 Q. Can you, then, summarize your testimony
23 this morning?

24 A. Yes. To sum all this up, the necessity
25 for this nonstandard location is based upon the

1 conditions prevailing in the upper hole primary
2 objective Canyon dolomite formation of the Dagger
3 Draw-Upper Penn South field.

4 The proposed location is standard for a
5 Dagger Draw-Upper Penn completion, but it's an
6 unorthodox location for the Morrow completion.
7 Because it's only about 1400 feet more to
8 evaluate the Morrow formation and because the
9 Morrow has sufficient potential as a secondary
10 objective at this location, the decision was
11 jointly made between Yates and Conoco to drill
12 the additional footage before the Dagger
13 Draw-Upper Penn South primary objective, to test
14 the Morrow.

15 If gas production potential is found
16 below the Dagger Draw-Upper Penn interval,
17 principally in the Morrow formation, Yates seeks
18 approval to complete in and produce from the said
19 gas zones in an unorthodox location of 990 from
20 the north line and 660 from the east line of the
21 Irregular Section 35, Township 20-1/2 South,
22 Range 23 East.

23 Q. In your opinion, will approval of this
24 application be in the best interest of
25 conservation, prevention of waste and the

1 protection of correlative rights?

2 A. Yes.

3 MR. RICHARDS: Examiner Stogner, do you
4 have any questions?

5 EXAMINER STOGNER: I have no questions
6 of Ms. Fly.

7 Do you have anything further, Mr.
8 Richards?

9 MR. RICHARDS: I would move the
10 introduction of Exhibits 1 through 12 at this
11 time.

12 EXAMINER STOGNER: Exhibits 1 through
13 12 will be received into evidence.

14 Does anybody else have anything further
15 in this case? If not, Case 10453 will be taken
16 under advisement.

17 (And the proceedings concluded.)

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 10453
heard by me on 19 March 1992.

 , Examiner
Oil Conservation Division

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
COUNTY OF SANTA FE) ss.

I, Carla Diane Rodriguez, Certified
Shorthand Reporter and Notary Public, HEREBY
CERTIFY that the foregoing transcript of
proceedings before the Oil Conservation Division
was reported by me; that I caused my notes to be
transcribed under my personal supervision; and
that the foregoing is a true and accurate record
of the proceedings.

I FURTHER CERTIFY that I am not a
relative or employee of any of the parties or
attorneys involved in this matter and that I have
no personal interest in the final disposition of
this matter.

WITNESS MY HAND AND SEAL March 31,
1992.


CARLA DIANE RODRIGUEZ, RPR
CSR No. 4