

1 NEW MEXICO OIL CONSERVATION DIVISION

2 STATE LAND OFFICE BUILDING

3 STATE OF NEW MEXICO

4 CASE NO. 10494

5
6 IN THE MATTER OF:

7
8 The Application of Union Oil Company
9 of California d/b/a UNOCAL for pool
10 contraction, pool creation, and special
11 pool rules, Lea County, New Mexico.
12
13

14 BEFORE:

15
16 DAVID R. CATANACH

17 Hearing Examiner

18 State Land Office Building

19 JUNE 25, 1992
20
21

22 REPORTED BY:

23 DEBBIE VESTAL

24 Certified Shorthand Reporter
25 for the State of New Mexico

ORIGINAL

RODRIGUEZ-VESTAL REPORTING
(505) 988-1772

A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.

Post Office Box 2208
Santa Fe, New Mexico 87504-2208

BY: WILLIAM F. CARR, ESQ.

I N D E X

Page Number

Appearances

2

WITNESSES FOR THE APPLICANT:

1. THOMAS O. MORROW

Examination by Mr. Carr

5

Examination by Examiner Catanach

19

2. ROBERT M. ALTANY

Examination by Mr. Carr

25

Examination by Examiner Catanach

30

Certificate of Reporter

34

E X H I B I T S

Page Identified

1		
2		
3		
4	Exhibit No. 1	9
5	Exhibit No. 2	12
6	Exhibit No. 3	26
7	Exhibit No. 4	27
8	Exhibit No. 5	14
9	Exhibit No. 6	18
10	Exhibit No. 7	18
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 EXAMINER CATANACH: At this time we'll
2 call Case 10494.

3 MR. STOVALL: Application of Union Oil
4 Company of California d/b/a UNOCAL for pool
5 contraction, pool creation, and special pool
6 rules, Lea County, New Mexico.

7 EXAMINER CATANACH: Are there
8 appearances in this case?

9 MR. CARR: May it please the Examiner,
10 my name is William F. Carr with the law firm,
11 Campbell, Carr, Berge & Sheridan of Santa Fe. I
12 represent Union Oil Company of California. And I
13 have two witnesses.

14 EXAMINER CATANACH: Any other
15 appearances? The witnesses, please, stand and be
16 sworn in.

17 [The witnesses were duly sworn.]

18 THOMAS O. MORROW

19 Having been duly sworn upon his oath, was
20 examined and testified as follows:

21 EXAMINATION

22 BY MR. CARR:

23 Q. Will you state your name for the
24 record, please?

25 A. My name is Thomas Owen Morrow.

1 Q. Where do you reside?

2 A. In Midland, Texas.

3 Q. Mr. Morrow, by whom are you employed?

4 A. I am employed by Union Oil of
5 California as an advanced petroleum engineer
6 assigned to the Andrews District.

7 Q. Have you previously testified before
8 the New Mexico Oil Conservation Division?

9 A. No, I have not.

10 Q. Could you just briefly review your
11 educational background and then summarize your
12 work experience for Mr. Catanach?

13 A. I received a bachelor of science degree
14 in petroleum engineering from Texas Tech
15 University in May of 1984. At that time I began
16 working for SOHIO Petroleum Company in Midland,
17 Texas, as a production engineer. I worked there
18 from May 1984 through December 1987. I was then
19 transferred to the offshore reservoir engineering
20 group in Houston, Texas, where I worked in that
21 capacity from December 1987 through December of
22 1989.

23 I was then moved back to the onshore
24 business unit and held a position as senior
25 petroleum engineer from December 1989 through

1 July 1991. At that time I accepted a position
2 with UNOCAL as advanced petroleum engineer in
3 Midland where I currently work.

4 Q. As an engineer with UNOCAL, does your
5 geographic area of responsibility include the
6 portion of southeastern New Mexico which is
7 involved in this case?

8 A. Yes, it does.

9 Q. Are you familiar with the application
10 filed in this case on behalf of UNOCAL?

11 A. Yes, I am.

12 Q. Are you familiar with the Red Hills
13 Pennsylvanian Gas Pool?

14 A. Yes, I am.

15 MR. CARR: We tender Mr. Morrow as an
16 expert witness in petroleum engineering.

17 EXAMINER CATANACH: He is so
18 qualified.

19 Q. (BY MR. CARR) Mr. Morrow, would you
20 briefly summarize what UNOCAL seeks with this
21 application?

22 A. UNOCAL seeks the contraction of
23 vertical limits of the Red Hills Pennsylvanian
24 Gas Pool. The proposed amended vertical limits
25 of the Pennsylvanian Pool will include from the

1 top of the Atoka Lime to the base of the Morrow
2 Formation.

3 Along with this UNOCAL requests the
4 formation of a new pool to be called the Red
5 Hills Upper Atoka Pool and is to include the
6 interval from the top of the Atoka to the top of
7 the Lower Atoka Lime.

8 Q. You're also requesting that special
9 rules be promulgated for the new pool, are you
10 not?

11 A. UNOCAL does request that special pool
12 rules and regulations for the proposed new upper
13 Atoka pool be established including provisions
14 for 640-acre spacing and special well location
15 requirements which provide that no well shall be
16 located nearer than 1650 feet to the outer
17 boundary of the section nor nearer than 330 feet
18 to any governmental quarter-quarter section
19 line.

20 And due to the limited extent of the
21 proposed Upper Atoka Pool, UNOCAL requests that
22 the pool boundaries be limited to Section 5,
23 Township 26 South, Range 33 East in Lea County,
24 New Mexico.

25 Q. Now, Mr. Morrow, what we actually have

1 here is a well that was original drilled to the
2 Devonian; is that correct?

3 A. That is correct.

4 Q. And you have now come back up the hole
5 and have been able to complete it in an Atoka
6 sand that isn't present or producing in other
7 properties in the field?

8 A. That's correct.

9 Q. And the pool rules you're requesting
10 are consistent with the pool rules for the
11 Devonian Formation?

12 A. That's correct.

13 Q. Also the Wolfcamp above this is spaced
14 on 640 acres with similar rules; correct?

15 A. That's correct.

16 Q. Let's go to your Exhibit No. 1. Could
17 you identify that for the Examiner and then
18 review it, please?

19 A. Exhibit No. 1 is a map identifying the
20 current Red Hills Pennsylvanian Pool boundaries.
21 This pool includes Sections 31, 32, and 33, of
22 Township 25 South, Range 33 East, also Sections
23 4, 5, and 6 of Township 26 South, Range 33 East.

24 Also indicated on the map are the
25 boundaries of the UNOCAL operated Red Hills Unit,

1 which consists of Sections 32 and 33 and Sections
2 4 and 5. Also identified on the map are the
3 proposed horizontal boundaries of the new Upper
4 Atoka Pool, and this includes only Section 5.

5 The well locations which are colored in
6 red are those wells which have been completed in
7 the Red Hills Pennsylvanian Pool.

8 Q. Now, in the Red Hills Unit, what
9 formations are unitized?

10 A. All depth -- in the Red Hills Unit all
11 depth intervals are included.

12 Q. And what formations are currently
13 producing in this unit?

14 A. The formations which have produced are
15 the Devonian, the Atoka, and the Wolfcamp.

16 Q. And at this time the Wolfcamp and
17 Devonian are on 640-acre spacing?

18 A. That is correct.

19 Q. Is there any other operator in this
20 pool other than UNOCAL?

21 A. Yes, there is. Kaiser-Francis operates
22 the Federal No. 1 well located in Section 6,
23 which was completed in the Atoka Lime in December
24 of 1975. The Atoka is currently shut-in and not
25 producing.

1 Q. Is it producing in any other zone at
2 this time?

3 A. Yes, it is. It is currently in the
4 Wolfcamp.

5 Q. This is the second application filed
6 with the Division concerning the No. 3 well.
7 Could you briefly review that prior application
8 with the Examiner?

9 A. On March 10, 1992, UNOCAL filed an
10 application with the Oil Conservation Division
11 requesting special pool rules and regulations for
12 the Red Hills Pennsylvanian Pool including
13 640-acre spacing.

14 After filing the application,
15 discussions with the representative of
16 Kaiser-Francis indicated that they would like for
17 the application to exclude Section 6 and Section
18 31 which they hold acreage.

19 Kaiser Francis wrote a letter to the
20 Commission formalizing their request. UNOCAL
21 then contacted a staff member of the Conservation
22 Division concerning Kaiser-Francis' request. And
23 at that time it was related to UNOCAL that for
24 such action to be taken, Sections 6 and 31 would
25 have to be removed from the Red Hills

1 Pennsylvanian Pool, which was not possible due to
2 the Federal No. 1 well which is completed in the
3 Pennsylvanian pool and is located in Section 6.

4 UNOCAL at that time decided to file an
5 application with the Commission requesting
6 formation of the new Upper Atoka Pool.

7 Kaiser-Francis was notified of our intentions
8 prior to the filing and indicated that they would
9 have no problems with the application.

10 The request to dismiss the original
11 application was filed on May 13, 1992, and the
12 application for a new Red Hills Upper Atoka Pool
13 was filed on June 2, 1992.

14 Q. Mr. Morrow, when was the Red Hills
15 Pennsylvanian Gas Pool discovered?

16 A. It was discovered in December of 1964.

17 Q. Let's go to Exhibit No. 2. And I'd ask
18 you first to identify that and then review it for
19 Mr. Catanach.

20 A. Exhibit No. 2 provides a summary of the
21 four wells which have been completed in the
22 Pennsylvanian within the Red Hills Pennsylvanian
23 Pool.

24 Q. Included on this summary is such data
25 as well name, location, the original operator,

1 the dates the wells were completed, the interval,
2 all intervals which have been completed in the
3 wells, and also the original and current
4 production data.

5 It should be noted that the current
6 rates are for March of 1992 with the cumulative
7 production being also through March of 1992.

8 Q. If we look at this exhibit, the four
9 Pennsylvanian wells in the field are shaded; is
10 that correct?

11 A. That is correct.

12 Q. Now, that includes the No. 3 well,
13 which is the subject of today's hearing?

14 A. That is correct. And it is currently
15 the only well producing in the Penn.

16 Q. And the other three Pennsylvanian
17 completions, where were they completed as
18 compared to the completions in the No. 3 well?

19 A. They were completed in the Penn Lime,
20 which is the lower limits of the Pennsylvanian.

21 Q. And about how many vertical feet below
22 the current production or producing interval
23 would you estimate they were completed?

24 A. I believe that was approximately 200
25 feet.

1 Q. Could you briefly review the history of
2 the Red Hills Unit No. 3 well for the Examiner?

3 A. The Red Hills Unit No. 3 was drilled to
4 a total depth of 17,597 feet and completed as a
5 Devonian producer in September of 1983.

6 The calculated absolute open flow for
7 the Devonian was 1.6 million cubic feet per day.
8 The well continued to produce from the Devonian
9 until April 1991, at which time the well was
10 recompleted in the Atoka at a depth of 14,528 to
11 14,545. The calculated absolute open flow for
12 that interval was also 1.6 million cubic feet per
13 day.

14 Q. UNOCAL will be calling a geological
15 witness to review the reservoir characteristics;
16 correct?

17 A. That is correct.

18 Q. Why don't we go to Exhibit No. 5, and
19 I'd ask you to identify and review that for Mr.
20 Catanach.

21 A. Exhibit No. 5 is a summary of the test
22 data for the Red Hills Unit No. 3 following
23 completion into the Penn interval. As you can
24 see, the well was perforated on April 13, 1991,
25 and achieved a test rate of 1.9 million cubic

1 feet per day with a flowing tubing pressure of
2 8,130 PSI. Maximum shut-in tubing pressure
3 following the test was 9,350 PSI.

4 The well was shut in on April 15, 1991,
5 in preparation to run a tie-back liner for safety
6 reasons. On July 14, 91, the tie-back liner was
7 run; however, extreme difficulties were
8 encountered in the operations and severe
9 formation damage resulted.

10 This is evident when comparing the test
11 data following running the liner as compared to
12 the original. After the liner was run, a maximum
13 rate of 1.5 million cubic feet per day with only
14 a flowing tubing pressure of 2,500 PSI was
15 achieved. This is a decrease of 5,630 PSI from
16 the original test.

17 Also it can be noted that the
18 calculated absolute open flow, as mentioned
19 previously, was 1.6 million as compared to the
20 original test of 1.9. The well was then returned
21 to normal production. And included on the
22 exhibit are the monthly well tests through
23 January of 1992. As you can see, the well has
24 decreased from about 1.1 million per day to 40
25 Mcf per day.

1 On February 2, 1992, the well was
2 shut-in in order to obtain a static bottom-hole
3 pressure in order to ensure that the decrease in
4 flow rates was due to damage and not due to
5 depletion.

6 A bottom-hole pressure gauge was run on
7 March 14, 1992, and recorded a bottom-hole
8 pressure of 10,355 PSI, which did eliminate the
9 depletion as a cause of the reduced rate.

10 Q. What are your plans for this well?

11 A. Following finalization of the working
12 interests' assignment, which is dependent upon
13 the spacing, we will prepare a treatment designed
14 to remove the formation damage present.

15 Q. What general conclusions has UNOCAL
16 reached about this particular well and this
17 particular producing interval?

18 A. Although the well is only producing a
19 current rate of 40 Mcf per day, we feel the well
20 can be worked over to remove the damage caused by
21 the work-over and return to the original
22 producing conditions, which was a rate of about 2
23 million cubic feet per day.

24 And based on geological interpretation
25 of the Atoka, which you'll see later, the

1 reservoir is of limited extent and the well can
2 effectively drain the reserves present at this
3 rate.

4 Assignment of 640-acre spacing for the
5 Atoka will prevent the drilling of unnecessary
6 wells and will be consistent with the spacing
7 requirements for the Devonian and the Wolfcamp
8 Formations in the field.

9 Q. Okay. Mr. Morrow, the nature of the
10 reservoir will be reviewed by the geological
11 witness?

12 A. That is correct.

13 Q. As to this particular well, after
14 remedial work, you anticipate that this will
15 drain this Atoka reservoir?

16 A. That is correct.

17 Q. And do you not intend to drill
18 additional wells to produce the reserves from
19 this section in the Atoka Sand?

20 A. No, we do not.

21 Q. Those would be in fact unnecessary,
22 would they not?

23 A. Yes.

24 Q. Would approval of this application
25 therefore be in the best interests of

1 conservation and the prevention of waste?

2 A. Yes, it would.

3 Q. Would the correlative rights of any
4 interest owner in this pool be impaired in any
5 way by approval of the application?

6 A. No, they would not.

7 Q. In fact, the only other interest owner
8 in the pool is Kaiser-Francis, is it not?

9 A. That's correct. They're the only other
10 operator.

11 Q. Is Exhibit No. 6 a copy of an affidavit
12 confirming that notice of this hearing has been
13 provided to the other interest owners in the pool
14 and in the area of this pool as required by OCD
15 rules?

16 A. It is.

17 Q. Would you identify what has been marked
18 as UNOCAL Exhibit No. 7?

19 A. Exhibit No. 7 is the letter which was
20 referred to earlier written by Kaiser Francis to
21 the New Mexico Oil Conservation Division. In the
22 letter it states, Kaiser Francis states that in
23 its opinion that there is no evidence that
24 conditions or parameters exist and that UNOCAL's
25 wells drilled within the four-section unit exist

1 outside this unit.

2 Q. And UNOCAL is requesting that the
3 special pool rules be limited in application to
4 the pool boundary, which would be just Section 5?

5 A. That's correct.

6 Q. Were Exhibits 1, 2, and 5 through 7
7 prepared by you or compiled under your direction?

8 A. Yes, they were.

9 MR. CARR: At this time, Mr. Catanach,
10 we move the admission of UNOCAL Exhibits 1, 2, 5,
11 6, and 7.

12 EXAMINER CATANACH: Okay. Exhibits 1,
13 2, 5, 6, and 7 will be admitted as evidence.

14 MR. CARR: That concludes my direct
15 examination of this witness.

16 EXAMINATION

17 BY EXAMINER CATANACH:

18 Q. Mr. Morrow, is it my understanding that
19 this new zone has not been previously produced in
20 any of these Penn wells?

21 A. That is correct.

22 Q. Does the --

23 A. Excuse me. I believe that there were a
24 couple of perforations open in the Red Hills Unit
25 No. 1. Our geologist will be able to confirm

1 this. But the No. 1 produced for 16 days before
2 it was shut-in. It was also perforated in the
3 Penn Lime. I'm not for sure if that was the Red
4 Hills Unit No. 1 or No. 2, but the geologist will
5 be able to.

6 Q. Okay. Do the formation characteristics
7 vary significantly between the main producing
8 zone in the Red Hills Penn and this new zone?

9 A. Yes, sir. The main producing interval
10 in the Red Hills Pennsylvanian Pool is a
11 limestone. This is a clean sand.

12 Q. Is this sandstone present and
13 potentially productive in any of the other three
14 wells?

15 A. It is present in the No. 1 and No. 2,
16 but it thins considerably and is not commercially
17 productive and is not at present in the Federal
18 No. 1 well located in Section 6.

19 Q. Did you say it was not commercially --

20 A. Productive.

21 Q. -- in the No. 1 and 2?

22 A. That's correct. It's extremely thin.

23 Q. And that's just determined from the
24 logs?

25 A. Yes, sir.

1 Q. Is the Red Hills Pennsylvanian Pool,
2 that's spaced on what?

3 A. 320-acre spacing, statewide rules.

4 Q. UNOCAL doesn't have any evidence or
5 data available at this time which would
6 demonstrate that that will drain 640 acres?

7 A. No, sir. We only have one data point
8 currently as far as pressure data.

9 Q. What do you base your opinion on that
10 this well, this well will drain 640 acres in this
11 zone?

12 A. Based primarily on the initial test
13 upon perforating the well that we feel that at
14 rates of 2 million cubic feet per day that the
15 well could effectively drain 640-acre spacings.

16 Q. Is this likely to be the only well
17 that's going to be produced from this zone?

18 A. On this section definitely. The well
19 control that we have now does not indicate that
20 it extends beyond Section 5 other than up in the
21 Red Hills No. 1, which is extremely thin.

22 Q. You mentioned something about a working
23 interest assignment that was dependent on the
24 spacing or something. What's that all about?

25 A. The working interest will vary

1 depending upon if the well is assigned 320-acre
2 spacing or 640. BTA holds the acreage in the
3 north half of the section. And if it is assigned
4 640, they will become working interest owners in
5 the Red Hills Unit No. 3 well.

6 Q. Is it all Union acreage in the south
7 half of Section 5?

8 A. I believe it is.

9 Q. Okay. You requested for a setback 1650
10 feet from the outer boundaries, 330 feet from the
11 inner boundaries?

12 A. That's correct. I believe, and backing
13 up on the previous question, I do believe BTA
14 owns 80 acres in the south half of the section.
15 So they would have a significantly reduced
16 working interest in the well if it was only based
17 on 320 acres.

18 Q. Now, you stated that -- I believe you
19 stated that the Devonian and the Wolfcamp are on
20 640 acres in this area?

21 A. That's correct.

22 Q. Do the Devonian and Wolfcamp show
23 similar types of formation, or do they show any
24 similarities in this respect?

25 A. I believe our geologist will probably

1 be better equipped to answer that question.

2 Q. And Kaiser-Francis is the only other
3 operator in the pool?

4 A. That's correct.

5 Q. Are you requesting temporary rules so
6 that you can gather some data to come back in
7 and --

8 A. We would prefer permanent rules, but if
9 temporary rules were enforced, then we would
10 request that the time period be as long as
11 possible to allow the acquisition of data to more
12 adequately determine the drainage area.

13 Q. Mr. Morrow, in your opinion what is the
14 initial potential of this well? How does that
15 relate to spacing? I notice here on Exhibit No.
16 2 that the well Nos. 1, the Red Hills Unit No. 1
17 and the Federal No. 1 had considerably higher
18 absolute open-flow potentials in the Penn than
19 this well does. Yet that's still spaced on 320
20 acres.

21 A. The Red Hills Unit No. 3, the four-part
22 test was conducted after the liner was run. In
23 fact, after the formation -- severe formation
24 damage had occurred. The absolute open-flow was
25 300 Mcf below the original test data.

1 If we had conducted a four-point test
2 prior to the running the liner, the absolute
3 open-flow would have been much higher, I believe.

4 Q. But you believe that the initial
5 open-flow does indicate something about the
6 drainage characteristics?

7 A. The 1.6 that was measured on the
8 four-point test?

9 Q. Well, any.

10 A. I believe that the producing
11 capabilities of the well would have some
12 indication of the drainage area.

13 A. And we feel they're much higher than
14 what was evident on the four-point test.

15 Q. Will you have some more geologic
16 evidence to this assumption?

17 A. The geological evidence which will be
18 presented will show the limited extent of the
19 reservoir.

20 EXAMINER CATANACH: Okay. I have
21 nothing further.

22 MR. STOVALL: Not me.

23 EXAMINER CATANACH: The witness may be
24 excused.

25 MR. CARR: At this time we call Mr.

1 Altany, Robert Altany.

2 ROBERT ALTANY

3 Having been duly sworn upon his oath, was
4 examined and testified as follows:

5 EXAMINATION

6 BY MR. CARR:

7 Q. Would you state your name for the
8 record, please?

9 A. Robert McRae Altany.

10 Q. And where do you reside?

11 A. Midland, Texas.

12 Q. By whom are you employed and in what
13 capacity?

14 A. By UNOCAL as a senior development
15 geologist.

16 Q. Mr. Altany, have you previously
17 testified before this Division and had your
18 credentials as a geologist accepted and made a
19 matter of record?

20 A. Yes, I have.

21 Q. Are you familiar with the application
22 filed in this case and behalf of UNOCAL?

23 A. Yes, I am.

24 Q. And have you made a study of the area
25 which is the subject of this application?

1 A. Yes, I have.

2 MR. CARR: Are the witness'
3 qualifications acceptable.

4 EXAMINER CATANACH: They are.

5 Q. (BY MR. CARR) Would you refer to what
6 has been marked as UNOCAL Exhibit No. 3, identify
7 this, and review it for the Examiner?

8 A. This is a structure map on the top of
9 the Lower Atoka Lime, which is the primary
10 producing interval up to now in the Red Hills
11 Penn Pool. This is based on well data and some
12 seismic data.

13 Highlighted in orange are wells that
14 have a completion in the Pennsylvanian. The only
15 one currently producing from the Pennsylvanian,
16 and that's in the upper Atoka Sandstone, is the
17 Red Hills No. 3.

18 Q. Do you have traces on this which tend
19 to indicate reservoir limit?

20 A. Yes. As shown, the dashed lines are
21 inferred limits of the Red Hills No. 3 producing
22 Upper Atoka Sandstone.

23 Q. And this structure map is based on well
24 control and seismic data?

25 A. Yes, it was.

1 Q. Let's go to the cross-section, Exhibit
2 No. 4, and review that now.

3 A. This is a cross-section, structural
4 cross-section through the Atoka and Red Hills
5 field. And a trace of this cross-section is
6 shown on the structure map previously mentioned.
7 Extends from the well in Section 6 which was
8 drilled by Mesa here. It's currently operated by
9 Kaiser-Francis. In the middle is the Red Hills
10 No. 3. Also shown are the UNOCAL No. 1 and 2 Red
11 Hills.

12 Highlighted is the sandstone producing
13 in the Red Hills No. 3. This is the Upper Atoka
14 Sand. It is located above the Lower Atoka
15 Limestone, which is the primary producing
16 interval as shown of the other Penn producing
17 wells. This sandstone is well developed locally
18 around No. 3 Red Hills. It is not present in
19 Kaiser-Francis' well to the left, which is to the
20 west.

21 Going to the north and northeast, it
22 thins drastically into the No. 2 Red Hills and
23 No. 1. In the No. 2 Red Hills well, you can see
24 that it was perforated in that zone; however,
25 only about one foot of the sand will make the 5

1 percent porosity criterion we generally use for a
2 sand of this type as the lower limit of the
3 productive porosity. So this zone would be
4 marginally productive at best.

5 In that well you have the majority of
6 the production came from the Lower Atoka
7 Limestone. None of the zones above that that
8 were perforated show very much producing
9 capability on logs, and there is no test data to
10 independently evaluate these. In other words,
11 they do not appear to be commercial. The only
12 well which we have evidence of commercial
13 productivity of this sandstone is in the No. 3.

14 Also shown in here is the Lower Atoka
15 Limestone, which the previous structure map was
16 contoured on is shown here. And we're requesting
17 that the Red Hills Penn Pool be restricted with
18 its top at the lower -- the top of the Lower
19 Atoka Limestone and extending down to the base of
20 the Morrow, which is below the scale of the
21 cross-section.

22 And we're defining the Upper Atoka for
23 our application, the base of which will be at the
24 top of the Lower Atoka Limestone and at the top
25 of the Atoka Formation.

1 Q. Which of these wells has produced? Is
2 it the No. 1 or No. 2 that has actually produced
3 from this sandstone in the past?

4 A. It would be the No. 2.

5 Q. And that is also located within Section
6 5?

7 A. Yes, it is.

8 Q. So it would be within the proposed new
9 pool?

10 A. It would.

11 Q. Now, the breaking point between the old
12 pool and what you're proposing be the new Atoka
13 Pool is the Lower Atoka Lime?

14 A. Yes.

15 Q. Is this an easily defined marker?

16 A. Yes, it is. It's easily defined in
17 wells and on seismic data.

18 Q. And the zone that we're focusing on
19 here today in the Atoka Sand is not present at
20 all in the Kaiser-Francis well?

21 A. No, sir, it is not.

22 Q. Do you have an opinion as to the limits
23 of this Atoka Reservoir?

24 A. Appears to be around one section in
25 area.

1 Q. Now, you haven't closed off the
2 reservoir boundaries on your previous exhibit on
3 your structure map to the north and south, and
4 why is that?

5 A. There is insufficient information in
6 these directions.

7 Q. Were Exhibits 4 and 5 prepared by you?

8 A. Yes, they were.

9 MR. CARR: At this time, Mr. Catanach,
10 we would move the admission of UNOCAL Exhibits 4
11 and 5.

12 EXAMINER CATANACH: Exhibits 4 and 5
13 will be admitted as evidence.

14 MR. CARR: That concludes my direct
15 examination of Mr. Altany.

16 EXAMINATION

17 BY EXAMINER CATANACH:

18 Q. Mr. Altany, is the Well No. 2, that's
19 currently plugged back from the Penn?

20 A. Yes, it is.

21 Q. It's not producing from any interval?

22 A. Produced only very briefly from the
23 Penn.

24 Q. The perforations in the Atoka Sandstone
25 were not tested separately?

1 A. No, sir, they were not.

2 Q. It's basically your opinion that this
3 sandstone is essentially limited to Section 5?

4 A. Most likely it is.

5 Q. Do you have any information regarding
6 the permeability of this sandstone?

7 A. We do not have any direct permeability
8 information. But from log data and cuttings
9 examination, it is a fairly clean sand and should
10 have relatively good permeability. I should add
11 that analogous sandstones in the area in the
12 Upper Atoka show good permeability.

13 Q. Above this sand?

14 A. Correlative with this sand and above
15 it.

16 Q. There are some correlative sands in
17 this area that --

18 A. Yes, sir. Correlative but not
19 continuous with this one.

20 Q. But they show similar characteristics?

21 A. Many of them do.

22 Q. Are you aware of any other Atoka pools
23 that are spaced on 640 acres?

24 A. I am not aware of one. I believe that
25 the Pitchfork Ranch Atoka Field is on 640.

1 Q. Where is that relative to this field?

2 A. Approximately five miles to the
3 northeast.

4 Q. Would you say that the drainage
5 characteristics probably vary significantly from
6 the sandstone to the limestone that's being
7 produced in this area?

8 A. They most certainly do. The limestone
9 that produced in the area, a lot of the porosity
10 appears to be secondary and vugular, which is
11 often very discontinuous, non-interconnected and
12 not as producible and doesn't drain as well as a
13 continuous sandstone should.

14 Also the wells that produce from the
15 Lower Atoka Lime, most of the zones perforated
16 showed high water saturations which limited their
17 produceability. We do not have that case in the
18 sandstone. It has water saturations in the 30 to
19 40 percent range; whereas, many of the limestone
20 zones had 80 percent water saturation.

21 EXAMINER CATANACH: I believe that's
22 all I have of the witness.

23 MR. STOVALL: No.

24 EXAMINER CATANACH: The witness may be
25 excused.

1 Is there anything further in this
2 case?

3 MR. CARR: Nothing further, Mr.
4 Catanach.

5 EXAMINER CATANACH: There being nothing
6 further, Case 10494 will be taken under
7 advisement.

8 [And the proceedings were concluded.]
9
10
11
12
13
14

15 I do hereby certify that the foregoing is
16 a complete record of the proceedings in
17 the Examiner hearing of Case No. 10494
18 heard by me on June 25 19 98.
19 David R. Catanach, Examiner
20 Oil Conservation Division
21
22
23
24
25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Debbie Vestal, Certified Shorthand Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I caused my notes to be transcribed under my personal supervision; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL JUNE 29, 1992.



DEBBIE VESTAL, RPR
NEW MEXICO CSR NO. 3