

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING  
CALLED BY THE OIL CONSERVATION  
DIVISION FOR THE PURPOSE OF  
CONSIDERING:

*CASE NO. 10497  
ORDER NO. R-9737*

**APPLICATION OF MEWBOURNE OIL COMPANY FOR TWO  
SECONDARY RECOVERY PROJECTS, LEA COUNTY, NEW MEXICO.**

ORDER OF THE DIVISION

BY THE DIVISION:

This cause came on for hearing at 8:15 a.m. on July 9, 1992 at Santa Fe, New Mexico, before Examiner Michael E. Stogner.

NOW, on this 1<sup>st</sup> day of October, 1992, the Division Director, having considered the testimony, the record and the recommendations of the Examiner, and being fully advised in the premises,

FINDS THAT:

(1) Due public notice having been given as required by law, the Division has jurisdiction of this cause and the subject matter thereof.

(2) The applicant, Mewbourne Oil Company, seeks authorization to institute two secondary recovery pilot projects in the Querecho Plains-Upper Bone Spring Pool within Township 18 South, Range 32 East, NMPM, Lea County, New Mexico, on its Government "K" and Federal "E" Leases by the injection of water into the following three existing wells:

Well Name and Number	Footage Location	Unit	Section	Injection Perforations
Government "K" No. 2	1950' FSL - 1980' FWL	K	23	8343' - 8515'
Federal "E" No. 10	2310' FN & EL	G	27	8501' - 8530'
Federal "E" No. 11	660' FNL - 530' FEL	A	27	8360' - 8486'

(3) At the time of the hearing, Mewbourne requested that this application be limited to only the "K" No. 2 and the "E" No. 11 wells and that the portion of this application requesting injection into the Federal "E" Well No. 10 be dismissed.

(4) Mewbourne's objective with this application at this time is to test the injectivity of the Upper Bone Spring interval for a sufficient period of time to establish stabilized injection rates. This data will then be reviewed to determine the feasibility of commencing a waterflood project in this area to be unitized at a later time. Said injectivity testing was from a consensus born out of several operator meetings of owners of interests in the area that would be unitized.

(5) It is not Mewbourne's intention to proceed with its proposed test for any length of time that could indicate a response in any surrounding wells.

(6) The applicant has suggested a period of three months, more or less, to be adequate for such testing phase.

(7) The proposed injection test would secure information that, in the long run, could be utilized in establishing a waterflood project and unit agreement in the Upper Bone Spring formation underlying the immediate area.

(8) The operator should take all steps necessary to ensure that the injected water enters only the proposed injection interval and is not permitted to escape into other formations or onto the surface from injection, production or plugged and abandoned wells.

(9) The applicant's testimony indicates that its Federal "E" Well No. 1, located 660 feet from the North line and 1980 feet from the East line (Unit B) of said Section 27, a North Lusk Morrow gas well completed at a depth in excess of 12,500 feet, is within one-half mile of the proposed "E" No. 11 injection well and does not appear to have adequate cement across its production casing string at the Bone Spring interval. However, a maximum injection rate per well of 800 barrels of water per day, as proposed by the applicant, should not cause any migration of the injected fluids to reach the suspected unprotected wellbore.

(10) Injection should be accomplished through 2 7/8-inch tubing installed in a packer set approximately 100 feet above the uppermost perforated interval; the casing-tubing annulus for both wells should be filled with an inert fluid; and a pressure gauge or approved leak-detection device should be attached to the annulus in order to determine leaks in the casing, tubing or packer.

(11) Prior to commencing injection operations, the casing in each of the subject wells should be pressure-tested throughout the interval, from the surface down to the proposed packer-setting depth, to assure integrity of such casing.

(12) The injection wells or injection pressurization system for each well should be so equipped as to limit injection pressure at the wellhead to no more than 1650 psi.

(13) The Director of the Division should be authorized to administratively approve an increase in the injection pressure upon a proper showing by the operator that such high pressure will not result in migration of the injected waters from the Querecho Plains-Upper Bone Spring Pool.

(14) The operator should give advance notification to the supervisor of the Hobbs District Office of the Division of the date and time of the installation of injection equipment and of the mechanical integrity pressure-test in order that the same may be witnessed.

(15) The subject application should be approved pursuant to the applicable provisions of Rules 702 through 708 of the Division Rules and Regulations.

(16) The provisions of this order should be on a temporary basis only and water injection into both the subject wells should cease as of December 31, 1992. Provisions for a one-time extension to continue the injectivity test should be included in this order, however any such extension should be limited to a period not to exceed forty-five days.

(17) At the conclusion of the injectivity test and should the applicant wish to continue water injection on a permanent basis, this case should be incorporated into the record on any other matter requiring an examiner hearing for approval such as statutory unitization, enhanced oil recovery tax credit and a waterflood project within a voluntary unit area. At that time, the applicant must be prepared to address certain issues pertaining to, but not limited to, the following items:

- inadequate cement behind the Federal "E" Well No. 1;
- requirements for plastic-lined tubing in the injection wells;
- project oil allowable; and,
- project designation and area.

IT IS THEREFORE ORDERED THAT:

(1) The applicant, Mewbourne Oil Company, is hereby authorized to commence, on a temporary basis, a two well water injectivity test in the Querecho Plains-Upper Bone Spring Pool within Township 18 South, Range 32 East, NMPM, Lea County, New Mexico on its Government "K" and Federal "E" Leases.

(2) Said operator shall be permitted to convert its Government "K" Well No. 2 located 1950 feet from the South line and 1980 feet from the West line (Unit K) of Section 23 and its Federal "E" Well No. 11 located 660 feet from the North line and 530 feet from the East line (Unit A) of Section 27 from producing oil wells to water injection wells in the Upper Bone Spring interval only.

(3) The portion of this application seeking approval to inject water into the Federal "E" Well No. 10, located 2310 feet from the North and East lines (Unit G) of said Section 27, is hereby dismissed.

(4) Injection into the "K" No. 2 well shall be accomplished through 2 7/8-inch unlined tubing installed in a packer set at approximately 100 feet above the uppermost perforated interval, with injection into the perforated interval from approximately 8343 feet to 8515 feet.

(5) Injection into the "E" No. 11 well shall be accomplished through 2 7/8-inch unlined tubing installed in a packer set at approximately 100 feet above the uppermost perforated interval, with injection into the perforated interval from approximately 8360 feet to 8486 feet.

(6) The casing-tubing annulus shall be filled with an inert fluid; and a pressure gauge shall be attached to the annulus or the annulus shall be equipped with an approved leak-detection device in order to determine leakage in the casing, tubing or packer.

(7) Prior to commencing injection operations, the casing in the subject well shall be pressure-tested to assure the integrity of such casing in a manner that is satisfactory to the supervisor of the Division's Hobbs District Office.

(8) The injection well or system shall be equipped with a pressure-limiting switch or other acceptable device which will limit the wellhead pressure on the injection well to no more than 1650 psi.

(9) The Director of the Division may authorize an increase in injection pressure upon a proper showing by the operator of said well that such higher pressure will not result in migration of the injected fluid from the Querecho Plains-Upper Bone Spring Pool.

(10) The operator shall notify the supervisor of the Hobbs District Office of the Division in advance of the date and time of the installation of injection equipment and of the mechanical integrity pressure-test in order that the same may be witnessed.

(11) The operator shall immediately notify the supervisor of the Division's Hobbs District Office of the failure of the tubing, casing or packer, in said well or the leakage of water from or around said well and shall take such steps as may be timely and necessary to correct such failure or leakage.

(12) Both wells shall be governed by the applicable provisions of Rules 702 through 708 of the Division Rules and Regulations.

(13) Authorization to inject into both the aforementioned wells shall cease on December 31, 1992; however, a one-time request to continue the injectivity test shall be granted only after a written request to continue such test is submitted to, and approved by, the Division Director and the Supervisor of the Division's Hobbs District Office. Such written request shall explain in detail why such continuation is needed and what effects such continuation will have on the wells and surrounding area.


(14) Monthly progress reports shall be submitted to the Division in accordance with Rules 706 and 1115 of the Division Rules and Regulations.

(15) Jurisdiction of this cause is retained for the entry of such further orders as the Division may deem necessary.

DONE at Santa Fe, New Mexico, on the day and year hereinabove designated.



STATE OF NEW MEXICO  
OIL CONSERVATION DIVISION

  
WILLIAM J. LEMAY  
Director

1 NEW MEXICO OIL CONSERVATION DIVISION

2 STATE LAND OFFICE BUILDING

3 STATE OF NEW MEXICO

4 CASE NO. 10497

5  
6 IN THE MATTER OF:

7  
8 The Application of Mewbourne  
9 Oil Company for two secondary  
10 recovery pilot projects,  
11 Lea County, New Mexico.

12  
13  
14 BEFORE:

15  
16 MICHAEL E. STOGNER

17 Hearing Examiner

18 State Land Office Building

19 July 9, 1992

20  
21  
22 REPORTED BY:

23 DEBBIE VESTAL

24 Certified Shorthand Reporter

25 for the State of New Mexico

**ORIGINAL**

## A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel

State Land Office Building

Santa Fe, New Mexico 87504

FOR THE APPLICANT:

HINKLE, COX, EATON, COFFIELD & HENSLEY

Post Office Box 2068

Santa Fe, New Mexico 87504-2068

BY: JAMES BRUCE, ESQ.

FOR KAISER-FRANCIS OIL COMPANY:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.

Post Office Box 2208

Santa Fe, New Mexico 87504-2208

BY: WILLIAM F. CARR, ESQ.

## I N D E X

## Page Number

Appearances

2

## WITNESSES FOR THE APPLICANT:

1. KEVIN MAYES

Examination by Mr. Bruce

6

Examination by Examiner Stogner

17

Further Ex. by Mr. Bruce

23

Further Ex. by Examiner Stogner

27

Examination by Mr. Stovall

36

Certificate of Reporter

41



## E X H I B I T S

## Page Identified

1		
2		
3		
4	Exhibit No. 1	8
5	Exhibit No. 2	9
6	Exhibit No. 3	10
7	Exhibit No. 4	10
8	Exhibit No. 5	12
9	Exhibit No. 6	15
10	Exhibit No. 7	16
11	Exhibit No. 8	24

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 EXAMINER STOGNER: At this time I'll  
2 call the next case, No. 10497.

3 MR. STOVALL: Application of Mewbourne  
4 Oil Company for two secondary recovery pilot  
5 projects, Lea County, New Mexico.

6 EXAMINER STOGNER: Call for  
7 appearances.

8 MR. BRUCE: Mr. Examiner, my name is  
9 Jim Bruce, from the Hinkle law firm in Santa Fe,  
10 representing the applicant. I have one witness  
11 to be sworn.

12 EXAMINER STOGNER: Any other  
13 appearances?

14 MR. CARR: Mr. Stogner, my name is  
15 William F. Carr with the Santa Fe law firm,  
16 Campbell, Carr, Berge & Sheridan. I'd like to  
17 enter my appearance in the case on behalf of  
18 Kaiser-Francis Oil Company. And I have no  
19 witnesses.

20 EXAMINER STOGNER: Any other  
21 appearances?

22 MR. STOVALL: Off the record for just a  
23 second.

24 [A discussion was held off the record.]

25 EXAMINER STOGNER: Mr. Bruce, Mr. Carr,

1 is there anything to come forward at this time  
2 before we commence?

3 MR. BRUCE: Once again Mr. Carr will be  
4 silent.

5 Preliminarily, Mr. Examiner, the  
6 applicant had applied for three injection wells,  
7 the E No. 10, the E No. 11, and the K No. 2. We  
8 would dismiss the portion of the application  
9 dealing with the E No. 10 well. And this case  
10 will only pertain to the E No. 11 and the K No.  
11 2.

12 MR. STOVALL: Perhaps it would be nice  
13 if I swear your witnesses before we begin.

14 MR. BRUCE: Yeah, I suppose we should.

15 [The witnesses were duly sworn.]

16 **KEVIN MAYES**

17 Having been duly sworn upon his oath, was  
18 examined and testified as follows:

19 EXAMINATION

20 BY MR. BRUCE:

21 Q. Would you, please, state your name for  
22 the record?

23 A. Yes. My name is Kevin Mayes.

24 Q. And where do you reside?

25 A. Tyler, Texas.

1 Q. Who are you employed by and in what  
2 capacity?

3 A. I'm a project engineer for Mewbourne  
4 Oil Company.

5 Q. Have you previously testified before  
6 the Division?

7 A. No, sir, I have not.

8 Q. Would you, please, outline your  
9 educational and work background?

10 A. Yes. I received a bachelor of science  
11 degree in petroleum engineering from the  
12 University of Oklahoma in 1982. I've worked ten  
13 years in a full engineering capacity with  
14 waterflooding as my main discipline. I'm nearing  
15 the completion of a master of science degree in  
16 geology.

17 And I'm a Registered Professional  
18 Engineer in the states of California, Texas, and  
19 here in New Mexico.

20 Q. And does your area of responsibility  
21 include matters related to these applications?

22 A. Yes, it does.

23 Q. And you're familiar with these  
24 applications?

25 A. Yes, I am.

1           MR. BRUCE: Mr. Examiner, at this time  
2 I would tender Mr. Mayes as an expert engineer.

3           EXAMINER STOGNER: Mr. Mayes is so  
4 qualified. Do you have any objections, Mr.  
5 Carr?

6           MR. CARR: No, Mr. Stogner.

7           EXAMINER STOGNER: Thank you, Mr.  
8 Carr.

9           Mr. Bruce.

10          Q.       (BY MR. BRUCE) Briefly, Mr. Mayes what  
11 does Mewbourne seek in this case?

12          A.       Mewbourne seeks the authority to inject  
13 water into the first Bone Springs sand and the  
14 Federal E No. 11 well located in the northeast  
15 quarter of the northeast quarter of Section 23  
16 and into the Government K No. 2 well located in  
17 the northeast quarter of the southwest quarter of  
18 Section 23.

19                 Both wells are in the Township 18  
20 South, Range 32 East. And these wells are for  
21 testing the injectivity of the first Bone Springs  
22 at Querecho Plains Field.

23          Q.       And what are Mewbourne's intentions if  
24 these injection wells are successful? And I  
25 would refer you to Exhibit No. 1.

1           A.       Okay. Exhibit No. 1 is a land plat of  
2 the Querecho Plains area. The dashed lined  
3 represents a proposed unit outline, which  
4 Mewbourne is negotiating with the appropriate  
5 offset operators. The wells being applied for  
6 today are designated with triangles.

7                   If injectivity is of sufficient volume,  
8 then Mewbourne plans on pursuing this unit,  
9 installing a waterflood, and producing a  
10 predicted 1.4 million barrels of oil, incremental  
11 oil.

12                   I might add that testing the  
13 injectivity was a consensus of several operator  
14 meetings that we have already conducted.

15           Q.       Okay. Referring to Exhibit No. 2,  
16 would you describe what that shows for the  
17 Examiner?

18           A.       Exhibit No. 2 is an east-west  
19 cross-section, stratigraphic cross-section  
20 cutting through the center of the field. It's  
21 designated to show the continuity of the sands.  
22 And the Examiner would, please, note that we've  
23 -- Mewbourne has designated the top sand as the  
24 green sand and the bottom sand as the blue sand.

25           Q.       If these tests are successful, would

1 the waterflood program cover both sands?

2 A. Yes, sir, it would.

3 Q. Would you, please, now refer to  
4 Exhibits 3-A and 3-B and discuss that for the  
5 Examiner?

6 A. Okay. Exhibits 3-A and 3-B, Exhibit  
7 3-A is a net height above the water-oil contact  
8 isopach map on the green sand. And it's  
9 designated to demonstrate the areal limits of  
10 productive hydrocarbons. Exhibit 3-B then will  
11 be the same isopach on the blue sand.

12 Q. And the outline of the proposed unit  
13 was based upon the areal extent of these sands?

14 A. That's correct.

15 Q. Okay. Now, based on your Exhibits 2  
16 and 3, is the Bone Springs continuous across the  
17 proposed unit?

18 A. Yes, sir, I believe so.

19 Q. Now, getting into the injection  
20 applications, would you, please, refer to Exhibit  
21 No. 4 and describe its primary issues?

22 A. Yes. Exhibit No. 4 is the New Mexico  
23 State Form C-108 for the Federal E No. 11 with  
24 all of its appropriate attachments. Page 2 of  
25 this application is a -- it's revised from the

1 original application. It's a schematic of the  
2 Federal E No. 11 well. And it's revised only to  
3 show a calculated top of cement for each casing  
4 string.

5 Q. Revised from what was originally  
6 submitted to the OCD?

7 A. Correct.

8 Q. And would you, please, move on and  
9 discuss the other portions of the application?

10 A. Okay. Pages 3 and 4 of the application  
11 are land plats showing wells which penetrated the  
12 Bone Springs in the area of review both on a  
13 lease map and a proposed unit map. Page 5 of the  
14 application is a tabulation of data from wells in  
15 the area of review. This is again revised from  
16 the original application to show the calculated  
17 tops of cements.

18 Q. Are there any problem wells in the area  
19 of review?

20 A. There are a handful of wells where  
21 calculated top of cement on the production string  
22 does not return to the surface casing shoe.  
23 However, there's only one well where calculated  
24 cement does not cover the Bone Spring, and that  
25 is the Federal E No. 1 well.



1           We have checked and there was  
2   apparently no bond or temperature log run on this  
3   well. And we are currently monitoring the  
4   annulus pressure and have not seen any pressure  
5   at the annular surface to date.

6           Our suspicion is that either cement  
7   does not cover -- does cover the Bone Springs or  
8   drilling mud has set up sufficient to handle  
9   significant differential pressure. We would  
10   request that continued monitoring of this annulus  
11   be sufficient versus reentering this well.

12          Q.     In your opinion will formation or  
13   injection fluids be able to move up any of the  
14   well bores to any other zone or formation?

15          A.     No, sir, I don't believe so.

16          Q.     Okay. Now, moving onto the K No. 2  
17   well, could you refer to Exhibit 5 and again  
18   discuss the primary portions of this application?

19          A.     Exhibit 5 again is a State Form C-108  
20   for the Government K No. 2 well with its  
21   appropriate attachments. Page 2 is the schematic  
22   of the Government K-2 well. Again this has been  
23   revised from the original application to show  
24   calculated top of cement.

25                 Also, there's some perforations that

1 were overlooked in the original application.  
2 These perforations are located at 4859 feet.  
3 These perforations we plan on squeezing off with  
4 cement before converting this well to injection,  
5 and the injection interval will remain the same  
6 as the original application.

7 Pages 3 and 4 again are land plats  
8 showing wells which penetrated the Bone Springs  
9 and the area of review. Page 5 again is all the  
10 well information of those wells which penetrated  
11 the Bone Springs and again is revised from the  
12 original application to show calculated tops of  
13 cement.

14 Q. Again are there any problems with any  
15 of these wells?

16 A. With the exception of some cement not  
17 reaching the surface casing shoe, no, there is  
18 not.

19 Q. Okay. And would you, please, describe  
20 the proposed injection operations for both wells  
21 for the Examiner?

22 A. Mewbourne intends to inject  
23 approximately 500 barrels of water a day into  
24 each of these wells with an anticipated maximum  
25 rate being 800 barrels of water per day. The

1 injectors will be operated as a closed system.  
2 The initial injection pressure will not exceed .2  
3 PSI per foot of depth.

4 Mewbourne does request authority for  
5 administrative approval of a maximum injection  
6 pressure of 2,000 PSI. This pressure would add  
7 .04 PSI per foot of gradient, i.e., the .24  
8 gradient versus a .20 gradient and is more in  
9 line with ISIP pressures that we're seeing  
10 whenever all the wells in the field were  
11 hydraulically fracture treated.

12 Q. Okay. Is there a stimulation program  
13 for these wells?

14 A. Again all the wells in the field have  
15 been treated with a hydraulic stimulation,  
16 fracture stimulation. The wells being applied  
17 for today will be acid treated at conversion, and  
18 it is anticipated at least once more during the  
19 life of a proposed full flood.

20 Q. What is the source of the injection  
21 water?

22 A. The injection water will be Bone  
23 Springs, Delaware, and/or a Queen Formation  
24 produced water. If additional water volume is  
25 needed, it will be purchased from the City of

1 Carlsbad.

2 Q. And would you identify Exhibit 6 for  
3 the Examiner?

4 A. Yes. Exhibit 6 is an analysis of the  
5 proposed injection fluids which state that  
6 there's a minimal compatibility problem with  
7 these waters.

8 Q. Okay. For the full waterflood, if the  
9 unitization is approved, where do you anticipate  
10 that water or the bulk of that water would come  
11 from?

12 A. I would anticipate that most of the  
13 make-up water would be freshwater from the City  
14 of Carlsbad.

15 Q. Are there any freshwater wells within a  
16 mile of the proposed injection well?

17 A. No, sir, there are not.

18 Q. And at what depth are the freshwater  
19 zones found?

20 A. Well, freshwater zones in the area are  
21 at a depth of approximately 270 feet.

22 Q. And --

23 A. Okay. Go ahead.

24 Q. Are there any other faults or  
25 hydrologic connections between the freshwater

1 zones and the Bone Springs?

2 A. No, sir.

3 Q. Were offset operators notified of your  
4 applications?

5 A. Yes, sir, they were. Page 9 of  
6 Exhibits 4 and 5, the applications, page 9 is a  
7 Certificate of Service regarding notice to the  
8 offset operators. In addition the BLM has also  
9 been notified.

10 Q. And have you met with the BLM regarding  
11 the proposed unitization?

12 A. Yes, sir, we have.

13 Q. Is Exhibit 7 a supplemental affidavit  
14 containing the certified return receipts of the  
15 mailings to the offsets?

16 A. Yes, sir, it is.

17 Q. In your opinion will the granting of  
18 these applications be in the interests of  
19 conservation and the prevention of waste?

20 A. Yes. We believe the test injectors  
21 will pave the way for unitization, which will  
22 benefit the operators, the state, and the BLM by  
23 profitable producing incremental oil reserves.

24 Q. And were Exhibits 1 through 7 prepared  
25 by you or compiled from company records?

1           A.       Yes, they were.

2                   MR. BRUCE:   Mr. Examiner, at this time  
3 I move the admission of Exhibits 1 through 7.

4                   EXAMINER STOGNER:   Exhibits 1 through 7  
5 will be admitted into evidence. I'll note Mr.  
6 Carr is not present in the room, so I'll assume  
7 he has no questions of this witness.

8                               EXAMINATION

9       BY EXAMINER STOGNER:

10           Q.       In looking at Exhibit No. 1, or any of  
11 the maps for that matter, the two injection  
12 wells, let's take the Federal K No. 2, which  
13 wells are you assuming that these that -- this  
14 injection is going to assist or see some sort of  
15 increase in?

16           A.       The objective of these, converting  
17 these wells to injection is only to test  
18 injectivity. We're not planning on running the  
19 test of a sufficient length to see response from  
20 the offset wells.

21           Q.       You talked about 5- to 800 barrels of  
22 water a day, 500 being the average, 800 being the  
23 maximum. For what length of period in this  
24 injectivity test phase?

25           A.       Through meetings we've had with the

1 operators of the proposed unit, we want to run  
2 them along enough to determine stabilized  
3 injection rates. And we estimate that time to be  
4 on the order of two to three months.

5 Q. Will both these wells ever be in this  
6 first phase injecting simultaneously? Is that  
7 your plan?

8 A. That's the plan, yes, sir.

9 Q. Since you have some sort of outline for  
10 a unit, how long -- how far along are we on that?

11 A. We've had several meetings with the  
12 potential participants, and it was an agreement  
13 among those participants that we would run these  
14 injection tests for two to three months and meet  
15 again and pretty much at that time make  
16 application for the unit.

17 MR. BRUCE: I'd also add, Mr. Examiner,  
18 that the unit agreement and unit operating  
19 agreement have been circulated in draft form  
20 among the operators.

21 Q. (BY EXAMINER STOGNER) But neither  
22 government agency has been approached at this  
23 time?

24 A. The BLM has been approached and  
25 verbally approves of our operation here.

1 Q. Are there any state lands in here?

2 A. No, sir.

3 Q. So this would be 100 percent federal?

4 A. Yes, sir.

5 Q. No fee?

6 A. No. I might add that the unit outline  
7 was modified from an original design to  
8 accommodate the BLM.

9 Q. The one that's shown on Exhibit 1, and  
10 I think a better map is on Exhibit 2 myself.

11 A. The Exhibit 2 map, you'll see that the  
12 unit outline includes some more lands that the  
13 BLM felt was appropriate to take out. So the  
14 Exhibit No. 1 is the current proposed unit  
15 outline.

16 Q. If the injectivity tests come out  
17 correctly, and hopefully you'll go on and get  
18 your unit, I'm assuming also your unitization  
19 plans are contingent upon the injectivity; is  
20 that correct?

21 A. That's correct, as far as design,  
22 equipment, et cetera, et cetera.

23 Q. What would be your plans then to  
24 develop this into a full-blown waterflood?

25 A. We have got a computer simulation that



1 is run on the field, and their best prediction is  
2 to use a line-drive, injectors running east and  
3 west across the field.

4 Q. In all those wells within your proposed  
5 unit that are circled on Exhibit No. 1 as oil,  
6 those are Bone Springs producers?

7 A. That is correct.

8 Q. It looks like this pool has been  
9 developed on 40-acre spacing. Do you know if  
10 that is the official spacing out there?

11 A. I believe it is. I'm not the authority  
12 on that but --

13 Q. But in looking at the map, I think we  
14 can determine, especially up in the northeast  
15 part where the main producers are?

16 A. Yes, sir.

17 MR. BRUCE: Yes, Mr. Examiner, it is 40  
18 acres. I've had some previous exposure to the  
19 field.

20 EXAMINER STOGNER: Thank you, Mr.  
21 Bruce. I know a lot of these questions I'm  
22 asking are premature at the time; however, being  
23 a federal unit, are you expecting all -- maybe  
24 I'm not -- well, let me ask you, Mr. Bruce. What  
25 is your -- is this the only witness you have?

1 MR. BRUCE: Yes.

2 Q. (BY EXAMINER STOGNER) Okay. Let me  
3 ask you, do you know or are you aware if all the  
4 interests are going to sign, or do you see a  
5 potential where this will be a statutory unit  
6 application?

7 A. Are you asking me?

8 Q. Are you aware?

9 A. In the meetings that we've had with the  
10 potential participants, you know, where  
11 everything is in negotiations, but we don't see  
12 any problems at this point.

13 MR. BRUCE: Mr. Examiner, I've heard  
14 that there may be a few hold-outs on the working  
15 interests that may have to be forced in by  
16 statutory unitization.

17 EXAMINER STOGNER: Mr. Bruce, what I'm  
18 saying here is this is a little unusual inasmuch  
19 as most of our waterflood applications are for  
20 cooperative lease agreements or units that are  
21 already set up. In this particular case we've  
22 had an injectivity test phase. That kind of put  
23 Mitchell in some sort of a predicament in how we  
24 should handle it and how we should go on since  
25 all waterfloods should come to hearing.

1           Since we don't have a unit out there  
2     and they've all been federal, if it's all  
3     voluntary, you wouldn't have to come back in here  
4     for the unit agreement, like what the previous  
5     Mitchell case was. But if it's statutory,  
6     naturally you'd have to come back in here.

7           As I mentioned to Mewbourne in my  
8     conversations, and I can't remember who it was at  
9     the time when I made application -- or when they  
10    made application and I wrote up the ads to this  
11    particular application, that once a unit  
12    waterflood got substantiated out there, more than  
13    likely we would have to come in here and do this  
14    again.

15           In reviewing what your witness has  
16    submitted today, it appears that -- I'm trying to  
17    think of a way that we can shortchange or take a  
18    shortcut.

19           MR. BRUCE: We would like to do that if  
20    possible.

21           EXAMINER STOGNER: And one of the ways  
22    I see if it's all voluntary agreement, you've got  
23    enough information here that I see to, if it's  
24    approved, to go ahead and write or issue the  
25    standard waterflood application where expansions

1 can be done administratively.

2 Like in most cases, an application  
3 comes in for writing the ad, a lot of them you  
4 don't have enough information to see what's going  
5 on, and that's the reason we're here at this  
6 point.

7 With that perhaps you might ask some  
8 questions that could maybe formulate some certain  
9 findings of this witness for me to formulate some  
10 findings or come up with some ideas about how to  
11 proceed with the development of the waterflood  
12 with the least amount of -- how would you say,  
13 bureaucratic hassles with the OCD, and do it  
14 administratively.

15 Would you like to have a few minutes  
16 off the record, Mr. Bruce?

17 MR. BRUCE: Yes.

18 [A discussion was held off the record.]

19 EXAMINER STOGNER: Mr. Bruce?

20 MR. BRUCE: If I could ask a couple of  
21 follow-up questions, Mr. Examiner?

22 FURTHER EXAMINATION

23 BY MR. BRUCE:

24 Q. First, Mr. Mayes, referring to Exhibit  
25 1, does the dotted line accurately reflect the

1 proposed unit outline that has been approved or  
2 preliminarily approved by the Bureau of Land  
3 Management?

4 A. Yes, it does.

5 Q. And is all the land in the unit federal  
6 land?

7 A. Yes, it is.

8 Q. Federal minerals, that is?

9 A. Yes.

10 Q. As part of this order, would you  
11 request -- would Mewbourne request administrative  
12 approval for expansion of the -- expansion of the  
13 injection program?

14 A. Yes, we would.

15 Q. Let me hand you what's been marked  
16 Exhibit 8, and would you identify that for the  
17 Examiner?

18 A. Yes. Exhibit 8 is a grid diagram with  
19 well locations on it that is obtained from the  
20 computer simulation we're running on the field.

21 Q. What are the two wells that you are  
22 here asking for approval here today and what  
23 numbers are they?

24 A. That would be Well No. 5 and Well No.  
25 30.

1 Q. And this indicates the future expansion  
2 of the injection system for this unit?

3 A. Yes, sir. It's kind of hard to see on  
4 this exhibit, but the arrows would be designated  
5 the injectors in the full flood, and the circles  
6 would be the producers.

7 Q. And the waterflood, as I think we've  
8 already stated, for both the injection program  
9 would be into both Bone Springs sands?

10 A. Be both what Mewbourne has designated  
11 the green and the blue, yes.

12 Q. And would you ask for administrative  
13 approval, not only for expansion, but to convert  
14 certain of these wells to injection wells if  
15 necessary?

16 A. Yes, sir, we would.

17 Q. Does Mewbourne anticipate drilling any  
18 additional injection wells, or would they mainly  
19 just be conversion of existing wells?

20 A. Conversion of existing wells at this  
21 time.

22 Q. Okay. And I think the Examiner asked  
23 you this, what kind of timetable does Mewbourne  
24 have in mind for this program?

25 A. We plan on testing the injectivity of

1 the Bone Springs for approximately two to three  
2 months and then taking those results, putting it  
3 into the computer simulation, and if everything  
4 is still positive for the flood, we would  
5 implement it at that time. So a two- to  
6 three-month time period.

7 Q. So once you get approval it could be  
8 within four or five months that you would  
9 commence converting additional wells to injection  
10 providing necessary approvals were obtained?

11 A. Yes, sir.

12 Q. Just very briefly, I think you've  
13 already mentioned the recoverable secondary  
14 reserves. Could you just briefly mention the  
15 economics of this project?

16 A. Yes. It will take -- to implement the  
17 entire flood including pre-unitization costs to  
18 date and converting these two test injectors  
19 would cost \$2.8 million. The calculated present  
20 worth of the incremental reserves when discounted  
21 at 10 percent would be approximately \$6 million  
22 with an internal rate of return of 53 percent.

23 Q. One follow-up question. In checking  
24 with the land people, is it your understanding  
25 that at this time there is not 100 percent

1 approval of the proposed unit, is that correct,  
2 from the working interest owners?

3 A. That is correct. In our meetings we  
4 are negotiating a few topics.

5 MR. BRUCE: Mr. Examiner, I move the  
6 admission of Exhibit 8.

7 EXAMINER STOGNER: Are there any  
8 objections?

9 There being none, Exhibit 8 will be  
10 admitted into evidence.

11 MR. STOVALL: "Objections to what?" he  
12 says.

13 FURTHER EXAMINATION

14 BY EXAMINER STOGNER:

15 Q. Do you know what the average production  
16 in this area is in this Bone Springs pool?

17 A. Cumulative production?

18 Q. Yes. Average monthly -- I mean the  
19 average daily per barrel?

20 MR. STOVALL: Not cumulative.

21 Q. (BY EXAMINER STOGNER) I'm sorry. Just  
22 the average daily rate.

23 A. Currently?

24 Q. Yes.

25 A. Average daily rate currently is



1       probably on the order of 7 or 8 barrels a day.

2           Q.       So it is considered stripper, and it  
3       would be a waterflood under our classification?

4           A.       Yes, sir.

5           Q.       Has there been a name given to this  
6       proposed unit?

7           A.       Yes, the Querecho Plains Bone Springs  
8       Sand Unit.

9           Q.       And you covered the freshwater sands  
10      and zones, didn't you?

11          A.       Yes. Both the freshwater zone at a  
12      depth of approximately 270 feet is covered by two  
13      strings of casing with cement circulated behind  
14      both strings.

15          Q.       I want to refer to Exhibit No. 4, fifth  
16      page, talking about the Federal E No. 1. This is  
17      the "problem" well. What well -- where is the  
18      location of that well?

19          A.       Which map would you like to refer to?

20          Q.       3-B. I like the big maps.

21          A.       All right. It is in the northwest  
22      quarter of the northeast quarter of Section 27.

23          Q.       And this is a present gas producer?

24          A.       Yes, sir, it is from the Morrow zone.

25          Q.       Who's the operator?

1           A.       Mewbourne Oil Company.

2           Q.       And the Bone Springs is behind the  
3 five-and-a-half inch?

4           A.       Yes, sir, that's correct.

5           Q.       And the calculated top of cement is  
6 10,327 in the production zone; is that correct?

7           A.       That is correct. The Bone Springs is  
8 going to be at approximately 8500 feet.

9           Q.       Do you know what formation is  
10 correspondent to that 10,327 top of cement?

11          A.       The top of the Atoka is at --

12          Q.       Approximately.

13          A.       -- approximately 11,900 feet. And I  
14 would have to check logs for the second and third  
15 Bone Springs. I don't know what depths they  
16 might be at.

17          Q.       How about the Wolfcamp, is it present?

18          A.       Again I'd have to check some logs for  
19 the Wolfcamp.

20          Q.       Well, we're talking about 1,500 to  
21 2,000 feet of open area between the proposed  
22 injection zone and the top of the cement; is that  
23 correct?

24          A.       That sounds about right.

25          Q.       Okay. Would you anticipate a problem

1 if this well had to be repaired, shut down,  
2 killed --

3 A. Yes, sir.

4 Q. -- squeezed?

5 A. We see a lot of risk involved with  
6 doing that, a lot of risk to that Morrow gas  
7 production if we would have to reenter this  
8 well.

9 Q. Now, this well is within the area of  
10 review for which?

11 A. For the E No. 11 application.

12 Q. And how far away is this well?

13 A. It is the direct west offset  
14 approximately 1,323 feet away.

15 Q. Okay. Now, looking at Exhibit No. 8,  
16 I've got your No. 11 well --

17 A. Yes, sir.

18 Q. -- marked. Do you have another  
19 proposed injection well, should it become a  
20 full-blown waterflood, and that would be the  
21 E-13? I show -- it's marked as an injection well  
22 No. 2?

23 A. No. 2. Yes, sir, that's correct.

24 Q. Is that E-14 well, which is directly  
25 south of the E-1 well, is that presently

1 producing?

2 A. No, that's not an existing well.

3 That's a proposed location. I apologize.

4 Q. There again if this is a full-blown  
5 waterflood, that would be the Bone Springs  
6 producing well?

7 A. Yes. If it gets drilled, that would be  
8 the Bone Springs producing well.

9 Q. Is the E-1 completed in such a way that  
10 possibly that could be a dual completion?

11 A. I'm not the authority to answer that  
12 question.

13 Q. You'd have to kill it anyway if you  
14 were going to do that. And is that the problem  
15 on that Morrow producing well if you would kill  
16 it?

17 A. Right. Its current reservoir pressure  
18 is approximately 3,000 pounds. And the  
19 hydrostatic head of that potential kill fluid  
20 would be 6,000 pounds, a very large differential  
21 pressure into the zone. And putting fluid on  
22 that Morrow gas formation is something that could  
23 definitely be detrimental to that gas  
24 production.

25 Q. Can you think of any other way in which

1     this well could be monitored or repaired in such  
2     a way as to get cement or --

3           A.     My experience with a similar situation  
4     is we would, in order to get that mud column to  
5     move behind that annulus, we would most likely  
6     exceed frac gradient.

7           To get cement across that Bone Springs  
8     Formation, we would end up just pushing cement  
9     out into a fracture and not get any cement into  
10    the annular area anyway.

11           We would really like to just monitor  
12    the annulus pressure at the surface and if  
13    necessary run an occasional temperature log or  
14    noise log to try to detect any movement behind  
15    that five-and-a-half inch pipe versus reentering  
16    the well.

17           Q.     Now, if you ran a temperature survey,  
18    wouldn't you have to shut it down?

19           A.     No, sir. Well, we would shut it down,  
20    but we would not have to kill the well.

21           Q.     Okay. How long has that well produced  
22    from the Morrow Formation, offhand or  
23    approximately?

24           A.     Approximately since 1978. It's a very  
25    nice zone. I might also add, in calculating that

1 top of cement, it's a very conservative  
2 calculation in that we took 25 percent of the  
3 volume to compensate for any washouts that might  
4 be in the borehole.

5 And after reviewing the caliper log of  
6 that hole, it was fairly much to gauge. It  
7 doesn't have very many washouts in it. And the  
8 maximum wash out was nine-and-a-half inches.  
9 It's my belief that we're under-calculating that  
10 top of cement.

11 But even if we do include 100 percent  
12 of cement volume and assume the hole is gauged  
13 and take into account the casing collars, which  
14 are not taken into account with that calculated  
15 number in Exhibit No. 4, I don't believe we would  
16 get cement across the Bone Springs.

17 But without having a bond log to refer  
18 to, you know, that top of cement could be a lot  
19 higher and could be covering the Bone Springs.

20 Q. Could you submit that subsequent to  
21 today's hearing?

22 A. There is apparently no bond log or  
23 temperature log in existence. I don't believe  
24 that we ran one. After checking all of our  
25 files, I did not find one. And to run a bond log

1 in a gas filled wellbore could be difficult to  
2 interpret.

3 So like I say, I would recommend that  
4 we monitor it pretty much with the annular  
5 pressures at the surface and then if necessary  
6 with periodic noise logs or temperature logs to  
7 monitor for movement behind pipe.

8 Q. What kind of time frame are we looking  
9 at, injectivity, full-blown waterflood, and this  
10 well being one of the original two injectors in  
11 the waterflood area? When would the E-14 well be  
12 drilled?

13 A. We would have to evaluate flood  
14 response before we'd be willing to drill the  
15 E-14. Fill-up is anticipated to be on the order  
16 of eight months, and peak production is in three  
17 years. So I would think if we were going to  
18 drill the E-14 well, it would be sometime within  
19 a three-year time period.

20 Q. We will take that under consideration  
21 of this Morrow producer.

22 A. I appreciate it.

23 EXAMINER STOGNER: Mr. Bruce, can you  
24 think of anything further in this case?

25 MR. BRUCE: Not at this time, Mr.

1 Examiner.

2 EXAMINER STOGNER: Let me recheck the  
3 notifications. Who all was notified? And I  
4 believe that is Exhibit No. 7; is that correct,  
5 Mr. Bruce?

6 MR. BRUCE: Yes, Mr. Examiner. I think  
7 if you refer to Exhibits 4 and 5 and go to page 9  
8 of each exhibit, it gives the people who were  
9 notified. And then Exhibit 7 contains the  
10 certified return receipts.

11 EXAMINER STOGNER: Okay. I show -- I'm  
12 looking at page 9, Exhibit No. 4, offset  
13 operators. But it appears that Mewbourne is the  
14 offset operator.

15 MR. BRUCE: I think we notified  
16 everyone.

17 EXAMINER STOGNER: Are these interest  
18 owners or -- Certificate of Service, landowner?

19 THE WITNESS: There are some of these  
20 leases that are horizontally severed, and there  
21 are shallower wells operating in the area. And  
22 we notified the operators of the shallow wells as  
23 well as the deeper wells.

24 EXAMINER STOGNER: I see. I have  
25 nothing further of this witness.



1 Mr. Stovall?

2 EXAMINATION

3 BY MR. STOVALL:

4 Q. You have applied for or you have  
5 requested in this process for an  
6 administrative approval to expand and take it  
7 from a pilot, looking at injectivity tests really  
8 just to make sure the reservoir accepts water;  
9 right?

10 A. Yes, sir.

11 Q. The anticipation is you will develop a  
12 secondary recovery unit --

13 A. Yes, sir.

14 Q. -- or waterflood project? Is it safe  
15 to assume that Mewbourne would probably come in  
16 and want to get the tax credit when it became  
17 available for this type of flood?

18 A. Yes, sir.

19 MR. STOVALL: As you may or may not be  
20 aware, the Division has not yet written the rules  
21 to specify the procedure, but I think -- oh, gee,  
22 I'm sorry Mr. Carr is not here at the moment  
23 since he's the expert on that bill.

24 But my interpretation of the bill, and  
25 I'm telling you this more for information so

1     you're aware, is that the approval of the project  
2     by the Division is this type of C-108 approval.  
3     And they can approve administrative expansion in  
4     terms of adding additional wells or converting  
5     additional wells to the flood.

6             What will be necessary in order to get  
7     the tax credit certifications from the Division  
8     is you will have to come back in and identify the  
9     specific project area. I suggest that what you  
10    may want to do is wait until you figured out  
11    where you are in unitization and done your  
12    injectivity tests, because I think the real  
13    critical timing is that you get this approved  
14    after March 6, 1992, and it appears that we've  
15    accomplished that, assuming you're given  
16    approval.

17            But you then will have to come back in,  
18    and I would anticipate that what that would  
19    require is you'd have to say, "Okay, here's our  
20    unit area and here's what we anticipate doing."  
21    And it would be a fairly complete and  
22    comprehensive development of the unit area, which  
23    would then be a specifically defined area which  
24    would be certified to the Taxation & Revenue  
25    Department and then of course get your positive

1 production response after that time.

2 THE WITNESS: Okay. We appreciate that  
3 information.

4 MR. STOVALL: That is the process that  
5 you -- again it's still in the formulation stage,  
6 but I think that's essentially correct as to what  
7 you'll have to do in order to get the tax credit  
8 or reduced tax rate, I guess, it really is for  
9 this as an EOR project under the Division's  
10 rules.

11 THE WITNESS: Yes, sir.

12 MR. STOVALL: Or under the statute, I  
13 guess. And with that caveat and advice and since  
14 your landman is sitting back there and  
15 understands all this, he also can explain it in  
16 those terms, I assume, to management.

17 If there are any questions, please feel  
18 free to call the Division but I think that's what  
19 you'll have to do.

20 EXAMINER STOGNER: As far as the  
21 waterflood goes, if an order is issued from  
22 today's hearing, Mr. Bruce, I would also like to  
23 request at this time that once unitization gets  
24 authorized, assuming we don't see it back in here  
25 for statutory unitization, that we receive

1 supplemental information showing the unit  
2 agreement and the unit bounds.

3 MR. BRUCE; Okay.

4 MR. STOVALL: I think that will have to  
5 be done as part of the --

6 THE WITNESS: Administrative approval.

7 MR. STOVALL: -- approval -- Well, not  
8 the administrative approval because that really  
9 goes to approving the injection, but as far as  
10 getting the certification of the area, I think  
11 you can come back in and supplement the record in  
12 this case, or reopen the case, or a new case,  
13 however we do it. I think we can accomplish that  
14 at the same time.

15 MR. BRUCE: We'll get it one way for  
16 the other.

17 EXAMINER STOGNER: I think that we're  
18 going to save you from coming in and presenting  
19 the C-108 at this process.

20 MR. STOVALL: That's not a promise.  
21 That we may have to, because we're in the early  
22 stages of this EOR bill, we may have to come in  
23 and get some additional information, not the  
24 details of the well and area review and all that,  
25 but in terms of the details of the anticipated

1 benefits from the project and the time schedule  
2 and plan of development for the project.

3 THE WITNESS: We appreciate the  
4 intention.

5 MR. STOVALL: Welcome to a test case.

6 EXAMINER STOGNER: Thank you. If  
7 there's nothing further in this case, I will take  
8 Case No. 10497 under advisement at this time.

9 [And the proceedings were concluded.]

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 10497,  
heard by me on 9 July 1992.

 , Examiner  
Oil Conservation Division


## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO     )  
                                  ) ss.  
COUNTY OF SANTA FE     )

I, Debbie Vestal, Certified Shorthand Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I caused my notes to be transcribed under my personal supervision; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL JULY 13, 1992.

  
\_\_\_\_\_  
DEBBIE VESTAL, RPR  
NEW MEXICO CSR NO. 3