

## 1 NEW MEXICO OIL CONSERVATION DIVISION

2 STATE LAND OFFICE BUILDING

3 STATE OF NEW MEXICO

4 CASE NO. 10506

5  
6 IN THE MATTER OF:7  
8 The Application of American Hunter  
9 Exploration, Ltd., for an exception  
10 to the provision of the Division's  
11 No-Flare Rule 306; cancellation of  
12 overproduction or, in the alternative,  
13 special provisions governing  
14 overproduction; and the adoption of  
15 special operating procedures,  
16 Rio Arriba County, New Mexico.17  
18 BEFORE:

19 MICHAEL E. STOGNER

20 Hearing Examiner

21 State Land Office Building

22 July 9, 1992

23 REPORTED BY:

24 DEBBIE VESTAL  
25 Certified Shorthand Reporter  
for the State of New Mexico**ORIGINAL**

## A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

**ROBERT G. STOVALL, ESQ.**

General Counsel

State Land Office Building

Santa Fe, New Mexico 87504

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.

Post Office Box 2208

Santa Fe, New Mexico 87504-2208

BY: **WILLIAM F. CARR, ESQ.**

FOR BENSON-MONTIN-GREER DRILLING COMPANY:

KELLAHIN, KELLAHIN & AUBREY

Post Office Box 2265

Santa Fe, New Mexico 87504-2265

BY: **W. THOMAS KELLAHIN, ESQ.**

## I N D E X

## Page Number

Appearances

2

## WITNESSES FOR THE APPLICANT:

1. JAMES C. LISTER

Examination by Mr. Carr 13

Examination by Mr. Kellahin 23

2. JIM ARTINDALE

Examination by Mr. Carr 29

Voir Dire Ex. by Mr. Kellahin 32

(Cont.) Examination by Mr. Carr 33

Examination by Mr. Kellahin 64

Further Ex. by Mr. Carr 84

Examination by Mr. Stovall 87

Certificate of Reporter

120

## E X H I B I T S

## Page Identified

American Hunter:

Exhibit No. L-1	15
Exhibit No. L-2	16
Exhibit No. L-3	18
Exhibit No. L-4	20
Exhibit No. L-5	20
Exhibit No. L-6	21
Exhibit No. L-7	21
Exhibit No. L-8	22
Exhibit No. A-1	33
Exhibit No. A-2	35
Exhibit No. A-3	38
Exhibit No. A-4	39
Exhibit No. A-5	40
Exhibit No. A-6	41
Exhibit No. A-7	43
Exhibit No. A-8	44
Exhibit No. A-9	48
Exhibit No. A-10	51

Benson-Montin-Greer:

Exhibit No. 1	106
Exhibit No. 2	106
Exhibit No. 3	106
Exhibit No. 4	111

1           EXAMINER STOGNER: Hearing will come to  
2 order. Call the next case, No. 10506.

3           MR. STOVALL: Application of American  
4 Hunter Exploration, Limited, for an exception to  
5 the provisions of the Division's No-Flare Rule  
6 306; cancellation of overproduction or, in the  
7 alternative, special provisions governing  
8 overproduction; and the adoption of special  
9 operating procedures, Rio Arriba County, New  
10 Mexico.

11           EXAMINER STOGNER: Call for  
12 appearances.

13           MR. CARR: May it please the Examiner,  
14 my name is William F. Carr with the law firm,  
15 Campbell, Carr, Berge & Sheridan of Santa Fe. I  
16 represent American Hunter Exploration, Limited,  
17 and I have two witnesses.

18           EXAMINER STOGNER: Are there any other  
19 appearances?

20           MR. KELLAHIN: Mr. Examiner, I'm Tom  
21 Kellahin of the Santa Fe law firm of Kellahin,  
22 Kellahin & Aubrey, appearing on behalf of Benson,  
23 Montin & Greer Drilling Corporation.

24           EXAMINER STOGNER: Do you have any  
25 witnesses?

1 MR. KELLAHIN: No, sir.

2 EXAMINER STOGNER: Are there any other  
3 appearances in this matter?

4 Will the witnesses, please, stand and  
5 be sworn at this time.

6 [The witnesses were duly sworn.]

7 EXAMINER STOGNER: Mr. Carr, is there  
8 any need for prehearing statements or any  
9 statements before we get started?

10 MR. STOVALL: Would it be useful to  
11 summarize what you're trying to establish and  
12 request based upon our discussion this morning?  
13 I'd be glad to do it unless you want to --

14 MR. CARR: May it please the Examiner,  
15 this morning, prior to the hearing, we met with  
16 representatives of the Division and  
17 Benson-Montin-Greer and discussed generally the  
18 nature of the development in the northern portion  
19 of the west Puerto Chiquito Field.

20 As a result of that discussion, and I'm  
21 sure Mr. Kellahin will correct me if I misspeak,  
22 what we are intending to do here today is to  
23 present to you a general overview of our efforts,  
24 our, American Hunter's, efforts to develop.

25 We are then going to request an

1       exception to 308.

2               MR. STOVALL:   306.

3               MR. CARR:   306, the No-Flare Rule.  We  
4       will propose that the gas production currently  
5       coming from the 3-F well be reinjected in our 2-A  
6       well as quickly as possible.

7               We are then going to propose some  
8       production limits to you during the interim and  
9       also as to testing questions -- are deferring  
10      those, as I understand, to the operators and the  
11      Division in Aztec or to the Division, whether it  
12      be Aztec or here.

13              But we intend to make a presentation  
14      focusing on the exception to 306.  We also will  
15      discuss the overproduced status of the 3-F well  
16      and will propose to you some operating procedures  
17      that we believe will permit us to continue to  
18      produce the well and at the same time as quickly  
19      as possible come up with a plan to utilize the  
20      gas other than by flaring.

21              MR. STOVALL:  Just if I might jump in  
22      and clarify, with respect to venting, what you  
23      are seeking is approval to vent from within the  
24      order of up to a set volume per day?

25              MR. CARR:  Yes.

1           MR. STOVALL: And to adopt some testing  
2 procedures during this period while you're  
3 waiting to develop the injection facilities which  
4 would be approved by the Aztec office and that  
5 might set a venting limit, which could vary  
6 during different periods of time according to the  
7 testing procedures, at a level lower than the  
8 maximum allowed by this order.

9           Is that a reasonable statement as to  
10 what we discussed or what you anticipate?

11          MR. CARR: That is correct. And there  
12 would be a time frame set within which we are to  
13 acquire the necessary facilities for gas  
14 reinjection.

15          EXAMINER STOGNER: Mr. Kellahin, do you  
16 have anything to add?

17          MR. KELLAHIN: Mr. Stogner, on behalf  
18 of Benson, Montin & Greer, I'd like to state Mr.  
19 Greer's position. He is here pursuant to  
20 notification on the docket as to that portion of  
21 American Hunter's case that deals with an  
22 exception to the No-Flare Rule under 306.

23          We would like the Division and the  
24 Division Examiner to approve the test procedures  
25 that are the justification by which the applicant



1 seeks an exception to the No-Flare Rule. What we  
2 would like to do is to have that test established  
3 so that meaningful, reliable engineering data is  
4 realized from that test and the information then  
5 may be utilized by the parties to have a better  
6 understanding of the reservoir.

7 The exception to the flare exception  
8 may potentially impact the correlative rights of  
9 Mr. Greer in his corporation which operate and  
10 own the sections to the south of the F-3 well and  
11 the 2-A well.

12 Certain action has been undertaken by  
13 the Aztec office with regards to notifying the  
14 operator of a suggested test procedure. We  
15 believe that test procedure proposed by Mr. Bush  
16 in the Aztec office can be significantly improved  
17 with certain additional components.

18 In order to avoid a complicated  
19 engineering presentation today, we are seeking to  
20 have you under your direction require the Aztec  
21 office and the operator and Mr. Greer to meet to  
22 discuss and agree upon a test procedure and to  
23 make that recommendation back to you so that you  
24 can adopt it into the order that sets forth the  
25 parameters for the test and determines at what

1 level and for what period of time the exception  
2 will apply for the flaring of the gas.

3 And this will be our position, Mr.  
4 Examiner.

5 EXAMINER STOGNER: Thank you, Mr.  
6 Kellahin.

7 Mr. Stovall, do you have anything to  
8 add at this time?

9 MR. STOVALL: I think, just so there's  
10 an understanding and it is in perspective, one of  
11 the issues that has been discussed is how  
12 production will be treated in terms of being  
13 excess or overproduction.

14 Rule 306 provides that no gas will be  
15 vented from an oil well after 60 days from  
16 completion, the 60 days being a test period  
17 without the approval essentially of the district  
18 office or, if the operator is not satisfied with  
19 that approval, without approval from the Division  
20 based upon a hearing.

21 The Aztec District Office has  
22 established a venting limitation of 30 Mcf a day  
23 for wells in the San Juan Basin, oil wells in the  
24 San Juan Basin. This application seeks venting,  
25 as I understand, substantially in excess of

1     that.

2                 A question which I think we've agreed  
3     can be deferred at the moment is whether the  
4     allowable for the subject well will be set based  
5     upon a 30 Mcf a day gas limitation, and any  
6     production in excess of that limitation would be  
7     overproduction and have to be made up at some  
8     future time or whether in fact the allowable will  
9     be the volume of gas set by the order, and  
10    therefore no overproduction would occur, assuming  
11    they produced within the limitations of the  
12    order.

13                I think the parties agreed, and I agree  
14    at the moment and having conferred with Mr. Bush  
15    from the Aztec office, that at the moment that is  
16    not a critical issue for the Division to discuss,  
17    and I don't think we're going to get testimony  
18    that will help address that; that if you allow  
19    the applicant to produce to whatever limits are  
20    set as a result of this hearing, the question of  
21    overproduction and the make-up of overproduction  
22    can be dealt with at a later date subject to the  
23    understanding, I think, on the part of applicant  
24    and the Division that if we adhere to the 30 Mcf  
25    a day limit, a reasonable period of time for

1 making that overproduction up, which will be  
2 fairly substantial if they produce 5- or 600 Mcf  
3 a day, a reasonable period of time will be  
4 provided to allow them to make that up to be  
5 determined at some future point.

6 But I think that is an issue which will  
7 not have to be addressed today. The Division is  
8 not prepared to present anything in support of  
9 the 30 Mcf a day other than the fact that is a  
10 historical number that has been used. And I  
11 don't think the parties are particularly prepared  
12 to discuss whether that should be the allowable  
13 or the actual production should be the  
14 allowable.

15 All of the production that's being  
16 discussed is well within the -- I think it's 800  
17 barrels a day and 2,000-to-1 GOR limitation for  
18 the pool and for that area. So it's not a matter  
19 of absolute overproduction but only occurs  
20 because of the venting issue. I think that can  
21 be addressed at a later point when we have more  
22 information.

23 EXAMINER STOGNER: Thank you, Mr.

24 Stovall. Let that be the case.

25 Mr. Carr.

1 MR. CARR: At this time, Mr. Stogner,  
2 we call Mr. Lister.

3 JAMES C. LISTER

4 Having been duly sworn upon his oath, was  
5 examined and testified as follows:

6 EXAMINATION

7 BY MR. CARR:

8 Q. Will you state your full name for the  
9 record, please.

10 A. James C. Lister.

11 Q. Where do you reside?

12 A. Evergreen, Colorado.

13 Q. By whom are you employed and in what  
14 capacity?

15 A. I work for American Hunter Exploration  
16 as senior geologist.

17 Q. Have you previously testified before  
18 this Division and had your credentials as a  
19 geologist accepted and made a matter of record?

20 A. Yes, I have.

21 Q. Are you familiar with American Hunter's  
22 efforts to develop the Mancos Formation in the  
23 San Juan Basin in northwest New Mexico?

24 A. Yes, I am.

25 Q. Are you familiar with the Jicarilla 2-A

1 and 3-F wells?

2 A. Yes.

3 Q. Are you familiar with the application  
4 filed in this case by American Hunter?

5 A. Yes, I am.

6 MR. CARR: Are the witness'  
7 qualifications acceptable?

8 EXAMINER STOGNER: Are there any  
9 objections?

10 MR. KELLAHIN: No objections.

11 EXAMINER STOGNER: Mr. Lister is so  
12 qualified.

13 Q. (BY MR. CARR) Would you briefly state  
14 what American Hunter seeks with this application?

15 A. We come here today with three basic  
16 applications: The first being an exception to  
17 the No-Flare Rule 306 for the 3-F well; the  
18 second being a cancellation of overproduction for  
19 the 3-F; or if the Division decides otherwise, to  
20 adopt special provisions in calculation of that  
21 overproduction and make-up of overproduction.

22 And then finally American Hunter wishes  
23 to present proposals for the conservation of gas  
24 for this reservoir and will ask the Division to  
25 adopt special operating procedures that will

1 allow American Hunter to implement these gas  
2 conservation procedures.

3 Q. Would you refer to what has been marked  
4 as American Hunter Exhibit L, as in Lister, 1,  
5 identify that and review it for the Examiner,  
6 please?

7 A. Yes. Exhibit L-1 is a regional base  
8 map showing the area being discussed here today.  
9 On the lower left-hand side of the map is the  
10 overall location of the San Juan Basin. And on  
11 the right-hand side of the map, we have  
12 highlighted with an arrow the area of interest  
13 and the extreme eastern portion of the San Juan  
14 Basin in Rio Arriba County.

15 Q. I think at this point, as an  
16 introductory matter, it might be helpful if you  
17 would review for Mr. Stogner American Hunter's  
18 recent efforts to develop the Mancos formation in  
19 this area.

20 A. Okay. The history of American Hunter's  
21 involvement in this area began with the  
22 Commission last year in May when we originally  
23 appeared seeking approval for a four-well  
24 horizontal drilling program to test and evaluate  
25 the fractured Mancos reservoir in the area

1 located in between the Boulder pool and East  
2 Puerto Chiquito pool and the West Puerto Chiquito  
3 pool. We conducted the four-well drilling  
4 program last year and finished with the last  
5 well, the 3-F, early January of this year.

6 The results of the program have been  
7 basically that the two easternmost wells that  
8 were drilled, the 8-I and the 6-A, are probably  
9 dry holes. They're not producing currently.  
10 They're temporarily suspended. The 2-A and 3-F  
11 resulted in producing wells. And we have been  
12 producing the 2-A and 3-F for the last several  
13 months.

14 Q. Let's go to American Hunter Exhibit  
15 L-2, and would you identify this and then review  
16 for Mr. Stogner what this shows?

17 A. Exhibit L-2 is a structure base map of  
18 the top of the Niobrara A zone. And some of the  
19 features shown on this map are in pink; the East  
20 Puerto Chiquito-Mancos pool boundary in yellow;  
21 the West Puerto Chiquito-Mancos pool boundary;  
22 and to the north on the map, the Boulder-Mancos  
23 pool boundary.

24 Other things to note from this map are  
25 the structural position and distribution of the



1 production across the area. One thing I would  
2 like to point out is that the structural contour  
3 values on basically the eastern half of this map  
4 are shown in 500-foot contours. The western  
5 portion are 100-foot contours. So you can see  
6 that we're dealing with a monoclinial structural  
7 dip from the outcrop of the Mancos to the base of  
8 the monocline, and then flattening out from there  
9 westward.

10 The dips, as you can see, are about 500  
11 feet per half-mile in the eastern section and  
12 about 500 feet over a mile in the western  
13 portion.

14 Q. This exhibit indicates the original  
15 proposed location for the 3-F well; is that  
16 correct?

17 A. Yes. It actually depicts the original  
18 proposed location for the 6-A, the 2-A, and the  
19 3-F. This was an exhibit that was previously  
20 shown to the Division in October of 1991 when we  
21 sought approval of the order for the 4-A well at  
22 that time.

23 Q. And what we have here is your wells are  
24 in the northernmost portion of the West Puerto  
25 Chiquito pool. And then the development in the

1 northern portion of East Puerto Chiquito is shown  
2 in the southernmost tip of the Boulder field is  
3 also indicated?

4 A. Yes, that's correct. The 2-A and the  
5 3-F are in the West Puerto Chiquito-Mancos pool.  
6 The 6-A and the 8-I would be in the East Puerto  
7 Chiquito-Mancos pool.

8 Q. Have special pool rules been adopted  
9 for these pools?

10 A. Yes, that's correct.

11 Q. What is the allowable rate provided for  
12 in these rules?

13 A. Well, in the west Puerto Chiquito pool,  
14 the subject of this hearing, it's 800 barrels a  
15 day and a gas-oil ratio of 2,000 to 1.

16 Q. Let's go now to the Exhibit L, No. 3,  
17 and review, using this exhibit, for the Examiner  
18 the history of the 2-A well.

19 A. Okay. This exhibit, entitled "Well  
20 Summary, American Hunter Exploration, Jicarilla  
21 2-A," is a brief summary of all the important  
22 aspects involving surface location and drilling  
23 and completion history for the well. And it's  
24 fairly self-explanatory, but I'll just select  
25 portions of it to highlight in this

1 conversation.

2           The 2-A well was drilled from an actual  
3 surface location of 442 feet from the north line  
4 and 1177 feet from the east line of Section 2 in  
5 27 North, 1 West. We spudded that well on  
6 September 29, 1991. We set 10-3/4 inch surface  
7 casing by September 30. We drilled to a depth of  
8 3796, measured depth, and at that point we ran  
9 logs. And when we resumed operations, we used  
10 that as a kickoff point. And from there we  
11 drilled ahead with our hole to 4569, measured  
12 depth, and ran intermediate casing on October 14  
13 of 1991.

14           We TD'd the well October 28, 1991, at a  
15 measured depth of 6632, and we ran an uncemented  
16 pre-perforated liner to that depth on the same  
17 day. The completion rig we moved in on November  
18 7, and we put the well on pump by December 12.  
19 And since we had drilled these wells with native  
20 crude and lost some of the native crude during  
21 the drilling, when we regained or recovered the  
22 crude that we used to drill, that corresponds  
23 with the date of completion, or first new oil  
24 produced. And for this particular well it's  
25 February 2, 1992.

1           Q.       What is the present status of this  
2 well?

3           A.       Currently the well is producing on  
4 pump, and it is a part of a commerciality and  
5 reservoir interference test program that was  
6 authorized by the Aztec district.

7           Q.       Okay. Could you identify American  
8 Hunter Exhibit L-4, please.

9           A.       L-4 is a completion diagram for the  
10 same well, the Jicarilla 2-A. And again this is  
11 fairly self-explanatory. It shows the position  
12 of the casing and liner and pump and where the  
13 fractures were encountered and gross interval and  
14 shows all the engineering details for the  
15 completion of that well.

16          Q.       Let's go now to the 3-F well, and I'd  
17 direct your attention to American Hunter Exhibit  
18 L-5 and ask you to review that for Mr. Stogner.

19          A.       In a similar fashion to the well  
20 summary for the 2-A, this is one for the 3-F. It  
21 shows the surface location actually drilled as  
22 1845 from the north and 1900 feet from the west  
23 in Section 3.

24                   The well was spud on November 28,  
25 1991. We reached kickoff point on December 17.

1 And the kickoff point was at a depth of 5870,  
2 measured depth. We ran the intermediate casing  
3 on 12/24 of 91. And we TD'd the well January 2,  
4 1992 at 7862, measured depth, following a period  
5 of lost circulation and no sample returns.

6 We ran pre-perforated uncemented liner,  
7 similar to the 2-A, to the total depth of 7837.  
8 The completion rig moved on location January 18,  
9 1992. We began testing our well on January 24.  
10 And the first new oil produced out of this  
11 particular well is dated at February 24, 1992.

12 Q. Could you identify Exhibit L-6, please?

13 A. L-6 is the early well behavior  
14 completion history details. This actually  
15 describes in more detail the swabbing and well  
16 performance history for the 3-F. And since it's  
17 quite wordy, I think that I'll just not get into  
18 any details here, and we'll defer that to Mr.  
19 Artindale's testimony when he discusses the  
20 production history for this well.

21 Q. Could you identify Exhibit L-7, please?

22 A. L-7 is also a completion diagram for  
23 the 3-F well similar to the one previously shown  
24 for the 2-A. It, too, shows the details of the  
25 casing liner perforations and overall gross

1 producing interval for the same.

2 Q. What are American Hunter's plans for  
3 additional development in this area?

4 A. We conducted a seismic program this  
5 summer which we hope will lead to the drilling of  
6 four or perhaps five additional Mancos wells this  
7 summer.

8 Q. And where are they at least tentatively  
9 proposed in regard to the 3-F?

10 A. They would all be located west of the  
11 3-F down-dip and in a structural position in  
12 comparison to the Gavilan Field; whereas, the 3-F  
13 is in a structural position that would be  
14 comparable to West Puerto Chiquito.

15 Q. Mr. Lister, is Exhibit 8 an affidavit  
16 confirming that notice of this application and  
17 hearing had been provided to the parties  
18 identified in that affidavit?

19 A. Yes, it is.

20 Q. And do the parties named there  
21 constitute all the working and royalty interest  
22 owners in this area?

23 A. Yes, that's correct.

24 Q. Will American Hunter also call an  
25 engineering witness who will review the status

1 and production history on the well and make  
2 recommendations to the Division concerning future  
3 operations of the well?

4 A. Yes.

5 Q. Were Exhibits 1 through 8 compiled  
6 under your direction and supervision?

7 A. Yes, that's correct.

8 MR. CARR: At this time, Mr. Stogner,  
9 we move the admission of American Hunter Exhibits  
10 1 through 8.

11 EXAMINER STOGNER: Are there any  
12 objections?

13 MR. KELLAHIN: No objection.

14 EXAMINER STOGNER: Exhibits L-1 through  
15 L-8 will be admitted.

16 MR. CARR: That concludes my direct  
17 examination of Mr. Lister.

18 EXAMINER STOGNER: Thank you, Mr.  
19 Carr.

20 Mr. Kellahin, your witness.

21 EXAMINATION

22 BY MR. KELLAHIN:

23 Q. Mr. Lister, let me ask you about the  
24 2-A and 3-F wells.

25 A. Okay.

1 Q. On the 2-A well, when you initially  
2 completed that well, was it production-tested?

3 A. Well, yes. When we completed the 2-A  
4 well, we moved in the completion rig and began  
5 swabbing within two days after moving on the  
6 completion rig.

7 Q. What was your initial potential on the  
8 well?

9 A. The initial potential in the well has  
10 been submitted to the state as 45 barrels of oil  
11 a day and 140 Mcf of gas, 20 barrels of water.

12 Q. Okay. Is that well still producing?

13 A. Yes, it is.

14 Q. Do you know what its approximate  
15 current daily producing rates are?

16 A. Its current daily production rate, I  
17 don't have the exact number, but is in a similar  
18 range to this. It has shown a decline and is  
19 currently producing well under 100 barrels of oil  
20 a day.

21 Q. When we look at the 3-F, what was that  
22 well initially potentialized for?

23 A. It was initially IP'd for 323 barrels  
24 of oil, gas too small to measure, and no water.

25 Q. Were both of these wells completed in



1 the same relative interval in the Mancos?

2 A. Yes, in a gross sense. It depends on  
3 how narrowly you define it. They're both  
4 completed in the Niobrara member of the Mancos  
5 Formation.

6 Q. Have you further defined the Niobrara  
7 so that it can be subdivided into any further  
8 divisions?

9 A. Yes. We refer to it as the Niobrara A,  
10 B, and C in this area. The 2-A produces  
11 principally from the A zone and the 3-F  
12 principally from the B zone.

13 Q. Are you open in all three Niobrara  
14 zones in each of the two wells?

15 A. No, we're not in terms of the  
16 wellbore. However, one cannot rule out the fact  
17 that through some kind of fracture network we may  
18 be ultimately communicating with the other  
19 zones.

20 Q. Help me understand why you use the word  
21 "principally" in the A zone for the 2-A, and you  
22 said principally in the B zone of the Niobrara  
23 for the 3-F. What does "principally" mean?

24 A. For my last comment. So far as we  
25 know, the fractures and the oil, the fractures

1 are located within those zones and were producing  
2 from just those two zones. But --

3 Q. Was that part of the drilling plan to  
4 take one well and test the A zone and do the  
5 other in the B zone?

6 A. No. I think we testified before the  
7 Commission last year initially that we wanted to  
8 test the A and the B zone equally. But through  
9 drilling we learned that it was difficult to stay  
10 within one zone.

11 And actually, when we drilled these  
12 wells, we tried to land in either the A or the B  
13 main sand and stay in it, whichever the current  
14 wellbore radius, the position of the wellbore  
15 would allow.

16 Q. When you look at the relationship of  
17 the well structurally, how much vertical  
18 displacement is there between the two wells  
19 approximately?

20 A. There's approximately 2,000 feet of  
21 structural elevation difference between the 2-A  
22 well and the 3-F well.

23 Q. Okay. Which ones?

24 A. The 2-A is structurally higher. Its  
25 midpoint of perfs is about plus 2736 subsea. And

1 the 3-F is approximately plus 687 subsea.

2 Q. About 2,000 feet vertical difference?

3 A. Yes.

4 Q. Over what horizontal distance?

5 A. Over a distance, which you can see on  
6 L-2, a little more than a mile, a  
7 mile-and-a-quarter, mile-and-a-half.

8 Q. It appears from looking at the  
9 structure map that you were attempting to be  
10 perpendicular to the strike of the structure with  
11 the horizontal portion of the --

12 A. Yes.

13 Q. -- producing lateral?

14 A. That's correct. We testified last year  
15 that we thought, based on our independent work  
16 and on previous operators' testimonies and  
17 publications, that the fractures trend, the main  
18 fractures trend north-south, and therefore we  
19 were trying to drill at a perpendicular angle.

20 Q. Did you conduct any studies in drilling  
21 the 2-A well to help you orient yourself as to  
22 the direction of those fractures before you  
23 undertook the drilling of the lateral in the 2-A  
24 well?

25 A. Not in the sense of taking oriented

1       cores or anything like that. We were using as a  
2       tool principally the seismic that we had shot.

3           Q.       Does that answer apply to the F-3 well?

4           A.       Yes.

5           Q.       The 3-F well as well?

6           A.       Yes.

7           Q.       Can you explain geologically what  
8       characteristics might account for the differences  
9       in productivity between the two wells?

10          A.       No, I really can't because in the  
11       drilling history of the two wells, which are  
12       described on the well summaries for the two  
13       wells, we lost oil in both of those wells. We  
14       lost load oil that we were drilling with to the  
15       formation in both of those wells at comparable  
16       rates.

17                 So from all appearances it seems that  
18       we hit fracture systems in both of those, but the  
19       production history has been quite different.

20          Q.       You don't have a geologic explanation  
21       as to why there is a difference?

22          A.       I could probably come up with two or  
23       three different ideas, but I don't have any  
24       foundation for one in preference to the other.

25                 MR. KELLAHIN: Thank you, Mr. Lister.

1 EXAMINER STOGNER: Thank you. Any  
2 questions at this time, Mr. Stovall?

3 MR. STOVALL: I have discussed this  
4 with Mr. Lister before. I think I'll let you  
5 take over from here.

6 EXAMINER STOGNER: I want to reserve  
7 any questions at this point. I may have some for  
8 Mr. Lister at a later time.

9 Mr. Carr.

10 MR. CARR: At this time we would call  
11 Mr. Artindale.

12 JIM ARTINDALE

13 Having been duly sworn upon his oath, was  
14 examined and testified as follows:

15 EXAMINATION

16 BY MR. CARR:

17 Q. Would you state your full name and  
18 place of residence?

19 A. It's Jim Artindale. I reside in  
20 Calgary, Alberta, Canada.

21 Q. By whom are you employed and in what  
22 capacity?

23 A. I'm employed by Canadian Hunter in the  
24 capacity of Chief Exploitation Engineer for New  
25 Ventures Group.

1           Q.     Have you previously testified before  
2 the New Mexico Oil Conservation Division?

3           A.     I have not.

4           Q.     Could you briefly review your  
5 educational background and then summarize your  
6 work experience for Mr. Stogner?

7           A.     Okay. I graduated from the University  
8 of Calgary in 1979 with a degree in chemical  
9 engineering. I went to work for the Canadian  
10 subsidiary of Superior Oil. Two years later I  
11 was certified as a petroleum engineer by the  
12 province of Alberta.

13                   I later went to work for a small  
14 independent called Gas-Can Resources. For the  
15 last six years I have been employed by Canadian  
16 Hunter.

17           Q.     Have you testified as an expert witness  
18 in petroleum engineering matters before other  
19 state regulatory boards?

20           A.     Yes, I have before the Province of  
21 Alberta, the Province of British Columbia, the  
22 State of North Dakota, and the State of Montana.

23           Q.     What experience have you had with the  
24 technologies involved in horizontal drilling?

25           A.     The company has been involved in a

1 significant number of horizontal projects,  
2 approximately a dozen. I have been the lead  
3 engineer on the majority of those properties. In  
4 particular I have studied the application of  
5 horizontal wells in fractured reservoirs.

6 Q. And have you been called upon from time  
7 to time to teach courses on horizontal drilling?

8 A. Yes. I've taught numerous workshops  
9 and courses for the CIM, the SPE, the Canadian  
10 Geologic Society, as well as the Rocky Mountain  
11 Association of Geologists.

12 Q. Have these presentations focused on  
13 horizontal drilling?

14 A. They have.

15 Q. Are you a Registered Petroleum  
16 Engineer?

17 A. I am.

18 Q. Where are you registered?

19 A. In the Province of Alberta.

20 Q. Are you familiar with the application  
21 filed in this case on behalf of American Hunter?

22 A. I am.

23 Q. Are you familiar with the efforts made  
24 by American Hunter to develop the Mancos  
25 Formation in the San Juan or northwest New

1 Mexico?

2 A. Yes, I am.

3 Q. Are you familiar with in particular the  
4 2-A and 3-F, Jicarrila 2-A and 3-F wells?

5 A. I am.

6 MR. CARR: We would tender Mr.  
7 Artindale as an expert witness in petroleum  
8 engineering.

9 EXAMINER STOGNER: Are there any  
10 objections?

11 MR. KELLAHIN: Point of clarification,  
12 Mr. Examiner.

13 EXAMINER STOGNER: Okay, Mr. Kellahin.

14 VOIR DIRE EXAMINATION

15 BY MR. KELLAHIN:

16 Q. The reservoir aspects of your  
17 certification as a petroleum engineer, have you  
18 practiced reservoir engineering?

19 A. For almost my whole career, yes.

20 Q. You don't separate that out into having  
21 only practiced in the area of developing drilling  
22 programs for horizontal wells?

23 A. No. That's just a specialty that I  
24 have developed over the last years. But  
25 fundamentally I'm a reservoir engineer.



1 Q. That's what I wanted to make sure of.  
2 In practicing your profession you have done work  
3 with the components, the studies with regards to  
4 well performances in studying the reservoir?

5 A. Yes, I have.

6 MR. KELLAHIN: Thank you, Mr.  
7 Examiner. I have no objection.

8 EXAMINER STOGNER: Okay. Mr. Artindale  
9 is so qualified.

10 EXAMINATION (CONTINUED)

11 BY MR. CARR:

12 Q. Mr. Artindale, have you prepared  
13 certain exhibits for presentation here today?

14 A. Yes, I have.

15 Q. Would you refer to what has been marked  
16 American Hunter A-1, A as in Artindale.

17 MR. STOVALL: Very clever numbering  
18 scheme.

19 MR. CARR: This is what happens when  
20 your attorney numbers two sets 1 through 8. You  
21 have to do this the night before.

22 Q. (BY MR. CARR) Would you identify this  
23 exhibit for Mr. Stogner and review the  
24 information on it for him, please?

25 A. Yes. This is a map of the area

1 surrounding our acreage block. Our acreage block  
2 is outlined in dark black. Within that acreage  
3 block you'll see the four horizontal wells  
4 located. They're referred to as Jicarilla 8-I,  
5 Jicarilla 6-A-1, Jicarilla 2-A-1, and the  
6 Jicarilla 3-F-1.

7 Also in this map we've plotted all the  
8 Mancos oil producers. And the numbers beside  
9 each one of those producers represents the  
10 cumulative oil production to date. I really  
11 intended to use it as a reference map.

12 Q. Whereabouts is the boundary between the  
13 Jicarilla Reservation -- or the Jicarilla  
14 boundary on this exhibit?

15 A. The boundary identifying the Jicarilla  
16 Reservation really is the boundary between  
17 Township 26 North and Township 27 North.

18 Q. North of that is the Jicarilla  
19 Reservation?

20 A. Primarily, yes.

21 Q. The production for the wells that are  
22 centered in 28 North, 1 West, that's the Boulder  
23 Field?

24 A. That's correct. The East Puerto  
25 Chiquito Field, those wells centered in 27 North,

1 Range 1 East kind of, primarily. And the West  
2 Puerto Chiquito wells primarily are located in  
3 Townships 25 and 26 North, Range 1 West.

4 The Gavilan Field is located in 25  
5 North, 2 West. And then the Lindrith Field is in  
6 26 North, Range 2 West. That gives you a  
7 bearing.

8 Q. Okay. Let's move to American Hunter  
9 Exhibit A-2 and review that now.

10 A. This really is a very simplistic  
11 schematic of our reservoir model. In fact, this  
12 schematic was previously presented by  
13 Benson-Montin-Greer in previous testimonies. And  
14 what it illustrates is that where we've drilled  
15 our wells, the four horizontal wells, we're  
16 dealing with a monocline situation, knowing that  
17 to the west of that, the monocline disappears and  
18 you're in a very flat part of the reservoir. But  
19 within the area we've drilled our wells, we're in  
20 a steeply-dipping monocline.

21 The reservoir itself actually outcrops,  
22 which is kind of identified there on the  
23 right-hand side of the picture, and then goes  
24 from outcrop position down to about 7,000 feet  
25 within a 6- to 10-mile distance.

1           On here we've marked what's called the  
2 "Barren Zone." It's in this striped hatched  
3 marks. Basically within the barren zone there is  
4 no productive oil, no movable oil. Below the  
5 barren zone in the Mancos Formation, you have  
6 essentially an oil column whose primary drive  
7 mechanism is gravity drainage.

8           I've highlighted on this display the  
9 kind of relative locations of our four horizontal  
10 wells as well as the Boulder location. This  
11 clarifies the point that our 3-F location is  
12 situated at plus 687 relative to sea level;  
13 whereas, our 2-A location is plus 2736 relative  
14 to sea level, so a 2000-foot vertical  
15 displacement. The Boulder field is at about plus  
16 3300 feet relative to subsea. That's kind of a  
17 datum depth that's been used for the Boulder.

18           The pressures that have been marked on  
19 this plot indicate what would have been the  
20 original pressures in the reservoir prior to any  
21 production. These pressures were approximated  
22 based on the gradient that was established in the  
23 area, although the Boulder pressure itself was in  
24 fact recorded.

25           So the Boulder had an original of about

1 924 pounds. We estimated that the Jicarilla 2-A  
2 well would have had a virgin pressure of 1110  
3 pounds and that the Jicarilla 3-F well would have  
4 had a virgin pressure of 1786 pounds.

5 Q. When you compare this information to  
6 the actual pressures encountered when these wells  
7 were drained, what does it tell you?

8 A. Well, it tells us that there has been  
9 production in the area. In fact, between the  
10 Boulder field and East Puerto Chiquito, there has  
11 been several millions barrels of oil taken out of  
12 direct area. The Boulder pressure has in fact  
13 dropped down from 924 pounds down to somewhere  
14 between 200 and 450 pounds, depending on which  
15 location you use.

16 The Jicarilla 2-A well -- we just  
17 recorded a pressure through our testing program  
18 that we've had approved with the state -- that  
19 pressure is now around just under 500 pounds  
20 instead of the 1110 pounds. And the Jicarilla  
21 3-F pressure, the original pressure that we  
22 recorded after drilling the well was just under  
23 1400 pounds.

24 So it shows two things: It shows that  
25 there has been depletion in the area, but it also

1 shows that the Jicarilla 3-F is in fact in  
2 pressure communication with the Jicarilla 2-A,  
3 which is subsequently in pressure communication  
4 with the Boulder field.

5 Q. Let's move now to Exhibit 3-A. Please  
6 identify this and review it for the Examiner.

7 A. This exhibit represents kind of a  
8 redrafted version of exhibits that have been  
9 presented to this Commission previously by  
10 Benson-Montin-Greer. And really it portrays the  
11 pressure history in Puerto Chiquito West and in  
12 the Gavilan area versus time.

13 The reason that we've presented this  
14 graph is really to kind of make the point that we  
15 have gone through the testimonies of the previous  
16 hearings. We certainly appreciate the difference  
17 between the two systems, the Puerto Chiquito West  
18 system and the Gavilan system.

19 The Puerto Chiquito West pool was a  
20 gravity drainage pool that had a gas reinjection  
21 implemented in the late 60s, early 70s primarily;  
22 whereas, the Gavilan area represents a solution  
23 gas drive system where no enhanced recovery  
24 mechanism was employed.

25 Our wells, the 2-A and 3-F, are

1 significantly within a gravity drainage system  
2 and would be more comparable to the performance  
3 of Puerto Chiquito West and the Boulder fields.

4 Q. All right. Let's move now to Exhibit  
5 A-4.

6 A. Exhibit A-4 again is an illustrated  
7 figure depicting what we think would be an  
8 effective development strategy within the area  
9 that we're developing. We believe that if our  
10 reservoir model is correct, that we have a  
11 communicating gravity drainage system; that the  
12 optimum way of developing it would be to focus on  
13 wells which are further down-dip on the monocline  
14 near the base of the monocline. You may require  
15 additional wells up-dip as needed, but that you  
16 would want to consider reinjecting gas in an  
17 up-dip location as soon as possible.

18 The secondary development area would be  
19 the area of lower dip where the primary drive  
20 mechanism would be solution gas. And in that  
21 situation you may very well have to go to a more  
22 conventional type spacing pattern, and you may  
23 have to evaluate enhanced recovery methods other  
24 than gas reinjection.

25 Q. At this time I'd like to direct your

1 attention to the 2-A well, if you would refer to  
2 Exhibit A-5 and first review the production  
3 history for the wells.

4 A. This is a plot of the production  
5 history for the 2-A between November of 1991 and  
6 February of 1992 where most of the prior action  
7 occurred. I don't want to repeat too much of  
8 what Mr. Lister testified on, but during the  
9 month of November, we were basically swabbing the  
10 well. The well had not been officially  
11 completed. It was swabbing. We had rates in  
12 excess of 200 barrels a day but under a swabbing  
13 condition.

14 At that time there was no water  
15 production coming from the 2-A. In December we  
16 completed the well, installed a pumping unit, put  
17 the well in production. And the initial  
18 production rate was around 150 barrels of oil per  
19 day. However, the well quickly declined.

20 And within a period of about 30 to 40  
21 days, production was less than 20 barrels of oil  
22 per day. And during that period of time, the  
23 well began to cut water, and the water-oil ratio  
24 consistently increased during that period of  
25 time.



1           We then shut the well in for a few  
2 days, which occurred, I guess, mid-January. When  
3 we brought the well back on-stream, the well this  
4 time peaked at about 100 barrels a day initially,  
5 but then quickly declined within a two-week  
6 period and again dropped to 20 barrels per day  
7 midway through February.

8           At that time the road conditions, the  
9 lease conditions were such that we were really  
10 forced to suspend operations on the well and did  
11 so.

12         Q.       What's the current status of this well?

13         A.       Okay. If you want to turn to the next  
14 exhibit, Exhibit A-6, it really provides the  
15 production information for the periods April,  
16 May, June, and July.

17           For the most part this well has been  
18 shut-in for the last several months. There was  
19 just a small period of production in May where  
20 again you see we got up now, the peak rate was  
21 about 80 barrels a day. And it was starting to  
22 decline, and we shut it in as well.

23           The water was present. We didn't  
24 produce the well until really the end of June, at  
25 which point we started our production and

1 interference test that we had worked out with the  
2 Division.

3 We had, as Mr. Lister had pointed out,  
4 we had encountered what we considered to be  
5 significant fracturing in the 2-A when we drilled  
6 the well. Well, we went in and did a very  
7 simplistic injectivity test and determined that  
8 in fact the fracture system was still present in  
9 the 2-A that we encountered while drilling, but  
10 that in fact it appears to be very limited.

11 So we find no evidence of damage to the  
12 reservoir, just in the fact that we have a  
13 limited high perm fracture system that then  
14 degrades into a poorer fracture system.

15 So after we did that, we took prior to  
16 bringing the well on stream, we ran a bomb. We  
17 pulled the pump and rods and ran a bomb, measured  
18 the reservoir pressure. As I said, the reservoir  
19 pressure was just under 500 pounds at the datum  
20 depth. We then brought the well on stream.

21 As you can see, it peaked at around 150  
22 barrels of oil per day and has dramatically  
23 declined within a seven-day period. It's now  
24 producing, I believe, less than 50 barrels of oil  
25 per day. The water has steadily increased, and

1 we now have a water-oil ratio of around 1.

2 Q. Let's go now to Jicarilla 3-F. Could  
3 you identify Exhibit A-7.

4 A. Yes. Exhibit A-7 just represents a  
5 photograph of the pumping unit that was installed  
6 on the 3-F. Really this picture is just intended  
7 to illustrate the point that we drilled these  
8 wells under an agreement with the Jicarilla  
9 tribe. Unfortunately it resulted in us drilling  
10 the wells during the winter season.

11 Operators familiar with the area will  
12 tell you that that is not a good time to drill  
13 wells on the reservation. And the result was  
14 that we had extreme lease conditions that  
15 prevented us from really doing some operations in  
16 the manner that we would normally be comfortable  
17 with.

18 Q. Basically because of the ordinary  
19 drilling costs and the additional problems  
20 encountered having to drill in the winter, how  
21 much did this well actually cost to drill?

22 A. This well ended up costing us \$1.3  
23 million besides that it ended up costing us tens  
24 of thousands of dollars to operate on a monthly  
25 basis in order just to have Cats available and to

1 make sure that we could transport the oil. We  
2 ended up setting up a transfer system that  
3 basically moved the oil about two miles down the  
4 road so that we could actually have access to  
5 it.

6 We are unable to reclaim the lease  
7 during the winter because it was just  
8 impossible. And also we were unable at that time  
9 to upgrade the roads. Currently we are  
10 proceeding with plans to reclaim this lease and  
11 high grade the roads.

12 Q. And your agreement with the Jicarillas  
13 would not permit you to defer the drilling of  
14 this well until better weather conditions?

15 A. No, it would not.

16 Q. Let's go to Exhibit A-8, and I've asked  
17 you to review the production history on the 3-F  
18 well.

19 A. Well, in February of 1982 -- 1992,  
20 excuse me, we had finished drilling the well and  
21 was swabbing the well. As Mr. Lister had pointed  
22 out, there was considerable sludge within the  
23 wellbore. And, in fact, we swabbed it down to  
24 the bottom without getting any apparent flow.

25 However, after cleaning up the sludge,

1 and there was approximately 30 barrels of sludge  
2 that we recovered, the well then started  
3 flowing. And we ended up swabbing at about 350  
4 barrels of oil per day.

5 Based on the swabbing rates, we then  
6 installed a pumping unit, the one that I showed  
7 in the previous exhibit, that had a capacity of  
8 about 350 to 380 barrels of oil per day. The  
9 well was placed on production with the pumping  
10 unit in February. And, in fact, pumped  
11 consistently at the capability of the well for  
12 the months of March, April, and most of May.

13 The oil rate, as I said, was about 380  
14 barrels of oil per day. The gas was very  
15 constant at a rate of about 170 Mcf a day, which  
16 equated to a GOR of approximately 500.

17 During this period of time, we took  
18 several echo meters or sonics that gave us an  
19 estimation of the bottom-hole flowing pressure,  
20 which indicated that the well was in fact flowing  
21 at this 380-barrel-a-day rate with very limited  
22 or very small drawdown. So it indicated to us  
23 that we had an extremely prolific well.

24 In May of this year, just following the  
25 spring, we were, as I said, planning to reclaim

1 the lease, put in the proper production  
2 facilities. We were planning to install new  
3 tanks when in fact the well took a dramatic  
4 surge, where it went from pumping 380 barrels of  
5 oil per day to flowing almost 1,000 barrels of  
6 oil per day. You can see that in the graph.

7 That kind of caught us a little off  
8 guard. We thought that it might be in fact a  
9 short-lived event. We actually hired people to  
10 watch the well 24 hours a day, actually, on the  
11 lease. We've monitored the well carefully.

12 And since that time the production rate  
13 has gone about from about 1,000 barrels of oil  
14 per day and has steadily decreased to around 680  
15 barrels of oil per day. The gas has fluctuated  
16 between 4- to 600 Mcf a day with the GOR being  
17 somewhere around 6- to 800 or 8- to 900.

18 The difficulty with the GOR is that in  
19 this surge mode the well is not producing  
20 consistently. What it does is it slugs and then  
21 stops, slugs and then stops. And in fact on  
22 lease you can hear the gas. It will vent a  
23 tremendous amount of gas and then stop and then  
24 vent and then stop.

25 And what that does to the chart is it

1 makes it extremely difficult to get an accurate  
2 measurement of the gas rate. So our operator has  
3 done the best job he can in terms of estimating  
4 the gas rate from the charts, and that's what  
5 we've been reporting to the state.

6 We are in the process of actually  
7 having the chart sent to Denver to be -- or at  
8 lease some of the charts sent to Denver to have  
9 integrated and read accurately.

10 Q. Now, Mr. Artindale, the well has  
11 recently been shut-in; is that correct?

12 A. Yes.

13 Q. Explain that, please.

14 A. On July 2 the BLM went out and  
15 determined that the production tanks that we were  
16 using were not adequate, could not be properly  
17 gauged. And so for the reasons of safety, they  
18 asked us to shut in the operation and to change  
19 out the tanks.

20 We had in fact planned to put in four  
21 new production tanks. This just kind of  
22 expedited it for us. And in fact we did that  
23 over the weekend, and I believe the tanks for the  
24 most part are installed. And in the next day or  
25 two, the well will be available for production

1       again.

2           Q.       Are you ready to go to Exhibit A-9?

3           A.       Yes.

4           Q.       Let's review now the pressure  
5 information on this exhibit for Mr. Stogner.

6           A.       Okay. This is a summary of the fluid  
7 levels that we took while the well was pumping at  
8 380 barrels a day. As I mentioned, it was  
9 producing at a very constant rate, a very  
10 constant GOR. The GOR was very close to the  
11 solution gas-oil ratio that the reservoir should  
12 have. So we took these fluid levels to determine  
13 the bottom-hole flowing pressure.

14                   So the first column represents the  
15 fluid level. The second column represents the  
16 calculated or estimated bottom-hole flowing  
17 pressure. And the third column represents the  
18 production, cumulative production from the well  
19 at that point in time.

20                   The bottom line that's titled "Initial  
21 Reservoir Pressure" provides the pressure that we  
22 determined before we began producing the well.  
23 And that was 1,374 pounds.

24                   What you can determine from this chart  
25 is that in fact the Jicarilla 3-F well is



1 extremely prolific, has really shown no signs of  
2 adversely affecting the reservoir. It's really  
3 providing a very marginal draw-down into the  
4 reservoir.

5 This in fact occurred -- these tests  
6 were run prior to the big surge. The surge at  
7 this point in time seems reasonable because in  
8 fact the well was producing close to 400 barrels  
9 a day with very little drawdown.

10 When we were forced to shut in the well  
11 this past weekend to change out the tanks, after  
12 a few days we took a fluid level in a shut-in  
13 position and determined that the reservoir  
14 pressure at the 3-F location to date was still  
15 approximately 1,374 pounds.

16 Q. How do these pressures compare with  
17 recent pressures obtained in the  
18 Benson-Montin-Greer wells in the area?

19 A. Well, very comparable. And again they  
20 give us confidence that we are in a good system.  
21 Al recently measured the shut-in pressure on his  
22 O-16 well and determined that the minimum  
23 pressure was around 1300 -- or I'm sorry. The  
24 minimum pressure he had there was approximately  
25 1200 pounds at a datum depth of 900. That would

1 equate to approximately 1300 pounds at our datum  
2 depth. So the pressures are very close.

3 Q. What are American Hunter's immediate  
4 plans for this reservoir?

5 A. Well, we want to go ahead and continue  
6 with our development program. As mentioned  
7 previously, we hope to drill between 3 to 5 wells  
8 to the west of the 3-F location. We want to  
9 proceed with obtaining more quality information  
10 on the reservoir in a prudent fashion.

11 We're certainly working with the state  
12 in terms of preparing a plan to conserve the gas  
13 in the area. We have -- I guess that's about it.

14 Q. I think at this time maybe it would be  
15 helpful if you could review for Mr. Stogner the  
16 current overproduced status of this well.

17 A. Okay. This well began producing --  
18 well, during its testing period, a 60-day test  
19 period, we produced approximately 20,000 barrels  
20 of oil. That was substantially less than what we  
21 could have produced under the allowable that we  
22 were permitted during the testing period. In  
23 fact, it was about 22,000 barrels less than what  
24 we could have produced.

25 At that time we were very conscious of

1 not trying to produce the reservoir too hard  
2 until we had a comfortable feel with what this  
3 well could do. The test period ended in late  
4 March. We then, during the test period, we had  
5 conversations with the OCD and the BLM and  
6 determined that in fact we needed to address the  
7 concept of gas conservation following the test  
8 period.

9 On May 1 we made application to the  
10 BLM, with a copy being sent to the Aztec office,  
11 requesting approval to continue to vent the gas,  
12 basically wanting exemption from the venting  
13 order.

14 On May 13, after a telephone  
15 conversation with Mr. Duane Spencer of the BLM,  
16 we sent additional information. On June 4 we met  
17 with Mr. Duane Spencer in Farmington. At that  
18 time he advised us that the BLM was in fact going  
19 to grant us permission to continue venting until  
20 September, at which time they wanted us to  
21 present a plan to conserve the gas.

22 Q. Now, Mr. Artindale, what is American  
23 Hunter Exhibit No. 10?

24 A. Exhibit No. 10 represents some  
25 correspondence between ourselves and the BLM.

1 The correspondence in fact was CC'd to the Aztec  
2 office. The first part is the application we  
3 made on May 1 for the right to continue to flare  
4 or vent gas.

5 The second part is the letter of May 13  
6 where we provided additional information. And  
7 the third letter is a letter that we sent trying  
8 to explain the situation to Mr. Frank Chavez  
9 after they had informed us that our well was in  
10 an overproduced status on June 5.

11 And finally the last letter is the  
12 approval from Duane Spencer from the BLM allowing  
13 us to continue to vent gas until September.

14 Q. Now, Mr. Artindale, you were advised by  
15 Mr. Spencer on the 4th that you had a testing  
16 period, and then the next day the OCD advised you  
17 that you were going to be curtailed back?

18 A. Right. On June 5 they advised us, the  
19 OCD advised us that in fact the well had been in  
20 an overproduction status since the testing period  
21 and that they strongly advised us to curtail the  
22 production.

23 Q. Why did you send these letters to the  
24 BLM and not to the OCD?

25 A. Well, we were in quite a state of

1 confusion as to the jurisdiction. We were on  
2 Indian land, Indian federal land. These really  
3 represent the first wells that we've operated in  
4 the state of New Mexico.

5 Based on our discussions we felt that  
6 we knew this was under the jurisdiction of the  
7 BLM. They certainly didn't tell us anything to  
8 the contrary. We thought we were covering  
9 ourselves by sending copies to the state.

10 Q. In fact you made a mistake?

11 A. We erred.

12 Q. All right. I think you testified that  
13 the test period ended in March. It actually was  
14 April 24?

15 A. That's right. I'm sorry. April 24.

16 Q. During this period of time, when you  
17 were visiting or attempting to secure additional  
18 testing time, were you discussing the gas  
19 production from this well with other entities?

20 A. Yes. In relation to the gas situation,  
21 we basically were talking to Mr. Al Greer during  
22 the time that we were also making application to  
23 the BLM. In fact, we met with Al Greer the same  
24 day that we met with Duane Spencer to discuss the  
25 concept of constructing a gas gathering line to

1     our 3-F and 2-A wells.

2           Q.     Did you have other discussions with the  
3     Oil Conservation Division after they advised you  
4     that you were overproduced and beyond the testing  
5     period?

6           A.     Certainly. We had discussions with Mr.  
7     Ernie Bush, Mr. Frank Chavez, with this office  
8     here to discuss the status to try to explain the  
9     circumstances surrounding the situation.

10           We determined that it may be an  
11     appropriate time to implement the testing  
12     procedure. We then subsequently worked on that  
13     procedure and had it approved by the state.

14           Q.     Has the testing actually begun?

15           A.     Yes. It began on June 28? 27.

16           Q.     Mr. Artindale, in terms of today's  
17     hearing, what were you asked to do?

18           A.     Well, in preparation for this hearing,  
19     I was really asked to evaluate the performance  
20     characteristics of the 3-F well and the 2-A well  
21     and to determine the best methods of conserving  
22     gas for these wells.

23           Q.     Let's look first at the 3-F. What  
24     conclusions have you reached about this well?

25           A.     Well, we certainly would like to

1 suggest that there are four reasons why we should  
2 not be asked to shut in the well. The first one  
3 simply is data acquisition. There has not been a  
4 well completed, a significant well completed in  
5 this area in the Mancos for the last twelve  
6 years. And then before that there had only been  
7 four wells or maybe half a dozen wells in the  
8 last 20 to 30 years.

9 This represents not only a successful  
10 oil well in the Mancos but in fact represents  
11 probably one of the best Mancos wells in this  
12 area. We believe that we need to continue to  
13 produce it to get an estimate of the size of the  
14 reservoir and the capabilities of the reservoir.

15 As I've mentioned, we've produced  
16 almost 60,000 barrels from this well. And there  
17 doesn't appear to be any pressure drawdown. It  
18 certainly is giving us a lot of comfort  
19 concerning the development potential of the  
20 area.

21 Secondly, I mentioned the concept that  
22 this well would not produce on itself until we  
23 removed almost 30 barrels of sludge from the  
24 hole. Once we did that the well was able to be  
25 pumped at about 380 barrels a day with the

1 existing equipment.

2 Of course, when the surge occurred,  
3 just in the last three weeks, three to four  
4 weeks, this may be indicative of the well  
5 cleaning up more of the sludge and in fact  
6 opening up more of the fractures. We just don't  
7 think it would be appropriate at this time to  
8 shut in a well that's showing us signs of  
9 cleanup.

10 Thirdly, we have talked to the OCD.  
11 We've talked to operators in the area. We've  
12 researched all the hearing information, all the  
13 public information. There certainly is, I don't  
14 think, anybody that has indicated to us that  
15 there is any potential damage to the reservoir by  
16 continuing to produce this well in its current  
17 status in the short-term.

18 We certainly recognize the need for gas  
19 conservation. We certainly are strongly leaning  
20 towards the concept of gas injection system in  
21 the area. But for the short-term there certainly  
22 is no indication of damage to this reservoir by  
23 producing it in its current mode.

24 And, fourthly, certainly we are very  
25 much interested in prudently and profitably



1 developing this reservoir to maximize the  
2 recovery in an economic manner. But also we have  
3 to justify the existence of our program, and this  
4 well represents the cash flow revenue for future  
5 development. So just from an economic point of  
6 view, we would like to keep the well producing.

7 Q. What do you propose to Mr. Stogner be  
8 done concerning I think, first of all, this  
9 well? And although it won't be decided today,  
10 I'm going to ask you just to mention the  
11 overproduction.

12 A. Well, we certainly think many of the  
13 issues are tied together, and it's very important  
14 for us as a company to have these issues  
15 resolved. We would like to recommend that, first  
16 of all, we will commit to proceeding with a gas  
17 reinjection scheme whereby we'll take the  
18 produced solution gas from the 3-F well and  
19 inject it into the 2-A well.

20 We've reviewed the appropriateness of  
21 this, and it seems like an ideal opportunity.  
22 The 2-A well is not a damaged well but represents  
23 a marginal or sub-economic producer. It is 2,000  
24 feet, vertical feet higher than the 3-F well.  
25 They're definitely in pressure communication as

1 we saw by the depletion when we first drilled  
2 these wells. It really represents an ideal  
3 location to inject the solution gas from the  
4 3-F.

5 So we'll proceed immediately. And we  
6 would hope to have that in place within  
7 approximately 120 days. What we need to do is  
8 obtain approval from this body. We need to  
9 obtain approval from the Jicarilla tribe.

10 These two sections are contiguous,  
11 although they have the same owners but slightly  
12 different ownerships. So we have to work out  
13 with the Jicarilla tribe, you know, their legal  
14 questions. We certainly feel that they will in  
15 fact approve it.

16 We have to then order the necessary  
17 equipment and install the equipment. It is a  
18 fairly simplistic scheme but it still requires  
19 getting the equipment including a pipeline and  
20 compressor.

21 So we're thinking that 120 days will  
22 give us time -- we'll be rushed -- but will give  
23 us time to implement this scheme.

24 Q. What do you propose be done during this  
25 120-day period?

1           A.       Well, we would like to recommend that  
2       the state give us the right to continue to  
3       produce this well at certainly no more than the  
4       current allowable for the pool that we're  
5       within.

6                    It would represent venting a small  
7       amount of gas during this time, but certainly  
8       would continue to provide us excellent  
9       information particularly while we're in the midst  
10      of a drilling program. It may in fact give us  
11      information that would help that program.

12                   During this time we'd also have the  
13      option to continue the testing program that we've  
14      developed with the state. There have been some  
15      questions as to modifying that program. We're  
16      certainly open to looking at any suggestions, but  
17      during this time we could continue with the  
18      testing program as well.

19           Q.       In reaching this conclusion have you  
20      evaluated the other options that would be  
21      available to you for handling the gas?

22           A.       Yes. They really represent four other  
23      options. Three of them represent pipelines.  
24      We've evaluated tying into the El Paso system,  
25      tying into the Northwest system, and tying into

1 the Al Greer's system to the south. Both  
2 Northwest and El Paso are to the west.

3 Each one of them involves a direct  
4 distance of around seven to nine miles with  
5 pipeline, actual pipeline distances probably  
6 between seven to twelve miles.

7 Our economics suggest that the only way  
8 that any one of these tie-ins would be economic  
9 was if we guaranteed to produce a minimum of 1  
10 Bcf of gas from the reservoir. Certainly our 3-F  
11 well couldn't do that, so it would mean tying in  
12 some of the other wells and producing a large  
13 quantity of gas from the reservoir just in order  
14 to pay off this pipeline.

15 We really are hesitant to make that  
16 kind of long-term commitment to gas sales when in  
17 fact we believe that in the near term, in fact  
18 we're recommending it right now, that gas  
19 reinjection is more appropriate for reservoir  
20 management.

21 So based on the marginal and in some  
22 cases noneconomic condition of the building of  
23 pipeline and the fact that we do not want to  
24 produce a large amount of gas from the reservoir,  
25 we just will not recommend tying in the gas into

1 a commercial pipeline.

2 The other option, of course, would be  
3 to wait until we've drilled our four additional  
4 wells. It would give us much more information  
5 concerning the reservoir and concerning the  
6 volumes of gas, volumes of oil, and at that time  
7 developing a more optimal injection program.

8 Unfortunately that would require that  
9 we wait approximately one year before we could  
10 implement the gas injection because of again the  
11 winter months. We just would not build a  
12 pipeline in the winter months up there.

13 Based on discussions with the state, it  
14 appears that that is not a reasonable solution if  
15 we want to continue to produce the 3-F well.

16 Q. Currently how overproduced is the 3-F  
17 well?

18 A. Our estimation is that the 3-F well has  
19 been overproduced by about 37,000 barrels.

20 Q. If you go through a full testing period  
21 and there is still accumulation of  
22 overproduction, that number would grow  
23 substantially; is that correct?

24 A. Yes. If in fact it took 120 days to  
25 build this pipeline injection facility and we

1     were to continue to produce the 3-F well with no  
2     exemption from the current venting order, it  
3     could certainly double or even higher than that.

4           Q.     If you continue to accumulate  
5     overproduction, in effect what you would be  
6     gaining from an exception to the No-Flare Rule  
7     306 simply is you would avoid shut-in; is that  
8     right?

9           A.     That's right.

10          Q.     In your opinion would approval of your  
11     recommendation, and that is going forward in an  
12     expeditious fashion to secure injection  
13     facilities and permitting the well to produce in  
14     the interim, would in your opinion that cause  
15     waste of any hydrocarbons?

16          A.     Certainly not. We really believe that  
17     the history of development in this field suggests  
18     that operators have to consider the reinjection  
19     of gas within the gravity drainage portion of the  
20     reservoir.

21                 And if we in fact go ahead and inject  
22     immediately into the reservoir, that would negate  
23     any possibilities of waste. And certainly the  
24     amount of gas that would be vented since we began  
25     producing and up till the time of implementing

1 the gas injection scheme would not constitute any  
2 negative impact on the reservoir at all.

3 Q. In your opinion will it impair the  
4 correlative rights of any owner in the pool?

5 A. No. The injection of gas into 2-A in  
6 fact should be a benefit to other operators in  
7 the area.

8 Q. Would American Hunter be agreeable to  
9 continuing to work with the Oil Conservation  
10 Division to assure that the testing that is done  
11 of these wells is efficient and obtains  
12 meaningful information?

13 A. We certainly would.

14 Q. In the event that the Division sees fit  
15 to agree to the request for an exception to Rule  
16 306 and as part of that encourages American  
17 Hunter to go forward with the plans for gas  
18 injection, would it be important that that order  
19 be entered in an expeditious fashion?

20 A. Yes, very much. We certainly have a  
21 multi-million dollar project, drilling project  
22 that sort of is going to be implemented here in  
23 the next month or two. In order to install the  
24 facilities, we'd need pretty quick approval just  
25 in order to order the facilities and get them in

1 place. So it would be important to.

2 Q. Were Exhibits 1 through 10 prepared by  
3 you or compiled at your direction?

4 A. Yes, they were.

5 MR. CARR: At this time, Mr. Stogner, I  
6 would move the admission of American Hunter  
7 Exhibits A-1 through A-10.

8 EXAMINER STOGNER: Are there any  
9 objections?

10 MR. KELLAHIN: No objections.

11 EXAMINER STOGNER: Exhibits A-1 through  
12 A-10 will be admitted into evidence at this time.

13 MR. CARR: That concludes my direct  
14 examination of Mr. Artindale.

15 EXAMINER STOGNER: Thank you, Mr.  
16 Carr.

17 Mr. Kellahin?

18 EXAMINATION

19 BY MR. KELLAHIN:

20 Q. Let me ask you about the elements of  
21 pressure communication between the 2-A and F-3.

22 A. Yes.

23 Q. You've concluded that those two wells  
24 represent positions in the reservoir where it  
25 makes it probable that you can reinject the gas



1 produced from the down-structure well into the  
2 up-structure well?

3 A. Yes.

4 Q. You've concluded that there is  
5 indications of pressure communication between  
6 those two wells?

7 A. Yes.

8 Q. What was the evidence that caused you  
9 to reach that conclusion?

10 A. When you look at the original pressure  
11 gradient through the Mancos system, going from  
12 East Puerto Chiquito to Boulder to West Puerto  
13 Chiquito to Gavilan, in fact when you prepare a  
14 pressure depth plot, which was in fact developed  
15 by Mr. Al Greer and other operators, you'll find  
16 that there's a pretty consistent gradient of  
17 about .33. And in fact what we're dealing with  
18 is just an oil column.

19 Well, when we went in and drilled 3-F  
20 and 2-A, we basically got reservoir pressures  
21 that indicated that, number one, they had both  
22 been depleted. And, number two, after both being  
23 depleted, they were still in that .33 gradient  
24 position. So in essence they went down together.

25 Q. Did you derive that pressure

1 information from surface pressures --

2 A. No.

3 Q. -- calculated to bottom-hole?

4 A. No.

5 Q. You measured bottom-hole?

6 A. They were both bottom-hole build-ups.

7 Q. Okay. 2-A is completed in the A  
8 Niobrara, and the 3-F is in the B Niobrara?

9 A. Yes.

10 Q. We have evidence of pressure  
11 communication between the two --

12 A. Yes.

13 Q. -- within this producing interval.  
14 What is your explanation to the fact that you  
15 have substantially different producing  
16 characteristics in those two wells?

17 A. Well, what we have determined is that  
18 we certainly encountered major fracture systems  
19 in both wells when we drilled. There's no  
20 question.

21 When we went back into the 2-A and  
22 injected a certain quantity of lease crude, we  
23 determined that in fact the fracture system was  
24 still in place; that it wasn't damaged; it wasn't  
25 poor. But that in fact the fracture system in

1 2-A is much less extensive. Basically you have  
2 good fractures right near the wellbore, but then  
3 it gets into a poorer fracture system within a  
4 short distance away from the wellbore.

5 In terms of gas injection, again we  
6 talked to Al Greer, who's the only person who's  
7 implemented gas injection. He told us that some  
8 of the best wells to inject in were the poorer  
9 producers. So in fact that gave us a lot of  
10 confidence in the 2-A.

11 Q. Let me go to Exhibit A-8 with you.

12 A. Okay.

13 Q. Which is the production information on  
14 the 3-F well?

15 A. Okay.

16 Q. You talked a while ago about a solution  
17 gas-oil ratio for the reservoir?

18 A. Yes.

19 Q. What is the solution gas-oil ratio?

20 A. I'm trying to remember. We ran a PBT  
21 on the 3-F. I don't have it with me, but I  
22 believe it is very close 480, 500. Very close to  
23 the solution gas-oil ratio that was being  
24 produced by the well while it was pumping.

25 Q. Okay. When you draw a bubble point

1 diagram, where are you with regards to the bubble  
2 point of the reservoir?

3 A. This reservoir would be at the bubble  
4 point.

5 Q. Okay.

6 A. Not necessarily the original bubble  
7 point but --

8 Q. The current. You've got a partially  
9 depleted reservoir at this point?

10 A. Right.

11 Q. So you're going to be producing at or  
12 slightly below the bubble point?

13 A. Right. Now, the interesting thing with  
14 3-F again is when we ran the sonics, we  
15 determined that the drawdown was on the order of  
16 10 to 24 pounds. So it's very limited drawdown  
17 below the bubble point. In fact, it would  
18 probably be the best of any Gavilan well or  
19 Mancos well up there right now.

20 Q. Follow with me on A-8 and tell me what  
21 your conclusion is about the reservoir as we see  
22 the gas-oil ratio take substantial changes in the  
23 plot. Early life of the well, we have a pumping  
24 well situation. We've got a gas-oil ratio in the  
25 400 range. And we move to a flowing well

1 situation and you're up to the 800, 900 --

2 A. Yes.

3 Q. -- gas-oil ratio rates. What's the  
4 explanation?

5 A. Well, the explanation is actually quite  
6 simple. And in, fact, this phenomena has  
7 occurred in other Mancos reservoirs. We spoke to  
8 a gentleman at the BLM who in fact was the  
9 operator for the Rio Puerco Field.

10 What you have is while we're pumping  
11 it, as I said, we're drawing the reservoir down  
12 only by 10 to 25 pounds. This well has a  
13 reservoir pressure of 1374 pounds at  
14 approximately 7000 feet. The gradient to surface  
15 from that pressure is about .2. There's no way  
16 that normally this reservoir should flow.

17 But because it's so prolific, what  
18 happens is that -- it's so prolific and you  
19 really have a minimal drawdown -- what the  
20 reservoir has done is basically built up a little  
21 bit of a gas saturation on its own accord and  
22 enough to basically create a kind of an in situ  
23 gas lift effect.

24 As I said, in the Rio Puerco they had  
25 this happen throughout the life of their field,

1 not quite as dramatic. They didn't have this  
2 kind of well. But they'd be pumping the well,  
3 and all of a sudden, the wells would flow for a  
4 few days and then go back to pumping.

5 So really what you're seeing is just in  
6 essence an exaggerated or long-term gas surge.  
7 And in fact it couldn't flow at all if the GOR  
8 hadn't built up.

9 Q. It doesn't concern you that over this  
10 short interval of time of a few months the  
11 gas-oil ratio has substantially changed?

12 A. Well, as I say, there are two totally  
13 different phenomena. One is where you're  
14 pumping the well; it's acting in a normal  
15 behavior. The other is where it basically has  
16 stored up a certain amount of gas around the  
17 wellbore and has surged.

18 Q. When we look at the portion of the  
19 display that shows the flowing well status --

20 A. Yes.

21 Q. -- is this well producing up-tubing, or  
22 is it up the annulus?

23 A. Up the annulus. Just for safety  
24 reasons we want to be able to control the well;  
25 therefore, we produced up the annulus so that we

1 could shut it in or control it at our desire.

2 Q. What is the current full capacity of  
3 the well produced in the current fashion?

4 A. I don't quite understand.

5 Q. Well, the maximum oil rate on a daily  
6 basis is 800 barrels of oil. Does this well in  
7 this current configuration by flowing up the  
8 annulus have the capacity to produce 800 barrels  
9 of oil a day?

10 A. No. We are basically under flowing  
11 conditions producing pretty well, I think, at  
12 capacity. I'm not sure what the choke is. I  
13 want to be somewhat careful. I don't think we're  
14 choking it back. We are basically producing it  
15 at capacity, but I may be mistaken.

16 Q. Subject to checking to see if this well  
17 is being restricted, assuming it's not, what is  
18 its current maximum rate?

19 A. Flowing rate?

20 Q. Yes.

21 A. Well, about 680 barrels a day.

22 Q. 680 barrels a day maximum flowing  
23 rate. At that rate how much gas are you  
24 producing a day?

25 A. Well, we're estimating that the gas

1 would be around --

2 MR. CARR: Mr. Kellahin, just for your  
3 information, I've been advised it's on one-half  
4 choke.

5 A. It's around 400 Mcf per day.

6 EXAMINER STOGNER: I'm sorry. What was  
7 that again?

8 THE WITNESS: It's around 400 Mcf per  
9 day. But if you look at the chart over the last  
10 week or so, he's starting to record, like, 350.  
11 I want reemphasize that the gas measurements  
12 really are estimates. And, you know, we really  
13 need to examine the charts carefully in this  
14 Denver firm before we can kind of hang our hats  
15 on those estimates.

16 We are not concerned about the GORs.  
17 We are certainly not seeing a reservoir where  
18 you're adversely drawing it down and causing an  
19 increase in GOR that would be very typical to a  
20 solution gas drive very similar to what you saw  
21 in Gavilan.

22 Q. (BY MR. KELLAHIN) Well, that's my  
23 point of reference, Mr. Artindale.

24 A. Well, let me equate this to another  
25 reservoir, the Boulder Field.



1           Q.       I'm familiar with Boulder. Let me ask  
2 you this so I don't prolong the discussion. What  
3 are the purposes you intend to achieve with the  
4 testing program? What are you going to try to  
5 find out?

6           A.       Well, primarily two things we're trying  
7 to find out. Well, two things and there may be a  
8 third. First thing is we want to determine the  
9 volume of movable oil between the two locations.  
10 The longevity of this well does not depend upon  
11 intersecting one set of great fractures because  
12 that fracture system will contain pretty well a  
13 kind of an insubstantial amount of oil.

14                   The amount of reserves we're looking  
15 for comes from gravity drainage. So we're  
16 looking at trying to determine the amount of oil  
17 between the 2-A location and the 3-F location,  
18 which represents 2,000 vertical feet.

19           Q.       Why do you care to know the amount of  
20 oil?

21           A.       Because the amount of oil tells you  
22 whether or not this play is economic. Whether or  
23 not it can produce 800 barrels of oil today is  
24 irrelevant. We want to know whether or not this  
25 well is going to produce 100,000 barrels of oil

1 or 500,000 barrels of oil.

2 Q. Will this test help you know what the  
3 optimum producing rate should be to maximize  
4 ultimate recovery?

5 A. Secondly, it will help us to determine  
6 the permeability of the system if the test is  
7 successful. That certainly would give us the  
8 ability to equate that to gravity drainage  
9 nomographs that would then help us to optimize  
10 the rates of this well.

11 Q. If this well is being choked back at a  
12 half choke -- I'm familiar with gas well choking,  
13 but I'm not sure I know about oil well choking.  
14 Half a choke means what in terms of the capacity  
15 of the well to produce?

16 A. I'm not sure in this case.

17 UNIDENTIFIED SPEAKER: Half-inch.

18 THE WITNESS: No. But I'm not sure if  
19 it would go up to a thousand barrels a day if you  
20 pulled it up. I don't think so, but I'm not  
21 sure.

22 Q. (BY MR. KELLAHIN) In order to attain  
23 the objectives of the test --

24 A. Uh-huh.

25 Q. -- can you do that at volumes of oil of

1 680 barrels a day or less the way you're  
2 currently producing the well?

3 A. Yes. In fact, what we did is we ran  
4 some analytic simulators in our company. In  
5 fact, we ran it all the way down to 400 barrels a  
6 day, which would occur if in fact the well  
7 stopped flowing; we would have had to pump it  
8 again.

9 And we certainly feel that given a long  
10 enough pulse, a single pulse -- in fact, that was  
11 based on Al Greer's recommendations -- that we  
12 should be able to see the interference effects at  
13 2-A.

14 This unfortunately is also contingent  
15 on the amount of gas saturation that has been  
16 built up around 2-A because gas saturation does  
17 have a dampening effect on interference.

18 Q. You mentioned a while ago to Mr. Carr  
19 that you would need a small amount of gas to vent  
20 or flare. I want to make sure you really meant  
21 small amount, and I won't try to understand what  
22 that means.

23 Within the context of the way the well  
24 is producing, if you're making 400 Mcf a day, is  
25 that sufficient volume of gas on a daily basis

1 for the 120-day test period? Is that the  
2 quantity of gas at issue when we talk about  
3 having an exception to the no-venting rule?

4 A. I think that's the number. We would  
5 like a little bit of latitude. We certainly  
6 would suggest they'd give us up to, say, 600 Mcf  
7 a day. But this well basically, to my knowledge,  
8 is producing close to capacity. It's producing  
9 around 4- to a 500 cubic feet a day of gas. So  
10 that's the level we're talking about over the  
11 next 120 days.

12 It's all contingent on whether or not  
13 this well keeps flowing. If it stops flowing, it  
14 likely will revert to the pumping conditions  
15 where the gas rate is in fact less than 200 Mcf a  
16 day.

17 Q. Can you approximate for me what the  
18 daily oil rate would be if we increased the gas  
19 rate to 600 Mcf a day? Is there a range?

20 A. Well, we wouldn't increase the gas  
21 rate. We're just saying the gas is just what's  
22 associated with us producing the oil. Right now  
23 the oil is being produced at 680 barrels a day.  
24 I don't think there's very much upside to that  
25 rate. And the gas that we're producing is, you

1 know, 4- to 500 Mcf a day.

2 Q. Let me ask you the sequence by which  
3 you have come up against the Division Rule 306.

4 A. Uh-huh.

5 Q. So that we're looking at the rule  
6 together and you don't have to try to remember  
7 it, I've made a copy of 306 for you.

8 Q. Before we go to the 306, let me ask you  
9 one follow-up question. You said that during  
10 this flowing period --

11 A. Yes.

12 Q. -- that you had to replace or enlarge  
13 the tanks on location?

14 A. Well, the tanks that we had originally  
15 installed were from the completion process, and  
16 they were old frac tanks.

17 Q. I understand. What point in time did  
18 that change take place? Was that in June?

19 A. Oh, at the beginning of July, in  
20 essence --

21 Q. Okay.

22 A. -- where we shut the well in.

23 Q. You shut the well in. How long was the  
24 well shut-in?

25 A. It's been shut-in since the 3rd of

1 July.

2 Q. Are you now producing the well?

3 A. No.

4 Q. So we don't know if there's been any  
5 effect on the well with regards to the short  
6 shut-in period?

7 A. No. When we look at 306, the well is  
8 completed, begins to produce, and you run beyond  
9 the 60-day test period. When did it first come  
10 to your attention that you needed to go back to  
11 the Division and ask for relief with regards to  
12 that issue?

13 A. Well, it was during the 60-day test  
14 period, we had, as I said, we had discussions  
15 with both the BLM and the Aztec office. We still  
16 were not sure of whose jurisdiction we were in.  
17 And so on May 1, which is approximately a week to  
18 10 days after the 60-day test period ended, we  
19 made application to the BLM.

20 Q. When did you make application to the  
21 OCD under Rule 306 for the exception?

22 A. Well, in essence, it would have been  
23 the same day, but it was not through Form C-129.  
24 It was just through our own personal  
25 application. It provided a lot of the same

1 information.

2 Q. Okay. Have you ever filed Form C-129?

3 A. Not to my knowledge, no.

4 Q. When you went to the district for  
5 relief --

6 A. Well, we in fact never went to the  
7 district for relief. We were having  
8 conversations with the BLM and received relief.  
9 And subsequent to that the state informed us that  
10 we hadn't followed their appropriate procedures  
11 and that we were in fact in an overproduction  
12 status.

13 Q. As to overproduction, with regards to  
14 the no-flare, no-venting procedures, I'm trying  
15 to understand if you know how we ended up here at  
16 an OCD hearing --

17 A. Sure.

18 Q. -- and not at the district office under  
19 the Rule 306 procedure?

20 MR. STOVALL: Excuse me. Let me do  
21 something on the record for you to perhaps help  
22 explain that. The Aztec District Office did  
23 receive a copy of the application to the BLM and  
24 did accept that as a substitute for the C-129  
25 application for C-106 exception.

1           It's not clearly documented in terms of  
2 the correspondence, but that is how Aztec has  
3 treated it, and that's how they've responded to  
4 it and provided the 30-Mcf-a-day limitation on  
5 the no-flare exception under 306.

6           THE WITNESS: In terms of this  
7 hearing --

8           MR. KELLAHIN: Maybe Mr. Stovall can  
9 help shorten the process for me. I'm looking at  
10 the last sentence of 306-B, Mr. Stovall. It  
11 says, "the District Supervisor shall either grant  
12 the exception within ten days or refer to the  
13 Director of the Division, who will advertise it  
14 and set it for public hearing."

15          MR. STOVALL: I'd be glad to  
16 summarize. From the Division's perspective what  
17 occurred is that the District office received the  
18 application to the BLM, treated it as a 129  
19 request, granted the 30 days. I'm not sure if it  
20 was strictly within the ten-day time frame or  
21 not.

22          I believe at that point American Hunter  
23 contacted the Santa Fe office of the District.  
24 And I was in on a conversation with Mr. Larry Van  
25 Ryan, chief engineer, who then recommended to



1 American Hunter that they docket this for hearing  
2 for an exception under that provision because  
3 they were not happy about the 30-Mcf-a-day  
4 limitation on the exception.

5 And I believe that's how we got to  
6 hearing at a meeting with them. And they  
7 immediately did so, I mean, within a day of that  
8 conversation.

9 Q. (BY MR. KELLAHIN) Let me ask you about  
10 the overproduction number.

11 A. Yes.

12 Q. The 37,000 barrels, is that a number  
13 generated because you were producing too much  
14 oil, or were you simply producing too much gas?

15 A. No. That's a number based on the gas  
16 volumes. At all times, for the most part, we  
17 were below the 800 barrels day. Certainly on a  
18 monthly basis we were.

19 Q. You were taking out more gas than is  
20 allowed?

21 A. Than the 30 Mcf a day.

22 MR. STOVALL: That overproduction is  
23 based upon 30-Mcf-a-day limits set by the Aztec  
24 District Office, not based upon the 800 barrel,  
25 2,000 GOR for the pool.

1 MR. KELLAHIN: That's what I wanted to  
2 know.

3 MR. STOVALL: Strictly based upon the  
4 30 Mcf a day.

5 THE WITNESS: That's right.

6 MR. STOVALL: As far as I know, against  
7 the pool rules, they would be underproduced.

8 MR. KELLAHIN: And that's what Exhibit  
9 A-8 demonstrates.

10 MR. STOVALL: Correct.

11 MR. KELLAHIN: Thanks.

12 MR. STOVALL: Any overproduction that  
13 occurs in this well is based upon a limitation  
14 set by the OCD because of gas being vented.

15 THE WITNESS: That's right.

16 MR. STOVALL: I guess, from a  
17 correlative rights standpoint, that certainly  
18 changes or adds a perspective to it.

19 THE WITNESS: It's strictly a waste  
20 issue.

21 MR. STOVALL: It's fundamentally a  
22 waste issue in that area, I believe.

23 Q. (BY MR. KELLAHIN) All right. As I  
24 understand it, with regards to the exception to  
25 the no-venting rule, you're seeking a 120-day

1 period?

2 A. Yes.

3 Q. Using a maximum gas rate, I think you  
4 said, of 600 Mcf a day?

5 A. It would be acceptable, yes.

6 Q. And that 120-day period would commence  
7 when? Has it already commenced?

8 A. It would commence based on the date of  
9 this hearing or the approval date, whichever --  
10 based on today.

11 Q. What do we do with that short period  
12 that you've commenced the test on the 27th  
13 pursuant to the supervisors?

14 A. Well, I think what I'd recommend is  
15 we'll just talk with the Aztec office and try to  
16 clarify some of the issues concerning the  
17 overproduction status during the testing phase.  
18 And whatever we come up, we'll live with. If  
19 that has to be added to the overproduction those  
20 few days of the test, so be it.

21 For the most part, the 3-F has been  
22 shut-in for most of the testing time anyway.

23 Q. So you're seeking 120 days from the  
24 date of this Examiner order in which to have --

25 A. Well, from today.

1           MR. STOVALL: Mr. Kellahin, I think Mr.  
2 Artindale has suggested that perhaps it would be  
3 from today, the date of the hearing, because  
4 they're effectively on notice to start taking  
5 some action.

6           I would have no problem recommending  
7 that date as the start date for the 120 days for  
8 the Division. I haven't consulted with Mr. Bush  
9 on that. But I think that would probably be a  
10 reasonable date from which to do --

11           The Division is interested in getting  
12 this gas put to some beneficial use as quickly as  
13 possible. And this is as early a date as we  
14 could start from, I think.

15           MR. KELLAHIN: Thank you, Mr.  
16 Examiner. I'm through.

17           EXAMINER STOGNER: Thank you, Mr.  
18 Kellahin.

19           EXAMINER STOGNER: Mr. Carr, do you  
20 have any redirect?

21                   FURTHER EXAMINATION

22           BY MR. CARR:

23           Q. Mr. Artindale, in regard to the  
24 questions that have just come up about the  
25 overproduction, did you have any recommendation

1 concerning how that ought to be handled or any  
2 suggestion, and recognizing that it's not going  
3 to be resolved in this hearing today?

4 A. Yes.

5 MR. STOVALL: Let me help you structure  
6 that question to deal with it in two ways. One  
7 would be overproduction accumulated, assuming we  
8 used this as the starting date for whatever order  
9 comes out. Deal with the -- answer that in two  
10 parts, if you would, for our benefit how to deal  
11 with what's happened up to today and then your  
12 recommendation from today forward.

13 A. Okay. Well, my recommendation would be  
14 that from -- if this Hearing Commission approves  
15 our application that in fact no overproduction  
16 would be accrued on the well for the next 120  
17 days, as long as we stayed within the 600 Mcf a  
18 day limit and stayed within the allowables, of  
19 course, 800 barrels, which shouldn't be a  
20 problem, that would be any recommendation.

21 And any testing that occurs during that  
22 time would just be a testing program that we've  
23 worked out with the Division or the District  
24 Office and that we'd be responsible for  
25 undertaking.

1           Secondly -- so in essence we're hoping  
2           that there will be no accrual of overproduction  
3           from this point to the point where we install the  
4           facilities.

5           Number two, in terms of the previous  
6           overproduction or any overproduction, we would  
7           recommend that once our facilities are in place  
8           and once we're reinjecting, conserving the gas,  
9           that there's no longer a problem with the venting  
10          or the flaring of the solution gas, that we would  
11          begin to retire the overproduction by restricting  
12          the well to no more than 600 barrels of oil per  
13          day.

14          So, in essence, retiring it at a rate  
15          of 200 barrels of oil per day or more, depending  
16          on how we produced the well. If we decided to  
17          produce the well even less than 600 barrels of  
18          oil per day, that would go against the  
19          overproduction. So, in essence, we would retire  
20          the overproduction over a period of months at  
21          that rate.

22          Q.       (BY MR. CARR) Now, Mr. Artindale, what  
23          about the overproduction, the overproduced 37,000  
24          that has accrued as of the 3rd of July?

25          A.       Well, two recommendations: One, we'd

1 hope that we have demonstrated that we have not  
2 been negligent operators. We have tried to file  
3 the appropriate forms. We certainly are in error  
4 with regard to which jurisdiction we are under.  
5 Still some confusion, but for the most part we  
6 understand now.

7 We would ask that you would even  
8 consider forgiving the overproduction. We don't  
9 believe there has been any correlative rights  
10 issue. We certainly have produced below the  
11 allowable. There has been no damage to the  
12 reservoir. Basically what's done has been done.  
13 There was no intent to do that. So we'd ask that  
14 you would even consider forgiving the  
15 overproduction.

16 However, if that's not acceptable to  
17 you, we would certainly recommend that that  
18 overproduction be retired under the same  
19 circumstances where we would restrict the  
20 production of the well to no more than 600  
21 barrels of oil per day.

22 MR. CARR: That's basically all we  
23 have.

24 EXAMINATION

25 BY MR. STOVALL:

1           Q.       Let me back up and do something, if you  
2 don't mind, to help clarify if we're going to  
3 write an order out of this. Let's go back to  
4 what we're doing in the first place.

5                   From the OCD's standpoint, in terms of  
6 prevention of waste and -- primarily prevention  
7 of waste. I don't think correlative rights is a  
8 major issue in this particular case other than  
9 reservoir energy issues.

10                  But given the fact that your production  
11 is within what would be allowed if you were  
12 connected to a beneficial use of the gas, you  
13 would be producing at these rates and so  
14 correlative rights in fact would be the same.

15           A.       Uh-huh.

16           Q.       So I want to address these in terms of  
17 waste. The major justification upon which the  
18 Division can grant the application would be to  
19 allow you to produce under a test program to  
20 achieve some objectives to learn something about  
21 the reservoir and how to produce it and what to  
22 expect, and you stated some objectives, I think.

23                  Now, I want to restate those and make  
24 sure we're clear as to those objectives because I  
25 think they may need to be incorporated into the



1 order as part of the justification.

2 The first objective is to attempt to  
3 make some determination of how much oil is  
4 potentially available to be produced; is that  
5 correct?

6 A. We're now talking about the  
7 justification for the interference tests that we  
8 had discussed with the Aztec office?

9 Q. I'm talking about a justification to  
10 allow you to continue to produce the well rather  
11 than, say, go get yourself an injection system  
12 hooked up and then start producing again.

13 A. Right. Number one would be to  
14 establish the long-term potential of the well.  
15 We're going to be drilling four more, up to five  
16 more wells in the near future. We have to  
17 consider the concept of injection for those  
18 wells.

19 In fact, we're going to have to  
20 determine whether or not we should be putting  
21 those wells on injection a lot faster than we did  
22 for the 3-F well because, you know, I don't think  
23 the next time you're going to be quite as  
24 reasonable working with us if we wait eight  
25 months for the next four wells.

1           Q.       We'll be reasonable, probably not as  
2 tolerant.

3           A.       So what I'm saying, in the next four  
4 wells we're going to have to make decisions a lot  
5 quicker. Therefore the decisions for those wells  
6 is going to be primarily based on the 3-F  
7 production. If we shut in the 3-F, all of a  
8 sudden we stop gaining information.

9                   As I said, we've produced 60,000  
10 barrels from this well. There's been no pressure  
11 decline. That is important information to us.  
12 If you produce 100,000 barrels and no pressure  
13 decline, it starts to make an incredible case for  
14 large-scale development in the area, not just for  
15 us but even for other operators.

16                   So to me there's nothing but value to  
17 be gained by continuing to produce probably one  
18 of the best Mancos wells in the basin. So that's  
19 what we're looking at. We're talking about a  
20 120-day period now. We're no longer talking  
21 about an extended period.

22                   You know that concurrently we're going  
23 to be spending a significant amount of money to  
24 begin injecting that gas. So you know that there  
25 really is not going to be much of a waste issue

1 after that 120 days. In fact, there shouldn't be  
2 any waste issue.

3 So the information that we acquire by  
4 producing the well, we think more than justifies  
5 the limited amount of gas that would be vented  
6 during that period.

7 Q. That takes into the next phase of the  
8 question. We've had some discussion off the  
9 record prior to the start of this hearing with  
10 respect to how the testing procedures should be  
11 structured.

12 Now, am I correct that currently you  
13 have an approved testing procedure established by  
14 the Aztec District Office? Is that correct?

15 A. Yes. We worked over a period of, I  
16 believe, three to four weeks to develop the  
17 testing procedure. We had discussions with Al  
18 Greer on it. Basically came to the conclusion  
19 that we were only going to be able to work with  
20 two wells, developed a testing program that was  
21 for the most part agreeable between the district  
22 office and ourselves, and have implemented that  
23 test.

24 There has been, even today there  
25 certainly has been some additional information

1     that's been presented and some additional  
2     clarification as to what in fact was approved.

3             So this testing procedure is not a  
4     one-time shot. We anticipate that as we drill  
5     more wells, as there's more production there,  
6     there's going to be more testing, more  
7     information determined. So it's kind of an  
8     ongoing process.

9             Q.     I understand that. But essentially  
10    talking about the next 120 days and what we're  
11    going to do in there is you're currently  
12    operating under an approved testing program,  
13    approved by the OCD Aztec District Office?

14            A.     Uh-huh.

15            Q.     Now, if I understand from our  
16    off-the-record discussion, Mr. Greer has  
17    recommended to you that some additional measures  
18    be taken, such as taking a bottom-hole test with  
19    a bomb in the 3-F. And am I correct that he has  
20    recommended that, and at this point you're not  
21    sure that you want to do that, but you haven't  
22    rejected that idea at this point?

23            A.     Yeah. We're trying really not to get  
24    into the issue of the testing program at this  
25    hearing. I received a letter -- the letter might

1 be four or five days old -- from Al mentioning  
2 that he thought we should in fact incorporate a  
3 pressure test on the 3-F. He didn't clarify  
4 whether it was during the producing time or  
5 during the buildup time, at least I can't recall  
6 if he clarified it.

7 Q. My real point is, we don't need to go  
8 into the details of that, the point I'm making,  
9 would you anticipate that given some  
10 recommendations from Mr. Greer, given information  
11 that you may acquire during the test phase under  
12 the current approved program, that there could  
13 possibly be some reasons to modify that test  
14 program?

15 A. Absolutely. You know, I think we're  
16 always interested in good suggestions. We don't  
17 want to be necessarily dictated to by another  
18 operator, but we're very open to suggestions, to  
19 recommendations. We'll discuss them with the  
20 district office. We'll evaluate the costs and  
21 what information would be gained by that cost.

22 But certainly we think over the next  
23 few months, as we're testing these wells, that it  
24 will certainly change.

25 Q. Would you have any objection to,

1     assuming the Division grants your application --  
2     I think we've agreed taht basically the 120 days  
3     is your maximum period that we're talking about.  
4     It looks like we're talking -- you are talking in  
5     terms of recommending a maximum venting volume of  
6     600 Mcf of gas a day.

7             And the anticipation is it really won't  
8     be that much because you'll be shut-in part of  
9     the time, and you'll be producing at varying  
10    rates during part of the time under the current  
11    test program as projected; is that correct?

12            A.     That's correct under the current  
13    testing. I really want to try to keep the two  
14    issues separate. The testing was something that  
15    we developed with the District.

16            Q.     I understand. But let me follow  
17    through. I just want to make sure that my.  
18    premise for my analysis here is correct.

19            And if a Division order came out that  
20    said you will be permitted to vent not more than,  
21    let's say 600 Mcf a day, for not more than, let's  
22    say 120 days, subject, however, to conducting  
23    tests in accordance with the Division-approved  
24    testing program, which program may set production  
25    limits at a lower level for periods of time or

1 even shut-ins for periods of time for test  
2 purposes, and then clean up the language so it  
3 essentially says you submit your tests and  
4 discuss your tests with the Aztec office, and  
5 that would be in anticipation of Mr. Greer having  
6 some input into it as an offset operator and as  
7 one of the acknowledged experts in the fractured  
8 Mancos Field, would that be consistent with what  
9 you're seeking today?

10 I'm not telling you that you will do  
11 what Greer says. You will do what the district  
12 says, and Greer would have some input into it.  
13 But you would develop a testing program and would  
14 be able to modify it from time to time as needs  
15 require under such a provision.

16 A. Well, I think the answer is yes. You  
17 know, there has to be a certain understanding.  
18 We're talking about a 120-day period. The  
19 current testing period really will run  
20 approximately 70 days, meaning you've got 50 days  
21 where's there is no approved testing period where  
22 we would probably just recommend producing the  
23 well. And that's what we would intend on doing.

24 Now, we may change the testing period.  
25 It may be lengthened; it may be shortened

1       depening on our discussions.

2           Q.       Exactly.

3           A.       We may review the whole testing period,  
4       based on what the 2-A has told us, and readjust  
5       it completely. But I think that we're willing to  
6       work with the district. We have to work with  
7       them for many years to come. And so we're happy  
8       to kind of, you know, come to an agreement with  
9       the testing program.

10               But I'm not so sure that should be sort  
11       of tacked on to the basic order, the venting  
12       relief order. I think that's something that's --

13           Q.       Well, you've got two choices, I guess,  
14       is what I'm saying. Either we tell you how to  
15       test in the order, or we tell you you will test  
16       in accordance with the Division-approved program,  
17       which program can be developed in conjunction  
18       with the Aztec office. Which is your preference  
19       of those two choices?

20           A.       Well, in an order we have at least a  
21       chance to speak before the hearing, and that's  
22       not my preference. But there has to be an  
23       understanding it has to be agreed to by both  
24       parties. I wouldn't want the district to go down  
25       and say this is what you're going to do to test



1     it, and I come back and say that it's just not  
2     reasonable and all of a sudden we're forced to  
3     spend the money to go ahead with that test.

4             Do you understand the difficulty?

5             Q.     I understand what you're saying.

6             A.     Testing has to be done from an  
7     efficient engineering-based concept. It  
8     shouldn't be kind of regulated unless you've  
9     really evaluated all the reasons behind it.

10            Q.     My anticipation in how that process  
11     would work is that you would -- if you wanted to  
12     make modifications to the existing test program  
13     that's been approved by the District, you would  
14     make those recommendations and justify them to  
15     the Division?

16            A.     Sure.

17            Q.     If Mr. Greer thought that there were  
18     some things that ought to be added or changed to  
19     that, he could make some recommendations to the  
20     Division and to you -- at the same time to you --  
21     and you would then review those, comment on them,  
22     and the Division could then recommend the  
23     modifications to that program. And again I think  
24     there's an element of reasonableness here, and I  
25     think so far that's occurred.

1           A.     Yeah.

2           Q.     I guess what I'm asking you here is  
3 recognizing that understanding it is not just  
4 going to be an arbitrary imposition, from your  
5 position would you rather have it in the order or  
6 the flexibility to deal with the District?

7           A.     We certainly want the flexibility to  
8 deal with the District. You know, there's always  
9 the situation that we can't come to an agreement,  
10 that all of a sudden they feel that this testing  
11 might be changed or we need it to be changed, and  
12 so you always have to understand that it can be  
13 that situation.

14                     But for the most part I think we've  
15 been able to work together. And we have an  
16 approved program in place, so I don't think  
17 there's much problem surrounding this.

18           Q.     Now, with respect to dealing with  
19 overproduction -- and I recognize that what we've  
20 talked about today kind of leaves you in the air  
21 as far as what you have to do with  
22 overproduction. Assuming we adopt some sort of  
23 gas limitation because you were venting it, would  
24 you be comfortable if -- let me rephrase that.

25                     In order to give you some comfort and

1 predictability in your operations, I would  
2 suggest that what the order should incorporate is  
3 some minimum level, make-up level which should be  
4 included. You have suggested that you produce at  
5 no more than 600, which essentially is a 200  
6 barrel a day make-up level?

7 A. Right.

8 Q. Is that the level at which you would be  
9 comfortable, the Division ordering a minimum  
10 make-up level for whatever overproduction it  
11 determined existed?

12 A. We would be comfortable with that  
13 level. I think it's very important that you put  
14 that clause into the order for this perspective.  
15 We're spending \$300- maybe up to \$500,000 putting  
16 in the injection scheme. If all of a sudden the  
17 order says no, you have to retire it right now,  
18 basically we've just spent all that money to shut  
19 in the well. And so we wouldn't spend that  
20 money; we'd retire the overproduction first and  
21 then spend it.

22 Q. I understand that, and that's why I'm  
23 asking you what level would be --

24 A. Well, the level that we've recommended,  
25 that we would make it up at a minimum of 200

1 barrels per day, you know, which represents  
2 what? 25 percent of our allowable.

3 Q. Mr. Artindale, let me broach something  
4 now that we have not discussed previously. As  
5 the test program stands today, it's roughly 70 to  
6 75 days from now you will have completed the  
7 testing procedure as approved, currently approved  
8 by the Division?

9 A. In fact, it may be less than 70 days.

10 Q. Okay.

11 A. Seventy-one days approximately.  
12 Seventy to 75 days from the date of starting it.

13 Q. That then raises the question of the  
14 justification for venting beyond that time  
15 because the justification initially is for  
16 testing purposes.

17 A. Uh-huh.

18 Q. You've indicated that it could take you  
19 as much as 120 days to develop the infrastructure  
20 to get your injection back to -- what is it? The  
21 2-A; is that correct?

22 A. Yes. That's an estimate we have right  
23 now. We'd hoped that it would be less than that,  
24 but then we'd panic if it was more than that.

25 Q. I understand.

1           A.       In terms of the testing, we've talked  
2 about testing and the acquisition of information.

3           Q.       Okay.

4           A.       I think they're two different things.  
5 We're talking about a particular test here where  
6 we would have -- we're primarily dealing with  
7 pressure, acquiring pressure data. The other is  
8 just a productivity test. In fact, that  
9 represents what you -- in the first 60 days of  
10 your program.

11                    So we're saying we'd like this to be  
12 considered as also kind of a production test.  
13 While we're trying to determine the production  
14 characteristics of this well for the next 120  
15 days, it would have impact on our injection  
16 scheme and on our -- significantly on our future  
17 wells in terms of putting them on to injection.

18                    So that's kind of what I'm talking  
19 about in terms of production testing, maintaining  
20 the flow rate of up to 3-F and monitoring it.

21           Q.       Even after the 70-day --

22           A.       Uh-huh.

23           Q.       -- what we call testing period?

24           A.       Well, a good portion of the 70 days,  
25 the 3-F well is in fact shut-in. So it's not as

1 if it's producing all of those 70 days.

2 Q. I guess what I'm -- a little bit of  
3 concern -- if we just say set the gas limit at  
4 600 a day and then you go back to that at the end  
5 of the 70-day period, just flow the well at  
6 whatever it will produce up to 600 Mcf a day,  
7 it's a potential of 50 days of that, 30 million  
8 Mcf a day?

9 A. Thirty Mcf.

10 Q. Thirty million cubic feet. At the very  
11 least I think we would want to look at the end of  
12 that time and see if in fact producing at that  
13 rate would yield any additional valuable  
14 information, or whether in fact it ought to be  
15 reduced in production to a rate which would still  
16 allow you to have some operating cost recoveries  
17 while you finished the injection system, but  
18 reduce the amount of gas being vented.

19 Would you have any problem with coming  
20 back at the end of this period and saying, "Okay,  
21 here's where we ought to be. Here's what we  
22 found"?

23 A. No. We certainly don't have any  
24 problem with reviewing the status of the test at  
25 the end of that period.

1           Q.       I think this whole situation results  
2 from the fact, as I described it to the Examiner  
3 when we were talking earlier, there's a freight  
4 train moving by us at about 70 miles an hour with  
5 a hope on Chicago and we're trying to inventory  
6 it while it moves.

7                   I mean, I think we need to get a grip  
8 on the inventory, but I think we would like the  
9 flexibility to come back and say, all right,  
10 let's review it at this time. And perhaps put in  
11 a recommendation that the Director could adjust  
12 that if necessary at the end of that -- after the  
13 completion of the Division-approved testing  
14 program.

15                   And again with some assurance to you  
16 that we are cognizant of the fact that you are  
17 spending some money and doing some things out  
18 there and generally operating in a very prudent  
19 and productive manner and don't want to penalize  
20 you, so we do want to -- but we do also want to  
21 waste as little gas as possible.

22           A.       Yeah. You know, this well is not only  
23 prolific, it's been very expensive to operate.  
24 Conditions certainly are not conducive to minimal  
25 or limited operating expenses. The amount of gas

1 that would be flared in that 50 days at the end  
2 would probably not even compare to some of the  
3 operating costs that we've experienced in the  
4 last few months.

5 So, you know, we're trying to put it  
6 all in perspective here.

7 Q. I understand.

8 A. Thirty million cubic feet a day.

9 Q. Or over -- not thirty a day.

10 A. Thirty over that fifty days really in  
11 terms of waste is a minimal amount compared to  
12 what's being spent out there and the opportunity  
13 out there as well.

14 MR. STOVALL: I don't think I have  
15 anything further.

16 Mr. Kellahin, did you?

17 MR. KELLAHIN: Yes. I want to present  
18 some of the correspondence to complete some of  
19 the topics we've touched on when it's  
20 appropriate.

21 EXAMINER STOGNER: Are you through with  
22 this witness?

23 MR. KELLAHIN: Yes.

24 MR. CARR: I'm finished.

25 EXAMINER STOGNER: Let's take a



1 five-minute recess.

2 [A recess was taken.]

3 MR. STOVALL: Mr. Artindale, I've only  
4 got one more question for you. You say you got  
5 somewhat confused by who had jurisdiction. Could  
6 you explain to me how a Canadian operator  
7 operating a well in the United States on Indian  
8 land subject to the United States government's  
9 supervision with regulation by the state agency  
10 could possibly get confused about the regulatory  
11 process? And you can take the fifth if you want  
12 to.

13 THE WITNESS: Yeah, I better not answer  
14 that.

15 EXAMINER STOGNER: Are there any other  
16 questions of this witness?

17 MR. CARR: No, sir.

18 EXAMINER STOGNER: I don't have any at  
19 this time. You may be excused.

20 THE WITNESS: Thanks.

21 EXAMINER STOGNER: Any of Mr. Lister?

22 MR. STOVALL: I don't think so.

23 EXAMINER STOGNER: I have none.

24 MR. KELLAHIN: I'd like to introduce  
25 some documents. I have marked for introduction

1 B-M-G Exhibits 1, 2, and 3. Exhibit 1 is the  
2 letter we've been discussing that Mr. Bush wrote  
3 American Hunter so that the Examiner has that in  
4 the record. That letter was dated June 26,  
5 copied to Mr. Greer.

6 Mr. Greer then responded to the  
7 Division and the parties on July 2 stating his  
8 concerns about the test, proposes a way to  
9 improve the test. On July 6 he writes another  
10 letter and again outlines his recommendations and  
11 suggestions about the test.

12 Rather than discuss all that, with Mr.  
13 Carr's concurrence, I propose to simply  
14 introduce this into the record.

15 MR. STOVALL: If you have no  
16 objections, I would like to have Mr. Bush just  
17 review those and advise that in fact that is the  
18 most current letter that he has written with  
19 respect to the approval. That's what I'm  
20 particularly concerned about. And Greer's  
21 responses.

22 MR. BUSH: Yes. This does constitute  
23 the most current correspondence with American  
24 Hunter.

25 MR. STOVALL: Let the record reflect

1 Ernie Bush so stating as a representative of the  
2 Aztec District Office and is not testifying to  
3 contents and therefore is not sworn, just stating  
4 it's an official record.

5 MR. CARR: We have no objection.

6 EXAMINER STOGNER:

7 Benson-Montin-Greer's Exhibits 1, 2, and 3 then  
8 will be admitted into the record at this time.

9 I would state, Mr. Bush, if there's any  
10 other correspondence, Mr. Artindale, Canadian  
11 Hunter, American Hunter to the District Office  
12 pertaining to the testing procedures, I would  
13 suggest that we CC a copy to the case file  
14 today. That way we'll have a complete record in  
15 this case.

16 Do you have any closing statements, Mr.  
17 Kellahin?

18 MR. KELLAHIN: If you're ready for that  
19 point in the hearing, Mr. Examiner.

20 EXAMINER STOGNER: I am if there's  
21 nothing else that you have to present.

22 MR. KELLAHIN: Very briefly, Mr.  
23 Examiner, the applicant seeks an exception to  
24 Rule 306. We think the rule is clear that that  
25 exception ought to be approved by the Oil

1 Conservation Division through this hearing  
2 process and through you subject to what our  
3 understanding is about the justification for  
4 venting that gas. And that is to provide a  
5 meaningful way to generate valuable reservoir  
6 data and information.

7 We believe that Mr. Bush's letter  
8 proposing a testing procedure is a good starting  
9 place to generate that reservoir data. However,  
10 we also think that Mr. Greer's suggestions, as  
11 contained in his letters, Exhibits 2 and 3,  
12 provide substantial ways to significantly improve  
13 the test. The most meaningful provision is the  
14 installation of a pressure bomb in the producing  
15 well, the F-3.

16 We would like the Examiner to enter an  
17 order that allows an opportunity for that test  
18 procedure to be modified to take into  
19 consideration that fact and that under whatever  
20 fashion you think appropriate for a procedure;  
21 that we accomplish a testing exception for this  
22 particular operator within the time frame that  
23 they proposed provided it can be modified to  
24 provide the most reliable accurate reservoir  
25 data, which we think is going to be generated by

1 the use of a pressure bomb.

2 One suggestion about how to make that  
3 work is have the Division Examiner, as part of  
4 the order, direct the District Office to make a  
5 recommendation back to you about the test and let  
6 the District, along with Mr. Greer and the  
7 applicant, provide those ideas to the District,  
8 but allow the Division Examiner through this  
9 hearing process to make a final choice about  
10 whether that test is to be modified or not.

11 MR. STOVALL: If I can, Mr. Kellahin,  
12 are you suggesting that that would be  
13 incorporated into the order coming out of this  
14 hearing, or that something be established in the  
15 order that the Examiner could supplement it as a  
16 result of that information?

17 MR. KELLAHIN: In either fashion. But  
18 rather than simply put that issue aside and  
19 presume that it can be successfully accomplished  
20 at the District level under the Supervisor's  
21 discretion, I suggest going back and inviting a  
22 further hearing here.

23 We have already utilized Rule 306 to  
24 get us to the hearing process. And we think  
25 there is a way to devise an order where this

1 Examiner can create a procedure for us to address  
2 modification of that test.

3 EXAMINER STOGNER: Is that all, Mr.  
4 Kellahin?

5 MR. KELLAHIN: Yes, sir.

6 EXAMINER STOGNER: Just one point of  
7 clarification for Mr. Kellahin. What's Al  
8 Greer's interest in this particular case? Is he  
9 a working interest owner?

10 MR. KELLAHIN: He is directly offset  
11 with four sections that are the spacing units  
12 immediately to the south.

13 EXAMINER STOGNER: As a lessee of  
14 record or just a mineral interest?

15 MR. KELLAHIN: I must tell you I am not  
16 certain.

17 MR. STOVALL: Perhaps one of the  
18 American Hunter witnesses knows. Does one of  
19 your witnesses know what Greer's official  
20 interest is, or do you just know he's the  
21 operator in that area?

22 MR. ARTINDALE: He operates those four  
23 wells. I believe last year Al told me that those  
24 four wells produced a total of, like, 9,000  
25 barrels.

1 EXAMINER STOGNER: What four wells?

2 MR. KELLAHIN: Let's take a moment  
3 before we get this wrong.

4 [A discussion was held off the record.]

5 EXAMINER STOGNER: I believe I asked  
6 you for some clarification of Mr. Greer's  
7 interest in this particular case. And I  
8 believe you have something at this time, Mr.  
9 Kellahin?

10 MR. KELLAHIN: Mr. Examiner, what I'm  
11 marking as Greer Exhibit No. 4, B-M-G, is a  
12 facsimile that Mr. Greer has provided to me that  
13 outlined the wells he owns or operates. I will  
14 highlight in red the acreage that he controls.

15 The four producing wells that he  
16 operates I've outlined in the pink. I then  
17 outlined the four sections that he operates. And  
18 I've shown the relationship to the 3-F and the  
19 2-A.

20 Let me share that with opposing counsel  
21 so that he can confirm that I have correctly  
22 stated the ownership.

23 MR. STOVALL: Mr. Kellahin, after the  
24 hearing is over, let's reproduce that on a  
25 photocopy because those copies tend not to last.

1 MR. KELLAHIN: I'll duplicate that.

2 MR. STOVALL: We'll do that on clean  
3 paper.

4 MR. KELLAHIN: But we would move the  
5 introduction of Exhibit No. 4.

6 EXAMINER STOGNER: This Exhibit No. 4,  
7 absent the --

8 MR. STOVALL: Mr. Carr, would you  
9 stipulate to the accuracy since we don't have a  
10 witness sponsoring these?

11 MR. CARR: To extent that I can, it  
12 appears accurate to me.

13 EXAMINER STOGNER: This is more of a  
14 point of clarification of Mr. Greer's interest.  
15 I just wanted something on the record to tell me.

16 MR. STOVALL: He had a right to be  
17 here.

18 EXAMINER STOGNER: Sure.

19 Thank you, Mr. Kellahin.

20 Mr. Carr, I've left you the last word  
21 for today.

22 MR. CARR: Thank you, Mr. Stogner.

23 EXAMINER STOGNER: For today.

24 MR. CARR: Representing the fact that  
25 the Examiner always has the last say, I would



1     like to point out that American Hunter is here  
2     having expended substantial sums and effort to  
3     develop a new well, which is really a major  
4     discovery in the San Juan Basin.

5             It ties the productive area in Boulder  
6     to the previously developed area in the West  
7     Puerto Chiquito. And because of a mistake and  
8     some confusion, they didn't properly obtain an  
9     extension from you or an exemption to the  
10    no-flare provisions of Rule 306.

11            The purpose in coming before you today  
12    was to, one, advise you as to where we are and to  
13    ask for relief. And in the meetings and in the  
14    hearing, we are agreeable to going forward with  
15    the program whereby within 120 days we will be  
16    prepared to inject the gas that is now being  
17    produced from the 3-F well. In the interim we're  
18    asking for authority to vent no more than 600 Mcf  
19    of gas a day.

20            We have an approved testing procedure.  
21    We have worked one out with the Division. It  
22    isn't something that is going to be created in  
23    the future. We have one. And if that test needs  
24    to be amended or changed, we believe the  
25    appropriate place to do that is with the District

1 Office. It may have been changed or modified at  
2 the request of American Hunter. Someone else may  
3 have issues that need to be resolved.

4 But we think that the flexibility that  
5 this process is going to require can only be  
6 achieved by keeping that function clearly in the  
7 District Office. If a dispute comes up, any  
8 operator can always bring it back to you for  
9 further resolution. And if there are engineering  
10 questions that none of us feel competent to  
11 respond to, we certainly would entrust them to  
12 you.

13 The only thing that still stands out as  
14 a source of not so much a problem, but just an  
15 apprehension on our part is that we really don't  
16 know where we stand in terms of the overproduced  
17 status of the 3-F well as we move through a  
18 testing period.

19 We understand Mr. Bush's and Mr.  
20 Chavez' interpretation of the rule. And in fact  
21 we're asking you, I think, as you go through this  
22 not to assign additional overproduction to us.  
23 And when we get to that question at an  
24 appropriate time -- I don't know where in the  
25 process as it stands now that we can express

1     that, so I am expressing it now.

2             But we do think that exceptions to the  
3     no-flare rule are substantially undercut if all  
4     you're getting is a provision which exempts you  
5     from shut-in and yet you still accrue all of this  
6     overproduction while complying with the  
7     Division-approved test.

8             Now, I understand that sometimes the  
9     District Office is hard to correct or direct on  
10    those points. When I was here one time, we sent  
11    a memo to Mr. Arnold, who sent it right back to  
12    us with a note on it, "You guys run your office;  
13    I'll run mine."

14            But as you go through the process and  
15    work this out, we'd like to have input on not  
16    only the questions that relate to the testing,  
17    but how the overproduction is going to be  
18    handled. And we appreciate the effort that  
19    you've put into this proceeding today.

20            EXAMINER STOGNER: Thank you, Mr.  
21    Carr.

22            There's been talk of reinjection of  
23    gas. I'm going to ask that an application, since  
24    this is going to have to go to hearing, it's not  
25    gas disposal; it somewhat falls under the

1 pressure maintenance.

2 MR. CARR: We intend to file an  
3 application seeking authority on Form C-108 to  
4 have this matter brought before an Examiner in  
5 August. We were hoping to have it back before  
6 you. We don't know if we can get the application  
7 together and pre-filed 15 days before the first  
8 hearing in August. But we'll do that as quickly  
9 as we can.

10 EXAMINER STOGNER: That, by the way,  
11 would need to be on next Tuesday to get on the  
12 August 8 hearing.

13 MR. CARR: That's the problem that  
14 we're facing.

15 EXAMINER STOGNER: Just be aware that  
16 that particular hearing that day concerns a very  
17 interesting case down in the southeast with a  
18 certain potash interest that may take some time  
19 and effort.

20 MR. STOVALL: Which may also be a  
21 related company.

22 MR. CARR: I believe you can rest  
23 assured it's unlikely we'll show up on the 8th.

24 EXAMINER STOGNER: No feelings hurt.

25 Also, to keep this agency enlightened,

1 I realize there's going to have to be flow  
2 lines. There again the jurisdictional agencies,  
3 this is the Jicarillas and the BLM, which we  
4 fully understand, but if you could perhaps submit  
5 for the record to keep this record straight,  
6 since this is part of this particular proceeding  
7 today for informational purposes, showing that  
8 that particular authorization by American Hunter  
9 is being followed through, submit us copies for  
10 the record how that is coming along for the flow  
11 line and the application to drill or not drill  
12 the injection well, but to do the road work and  
13 such as that. That way we'll have a clear and  
14 concise record in this particular case that is  
15 being abided by.

16 Gentlemen, I'd like for you to also  
17 provide me with a rough draft order, if you  
18 would. What kind of time frame are you looking  
19 at on this?

20 MR. CARR: Shoot for a week from  
21 tomorrow. Is that all right with you, Tom?

22 MR. KELLAHIN: Certainly.

23 MR. CARR: Could we do it a week from  
24 Tuesday? Well, I don't know. I think we better  
25 keep ourselves on a time frame and do it by a

1 week from tomorrow, if that's all right with  
2 you.

3 EXAMINER STOGNER: Are you talking  
4 about the 18th? Oh, no. Wrong month. You're  
5 talking about the 17th of July?

6 MR. CARR: The 17th. And I will try  
7 and have it here before then.

8 EXAMINER STOGNER: Mr. Kellahin?

9 MR. KELLAHIN: That's fine.

10 MR. CARR: That puts it the day after  
11 the Commission hearing.

12 MR. STOVALL: I don't know, but let me  
13 ask you a question whether it makes sense to -- I  
14 mean, you're essentially in agreement. If you  
15 want, do you want to do something jointly and one  
16 sign off on it?

17 MR. CARR: If we can. He always thinks  
18 I word things wrong.

19 EXAMINER STOGNER: Of course, something  
20 like this where you're both here in the same  
21 town, if you need to fluctuate, one way or the  
22 other.

23 MR. CARR: I'm not concerned about  
24 filing these on the same date either. I will  
25 attempt to have it in before then. That does

1 give me one day after next week's Commission  
2 hearing, and that was the thinking on that.

3 MR. KELLAHIN: I think we should try to  
4 provide you with an order where we can agree on.  
5 And those areas where we can't agree, we'll  
6 provide you with alternative language.


7 MR. CARR: We can do that.

8 EXAMINER STOGNER: That's what I would  
9 like.

10 Is there anything else further in  
11 today's matter? If not, I'm going to leave the  
12 record open to take in the rough draft order from  
13 Mr. Kellahin and Mr. Carr.

14 Anybody else have anything further  
15 today? If not, hearing adjourned.

16 [And the proceedings were concluded  
17 at the approximate hour of 3:40 p.m.]  
18  
19  
20

21 I do hereby certify that the foregoing is  
22 a complete record of the proceedings in  
23 the Examiner hearing of Case No. MSOX,  
24 heard by me on July 19, 1992.  
25  , Examiner  
Oil Conservation Division

## 1 CERTIFICATE OF REPORTER

2  
3 STATE OF NEW MEXICO )  
4 ) ss.  
COUNTY OF SANTA FE )

5  
6 I, Debbie Vestal, Certified Shorthand  
7 Reporter and Notary Public, HEREBY CERTIFY that  
8 the foregoing transcript of proceedings before  
9 the Oil Conservation Division was reported by me;  
10 that I caused my notes to be transcribed under my  
11 personal supervision; and that the foregoing is a  
12 true and accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a  
14 relative or employee of any of the parties or  
15 attorneys involved in this matter and that I have  
16 no personal interest in the final disposition of  
17 this matter.

18 WITNESS MY HAND AND SEAL JULY 21, 1992.  
19  
20

21   
22 \_\_\_\_\_  
23 DEBBIE VESTAL, RPR  
24 NEW MEXICO CSR NO. 3  
25