

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

NEW MEXICO OIL CONSERVATION DIVISION  
STATE LAND OFFICE BUILDING  
STATE OF NEW MEXICO  
CASE NO. 10766

IN THE MATTER OF:

The Application of David H. Arrington  
Oil & Gas, Inc., for an Unorthodox  
Gas Well Location and a Nonstandard  
Gas Spacing Unit, Lea County,  
New Mexico.


BEFORE:

MICHAEL E. STOGNER  
Hearing Examiner

State Land Office Building  
Thursday, September 23, 1993

REPORTED BY:

CARLA DIANE RODRIGUEZ  
Certified Court Reporter  
for the State of New Mexico



**ORIGINAL**

## A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

**ROBERT G. STOVALL, ESQ.**

General Counsel  
State Land Office Building  
Post Office Box 2088  
Santa Fe, New Mexico 87504-2088

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.  
Post Office Box 2208  
Santa Fe, New Mexico 87504-2208  
BY: **WILLIAM F. CARR, ESQ.**

FOR CONOCO, INC.:

KELLAHIN & KELLAHIN  
Post Office Box 2265  
Santa Fe, New Mexico 87504-2265  
BY: **W. THOMAS KELLAHIN, ESQ.**

## I N D E X

	Page Number
1	
2	
3	2
4	
5	
6	
7	
8	
9	
10	
11	
12	
13	Page Marked
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	

1 EXAMINER STOGNER: At this time, I'll  
2 call Case No. 10766.

3 MR. STOVALL: Application of David H.  
4 Arrington Oil & Gas, Inc., for an unorthodox gas  
5 well location and nonstandard spacing unit, Lea  
6 County, New Mexico.

7 EXAMINER STOGNER: Call for  
8 appearances.

9 MR. CARR: May it please the Examiner,  
10 my name is William F. Carr with the Santa Fe law  
11 firm Campbell, Carr, Berge & Sheridan. We  
12 represent David H. Arrington Oil & Gas, Inc., and  
13 I have one witness.

14 EXAMINER STOGNER: Any other  
15 appearances?

16 MR. KELLAHIN: Mr. Examiner, I'm Tom  
17 Kellahin of the Santa Fe law firm of Kellahin and  
18 Kellahin, appearing on behalf of Conoco, Inc.,  
19 and I have one witness to be sworn.

20 EXAMINER CATANACH: Are there any other  
21 appearances in this matter?

22 Will the witnesses please stand at this  
23 time to be sworn?

24 [And the witnesses were duly sworn.]

25

**KEITH LOGAN**

1 Having been first duly sworn upon his oath, was  
2 examined and testified as follows:

3 EXAMINATION

4 BY MR. CARR:

5 Q. Will you state your name for the  
6 record, please.

7 A. Keith Logan.

8 Q. Where do you reside?

9 A. Midland, Texas.

10 Q. By whom are you employed?

11 A. I am retained as a consulting petroleum  
12 engineer by David Arrington.

13 Q. Have you previously testified before  
14 this Division?

15 A. Yes, I have.

16 Q. At the time of that prior testimony,  
17 were your credentials as a petroleum engineer  
18 accepted and made a matter of record?

19 A. Yes, they were.

20 Q. Are you familiar with the application  
21 filed in this case on behalf of Mr. Arrington?

22 A. Yes, I am.

23 Q. Are you familiar with the proposed  
24 well, the offsetting development in the Eumont  
25 Gas pool, and the reasons for the proposed

1 unorthodox well location?

2 A. Yes, I am.

3 MR. CARR: Are the witness's  
4 qualifications acceptable?

5 EXAMINER STOGNER: Are there any  
6 objections?

7 MR. KELLAHIN: None.

8 EXAMINER STOGNER: So qualified.

9 Q. Mr. Logan, would you briefly state what  
10 Mr. Arrington seeks with this application?

11 A. Mr. Arrington is seeking approval for a  
12 nonstandard proration unit in the Eumont Gas  
13 pool, consisting of the southeast quarter of the  
14 northwest quarter, the south half of the  
15 northeast quarter, and the northwest quarter of  
16 the southeast quarter of Section 11, Township 21  
17 South, Range 36 East, Lea County, New Mexico.

18 Q. Is Mr. Arrington also seeking approval  
19 of an unorthodox well location?

20 A. Yes.

21 Q. What is that location?

22 A. Location would be drilled 1980 feet  
23 from the north line and 1830 feet from the west  
24 line.

25 Q. What are the well spacing requirements

1 for wells drilled in the Eumont Gas pool on  
2 160-acre units?

3 A. That no well shall be drilled closer  
4 than 660 feet from the outer boundary of that  
5 proration unit.

6 Q. So the proposed well is too close to  
7 the western boundary of the proposed unit?

8 A. Correct.

9 Q. It's how many feet from the boundary?

10 A. It's 150 feet too close.

11 Q. So it's 510 feet from the boundary?

12 A. Correct.

13 Q. Let's go to what has been marked as  
14 David H. Arrington Exhibit No. 1. I'd ask you  
15 first to identify this, and then review it for  
16 Mr. Stogner.

17 A. Exhibit No. 1 is a plat showing both  
18 the proposed proration unit, as you can see  
19 outlined, the acreage that I previously  
20 described. It also is showing cumulative  
21 production and current rate from existing or  
22 plugged Eumont gas producers.

23 The "A" that I've shown here is  
24 cumulative production in million cubic feet, and  
25 "B" is current rate in Mcfd, or current status,

1 whether the well has been plugged and abandoned  
2 or, in the case of the well in the south, part of  
3 the proposed proration unit is now an injection  
4 well in the Grayburg-San Andres.

5 Q. Is all the acreage in Section 11, other  
6 than the proposed spacing unit, dedicated to a  
7 Eumont unit?

8 A. Yes.

9 Q. Could you review the Eumont spacing  
10 units in this section for the Examiner, please?

11 A. Yes. The acreage west and southwest,  
12 comprising 200 acres that is outlined, shows  
13 Conoco has a proration unit there.

14 Due south of the acreage is a 40-acre  
15 tract that Hendrix operates. The east half of  
16 the southeast quarter is an 80-acre tract  
17 dedicated to the Burleson well, producing in the  
18 southeast to the southeast quarter.

19 The north half of the northeast quarter  
20 is an 80-acre lay-down--the producing well is the  
21 Hendrix well in the northwest of the northeast  
22 quarter, and then the acreage in the north half  
23 of the northwest quarter is dedicated to a  
24 320-acre proration unit that continues into  
25 Section 2, to the north.



1 Q. That's operated by Chevron?

2 A. Right.

3 Q. All right. Let's go to Exhibit No. 2.  
4 Would you identify and review that, please?

5 A. Exhibit No. 2 is a cross-section. I  
6 want to explain, really, my nomenclature in this  
7 matter, what we're looking for, so I've got some  
8 intervals colored.

9 This is, essentially, a west to east  
10 cross-section. It goes from the Conoco Well to  
11 the southwest of the proposed location, and ends  
12 at the well in the south part of the proposed  
13 pronation unit.

14 What I've colored in here in orange, at  
15 the very top, is a correlation point within the  
16 Seven Rivers. The intervals below, that I've  
17 colored in green, are still within the Seven  
18 Rivers, as I call it, and they are strictly shown  
19 here as correlation points.

20 When you get down to the red formation,  
21 I'm referring to that as Queen, and then the  
22 yellow I'm calling Penrose.

23 Q. What are the primary objectives in the  
24 proposed well?

25 A. Really, the Queen-Penrose.

1 Q. And where, on this cross section, would  
2 the proposed well be located?

3 A. It would be located between Well No. 2  
4 and 3.

5 Q. Let's go down to Exhibit No. 3. Would  
6 you identify that, please?

7 A. Okay. Exhibit No. 3 is a structure map  
8 on the top of the Queen formation. The red one,  
9 as I described on the cross-section, not a lot of  
10 structural change in here.

11 Yes, the proposed location would be  
12 high to some of the acreage on the eastern part  
13 of the proration unit. I don't think that has,  
14 really, any bearing on it. We are still, on the  
15 Queen formation, high to the Conoco Well, to the  
16 southwest.

17 Q. All right. Let's move to Exhibit 4,  
18 your isopach.

19 A. Okay. The main thing I'm showing here,  
20 this is thickness of the Queen sand; again, the  
21 red, if you want to refer to your cross-section.

22 What I'm showing here, at the proposed  
23 location or a standard location, going due west,  
24 there is significant difference between there and  
25 the well due west. As you can see, at the

1 660/660 location on the proposed proration unit,  
2 I show 30 feet of Queen sand thickness; whereas,  
3 when you go west, it thickens to 95 feet. So,  
4 definitely, there's a major change going west.

5 I didn't see this occur in the  
6 Penrose. The Penrose, I'm not seeing a lot of  
7 change in thickness in the sand, like I do in the  
8 Queen. In our proposed location, we're trying to  
9 have as thick of a Queen sand as we possibly can,  
10 to adequately recover reserves.

11 Q. Your isopach map, basically, shows a  
12 substantial thickening of the Queen as you move  
13 to the west, is that correct?

14 A. That's correct.

15 Q. If you drilled at a standard location  
16 there, there in fact is a well at the standard  
17 location, is that right?

18 A. Yes, there is.

19 Q. If you move further off to the east,  
20 what impact would that have on the ability of Mr.  
21 Arrington to go forward with that project?

22 A. Well, that would definitely increase  
23 the risk of being commercial.

24 Q. In your opinion, would anything to the  
25 east of the standard location be an acceptable

1 place to place a well to encounter the Queen  
2 formation?

3 A. No.

4 Q. Now, let's go to your Exhibit No. 5,  
5 and I would ask you to review this, and review  
6 for the Examiner what penalty Mr. Arrington would  
7 recommend be imposed on the well if, in fact, the  
8 Division determines that it is appropriate to  
9 penalize this well because of its location.

10 A. What I've done here is, I've taken and  
11 plotted, on graph paper, a standard location,  
12 which is 660 from both boundaries, the south and  
13 the west boundary, and the distance from that  
14 point to Conoco's No. 16 well, to the southwest.  
15 And I've calculated that distance as X.

16 I've also on here put down the proposed  
17 location, which is 150 feet towards the west  
18 boundary of the proration unit, and I've  
19 calculated that distance and called it Y.

20 And, from that, I got a ratio between X  
21 and Y showing that Y is just 94 percent of X,  
22 which tells me that we're actually only moving  
23 six percent closer to Conoco's well at the  
24 proposed location.

25 Q. So you're recommending a six percent

1 penalty?

2 A. Yes.

3 Q. Against what should that penalty be  
4 applied?

5 A. Against the allowable in the Eumont gas  
6 pool.

7 Q. If the Division should decide to impose  
8 a penalty based on the amount of encroachment on  
9 the offsetting tract, have you also considered  
10 what that penalty might be?

11 A. Yes, I have.

12 Q. How do you calculate that penalty,  
13 using that approach?

14 A. Well, I calculate it to be 10.6  
15 percent.

16 Q. That 10.6 percent figure, how did you  
17 determine that?

18 A. Well, same way here, instead of going  
19 to their well, I went to the corner of the  
20 tracts, since we are moving--I mean, their well  
21 is southwest, so I just did it to the southwest  
22 corner.

23 Q. If you use the same approach but don't  
24 use the Conoco well, but just calculate the  
25 percentage encroachment between your proposed

1 location and the standard location to the corner  
2 of your tract, you came up, in that circumstance,  
3 with a 10.6 percent penalty?

4 A. Correct.

5 Q. Have you considered what kind of a  
6 penalty might be imposed if, in fact, you used  
7 the amount of encroachment between this well and  
8 the western boundary of the unit?

9 A. The proposed location is 22.7 percent  
10 closer to the west boundary, but is standard to  
11 the south.

12 Q. If that approach is utilized, what  
13 percentage penalty would you recommend be  
14 applied?

15 A. Roughly 11.5 percent.

16 Q. How do you get that?

17 A. By just taking an arithmetic average of  
18 two numbers.

19 Q. Could you identify what has been marked  
20 as Arrington Exhibit No. 6?

21 A. Yes. Exhibit No. 6 are affidavits of  
22 mailing, notifying the offset operators to this  
23 proposed location.

24 Q. It also provides notice of the hearing?

25 A. Yes.

1 Q. Enclosed in this exhibit are return  
2 receipts showing that, in fact, the notice  
3 reached the designated parties?

4 A. Yes.

5 Q. In your opinion, will approval of this  
6 application and the drilling of the well at the  
7 proposed location, result in the recovery of  
8 hydrocarbons that otherwise will not be  
9 recovered?

10 A. Yes.

11 Q. In your opinion, will approval of this  
12 application and adoption of your recommended  
13 penalty be in the best interest of conservation,  
14 the prevention of waste, and the protection of  
15 correlative rights?

16 A. Yes, it will.

17 Q. Were Exhibits 1 through 6 prepared by  
18 you?

19 A. Yes, they were.

20 MR. CARR: At this time, we would move  
21 the admission of Arrington Exhibits 1 through 6.

22 EXAMINER STOGNER: Exhibits 1 through 6  
23 will be admitted into evidence.

24 MR. CARR: That concludes my direct  
25 examination of Mr. Logan.

## EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY MR. KELLAHIN:

Q. Mr. Logan, when were you retained by Mr. Arrington to make a study of this particular case for him?

A. Several months ago. I don't know the exact point.

Q. Were you hired before or after Mr. Arrington made his initial proposal to Conoco to place this well 330 from the western boundary of your spacing unit?

A. Oh, I was involved with it at that time, yes.

Q. Did Mr. Arrington give you any criteria for determining where to locate this Eumont well in his proposed spacing unit?

A. Just at the most favorable location.

EXAMINER STOGNER: I'm sorry, what?

A. The place he felt like he could recover the most reserves.

Q. Did he describe to you any desire to position yourself as closely as you could to the Conoco State D No. 16 well in the offsetting spacing unit?

A. No.



1 Q. What was the reason the well was moved  
2 back from 330 to 510?

3 A. Well, it was mainly because there was a  
4 chance of a severe penalty.

5 Q. Have you examined the types of  
6 penalties used by the Division for Eumont gas  
7 wells, that are located at unorthodox gas well  
8 locations?

9 A. I can't say that I've examined them.  
10 I'm somewhat aware of what has taken place.

11 Q. Are you familiar with any footage  
12 encroachment penalty adopted by the Division  
13 concerning Eumont gas wells?

14 A. I can't say that I know of any  
15 specific, no, Mr. Kellahin.

16 Q. Okay. When you look at the Eumont  
17 pool, the top most productive interval in that  
18 pool is that zone above the Seven Rivers, until  
19 you get to the Yates? Is that the way it's  
20 described?

21 A. Could you repeat that? I'm trying to  
22 understand what you said.

23 Q. Let's take the Eumont pool. From the  
24 surface down, what is the first producing  
25 interval in the Eumont pool that you get to?

1 A. The Yates.

2 Q. Have you mapped the Yates' potential in  
3 your spacing unit for production out of the pool?

4 A. I have not mapped the Yates.

5 Q. The next lower level of production in  
6 the pool is the Seven Rivers, isn't it?

7 A. Correct.

8 Q. Have you prepared an isopach on that  
9 interval to determine the potential production  
10 within your spacing unit for that formation?

11 A. I did look at the interval from my  
12 Seven Rivers marker down to what I'm calling the  
13 top of the Queen.

14 Q. The interval that you chose to present  
15 to the Hearing Examiner is the Queen interval?

16 A. Correct.

17 Q. Show us the thickness, in terms of the  
18 vertical interval that you're mapping, when you  
19 look at a cross-section or a type log.

20 A. Right. What I'm trying to say here is,  
21 in my study, of course, what I'm calling the  
22 Queen--and I know that nomenclature could be a  
23 problem in here--but what I'm calling the Queen  
24 is what I've colored as a sand, and I've colored  
25 it in red on the cross-section.

1 Q. Let me take a moment to understand.  
2 When you prepared your Queen isopach, did you use  
3 a porosity cutoff value?

4 A. I used a sand thickness, is what I  
5 used.

6 Q. So, we're looking at a gross isopach of  
7 the Queen interval on your map?

8 A. Well, I'm looking at a gross isopach,  
9 but when you get right on the acreage, what I'm  
10 seeing, if you go from Well No. 2 to Well No. 3,  
11 what I'm seeing is, you go from quite a bit of  
12 sand, to some sand with a very tight, appears to  
13 be carbonate rock below it, in between it and the  
14 Penrose. What I'm saying there, it doesn't have  
15 the potential. It's not reservoir quality rock.

16 Q. I want to make sure I understand the  
17 interval that's being contoured on the isopach.  
18 When I look at the No. 2 well on the  
19 cross-section, that area shaded in the pink or  
20 the red represents the totals interval that  
21 you're trying to map?

22 A. Yes.

23 Q. You've not applied a porosity cutoff  
24 value to shrink that thickness in that well?

25 A. Well, no, I haven't, because you

1 definitely go from a lot of sand to getting quite  
2 thin, but it's still perforated and did produce  
3 on the proposed proration unit.

4 Q. Did you prepare an isopach map of the  
5 Penrose member of the pool?

6 A. I have done a Penrose.

7 Q. Your conclusion was that it didn't make  
8 a difference?

9 A. That the changes were not nearly as  
10 dramatic as what I'm seeing in the Queen. The  
11 Queen, by far--my map explains production quite  
12 well, in that the best well in this happens to be  
13 the thickest well in the Queen.

14 Q. Let's look at the Penrose, for a  
15 moment. When you look at the data on the Penrose  
16 member, what is the east/west orientation of the  
17 thickness? In which direction do we go to get  
18 the greater thickness on the Penrose?

19 A. From a percentage standpoint, I'm just  
20 not seeing what I would call significant changes  
21 in the Penrose and that's why, I think, I believe  
22 any isopach ought to explain what's happening,  
23 from a production standpoint, and that's why I  
24 happened the Queen.

25 Q. When you map the Penrose interval, and

1 you don't see a significant change in thickness--

2 A. No, I don't.

3 Q. --what constitutes, in your mind, the  
4 definition of "thickness" and "significant"?

5 A. I'm just saying a sand-- I mean, I've  
6 got it colored in yellow, and I'll just say right  
7 here, I don't see a lot of change from west to  
8 east.

9 Q. When we look at the Queen now, the  
10 proposed unorthodox location, it is your  
11 conclusion that is 30 feet of Queen?

12 A. Correct.

13 Q. The standard location is where there's  
14 an existing well in another pool, right?

15 A. Right. That's Grayburg-San Andres.

16 Q. That's one of those EMSU unit wells?

17 A. That's right.

18 Q. When we look at a whole spacing unit,  
19 there is not a Eumont well yet that's producing  
20 for your spacing unit, right?

21 A. The one in the south part of that was  
22 perforated across the Queen.

23 Q. It's not an injector well in the unit?

24 A. The one in the--it's now an injection  
25 well. I'm just saying it had capacity to have

1 produced from the Queen, because it made 1.5 Bcf.

2 Q. Looking at the spacing unit now, the  
3 160 acres, there is no producing Eumont gas well  
4 on that spacing unit?

5 A. No, there's not.

6 Q. So you have the opportunity and the  
7 flexibility to locate that well anywhere you want  
8 within the spacing unit?

9 A. Well, that is correct.

10 Q. The standard location closest to the  
11 unorthodox location is another 150 feet to the  
12 east, and it's at the black dot on the isopach?

13 A. Correct.

14 Q. If you move another--what's the minimum  
15 distance you have away from that wellbore that  
16 you would want to maintain?

17 A. I would say 50 feet minimum.

18 Q. Okay. If we go from the 510, and you  
19 move to 610, which is the 50-foot difference  
20 between the existing wellbore, tell me the  
21 footage distance difference between the 510 and  
22 the 610 location.

23 A. Oh, there might be 10 feet.

24 Q. If you move to the eastern side of the  
25 existing wellbore and are 50 feet farther east,

1 what is going to be the thickness on your isopach  
2 at that point?

3 A. Well, from the way I've got it mapped,  
4 not much at all.

5 Q. How much is not enough to make a  
6 difference as to well locations, Mr. Logan?

7 A. Well, I'll just go back. I see the  
8 dramatic change going west, due west. That's  
9 where you are getting the Queen changing  
10 dramatically, and the fact that you have made 12  
11 Bcf out of that, both the No. 1 and 16 well to  
12 the southwest.

13 Q. Have you analyzed the reservoir to  
14 determine for us, as a reservoir engineer, what  
15 is the minimum thickness in the Queen for the  
16 Eumont pool, that you need for a commercial well?

17 A. I haven't done that, but I do know that  
18 the well in the south part of the proration unit  
19 made 1.5 Bcf.

20 Q. If the location you're proposing is 30  
21 feet--are you with me?

22 A. Yes.

23 Q. --if you follow that contour line over  
24 to the west, that's a 40-foot thickness line,  
25 isn't it?

1           A.     Right.

2           Q.     Follow that contour line south of the  
3 location, taking it east, you can eventually get  
4 to a comparable thickness in the Queen interval  
5 of the pool, and be at a standard well location  
6 within your spacing unit, can't you?

7           A.     I would much rather move in the  
8 direction of a control point. In that case, I  
9 don't feel like I am.

10          Q.     Your control point is the  
11 Conoco-operated State D 16 well?

12          A.     No, I'm talking about the one due west,  
13 the one that I show as 95 feet.

14          Q.     The 95-foot point on your isopach is  
15 now an EMSU unit well, isn't it?

16          A.     Yes, it is.

17          Q.     It's been completed out of the pool and  
18 it's now one of those unit wells?

19          A.     Right.

20          Q.     Did that well ever produce in the  
21 Eumont?

22          A.     No, but it's a good control point.

23          Q.     With 95 feet of Queen sand interval,  
24 that control point was completed out of the Queen  
25 formation for another pool, and never produced



1 out of the Queen?

2 A. Well, no. Conoco had the No. 1 well.  
3 That's all one proration unit there.

4 Q. You're allowed to have multiple gas  
5 wells in a proration unit in this pool, aren't  
6 you?

7 A. Yes, you are.

8 Q. What would be the maximum allowable for  
9 a spacing unit of your size containing a single  
10 Eumont gas well? What can you produce?

11 A. 600 Mcf a day.

12 Q. And with what, a six percent penalty,  
13 what do you get to produce if the Examiner  
14 accepts the six percent penalty solution?

15 A. 564.

16 Q. Now, 600 Mcf a day in the Eumont is a  
17 minimum gas allowable, isn't it?

18 A. Yes.

19 Q. What do you think is the true potential  
20 of a well at this location?

21 A. Oh, I think it has the capability of  
22 making up to a million a day.

23 Q. Any other criteria, Mr. Logan, for  
24 deciding where to put the gas well, except for  
25 your testimony about the Queen, as shown on

1 Exhibit No. 4?

2 A. No, because I think my Queen isopach  
3 explains production, and, to me, that's very  
4 important.

5 MR. KELLAHIN: No further questions,  
6 thank you.

7 EXAMINER STOGNER: Mr. Carr, any  
8 redirect?

9 MR. CARR: No redirect.

10 EXAMINATION

11 BY EXAMINER STOGNER:

12 Q. Mr. Logan, was this 160-acre  
13 configuration, that you're proposing today, was  
14 that what was dedicated to that previous well  
15 that's now an injector?

16 A. No. This was an old--I know David  
17 Arrington has purchased interest out here and put  
18 this acreage together. Well, it was the only  
19 acreage within this section not dedicated to the  
20 Eumont gas well, and it does comprise 160 acres.

21 Q. Okay. As far as that previous well  
22 that's now an injector, do you know when that  
23 proration unit became nonexistent?

24 A. I'm really not sure, but I can check  
25 that out.

1 Q. Then you don't know the acreage  
2 dedicated to that well?

3 A. No, I do not.

4 Q. Is this all one lease, the David  
5 Arrington oil?

6 A. No, there's more than one lease  
7 involved.

8 Q. How many?

9 A. Looks like there are two leases. In  
10 looking at that, it appears that the southeast of  
11 the northeast, the tract that you were talking  
12 about, the 40 that had the Eumont gas well, plus  
13 the tract north of there, so the 120 acres on the  
14 east end of this proration unit, was a wiser  
15 quarter lease, and then the 40 acres on the west  
16 side was part of Chevron's lease.

17 Q. But those proration units, in the first  
18 part of your testimony, those are the existing  
19 Eumont-dedicated acreages now, and the 160 acres  
20 that are the subject of this case is acreage that  
21 is not presently dedicated, is that correct?

22 A. Correct.

23 Q. That is a Chevron Eunice Monument well  
24 that is at that standard location 1980 from the  
25 north and west lines?

1 A. Yes, it is.

2 Q. Are there any plans on putting another  
3 well in that proration unit, regardless of what  
4 occurs today?

5 A. Not at this time.

6 Q. The 320-acre dedication that the north  
7 half of the northwest quarter is dedicated to  
8 Chevron, or you have it shown as a portion of a  
9 Chevron 320-acre proration unit, where are those  
10 wells located?

11 A. They're located up in Section 2.

12 Q. How far north in Section 2?

13 A. What it will be, it's 320 acres, and  
14 it's--

15 Q. I understand that. What is the  
16 dedicated acreage, and how far?

17 A. It would be the southwest quarter of  
18 Section 2.

19 Q. So that's 160 acres plus 80 acres.  
20 Where's the other 80 acres?

21 A. Well, I know it's a complete stand-up,  
22 so, you know, just 80, 80. If you just continue  
23 north, it would be the southwest quarter and the  
24 south half of the northwest quarter.

25 Q. Do you know how many wells are

1 dedicated to that 320?

2 A. I believe there's two or three  
3 producing.

4 Q. None of them are down in Section 11?

5 A. No.

6 EXAMINER STOGNER: Any other questions  
7 of Mr. Logan? If not, he may be excused.

8 Mr. Carr, do you have anything  
9 further.

10 MR. CARR: We have nothing further.

11 EXAMINER STOGNER: Mr. Kellahin?

12 MR. KELLAHIN: Mr. Examiner, we would  
13 call Susan Haycock.

14 EXAMINER STOGNER: Ms. Haycock, I would  
15 remind you that you are still under oath from the  
16 previous case today.

17 And, if there are no objections, Mr.  
18 Carr, I will show that she is still qualified.

19 MR. CARR: No objection.

20 **SUSAN HAYCOCK**

21 Having been first duly sworn upon his oath, was  
22 examined and testified as follows:

23 EXAMINATION

24 BY MR. KELLAHIN:

25 Q. Ms. Haycock, is it Conoco's position

1 that the Division Examiner should deny the  
2 Arrington-requested unorthodox well location?

3 A. Yes.

4 Q. Have you participated in the technical  
5 case presented by your company in order to reach  
6 that conclusion?

7 A. Yes, I have.

8 Q. Why is Conoco recommending to the  
9 Examiner that the Arrington request for this well  
10 location be denied?

11 A. Well, besides the fact it's in an  
12 unorthodox location, we have geological evidence  
13 to show that there is no reason to drill this  
14 well at this location. We see plenty of  
15 opportunity within their 160-acre proration unit  
16 to drill a successful Eumont well.

17 Q. Let's turn now to Exhibit No. 1.  
18 Would you identify and describe that display for  
19 us?

20 A. Yes. Exhibit No. 1 is a little  
21 proration and production plat. The acreage  
22 shaded in the stippled blue area is Arrington's  
23 160-acre proration unit. The area shaded in  
24 solid yellow is Conoco's State D acreage.

25 The purpose of this map is to show

1 current and past Eumont producers, and to show  
2 that the Arrington lease is surrounded by current  
3 and past Eumont procedures, not just only on the  
4 western boundary.

5 Q. Take a moment and go to the bottom of  
6 the display, and show us how you have tabulated  
7 information within the cross-hatch, and what is  
8 shown?

9 A. In each of the little cross-hatched  
10 areas, the top portion is cumulative protection  
11 through 1992. In the upper left is the  
12 cumulative gas. In the upper right is the  
13 cumulative oil. In the lower left is the current  
14 average daily production for April of 1993, and  
15 then the average oil production in the lower  
16 right, in which case there is none.

17 The cumulative production is in MMcf,  
18 and the daily rate is in Mcf per day.

19 Q. Let's turn to the structure map,  
20 Exhibit No. 2. Does this exhibit and the rest of  
21 the geologic exhibits, Ms. Haycock, represent  
22 your personal work?

23 A. Yes, they do.

24 Q. This is your interpretation based upon  
25 the data available to you?

1 A. Yes, it is.

2 Q. Let's look at the structure map. What  
3 is your conclusion?

4 A. Basically, we find that the structure  
5 here in this area has very little to do with it.  
6 This is part of an overall, very large,  
7 anticlinal feature, and throughout the entire  
8 mapped area the Eumont is gas productive and  
9 there's no indication of any type of water  
10 influx, so it doesn't really matter--doesn't  
11 really make sense to try and get updip a little  
12 bit. It's not going to help. And I believe in  
13 their exhibits they also show the same thing.

14 Q. What has been your involvement in  
15 studying the geology of the Eumont pool?

16 A. We have done some reservoir studies in  
17 this area, and, more recently, have recompleted  
18 in the Eumont in a couple of wells within this  
19 mapped area.

20 Q. Let's look down in the southeast corner  
21 of the map, and there's the Lockhart B. Conoco  
22 operates properties down there?

23 A. Yes.

24 Q. Do you have a Eumont gas well down  
25 there?



1 A. Yes, we do, the Lockhart B No. 11 well.

2 Q. Did you provide testimony before the  
3 Division concerning that well, sometime earlier?

4 A. Yes, I did.

5 Q. When we look at the structure map,  
6 there is a line of cross-section?

7 A. Yes.

8 Q. What is the purpose of orienting your  
9 line of cross-section in that direction?

10 A. Okay. The cross-section goes from west  
11 to east and shows data that we have for net pay  
12 in the Eumont section, for the wells to the east  
13 of Arrington's location, as well as to the west.  
14 And I can talk more specifically about that  
15 cross-section when we get to it.

16 Q. Let's do it right now.

17 A. Okay. On Exhibit No. 3 is this west to  
18 east cross-section. It also has the proposed  
19 location of Arrington Oil & Gas's Eumont well.

20 What you see here, shaded in yellow, is  
21 porosity greater than six percent. Basically, on  
22 this cross-section, we're showing from the Yates  
23 down to the top of the Grayburg. Historically,  
24 in this area, most of the production has come  
25 from the Queen and Penrose interval; however, we

1 see opportunities as well in the upper part of  
2 the Seven Rivers.

3 Q. Let's look at the relationship between  
4 the EMSU 306 and the proposed Arrington  
5 location.

6 A. Okay.

7 Q. Were you present when Mr. Logan  
8 testified that his location criteria was to move  
9 west to get greater thickness in the Queen, as  
10 represented by a control point being a log of the  
11 EMSU 306 well?

12 A. Yes.

13 Q. If that is his strategy, what is your  
14 opinion about the success of that strategy, when  
15 you look at the Queen?

16 A. Okay, we have a couple of exhibits that  
17 we will talk about here in a moment, the net pay  
18 isopach maps for the Queen-Penrose, as well as  
19 the Upper Seven Rivers. But sticking to the  
20 Queen-Penrose right now, we agree that the Queen  
21 porosity pinches out as you go to the east.  
22 However, looking at this cross-section, you can  
23 see that the Penrose increases in an easterly  
24 direction.

25 Q. Let's go back and look at the Queen

1 interval in the EMSU 306 well. That is Mr.  
2 Logan's strategy. He's looking for better Queen  
3 with his well location.

4 Do you have information on that EMSU  
5 306 well, in terms of whether it was productive  
6 out of the Queen interval in that well?

7 A. No, it never was productive out of the  
8 Queen interval.

9 Q. As you analyze the reservoir potential  
10 for any of these sand zones in the pool, what is  
11 your ultimate conclusion about the opportunity to  
12 produce this spacing unit at this unorthodox  
13 location, over a standard location?

14 A. I don't see any benefit by moving to  
15 the west. He can easily move to the east and  
16 pick up maybe a little less Queen pay, but more  
17 Penrose pay.

18 Q. Let's look at the Penrose relationship,  
19 okay? On your cross-section again, if you move  
20 over to the McQuatters Com 4, do you see that  
21 within his spacing unit?

22 A. Yes.

23 Q. Go down the log and find us the Penrose  
24 interval, okay?

25 A. Okay.

1 Q. That are portion above the top of the  
2 Grayburg and the Penrose, is that what you're  
3 looking at?

4 A. Yes.

5 Q. What does that tell you about moving  
6 this well location in an easterly direction if  
7 you want to access the Penrose potential?

8 A. That he would have more pay in the  
9 Penrose by moving to the east.

10 Q. You have prepared some isopachs?

11 A. Yes, I have.

12 Q. Let's turn to Exhibit 4. What is the  
13 interval you've mapped and what is the criteria  
14 for the mapping?

15 A. Exhibit No. 4 is a net pay isopach map  
16 of the Queen-Penrose interval. What we used for  
17 a cutoff here was porosity greater than six  
18 percent. We didn't just count the sand thickness  
19 itself, but the actual porosity contained within  
20 that sand.

21 You can see, over in our State D 16, we  
22 have 198 feet of net-effected pay there, and as  
23 you go to the east, that pay does drop off.

24 Now, going to the north, there's still  
25 a substantial amount of Queen-Penrose pay, but

1 this is grouped in both the Queen and Penrose,  
2 and not individually, so as you can see going to  
3 the east, you may pick up some Penrose where the  
4 Queen pinches out, and going to the west, vice  
5 versa. So, it's both the Queen and Penrose on  
6 this map.

7 Q. Now, part of the challenge for a  
8 geologist is to take the combination of both of  
9 those members and pick your best opportunity,  
10 isn't it?

11 A. Right. So, you pick out the best  
12 opportunity for both, not just for one or the  
13 other.

14 Q. Using that exploitation strategy, tell  
15 us, within the Arrington spacing unit, where you  
16 would put this well?

17 A. It looks to me that closest to the EMSU  
18 308 well, or just south of it at McQuatters Com  
19 No. 4 would be the best place for Arrington to  
20 drill a well for Queen-Penrose.

21 Q. What do you gain at that location that  
22 you don't obtain at the proposed unorthodox  
23 location?

24 A. Basically, you get better Penrose  
25 development.

1 Q. How much better?

2 A. Well, you can see here that the well  
3 right next to Arrington's proposed location,  
4 there's 91 feet of pay at the Queen-Penrose at  
5 the McQuatters Com No. 4, there's 111 feet of  
6 pay, so that's about 20 feet gain in the net  
7 effect of pay.

8 Q. Let's turn now to Exhibit 5. Identify  
9 and describe what you're doing there.

10 A. Okay. Exhibit No. 5 is a net pay  
11 isopach map for the Upper Seven Rivers. Conoco  
12 has had success in developing the upper portion  
13 of the Seven Rivers. This map shows that  
14 Arrington would have this same opportunity as  
15 well, on his lease, and that there is no reason  
16 to crowd the western boundary, that this  
17 opportunity exists in many locations within his  
18 proration unit.

19 Q. In your opinion, Ms. Haycock, is  
20 approval of this location and putting some kind  
21 of production penalty limitation on it, an  
22 appropriate solution for this specific case?

23 A. No. We have not really even considered  
24 a penalty because we feel there are many places  
25 to drill on his 160-acre proration unit, that

1 there's no reason at all to drill this well at  
2 the location he's proposing.

3 Q. As part of the examination, did Conoco  
4 inspect the surface of the Arrington spacing unit  
5 to determine if there were any surface  
6 limitations, restrictions, or other impediments  
7 to locating a Eumont gas well at a standard well  
8 location?

9 A. Yes, we did.

10 Q. Let's turn to Exhibit 6. Did  
11 individuals until your control or direction make  
12 a visual inspection of the surface?

13 A. Yes, they did.

14 Q. Was there any surface limitation that  
15 was reported back to you from this?

16 A. No, none at all.

17 Q. Do you see on the topo map any reason  
18 why a well could not be located at a standard  
19 well location?

20 A. No, I do not.

21 Q. What do you recommend the Examiner do,  
22 Ms. Haycock?

23 A. I think that they should have Arrington  
24 Oil & Gas place their well at a standard  
25 location.

1 MR. KELLAHIN: We move the introduction  
2 of Exhibits 1 through 6.

3 EXAMINER STOGNER: Exhibits 1 through 6  
4 will be admitted into evidence. Mr. Carr, your  
5 witness.

6 EXAMINATION

7 BY MR. CARR:

8 Q. Ms. Haycock, when did you first become  
9 aware of the Arrington proposed unorthodox well?

10 A. The first time they sent a letter out,  
11 when they were proposing to drill at 330 feet  
12 from our lease, from our proration unit.

13 Q. Did that letter come to you?

14 A. No, it did not.

15 Q. How were you advised of this location?

16 A. I was advised--well, basically, we have  
17 a division within our office, and Jerry Hoover  
18 handles that and he's here today. And the letter  
19 went to him, and he brought it to the engineer,  
20 Mark McClelland, and myself.

21 Q. At that time, what were you asked to  
22 do?

23 A. I was asked to look at this location  
24 and see if we thought that there was any reason  
25 that he should drill this nonstandard location.



1 Q. Were you, at that time, trying to  
2 determine whether or not you should oppose that  
3 application?

4 A. Pardon me?

5 Q. Was the question on the table whether  
6 or not you should oppose the application, or had  
7 that matter been decided?

8 A. The question was, is there any reason  
9 to oppose this.

10 Q. Now, if we go to your Exhibit No. 1,  
11 this is basically a production map, is that  
12 correct?

13 A. Yes, That's correct.

14 Q. If I look at it, the Conoco well on  
15 your spacing unit, and I guess there have been  
16 two wells there, is that correct? One is a  
17 replacement to the other?

18 A. Right.

19 Q. And that figure is total production  
20 from the two wells?

21 A. No, there are two figures there. One  
22 figure for the State D 1, which is now in the  
23 EMSU waterflood for the Grayburg-San Andres, that  
24 shows a cumulative production of 11.8 Bcf. The  
25 other, State D 16, which is just a north twin to

1 that well, shows some other numbers above it that  
2 associates with that well.

3 Q. So that was a replacement to the  
4 original well?

5 A. Right.

6 Q. That is obviously the best well in this  
7 area?

8 A. Yes, it is.

9 Q. Do you have any further development  
10 plans for your spacing unit?

11 A. No, we don't.

12 Q. Now, if we go to Exhibit No. 2, that's  
13 your Queen structure map?

14 A. Yes.

15 Q. In the wells, incidentally, that have  
16 produced from this spacing unit, the two Conoco  
17 wells, are they producing from the Queen?

18 A. Currently, no. On the production plat  
19 that you saw, that one million a day, that's  
20 currently from the Upper Seven Rivers only. That  
21 does not include production from the Queen or  
22 Penrose at this time.

23 Q. You've actually set some sort of a plug  
24 and opened upper horizons, is that correct?

25 A. Yes.

1 Q. If I look at your structure map, and  
2 correct me, I thought you stated that structure  
3 didn't play a very major role in determining  
4 whether or not you would make a good well, is  
5 that right?

6 A. That's right. This is part of a very  
7 large feature that covers an enormous area, and  
8 the Queen-Penrose is generally productive  
9 throughout the entire structure.

10 Q. Am I reading this right? Aren't your  
11 wells, on your spacing unit, shaded in yellow,  
12 the highest structural wells that are shown on  
13 this exhibit?

14 A. Yes, some of them are.

15 Q. And aren't they also the very best gas  
16 wells? Didn't you state that?

17 A. Yes, and I don't believe that has to do  
18 with their structural position, but the reason  
19 that State D 1 produced for many, many years. It  
20 was a Bradenhead completion. It was completed  
21 from the Yates all the way to the Penrose, and  
22 made over 11.8 Bcf.

23 The State D 16 well, the reason it's  
24 such a good well is because we tapped into a very  
25 good pressure zone in that Upper Seven Rivers

1 that has not been produced before.

2 Q. If I look at your cross-section, your  
3 Exhibit 3, I think you indicated that the 306 had  
4 never been productive in the Queen?

5 A. Not based on the information I have.

6 Q. Was it ever tested? Was there ever an  
7 effort to complete that well in the Queen?

8 A. Not that I know of.

9 Q. So, then, it wouldn't be productive in  
10 the Queen, would it?

11 A. No, that's right.

12 Q. Now, if we look at the McQuatter No. 4  
13 well, do you know if there was an effort to  
14 produce that well in the Queen or the Penrose?

15 A. No, this well is just producing from a  
16 deeper horizon.

17 Q. So, if we look at the Penrose section  
18 there, we could say it has never produced,  
19 either, has it?

20 A. Right. It has never produced.

21 Q. It would be kind of like the Queen?

22 A. That's true.

23 Q. Basically what we have here is, you  
24 have a difference of opinion as to where this  
25 well should be located, isn't that fair to say,

1 with Mr. Logan?

2 A. Well, I'm basing my opinion on all the  
3 evidence that we have. We do know that the  
4 Penrose is productive to the east. We have our  
5 Lockhart B 11 that was making 380 Mcf a day from  
6 the Penrose, alone.

7 Q. But between you and Mr. Logan, you're  
8 not in agreement on where a well should be placed  
9 on that spacing unit, isn't that right?

10 A. That's correct.

11 Q. And yet, you're not the one that's  
12 going to be paying any of the costs for  
13 developing that tract, would you?

14 A. No, I will not.

15 EXAMINER STOGNER: Are you through, Mr.  
16 Carr?

17 MR. CARR: Yes, I am.

18 EXAMINER STOGNER: Mr. Kellahin, any  
19 redirect?

20 MR. KELLAHIN: No, sir.

21 EXAMINATION

22 BY EXAMINER STOGNER:

23 Q. What's the footage on that location, on  
24 the No. 16?

25 A. On the No. 16? Okay. I have a well

1 history on that.

2 Q. And I'm going to ask a similar question  
3 on that other one, the State D No. 1?

4 MR. KELLAHIN: Mr. Examiner, the record  
5 indicates that State D No. 16 is 2080 from the  
6 south, 660 from the west. I think those wells  
7 are about a hundred feet apart.

8 Q. What is the allowable on that No. 16  
9 well?

10 A. We have the 160 acres there, plus that  
11 40 acres on top, and I believe it is 1,200, I  
12 believe. 1.2 million.

13 Q. Do you know what the acreage factor  
14 would be?

15 A. I'm not sure what your question is.

16 Q. If 160 acres carries an acreage factor  
17 of 1, what would this be?

18 MR. STOVALL: Are you familiar with the  
19 proration schedule?

20 THE WITNESS: No, I'm not.

21 EXAMINER STOGNER: You're not?

22 MR. KELLAHIN: Mr. Examiner, if it  
23 would help you, I have brought my proration  
24 engineer here. The geologist won't be doing  
25 those calculations.

1 EXAMINER STOGNER: Has he been sworn  
2 in?

3 MR. KELLAHIN: Mr. McClelland has  
4 testified today already. It would be his  
5 testimony, if he were called, that it would be an  
6 acreage factor of 1.25.

7 EXAMINER STOGNER: That's a part of the  
8 record, is it not, Mr. Kellahin, in the Division  
9 records?

10 MR. KELLAHIN: Yes, that's correct, it  
11 is. Should you need to do so, Mr. McClelland is  
12 our proration engineer and we could call him.

13 EXAMINER STOGNER: I'll just take  
14 administrative notice of any records we may have,  
15 and also the proration rules and regs under  
16 R-8170, as amended.

17 MR. KELLAHIN: Yes. No objection.

18 EXAMINER STOGNER: Through whatever  
19 letter we're at these days.

20 MR. STOVALL: "H"?

21 EXAMINER STOGNER: Is there anything  
22 further at this point?

23 MR. KELLAHIN: No, sir.

24 MR. CARR: No, sir.

25 EXAMINER STOGNER: Okay. With that.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Case No. 10766 will be taken under advisement.

(And the proceedings concluded.)

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 10766  
heard by me on 23 Sep. 1993.  
*Michael A. Stogard*, Examiner  
Oil Conservation Division



