

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF NEW MEXICO  
ENERGY AND MINERALS DEPARTMENT  
OIL CONSERVATION DIVISION  
STATE LAND OFFICE BUILDING  
SANTA FE, NEW MEXICO

28 November 1984

EXAMINER HEARING

IN THE MATTER OF:

Application of Phillips Oil Com-  
pany for a waterflood project,  
Eddy County, New Mexico.

CASE  
8418

BEFORE: Michael E. Stogner, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation  
Division:

Jeff Taylor  
Attorney at Law  
Legal Counsel to the Division  
State Land Office Bldg.  
Santa Fe, New Mexico 87501

For the Applicant:

W. Thomas Kellahin  
Attorney at Law  
KELLAHIN & KELLAHIN  
P. O. Box 2265  
Santa Fe, New Mexico 87501

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

2

I N D E X

JOHN L. UPCHURCH

Direct Examination by Mr. Kellahin	4
Cross Examination by Mr. Stogner	19
Redirect Examination by Mr. Kellahin	25

E X H I B I T S

Phillips Exhibit One, C-108 & Att.	4
------------------------------------	---

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. STOGNER: We will now call Case Number 8418.

MR. TAYLOR: The application of Phillips Oil Company for a waterflood project, Eddy County, New Mexico.

MR. KELLAHIN: If the Examiner please, I'm Tom Kellahin of Santa Fe, New Mexico, appearing on behalf of the applicant.

MR. STOGNER: Are there any other appearances in Case Number 8418?

MR. KELLAHIN: Mr. Chairman, my witness is again Mr. John Upchurch.

I would like the record to reflect that Mr. Upchurch is still under oath and has been qualified and accepted as an expert reservoir engineer.

MR. STOGNER: Is Mr. Upchurch your only witness in this case?

MR. KELLAHIN: Yes, sir.

MR. STOGNER: Let the record so reflect.

JOHN L. UPCHURCH,  
being called as a witness and being previously sworn upon his oath, testified as follows, to-wit:

## DIRECT EXAMINATION

BY MR. KELLAHIN:

Q Mr. Upchurch, as a reservoir engineer for Phillips Oil Company, have you previously testified before the Commission with regards to other waterflood projects?

A Yes, I have.

Q And are you familiar with the Commission's current Forms C-108 and the procedures and requirements of the Commission with regards to the approval of a secondary recovery project?

A Yes, I am.

Q Have you caused to be prepared the Commission Form C-108 for this case and all the attachments?

A Yes, I have.

MR. KELLAHIN: Mr. Examiner, the set of C-108 and attachments that I've marked as Exhibit One to this case are slightly different than the ones filed in the Commission file insofar as Mr. Upchurch has updated that information, and with your permission, sir, if we can use the current package of exhibits, then we'll all have the same set to work from.

MR. STOGNER: Thank you, Mr. Kellahin.

Q Mr. Upchurch, let me direct your attention to the first attachment to the C-108, which is a plat. Would you identify that plat for us?

1  
2           A           Yes.    This is a copy of a portion of the  
3 Eddy County map showing Sections 23, 24, 25, and 26 of Town-  
4 ship 17 South, 29 East, and Sections 19 and 30 of Township  
5 17 South, Range 30 East, and it has highlighted on it the  
6 wells that Phillips plans to convert to injection.

7           Q           This map is submitted in order to satisfy  
8 the requirement about submitting a map that identifies all  
9 wells and leases within a two mile radius of any proposed  
10 injection well.

11           A           Yes, that's correct. The sort of circu-  
12 lar outline on the map is the two mile radius from the pro-  
13 posed injection wells.

14           Q           Have you also prepared a map that shows  
15 the wells within the one mile radius of any of the injection  
16 wells?

17           A           This is a half mile radius.

18           Q           I'm sorry, the half mile radius of any.

19           A           Yes, that's the -- the next map shown on  
20 the --

21           Q           All right, sir, let's turn to that. Us-  
22 ing the second map, Mr. Upchurch, would you give us a gener-  
23 al description of what Phillips Oil Company proposes to do  
24 with this project?

25           A           Yes.    We propose to go in and convert 23  
currently shut in or producing wells on the Burch BB, the  
Burch C, the Keely A, the Keely B, the Keely C, to injection  
and to waterflood that -- those leases. In addition, we'll

1 also waterflood the Dexter Federal lease.

2 Q How have you identified the proposed in-  
3 jection wells?

4 A All the wells we propose to convert to  
5 injection are identified with an arrow.

6 Q Would you generally describe for us what  
7 vertical interval will be subject to the flood?

8 A We plan to waterflood the Lower Grayburg  
9 and San Andres formations from approximately 2300 feet down  
10 to 3500 feet.

11 Q In your opinion is that an interval that  
12 is conducive and suitable for secondary recovery by a water-  
13 flood project?

14 A Yes, I feel that it is.

15 Q Is this waterflood project one done under  
16 a cooperative lease arrangement or a unit agreement or what  
17 fashion of agreement?

18 A It will be done on a cooperative basis  
19 between the Phillips Oil Company leases in the area.

20 Q And how will you allocate the production  
21 back to the individual leases?

22 A We plan on producing the wells into their  
23 own -- into our tank battery system and then the production  
24 will be allocated back to each well based on that well's  
25 well test and then we'll just sum up all the well tests for  
the given leases.

Q Is that a method in your opinion that is

1  
2 fair and reasonable and equitable, not only the working in-  
3 terest owners but to the royalty and overriding royalty own-  
4 ers?

5 A Yes, I feel that it is.

6 Q Let's use this map as a guide for us, Mr.  
7 Upchurch, with regards to having you identify for us wells  
8 that we'll characterize as potential problem wells.

9 A There's a couple wells that could be con-  
sidered potential problem wells.

10 The first well is the M Dodd B Well No.  
11 3. It's in the northeast quarter of the southwest quarter  
12 of Section 14 up near the very top of the map. It's exactly  
13 one-half mile from the Burch BB Fed No. 19 and it was drill-  
14 ed in 1940 and plugged and it was not plugged to today's  
standards.

15 Q All right, you have a subsequent schema-  
16 tic of the wellbore for that well, do you not, Mr. Upchurch?

17 A Yes, I do.

18 Q We'll come back and talk in detail about  
19 that well --

20 A Okay.

21 Q -- and your opinions concerning that  
22 well.

23 Would you identify for us by using this  
24 exhibit any other well or wellbore that may be potentially a  
problem well?

25 A There is three more wellbores that I feel

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

might be potential problems.

There's a well in the northeast quarter of the northeast quarter of Section 25. It's labeled the Deep Unit No. 5. It's labeled as a dry hole. That may be a potential problem.

And in Section 30 in the northeast quarter of the northwest quarter, Deep Unit No. 6, and also in Section 30 in the northwest quarter of the southwest quarter the Deep Unit No. 4.

Q One, two, three, four, you've identified for us four potentially problem wells. Has your examination and study of this information for this pool indicated any other potential problem wells?

A No, it has not.

Q All right. After the second map, Mr. Upchurch, you have a well data sheet?

A Yes, that's correct.

Q Would you describe for us what's contained on that sheet?

A Okay. The C-108 form requires a tabular formation of all the data concerning the operation of the proposed injection wells.

Part A of this well data sheet describes the injection tubing and the sealing system or the packer that we'll be using when we convert these wells to injection, and Section B explains the injection formation, its depth, and the original purposes of the well.



1

2

Q All right, following that exhibit is a tabulation of wellbore information with regards to the proposed injection wells?

3

4

A Yes, that's correct.

5

6

Q Have you also provided schematics of the method that you propose to use to convert these wells for injection?

7

8

A Yes, I have. That's included on -- following the table of injection wells.

9

10

Q All right, sir, let's turn, then, to the schematics for the injection wells, Mr. Upchurch, and you have 23 schematics?

11

12

A Yes, that's correct.

13

Q One for each of the injection wells.

14

A Yes.

15

16

Q Is the method of completion for injection for the injection wells similar in each of these cross sections?

17

18

A Yes, it is.

19

Q Schematics? All right. Would you simply pick the first one and describe for us generally what you will do?

20

21

A Right now this well is completed as a producer with perforations in the liner that's set below -- it's a 4-1/2 inch liner set below the 7-inch casing. What we plan to do is go in, remove the current production tubing, perforate the additional Grayburg zones up to approxi-

22

23

24

25

1  
2 mately 2400 feet, rerun in the well a plastic-lined tubing  
3 string, 2-3/8ths plastic-lined tubing string to approxi-  
4 mately 2300 feet with a Baker Model AD-1 externally and in-  
5 ternally plastic-coated packer at the bottom of the tubing,  
6 set a packer, and inject into the -- into the Grayburg-San  
Andres from 2400 to 3558.

7 Q What will you do with the annular space  
8 between the tubing and the casing to monitor any leaks?

9 A We'll install a pressure -- pressure  
10 gauge on there to monitor for any leaks that we have.

11 I might also say that the -- in between  
12 the tubing and the casing we will have an inert packer  
fluid.

13 Q In your studies of this area, Mr. Up-  
14 church, have you determined whether or not there's any open  
15 faulting or other hydrological connections between the in-  
16 jection interval and any fresh water sources?

17 A There's no faulting or other connections  
18 in the area, to my knowledge.

19 Q In your opinion is the proposed method  
20 for the completion for injection in each of these wells one  
21 that is suitable and in the best interests of conservation  
22 will isolate the injection fluids and confine them to the  
injection interval?

23 A Yes, I feel that the system that we have  
24 proposed will do that.

25 Q Is the proposed system one in which the

1 casing strings are adequately cemented in such a way that  
2 injection fluids will not migrate into fresh water sources?

3 A Yes, I feel that they're adequately  
4 cemented.

5 Q Commission guidelines with regards to in-  
6 jection pressures, Mr. Upchurch, provide that you will have  
7 a surface limitation pressure of 0.2 psi per foot of depth.  
8 Are you aware of that guideline?

9 A Yes, I am.

10 Q And what do you propose to do in relation  
11 to that guideline?

12 A We propose to hold our injection pres-  
13 sures at or below those guidelines until such time as we can  
14 run step rate injectivity tests to determine the parting  
15 pressure of the formations. Then we would ask for admini-  
16 strative approval to increase those pressure limitations.

17 Q Because of the volume of injection wells  
18 that you're dealing with, Mr. Upchurch, is it necessary that  
19 the order also include an administrative procedure for the  
20 drilling of other injection or producing wells at unorthodox  
21 locations?

22 A Yes, we feel that that would make it much  
23 simpler to prevent waste by allowing us to drill wells in  
24 order to recover additional hydrocarbons once we see how the  
25 injection seems to be going.

26 Q All right, sir. Let's turn past the  
27 schematics of the injection wells and have you go to the

1 tabulation of offset wells.

2 A Yes.

3 Q What are you doing here?

4 A This is in order to fulfill the require-  
5 ments to show all wells within a one-half mile radius of all  
6 the proposed injection wells. It's listed here in order of  
7 section and then the wells are listed in alphabetical order  
8 in that particular section.

9 I show the lease and well number, its lo-  
10 cation within the section, its total depth, when it was  
11 drilled and what type of well it was drilled as, the hole  
12 size, casing sizes, where the casing was set, the cement,  
13 the top of cement, how it was arrived at, and then in the  
14 remark section show the perforated or open hole interval,  
and any other pertinent information on the well.

15 Q All right, sir, let's turn past that  
16 tabulation and go to the set of wellbore schematics for  
17 plugged and abandoned wells.

18 A Oh, I might add that since this is such a  
19 large area and Marbob as the offset operator is currently  
20 involved in drilling additional wells, there were three  
21 wells that when I prepared this table of offset wells were  
22 not yet available. Those three wells are included following  
the tabulation.

23 Q All right, sir. Let's go now to the  
24 schematics on the plugged and abandoned wells and you've  
25 identified for us earlier four plugged and abandoned wells

1  
2 that have at least initially been determined to be potential  
3 problem wells.

4 A Yes, that's correct.

5 Q Let me direct your attention to the Mar-  
6 bob M Dodd B No. 3 Well, which was the first well you iden-  
7 tified, and explain to the Examiner why this well may pose  
8 some -- some risk?

9 A Well, this well was drilled back in 1940  
10 and was abandoned as a dry hole. When they abandoned the  
11 well they cut and pulled the 7-inch casing at a depth of  
12 1836 feet; spotted heavy mud from total -- from the TD up to  
13 950 feet where they put two cement plugs, totaling 40 sacks;  
14 put more heavy mud-laden fluid up to 450 feet; spotted ten  
15 more sacks and then put ten -- or then put a cement plug at  
16 the surface. The volume of that plug was not recorded.

17 If this well were to be plugged today,  
18 the Commission would probably require a cement plug across  
19 the interval, the open hole interval from 2292 to 3029 and a  
20 plug at the 7-inch casing and a plug at the base of the sur-  
21 face pipe.

22 Q Is this well located within an area that  
23 Marbob proposes to use as a waterflood area?

24 A Marbob currently has a waterflood on  
25 their M Dodd B Lease. The exact distance of any injection  
wells from this well, I don't know.

Q Will, in your opinion, the operation of  
Phillips' waterflood project on its leases pose a risk to

1  
2 owners to the north as a result of the quality of plugging  
3 on the Dobb B No. 3 Well?

4 A No, I don't feel that it will. The clos-  
5 est injection well to this is the Burch BB No. 19. It is a  
6 half mile away. Had this well been an additional foot to  
7 the north it would not have even needed to be included in  
8 this listing, and also the heavy mud that was normally used  
9 back in the thirties and forties when these wells were drill-  
10 ed, after it sits in there for a long time the solids tend  
11 to fall out of it and they make an effective plug.

12 So I don't feel that there's any danger  
13 from this well.

14 Q Are there producing wells between your  
15 closest injection well and this Marbob well --

16 A Yes, there are.

17 Q -- that produce from the same interval  
18 that will be subject to injection?

19 A Yes, there are two; Marbob operates two  
20 producing wells in between this well and the closest injec-  
21 tion well, and I don't feel that this well will even be  
22 within the waterflood response area from our Burch BB No.  
23 19.

24 Q All right, let's go to the next potential  
25 problem well and direct our attention to the schematic for  
that well, Mr. Upchurch.

A Okay. The next well with a potential  
problem is the Grayburg Deep Unit Well No. 5. It's three

1  
2 pages over.

3 This well was drilled by General American  
4 Oil Company in 1960 to the Abo. They set cement or set pro-  
5 duction casing at a depth of 6838 and circulated cement to  
6 the surface.

7 They perforated the Abo from 6655 to 6679  
8 and swabbed approximately 17 barrels of oil a day. At the  
9 time General American did not feel that that was commercial-  
10 ly productive and they temporarily abandoned the well and  
11 it's been sitting there ever since that time.

12 Q What would you recommend or propose with  
13 regards to this well prior to the drilling -- or prior to  
14 the use of the closest injection well for injection?

15 A Well, I don't think this well will be a  
16 problem because Phillips plans to re-enter this wellbore and  
17 attempt an Abo completion. We plan to go in and set a tub-  
18 ing string and attempt to pump the Abo.

19 If that proves unproductive, then Phil-  
20 lips will plug the well to the satisfaction of the Oil Con-  
21 servation Division and their Artesia Office.

22 Q All right, sir, let's turn then to the  
23 next potential problem well. I think it's the Grayburg Deep  
24 Unit No. 6.

25 A Yes. This well was also drilled in 1960  
by General American Oil Company. They drilled it down to  
the Abo and found that the Abo was not productive. They  
spotted two plugs, one at 6350 to 6500 and one at 4545 to

1  
2 4900. There's no cement plugs across the San Andres or at  
3 the base of the surface pipe, and Phillips plans to re-enter  
4 and properly plug this well again with the approval of the  
5 NMOCD in Artesia.

6 Q All right, sir, let's go to the last po-  
7 tential problem well, the Grayburg Deep Unit 4 Well.

8 A This well was also drilled by General  
9 American Oil Company in 1960. It is drilled to a depth of  
10 7953. It was never completed and no cement plugs were set.

11 Phillips plans to re-enter this well and  
12 properly plug the Abo and then set a string of either 4-1/2  
13 or 5-1/2 inch production at a depth of approximately 3500  
14 feet and produce the Grayburg-San Andres as a part of the  
15 proposed waterflood.

16 Q All right, sir, if you'll turn now to the  
17 next page after that schematic. Describe for the Examiner  
18 generally what the proposed method of operation will be.

19 A After converting the 23 wells to water  
20 injection, Phillips plans to start injection at a rate of  
21 300 barrels of water -- average rate of 300 barrels of water  
22 per day per well, or a rate of 6900 barrels of water per day  
23 for the whole project.

24 The system will be a closed injection  
25 system, and as I stated before, we will live with the Com-  
mission injection pressure requirements of .2 psi per foot.

We plan on injecting produced water with  
fresh water make-up that we plan on purchasing from the Mal-



1 jamar fresh water system, which is operated by Yates Petro-  
2 leum Company.

3 Q Have you caused to have analysis of the  
4 produced water and the Maljamar fresh water conducted and a  
5 compatibility test made, Mr. Upchurch?

6 A Yes. We had UniChem, International in  
7 Hobbs, New Mexico, secure a sample of the fresh water and  
8 produced water and run a series of compatibility tests on  
9 them that are shown on the following page. What this is,  
10 it's a listing of the -- of the composition of the water in  
11 the mixtures. It reads from left to right, starting with  
12 100 percent fresh water and then steps over until the last  
13 column is zero percent fresh water and 100 percent produced  
14 water.

15 UniChem reported no significant problems  
16 with compatibility between these two waters.

17 Calcium and/or sulphate scaling is likely  
18 but that's a problem that we'd anticipated and that we will  
19 treat for when we convert the wells to injection.

20 Q Have you caused to have a search made to  
21 determine whether there are any producing fresh water wells  
22 within the area of review?

23 A To the best of my knowledge there are no  
24 fresh water wells producing within one mile of any proposed  
25 injection well.

26 Q The fresh water basin in this area is the  
27 Ogallala formation?

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A Yes. I have received that information from the Oil Conservation Division geologist in Artesia. He said the Ogallala was present there but we could find, my field people and I could find no producing wells in the area that we can secure a sample from.

Q At what approximate depth does the Ogallala formation occur in this area?

A Approximately 300 feet.

Q In your opinion will the proposed waterflood project be adequately cemented to isolate the producing intervals and the injection intervals from the Ogallala?

A Yes, I feel that it will.

Q Have you also caused, Mr. Upchurch, to have the owner at the surface of each injection well, plus all operators within a half mile radius, to be notified of this application?

A Yes. We've notified actually all operators within a one mile radius. Those operators and the surface owners are listed in the copies of the certified mail that we sent to them.

The offset operators are Marbob Energy, Tenneco Oil, Anadarko Production, Ray Westall, Southland Royalty Corporation, Bassett and Burney Oil Corporation, and the surface owners in the area are the Federal Government and we've notified the Bureau of Land Management and the State of New Mexico, and we've notified the Land Commissioner of the State of New Mexico.

1  
2 Q When you said you've made a notification,  
3 what is it that you've sent those individuals and companies?

4 A We sent them a completed copy of the C-  
5 108 with the attachments that we've included here today.

6 Q In your opinion, Mr. Upchurch, will ap-  
7 proval of this application be in the best interests of con-  
8 servation, the prevention of waste, and the protection of  
9 correlative rights?

10 A Yes, I feel that it will.

11 Q To the best of your knowledge, informa-  
12 tion, and belief, have you complied with all the require-  
13 ments of the Commission rules, including those contained  
14 within Form C-108?

15 A Yes, I have.

16 MR. KELLAHIN: That concludes  
17 our examination of Mr. Upchurch.

18 We would request that the Com-  
19 mission use the C-108 as Exhibit Number One in this case and  
20 so move its admittance.

21 MR. STOGNER: Exhibit One will  
22 all of the attachments will be admitted into evidence.

23 CROSS EXAMINATION

24 BY MR. STOGNER:

25 Q Mr. Upchurch, I'd like to refer now to  
the second map.

A Yes.

1  
2 Q Your attachment. In there, on the map  
3 there shows to be a Grayburg Keely Unit. Was this unit ori-  
4 ginally set up as a waterflood unit or exploratory unit?

5 A It's a waterflood unit wholly operated  
6 and owned by Phillips Oil Company and it waterfloods the  
7 Keely subsection of the San Andres which exists from approx-  
8 imately 3400 to 3500 feet.

9 It's a Federal unit and it was approved,  
10 I believe it was in 1943.

11 Q None of those leases within that unit  
12 will -- will be affected with your proposed waterflood to-  
13 day, is that right?

14 A Well, they -- some of the wells in there  
15 will receive an effect from this -- this proposed waterflood  
16 but they're not part of our project.

17 Q Right, that's what I was getting at.

18 A At this time you wish to convert 23 wells  
19 to injection wells, is that right?

20 A Yes, that's correct.

21 Q How many, do you have an approximate num-  
22 ber of the total number of injection wells you might have if  
23 this is successful?

24 A If this project proves to be successful,  
25 we plan on expanding it up to the northeast and -- well, to  
the east, the north, and the northeast.

Phillips operates an additiona. 3-1/2, 4  
sections up there, so we would double the number of injec-

1  
2 tion wells we have if we decide that the operation is suc-  
3 cessful.

4 Those leases are all, with the exception  
5 of the Burch A, it's all the same leases. They're discon-  
6 tinuous leases in that you may have some Burch BB in Section  
7 23 and also in Section 30.

8 So this application would - or if we are  
9 allowed to convert these wells, then the additional wells  
10 would be covered in that they're no longer the first injec-  
11 tion well on a lease.

12 Q Are all leases within your area here, are  
13 they -- do they have the same working interest owners?

14 A Yes, they do. Phillips Oil Company oper-  
15 ates all leases and we have 100 percent working interest in  
16 each lease.

17 Q Do you have a proposed name for this  
18 waterflood project?

19 A Yes, we'd like to call it the Burch-Keely  
20 Waterflood.

21 Q Okay, let's see. I'd like to refer to  
22 the schematics of your problem wells, as you call them.

23 A All right.

24 Q Or as we will call them.

25 Let's first refer to the Grayburg Deep  
Unit Well No. 5. In looking at this the total depth at  
7225. The 5-1/2 inch casing was run to 6838.

By the information on this, the cement on

1  
2 the 5-1/2 was circulated all the way back up to the surface,  
3 is that right?

4 A That's correct.

5 Q The Burnsdale -- is that how you pro-  
6 nounce that -- Oil Company M Dodd B Well No. 3?

7 A Okay. Yes.

8 Q That was dry and abandoned in 1940, is  
9 that right?

10 A Yes, that's correct.

11 Q Do you have the actual surface location  
12 of this well?

13 A No, I don't. I don't have the footage  
14 location.

15 Q I can find that in our files later.

16 A Right.

17 Q You made a statement that if this well  
18 was within a foot north it would have been outside the mile  
19 and a half.

20 A Yes, that's right.

21 Q I mean half mile.

22 A It's exactly one-half mile north of the  
23 proposed Burch BB No. 19.

24 Q When Mr. Kellahin was questioning you on  
25 this, and correct me if I'm wrong, which I'm sure you will,  
26 Mr. Kellahin, he alluded -- or there was a -- it was alluded  
27 about a Marbob waterflood project. Is this a proposed pro-  
28 ject, that you're aware of?

1  
2           A           No.    Marbob actually operates a water-  
3 flood.   I believe that it's in Section 15.   They M Dodd A  
4 Lease covers a large area, and I believe they have a -- it's  
5 classified as a waterflood.   There's not very many injec-  
6 tors, but they have been receiving administrative approval  
7 for some unorthodox locations in Section 14 based on the  
8 fact that it's part of a waterflood area.

9           Q           Do you know the name of that waterflood,  
10 by any chance?

11           A           No, I don't.

12           Q           Do you know if that waterflood of theirs  
13 extends over into Section 14?

14           A           I don't know if it does or not.   I don't  
15 think that they have any water, current water injection  
16 wells in Section 14.

17           Q           Are you aware of any other injection  
18 wells within this proposed formation that is as close if not  
19 closer to the M Dodd B Well No. 3?

20           A           No, I'm not aware of any other injection  
21 wells.

22                        One -- one thing I might point out, in my  
23 talking with the cementing companies about the way they used  
24 to abandon these wells, and we -- we've run several bond  
25 logs out there in order to see where the top of cement is on  
some of our wells, and what we found is that it's very dif-  
ficult to pick a top of cement because of that heavy mud  
that they displaced cement with is -- sets up after an ex-

1  
2 tended period of time and on a bond log looks exactly like  
3 cement.

4           So were we to re-enter this M Dodd B No.  
5 3 Well, we probably could not just drill the cement plugs  
6 and clean out. We would probably have to, for the most  
7 part, redrill the well, and it would be very doubtful if we  
8 could get into that 7-inch casing where it was cut there at  
9 1836.

10           Q           Thank you, Mr. Upchurch.

11                       Let's now refer to both the Grayburg  
12 Deep Unit Wells Nos. 4 and 6, and I believe there's no ques-  
13 tion that those are somewhat problem wells for this injec-  
14 tion zone.

15                       If Phillips were required to repair both  
16 these wells and the other two also, would Phillips propose  
17 that these be repaired or replugged or re-entered or what-  
18 ever Phillips plans to do with these wells before injection  
19 operations start?

20           A           Yes, we wouldn't have any objection to  
21 that. It's going to take us quite a bit of time to install  
22 the injection system and we -- in fact, this No. 4 Well we  
23 plan on recompleting that within the next several months,  
24 and if necessary, we would plug the No. 6 Well before injec-  
25 tion commences.

  MR. STOGNER: I have no further  
24 questions of Mr. Upchurch.

25                       Are there any further questions



1 of this witness?  
2

3 MR. KELLAHIN: If the Examiner  
4 please.

5 MR. STOGNER: Mr. Kellahin.

6 REDIRECT EXAMINATION

7 BY MR. KELLAHIN:

8 Q Mr. Upchurch, with regards to the Marbob  
9 well, in your opinion would it be necessary to have either  
10 Phillips or Marbob replug that well before injection could  
11 take place in any of your injection wells?

12 A In order to protect the fresh water, no,  
13 I don't feel that's necessary.

14 Q Are there any of the injection wells in  
15 the area of the Marbob well that ought not to be converted  
16 to injection before some remedial action is taken on that  
17 well by Marbob?

18 A No, I don't feel that that's necessary.

19 MR. KELLAHIN: I have nothing  
20 further.

21 MR. STOGNER: Does anybody else  
22 have any further questions of this witness?

23 If not, he may be excused.

24 Mr. Kellahin, do you have any-  
25 thing further in Case Number 8418?

MR. KELLAHIN: No, sir.

MR. STOGNER: Mr. Kellahin,

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

would you please supply me with a rough draft order --

MR. KELLAHIN: Be happy to.

MR. STOGNER: -- for the proposed waterflood?

MR. KELLAHIN: Yes, sir.

MR. STOGNER: Is there -- does anybody else have anything in Case Number 8418?

If not, this case will be taken under advisement.

(Hearing concluded.)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY  
that the foregoing Transcript of Hearing before the Oil Con-  
servation Division was reported by me; that the said tran-  
script is a full, true, and correct record of the hearing,  
prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing  
a complete record of the proceedings in  
the Examiner hearing of Case No. 8418,  
heard by me on November 28 1984.  
Michael Steiner, Examiner  
Oil Conservation Division