

## C O N F I D E N T I A L

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Q Is 45,000 barrels your economic limit in this field for a well?

A 45,000 barrels I determined, under guidelines that Phillips uses, would pay out the wells.

Phillips would not drill a well under that circumstance.

Q Would you recommend drilling a well -- at what figure would you recommend drilling a well?

A The reserves that we have, as I've calculated here, the 103,000 barrels, gave me economics which in one of the parameters that Phillips looks at is on the borderline of minimum value.

Q Yet did I understand your testimony to say that this well would pay out in 8 months?

A That's right, 8-1/2 months, approximately.

Q That's fairly fast, isn't it, with today's oil prices?

A Yes, I imagine. That's what we see for these Strawn wells. They have very high initial production rates but extremely high decline rates, also, so you'll get a rapid payout but the investment isn't returned very many times.

1           Q           Let me go back to a question I asked you.  
2 What would be the recommendation, where would be the cutoff  
3 that you would recommend as far as recoverable reserves are  
4 concerned?

5                       MR. IVES: Mr. Padilla, are you  
6 asking with regards to this particular well?

7                       MR. PADILLA: Yes, sir.

8           A           In this situation with the production  
9 forecast scenario that I came up with, the location where  
10 we're drilling and the reserves that we've determined on  
11 that location are pretty much the minimum reserves to drill  
12 that well.

13           Q           Well, if you recovered -- how long would  
14 it take to recover 103 barrels from this particular well?

15           A           My production forecast --

16           Q           103,000 barrels.

17           A           Yes. My production forecast had it tak-  
18 ing between six and seven -- or sorry, seven and eight years  
19 to recover that amount of oil.

20           Q           In 8-1/2 months how much oil would you  
21 produce?

22           A           I do not know.

23           Q           Well, you're familiar with the recovery  
24 rates for these wells in this field, aren't you?

25           A           I would have to go back to economic cal-

1       culations and find that number. I didn't make a note of  
2       that.

3                               This was assuming that we were able to  
4       produce initially at 222 barrels of oil a day, but no, I  
5       don't know the exact volume of oil.

6               Q               Have you done any material balance  
7       calculations in this field?

8               A               No, I have not.

9               Q               What other reserve calculations have you  
10      done in this field?

11              A               Other reserve calculations. Basically  
12      these volumetrics and examination of offset production  
13      history.

14              Q               Have you participated in drilling of  
15      other wells in this field?

16              A               No, I have not.

17                              MR. PADILLA: Pass the witness,  
18      Mr. Examiner.

19

20                              END OF CONFIDENTIAL INFORMATION

21

22

23

24

25



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A P P E A R A N C E S

For Fasken: Ernest L. Padilla  
Attorney at Law  
PADILLA & SNYDER  
P. O. Box 2523  
Santa Fe, New Mexico 87504

For Exxon: James G. Bruce  
Attorney at Law  
HINKLE LAW FIRM  
P. O. Box 2068  
Santa Fe, New Mexico 87501

I N D E X

ROBERT G. STRAUSS

Direct Examination by Mr. Ives	6
Cross Examination by Mr. Bruce	12
Cross Examination by Mr. Padilla	15
Cross Examination by Mr. Kellahin	19
Redirect Examination by Mr. Ives	32

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## I N D E X CONT'D

## JOHN CHARLES CURRIE

Direct Examination by Mr. Ives	33
Cross Examination by Mr. Bruce	45
Cross Examination by Mr. Padilla	48
Cross Examination by Mr. Kellahin	59

## DAVID J. ANDREWS

Direct Examination by Mr. Bruce	67
Cross Examination by Mr. Ives	72
Cross Examination by Mr. Kellahin	81
Redirect Examination by Mr. Bruce	84
Recross Examination by Mr. Ives	85

## JAMES GROCE

Direct Examination by Mr. Padilla	95
Cross Examination by Mr. Ives	103
Cross Examination by Mr. Kellahin	109
Recross Examination by Mr. Ives	112
Redirect Examination by Mr. Padilla	113
Recross Examination by Mr. Kellahin	114

## STATEMENT BY MR. BRUCE

117

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## I N D E X CONT'D

STATEMENT BY MR. PADILLA	118
STATEMENT BY MR. KELLAHIN	120
STATEMENT BY MR. IVES	121

## E X H I B I T S

Phillips Exhibit One, Structure Map	8
Phillips Exhibit Two, Map	9
Phillips Exhibit Three, Cross Section A-A'	10
Phillips Exhibit Four, Map	36
Phillips Exhibit Five, Map	37
Phillips Exhibit Six, Reserve Calculations	37
Phillips Exhibit Seven, Lease Plat	40
Phillips Exhibit Eight, Calculation	41
Exxon Exhibit One, Map	125
Fasken Exhibit One, Map	98
Fasken Exhibit Two, Memo	100

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. CATANACH: We'll call next Case 9036.

MR. TAYLOR: The application of Phillips Petroleum Company for a nonstandard oil proration unit and unorthodox oil well location, Lea County, New Mexico.

MR. CATANACH: Are there appearances in this case?

MR. IVES: Peter Ives, with Campbell and Black, on behalf of applicant, and I will have two witnesses to be sworn.

MR. CATANACH: Are there other appearances?

MR. BRUCE: Mr. Examiner, my name is Jim Bruce from the Hinkle Law Firm in Santa Fe. I'm representing Exxon Corporation.

I may have one witness.

MR. PADILLA: Mr. Examiner, Ernest L. Padilla, Santa Fe, for Barbara Faskin.

I have possibly one witness.

MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of Santa Fe, appearing on behalf of Pennzoil Company, and I have at least one witness to be sworn.

1 MR. CATANACH: Anybody else?  
2 Will all the witnesses, or  
3 possible witnesses, stand and be sworn in?

4  
5 (Witnesses sworn.)

6  
7 ROBERT G. STRAUSS,  
8 being called as a witness and being duly sworn upon his  
9 oath, testified as follows, to-wit:

10  
11 DIRECT EXAMINATION

12 BY MR. IVES:

13 Q Mr. Strauss, could you please state your  
14 name and place of residence?

15 A My name is Robert George Strauss and I  
16 reside in Odessa, Texas.

17 Q And by whom are you employed and in what  
18 capacity?

19 A I'm employed by Phillips Petroleum Com-  
20 pany and I'm a petroleum geologist.

21 Q Have you previously testified before this  
22 Division or one of its examiners and had your credentials  
23 accepted and made a matter of record?

24 A Yes, I have.

25 Q Are you familiar with the application

1 filed in this case?

2 A Yes, I am.

3 Q Have you made a study of the subject  
4 area?

5 A Yes, I have.

6 Q And are you familiar with the proposed  
7 well?

8 A Yes.

9 MR. IVES: Are the witness'  
10 qualifications acceptable to the examiner?

11 MR. CATANACH: Mr. Strauss is  
12 it?

13 MR. IVES: Yes.

14 MR. CATANACH: He is considered  
15 qualified.

16 Q Mr. Strauss, would you briefly state what  
17 is sought in the application?

18 A Phillips Petroleum Company requests that  
19 it be allowed to drill an 11,300 foot Strawn test in Section  
20 4 of Township 17 South, Range 37 East, at an unorthodox lo-  
21 cation of 330 feet from the south line and 2500 feet from  
22 the west line.

23 Also that Phillips be allowed to dedicate  
24 to the well the southeast quarter of the southwest quarter  
25 for the test.

1           Q           Are you familiar with the rules for the  
2 subject pool?

3           A           Yes, I am.

4           Q           And what are the acreage dedication and  
5 well location requirements currently in the Shipp-Strawn  
6 Pool?

7           A           The acreage dedication for the Shipp-  
8 Strawn Pool is that each well be located on a unit contain-  
9 ing 80 acres, more or less, with nothing prohibiting the  
10 drilling of a well in any of the quarter quarter sections.

11                       The well requirement is that each well be  
12 located within 150 feet of the center of the governmental  
13 quarter quarter section.

14           Q           How much closer to the boundary of the  
15 spacing unit is the proposed well?

16           A           The Phillips Shipp State A No. 1 would be  
17 250 feet closer to the south line and 393 feet closer to the  
18 east line.

19           Q           Have you prepared certain exhibits for  
20 introduction in this case?

21           A           Yes, I have.

22                               MR. IVES: I'll go ahead and  
23 distribute those now.

24           Q           Mr. Strawss, would you please refer to  
25 what has been marked as Exhibit One, identify it, and ex-

1 plain what it shows?

2           A           Exhibit One is a structure contour map on  
3 top of the Strawn formation. It shows Phillips' proposed  
4 well location, the proposed nonstandard unit, and cross sec-  
5 tion line A-A'.

6           Q           And how important is structure in deter-  
7 mining whether or not you would make a successful well in  
8 the area proposed?

9           A           Structure is important in that it is a  
10 controlling factor for the localization of porosity. Strawn  
11 porosity is associated with northeast to southwest trending  
12 structural noses; however, the porosity is limited in areal  
13 extent both up dip and down dip around the structures.

14          Q           Let me ask you now, if you would, to  
15 refer to what has been marked as Exhibit Two and please  
16 identify it and explain what it shows.

17          A           Exhibit Two is the net pay map for  
18 porosity greater than 4 percent within the Strawn formation.

19                        Again it shows Phillips' proposed well  
20 location and the proposed nonstandard unit.

21          Q           And how was this exhibit prepared?

22          A           This exhibit was prepared with electrical  
23 logs.

24          Q           And what sort of study did you do of  
25 those logs?

1           A           I used a 4 percent cutoff. I've studied  
2 the area the last two years over approximately 20 square  
3 miles, and I've used a 4 percent cutoff. Based on my exper-  
4 ience this is the cutoff where wells are economically produ-  
5 cable.

6           Q           And what does, let me ask, Exhibit Two  
7 show with regards to the request for the nonstandard unit in  
8 this circumstance?

9           A           Exhibit Two shows that Phillips --

10          Q           I understand we'll go to Exhibit Three,  
11 which will assist in this.

12          A           All right.

13          Q           But perhaps it would be easier to go to  
14 Exhibit Three and then we can refer to both in turn.

15                    Let me ask you, if you would, then, to  
16 turn to what has been marked as Exhibit Three, identify  
17 that, and explain what it shows.

18          A           Exhibit Three is cross section line A-A',  
19 and it shows the Strawn formation, a portion of structural  
20 nose from the west.

21                    It shows the Strawn formation thinning  
22 quickly to the west or up dip towards the Phillips lease.

23                    It also shows the rapid loss of porosity  
24 towards the Phillips lease and it also shows quite clearly  
25 that Yates' 40-acre tract, which is west of the Tipperary

1 Johns Well, is essentially condemned geologically.

2                   Also I'd like to point out that the  
3 Tipperary Johns Well, which was uneconomical, did DST 20  
4 feet of clay to gas-cut mud and that particular uneconomical  
5 well is Phillips' 40-acre tract.

6                   Q           Let me also ask you what Exhibit Three  
7 shows with regards to the acreage to the east and south of  
8 the proposed location?

9                   A           It shows the acreage to the east contain-  
10 ing high amounts of Strawn porosity.

11                               It also shows that to the south porosity  
12 is present but it's very slim.

13                   Q           What conclusions can you draw from your  
14 study of the area and Exhibits One, Two, and Three which you  
15 have testified to here today?

16                   A           My geological studies show that the hy-  
17 drocarbons in the Shipp-Strawn Pool are stratigraphically  
18 trapped in local porosity closures associated with  
19 southwest/northeast trending structural noses.

20                               Studies also indicate that the eastern  
21 half of Phillips' 40-acre tract contains the Strawn porosity  
22 that is present both to the south and east of the Phillips'  
23 tract; however, due to the fact that an uneconomical well  
24 already exists on Phillips' 40-acre tract and that the poro-  
25 sity decreases very rapidly to the west, it is imperative

1 that Phillips' Shipp A State No. 1 be drilled 330 feet from  
2 the south line and 2500 feet from the west line of Section  
3 4.

4 I feel any deviations from this proposed  
5 location will greatly elevate the geologic risk associated  
6 with the project.

7 Q And what are your conclusions with re-  
8 gards to the nonstandard unit as to whether that is neces-  
9 sary or not?

10 A I feel that it's necessary in that Yates'  
11 acreage in my opinion contains no Strawn porosity.

12 Q Were Exhibits One, Two, and Three  
13 prepared by you or under your direction and supervision?

14 A Yes, they were.

15 MR. IVES: I would offer  
16 the exhibits into evidence at this time.

17 MR. CATANACH: Exhibits Number  
18 One through Three will be admitted into evidence.

19 MR. IVES: And I have no more  
20 questions for this witness at this time.

21 MR. CATANACH: Mr. Bruce?  
22

23 CROSS EXAMINATION

24 BY MR. BRUCE:

25 Q Mr. Strauss, looking at Exhibit Number

1 Two, what is your estimate of the productive acreage in the  
2 southeast quarter of the southwest quarter of that section?

3 A The engineer has calculated that and he  
4 will be testifying.

5 Q Mr. Strauss, are you aware that the --  
6 looking at Section 9, the Exxon 2 Well and what is marked as  
7 the Con 3 Well, that the bottom hole locations are somewhat  
8 to the north of the surface locations?

9 A I've heard that verbally, yes.

10 Q Would that cause you to contract your  
11 area of porosity?

12 A No, it wouldn't.

13 Q Why not?

14 A One, I don't -- I don't realize how far  
15 north it is. I have no physical evidence. And I don't see  
16 any need for it geologically.

17 Q Why isn't there a need for it geological-  
18 ly?

19 A I don't believe the contour, if it's dev-  
20 iated to the north, if it's in 10-foot contour intervals, is  
21 going to be drastically altered.

22 Q Might it be altered by the amount the  
23 bottom hole location differs from the surface location?

24 A Not in that the contour line runs in that  
25 particular area to the north.

1           Q           On Exhibit Number Two, Mr. Strauss,  
2 you've sort of -- you indicate one solid -- more or less  
3 just one mass of porosity in this area. Is there any evi-  
4 dence of any communication between, say, the Tipperary and  
5 Shipp wells to the north and the Vierson wells to the  
6 southeast?

7           A           I have no evidence, no.

8           Q           By the same token is there any evidence  
9 of communication between the Vierson wells and the Exxon Con  
10 3 Well to the south?

11          A           I have no evidence.

12          Q           If those wells are not in communication  
13 would you change your contours in any manner?

14          A           I would have to have the physical evi-  
15 dence, but based on the interpretation -- or the material I  
16 have right now, this is my interpretation.

17          Q           But would you change them if the wells  
18 were not in communication?

19                       MR. IVES: Let me just ask, I  
20 think he's testified that he does not know or have any  
21 reason to believe that the wells are in communication.

22                       MR. BRUCE: Well, I'm asking  
23 his opinion, then, if the wells are not in communication  
24 would he change the contours.

25                               I think that's --

1           A           One could but on the other hand there's  
2 also other explanations besides changing the contours. I  
3 could have a permeability barrier and therefore the net pay  
4 map as seen here wouldn't necessarily change.

5                           MR. BRUCE: I have no further  
6 questions at this time, Mr. Examiner.

7                           MR. CATANACH: Mr. Padilla.

8

9                           CROSS EXAMINATION

10 BY MR. PADILLA:

11           Q           Mr. Strauss, let me have you refer to  
12 your Exhibit Number One first, and I'll ask you that is a  
13 structure map of the area, is that correct?

14           A           That's correct.

15           Q           And generally that structure runs from  
16 northwest to southeast, is the way you have it depicted  
17 there.

18           A           The strike does, yes.

19           Q           Is there any difference structurally be-  
20 tween a standard location and your proposed location?

21           A           Very little.

22           Q           Okay. let's go on now to Exhibit Number  
23 Two. You've shown the Faskin Well in Section -- in Section  
24 9 as being a commercial well, is that correct?

25           A           The evidence I have right now is that it

1       potentialized as a commercial well. I have no further produc-  
2       tion data on the well.

3               Q               And you've extended your second contour  
4       line to the Faskin Well, is that correct?

5               A               Yes, I have.

6               Q               Okay, and that line extends northward  
7       through very close to what would be a standard location,  
8       does it not?

9               A               Yes, it does.

10              Q              Now, you've shown a nosing or a close-out  
11      in general, but you don't have any well control to indicate  
12      where you have a closure in the middle of Section 4 there,  
13      do you?

14              A              No, it's based on my geologic interpreta-  
15      tion and knowledge of the area.

16              Q              Wouldn't it be reasonable to assume that  
17      if your strike is from northwest to southeast that generally  
18      you do have control and that you wouldn't have that type of  
19      (unclear) as shown on Exhibit Number Two?

20              A              Not necessarily. I've studied this --  
21      this area in quite detail over the last two years, and we  
22      don't necessarily seen any relationship between the -- the  
23      build-up of the Strawn carbamate and the strike of the forma-  
24      tion.

25              Q              Then you don't know because you don't

1 have any information, do you?

2 A It's based on my interpretation.

3 Q Can you tell me, sir, why you have drawn  
4 your contour line, the first contour line, as far west as  
5 you have?

6 A On which exhibit?

7 Q On Exhibit Number Two.

8 A The John State, the well had four feet of  
9 porosity greater than 4 percent. Based on my interpretation  
10 I felt the zero line was to the west of that well.

11 Q And that's the only indication that you  
12 have and it's a matter of interpretation, is that true?

13 A That's correct. Those are the only wells  
14 that are present at the time in this hearing.

15 Q And you don't have any other reason to  
16 show the separation between the first and the second line.

17 A Just based on my experience with the  
18 area. I see the Strawn porosity falling off structures  
19 rather quickly and based on my interpretation I feel it's  
20 dropping off this fast.

21 Q By drawing your first line are you trying  
22 to show that that has productive acreage that far west?

23 A It shows that the Strawn has porosity  
24 greater than 4 percent that far west, yes.

25 Q Would that porosity be sufficient to al-

1 low a well at a standard location to drain the 40-acre spac-  
2 ing unit?

3 A That's out of my area of expertise.

4 Q Well, you've drawn, sir, the contour  
5 lines. You've testified as to porosity, so I'd still like  
6 to have an answer from you regarding my question.

7 MR. IVES: We object to the  
8 question. We will be putting on a reservoir engineer who, I  
9 believe, will testify to the question that you are seeking  
10 an answer to, Mr. Padilla.

11 Q Let me ask the question this way, Mr.  
12 Strauss.

13 Geologically would the well at a standard  
14 location drain, based upon the contour lines?

15 A Based on my geologic knowledge. I don't  
16 -- I don't have the expertise to say whether or not it --  
17 how much acreage it would drain.

18 Q Would it drain anything, at the standard  
19 location?

20 A The well at a standard location would --  
21 would be uneconomical. It would contain porosity but  
22 probably not in amounts to have a commercial producer.

23 MR. PADILLA: I believe that's  
24 all I have, Mr. Examiner.

25 MR. CATANACH: Mr. Kellahin.

1 MR. KELLAHIN: Thank you, Mr.  
2 Catanach.

3

4

CROSS EXAMINATION

5 BY MR. KELLAHIN:

6 Q Mr. Strauss, for purposes of my question,  
7 I think I have found what is Exhibit Number Two. It's an  
8 Isopach on the Strawn?

9 A That's correct.

10 Q Right? My Two is the same as your Two.

11 A Yes, it is.

12 Q All right. You said you've worked this  
13 area for the last couple years, I believe, in response to a  
14 question by one of the other lawyers?

15 A Yes, I have.

16 Q Have you been involved with the explora-  
17 tion geologic work for any of the wells drilled in the  
18 Shipp-Strawn Pool?

19 A I evaluated the Tipperary well when we  
20 were approached in 1984.

21 Q Which Tipperary well?

22 A On our tract.

23 Q All right.

24 A Which was a wildcat at the time.

25 Q When that well was drilled, what was the

1 spacing and proration unit proposed by that well?

2 A It was -- I'm not sure.

3 Q It was an 80-acre tract, was it not?

4 A I'm not sure what it was.

5 Q You don't know the orientation of it?

6 A I believe it was a laydown, if it was 80.

7 Q You were involved with the Tipperary John  
8 State Well?

9 A Yes, I was.

10 Q All right. Were there any other wells in  
11 this pool that you provided exploration geology for?

12 A Just further to the north in the Dean  
13 Field, the Devonian-Strawn in that particular area. I wor-  
14 ked on, in association with Yates Petroleum, on some devel-  
15 opment wells up there.

16 Q When we look at the Strawn Isopach, Exhi-  
17 bit Number Two, Mr. Strauss, what is the purpose of that ex-  
18 hibit?

19 A The purpose of the exhibit is to show  
20 that, the localization of the Strawn porosity greater than 4  
21 percent.

22 It also shows how quickly the Strawn por-  
23 osity drops off around the structures.

24 Q Have you provided this Strawn Isopach to  
25 your engineers so that they could use the Isopach to deter-  
mine the net acreage involved within the producing area to  
this well?

1           A           Yes.

2           Q           Have you calculated for them the number  
3 of acreage involved within this 40-acre tract that is within  
4 the zero contour line?

5           A           I did not do those. I did not do those  
6 calculations, no.

7           Q           When we look at the way the Isopach was  
8 prepared, if we begin the northeast corner of Section 9,  
9 there's an Exxon well that shows 4 feet?

10          A           Yes, sir.

11          Q           What is the status of that well insofar  
12 as the Shipp-Strawn is concerned?

13          A           As far as the Strawn formation, it was  
14 uneconomical. It's currently producing out of the -- I be-  
15 lieve it's the Wolfcamp.

16          Q           How did you pick the 4 feet?

17          A           I used the 4 percent cutoff on the  
18 FDC/CNL electric log.

19          Q           You looked at the log and you found 4  
20 feet.

21          A           Yes.

22          Q           Was that 4-foot interval perforated in  
23 the Exxon well when they tested that zone?

24          A           I don't believe so.

25          Q           Okay. When we go up counter-clockwise

1 around the zero contour line, we get into Section 3 and  
2 there's a dry hole there with 4 feet. What is that well?

3 A That was a well, the Waldron No. 1,  
4 drilled by Pennzoil, which also tested uneconomical.

5 Q Okay, same process, then, you made an an-  
6 alysis of a log. You found porosity in excess of 4 percent  
7 on the log, and that's the basis for the contour line at  
8 that point, yet when the well was tested in that formation  
9 it wouldn't produce.

10 A I'm not sure whether or not they tested  
11 the Strawn.

12 Q Okay. It's indicated to be a dry hole.

13 A I'm not sure whether they tested it; if  
14 they tested it uneconomical or whether or not it indeed was  
15 P&Ad.

16 Q Okay, as we move around, then, counter-  
17 clockwise, we get up into the Shipp No. 2 Well and I guess  
18 that's 5 feet of net pay with porosity in excess of 4 per-  
19 cent?

20 A Yes.

21 Q And what was the result of that well?  
22 Was it a commercial well?

23 A As far as I know it was also uneconomi-  
24 cal.

25 Q Okay, as we move around the contour

1 again, then, we get into the southwest corner of Section 33.  
2 We've got 2 feet of pay in another well that's also appar-  
3 ently uneconomic in this well.

4 A That's correct.

5 Q Did it produce anything?

6 A It produced -- I believe they plugged back  
7 to the Paddock formation.

8 Q Okay. As far as I know, nothing in the  
9 Strawn formation.

10 Q If you'll continue, then, around counter-  
11 clockwise on the Isopach, just to the north 40-acre tract,  
12 north of your 40, there's 10 feet of pay on another dry  
13 hole?

14 A Yes.

15 Q Okay, what's -- what happened to that  
16 well?

17 A That well, I believe, tested water.

18 Q When we look now at the Tipperary John  
19 State Well in your 40-acre tract, you've assigned it 4 per-  
20 cent porosity in excess of -- 4 feet of porosity in excess  
21 of 4 percent.

22 A That's correct.

23 Q And that well is one of the wells that's  
24 on your cross section, isn't it?

25 A Yes, sir.

1           Q           Let's turn to that cross section, if you  
2 will, please.

3                       Were you satisfied that the John State  
4 Well was perforated and tested in all the potential produ-  
5 cing sections of the Strawn?

6           A           It was never perforated. They DST'ed the  
7 Strawn formation and it was uneconomical.

8           Q           Based on that drill stem, then, they  
9 didn't even run pipe on it or try to perforate it.

10          A           That's correct.

11          Q           All right. And what were the results of  
12 the drill stem test?

13          A           They recovered 20 feet of vuggy, gas cut  
14 mud.

15          Q           And what does that tell you as a geolo-  
16 gist?

17          A           It tells me that they possibly could be  
18 close to a reservoir.

19          Q           Do you see in examining this log any pre-  
20 sence of the reservoir in this log section with porosity in  
21 excess of 4 percent?

22          A           Yes, I do.

23          Q           Do you find an interval with 4 feet?

24          A           Throughout the whole section, yes, I can.  
25 I can add up 4 feet.

1           Q           All right, sir, let me give you my red  
2 pen and ask you to mark those intervals that you used to get  
3 to 4 feet.

4                    You've made on your copy of Exhibit Num-  
5 ber Three, Mr. Strauss, four small, red, vertical lines on  
6 four different points. I assume each one, then, you have  
7 credited with approximately a foot of pay?

8           A           That's correct.

9           Q           Based upon your experience in this area,  
10 Mr. Strauss, when we look at your Exhibit Number Two, can  
11 you define for us what is probably the minimum number of  
12 feet of pay you need in the Strawn in order to have a com-  
13 mercial well?

14           A           The minimum one section, I would say ap-  
15 proximately 10 feet but not 10 feet scattered in one foot  
16 intervals.

17           Q           We've got to have at least 10 feet all  
18 put together in a thickness of 10 feet in order to have a  
19 sufficient volume of pay to get us a commercial well. Did I  
20 say that right?

21           A           No.

22                    MR. IVES: Let me interject and  
23 just ask, in terms of commercial in this instance if you  
24 could define that term so he has a reference point to refer  
25 to.

1 MR. KELLAHIN: I asked the  
2 question and he answered it without any difficulty, Mr. Exa-  
3 miner.

4 MR. IVES: Well, I'm concerned  
5 that the record be clear without any possible misinterpreta-  
6 tion.

7 MR. KELLAHIN: Well, Mr. Ives,  
8 you'll have an opportunity to re-examine your own witness,  
9 if you like.

10 He answered my question, Mr.  
11 Examiner. I think I'm entitled to continue.

12 MR. CATANACH: Let's proceed.

13 Q Mr. Strauss, let me ask you this, sir.  
14 You're talking about a commercial well that has to have at  
15 least an interval of thickness at least 10 feet.

16 A Not necessarily economical. It would  
17 produce hydrocarbons, yes.

18 Q And if we find an interval of less than  
19 10 feet, then it's not going to produce hydrocarbons?

20 A It will produce hydrocarbons; not neces-  
21 sarily in economical amounts.

22 Q So when we get to a 10-foot thickness,  
23 at that point then you as a geologist begin to suspect  
24 you're going to have a commercial well.

25 MR. IVES: Let me interject

1 again. You're asking about commercial wells again and I'm  
2 not exactly sure that he is with you in terms of that defin-  
3 ition.

4 MR. KELLAHIN: Same problem,  
5 Mr. Examiner. May I continue?

6 MR. CATANACH: Yes, you may  
7 continue.

8 MR. IVES: Mr. Examiner, could  
9 I ask just as a -- if a witness feels any need to explain  
10 what he's referring to when he says commercial in the sense  
11 --

12 MR. KELLAHIN: Do you want to  
13 take a break so you can coach your witness here?

14 MR. IVES: No, I'm merely  
15 trying to clear up a potential problem on the record.

16 MR. KELLAHIN It's no problem  
17 for me, Mr. Ives.

18 MR. IVES: (Inaudible).

19 Q Mr. Strauss, let me get through this.  
20 The 10 feet of pay you refer to identifies a well that if it  
21 encounters 10 feet of pay is going to produce enough oil  
22 that you would suspect it would be commercial. Right?

23 MR. IVES: Same objection.

24 A Commercial but not necessarily economic.

25 Q All right. Okay. If we get less than 10

1 feet, as we can see on this Isopach, then we might as well  
2 forget about that well, right?

3 A It would depend on the amount of poros-  
4 ity. I think each well has to be looked at individually. I  
5 hate to make generalizations about the 8 or 9 foot zone.

6 Q When we look at the Isopach, sir, we've  
7 got lots of wells in here and we can find wells that you  
8 have identified as having at least 10 feet of pay and  
9 they're plugged and abandoned as dry holes. Right?

10 A Which well are you referring to, sir?

11 Q The one in the 40-acre tract just north  
12 of your 40 that says CHD-1, got a dry hole symbol on it and  
13 10 feet.

14 A The 10 feet was distributed throughout  
15 the Strawn. Like I said, it doesn't necessarily mean it's  
16 going to be a commercial well.

17 Q All right. When we look at the Faskin  
18 well in Section 9, you've got 12 feet.

19 A Yes.

20 Q How was that 12 feet organized in the  
21 wellbore, if you will, so that that well is commercial, be-  
22 cause they apparently have completed it as a producing oil  
23 well?

24 A It was -- if you look at the cross sec-  
25 tion, Exhibit Number Three --

1 Q Yes, sir.

2 A -- all 12 feet is compacted on top of the  
3 Strawn formation.

4 Q And in that instance, then, when we have  
5 12 feet compacted in that configuration, we're able to drill  
6 a well that will produce oil out of this pool.

7 A Produce oil, yes.

8 Q Yes, sir, and it can produce a sufficient  
9 enough volume of oil to recover the costs of drilling that  
10 well.

11 A No.

12 Q It cannot?

13 A Engineering will testify to that, but my  
14 -- my opinion is no.

15 Q All right, the Faskin Well is not going  
16 to pay for its costs.

17 A My personal opinion, no.

18 Q Okay, what's it recovered to date, do you  
19 know?

20 A I don't have the figures. Like I men-  
21 tioned before, all I have is the initial potential test on  
22 that.

23 Q Okay. That, then, is not going to be a  
24 commercial well? In other words, a well defined as at least  
25 being able to recover the cost of drilling that well one

1 time.

2 MR. IVES: I think he's indi-  
3 cated that that was -- his opinion was that it was not going  
4 to be economical. I think he answered that question al-  
5 ready.

6 Q Was that your answer; that in your opin-  
7 ion there is not enough reservoir underlying the Faskin  
8 Well, notwithstanding the fact that you got 12 feet of it,  
9 there's not enough reservoir there that will allow that well  
10 to produce enough oil to recover its cost one time?

11 A It's really out of my area of expertise.

12 Q Do you define that Faskin well as a com-  
13 mercial well in terms of analyzing whether or not you would  
14 drill a well like that at that type of location?

15 A On a geologic viewpoint I would not want  
16 to drill a well with a similar appearance as that.

17 Q Why not, sir?

18 A Based on my regional studies throughout  
19 the area I've seen instances where thin Strawn formation of-  
20 ten potentials well but they don't necessarily hold up.

21 Q Have you determined as a geologist that  
22 you would not recommend a well located anywhere west of that  
23 contour line that intersects with the Faskin well, the Con  
24 No. 3?

25 A I would not recommend it.

1           Q           You would not recommend a well west of  
2 that line.

3                        Do you have an opinion, sir, as to what  
4 portion of that acreage west of the line would contribute  
5 production to a well if it was located on that line?

6           A           I feel the acreage would probably  
7 contribute to it but again it's out of my area of expertise  
8 to assign any particular values.

9           Q           Well, the engineer, I believe you told  
10 us, has taken your Isopach and he uses that Isopach, then,  
11 to derive a volumetric calculation of the reserves in place  
12 based upon where you locate that zero line. Is that not  
13 true?

14          A           I believe so, yes.

15          Q           And yet in each instance on this Isopach  
16 you have located that zero line outside or beyond the  
17 wellbore of a number of wells that are dry holes.

18          A           Not necessarily dry holes; uneconomical.

19                       MR. KELLAHIN: Thank you, sir.

20                       MR. CATANACH: The witness may  
21 be excused.

22                       MR. IVES: I just have a couple  
23 more questions.

24                       MR. CATANACH: Oh.

25                       MR. IVES: Just a brief moment.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## REDIRECT EXAMINATION

BY MR. IVES:

Q Mr. Strauss, I believe you indicated that the JNS-1 was a wildcat. Is that -- is that your earlier testimony?

A Yes, it was.

Q What's the spacing on wildcat, do you know?

A I believe it's 80 acres.

Q Okay, you don't believe that it is in fact 40 acres?

A I'm not sure.

Q Okay. So you're not sure one way or the other --

A No, I don't really know.

Q -- whether it's 40 or 80? Okay. May I take just one moment?

With regards to a question asked by Mr. Bruce with regards to the bottom hole on the Exxon 2, would you need additional information on all the other bottom holes in order to try and render an accurate opinion or answer to a question as to bottom hole drift in the reservoir?

A Definitely. Definitely.

MR. IVES: That's all I have.

1 MR. CATANACH: The witness may  
2 be excused.

3  
4 JOHN CHARLES CURRIE,  
5 being called as a witness and being duly sworn upon his  
6 oath, testified as follows, to-wit:

7  
8 DIRECT EXAMINATION

9 BY MR. IVES:

10 Q Mr. Currie, could you please state your  
11 full name and place of residence?

12 A My name is John Charles Currie and I live  
13 in Odessa, Texas.

14 Q And by whom are you currently employed  
15 and in what capacity?

16 A I'm employed by Phillips Petroleum  
17 Company and my title is Associate Reservoir Engineer.

18 Q Have you previously testified before this  
19 Division or one of its examiners and had your qualifications  
20 accepted?

21 A No, I have not.

22 Q In that case I would like to ask you  
23 several questions about your educational and professional  
24 work experience.

25 If you could, please summarize your

1 educational background since high school, including any de-  
2 grees you have received, when they were received, and from  
3 what institution.

4           A           Okay, I hold a Bachelor of Science degree  
5 in chemical engineering and a Bachelor of Arts degree in  
6 geology.

7                       I received both of those in 1979 from  
8 Cornell University in Ithaca, New York.

9           Q           And you graduated from there in 1979.  
10 What has been your work experience since that time?

11           A           Since that time I've been employed by  
12 Phillips Petroleum Company.

13           Q           Let me ask you just to run briefly  
14 through your various job --

15           A           Okay.

16           Q           -- positions, assignments, and the dates  
17 of those.

18           A           I've -- okay, from '79 through '81 I was  
19 in Oklahoma City as a reservoir engineer.

20                       From '81 to '83 I was located in Cutbank,  
21 Montana, and there I did a variety of drilling, production,  
22 and reservoir engineering assignments.

23                       From '83 to '85 I was located in Houston,  
24 Texas, as a -- in my current job title as a reservoir en-  
25 gineer and I was also responsible for reserves determina-

1 tions on all Phillips partner interest property.

2 From '85 to the present I was located in  
3 Odessa, Texas, where I'm responsible for reservoir engineer-  
4 ing on Phillips operated drilling wells, producing proper-  
5 ties, and enhanced recovery units in southeast New Mexico.

6 Q And are you a member of any professional  
7 societies or are you registered as a professional engineer  
8 in any jurisdictions?

9 A Yes. I'm a member of the Society of Pet-  
10 roleum Engineers; member of the American Institute of Chemi-  
11 cal Engineers; and I'm registered as a professional en-  
12 gineer. My registration is in the State of Oklahoma.

13 MR. IVES: Mr. Examiner, I  
14 would tender Mr. Currie as an expert reservoir engineer for  
15 purposes of this proceeding.

16 MR. CATANACH: Mr. Currie is  
17 considered qualified.

18 Q Mr. Currie, are you familiar with the ap-  
19 plication filed in this case?

20 A Yes, I am.

21 Q And are you familiar with the proposed  
22 well and the subject area?

23 A Yes, I am.

24 Q Let me ask, if you would, to turn to Ex-  
25 hibit, what has been marked as Exhibit Number Five, and ex-

1 plain what that is and what it shows.

2 Let me ask you first, if you would, to  
3 identify and explain what Exhibit Four shows.

4 A Okay. Exhibit Number Four is a map of  
5 the Shipp area.

6 It shows the current producing wells in  
7 the area, the date they were completed is shown underneath  
8 the well. In addition, the cumulative recovery of those  
9 wells through July, 1986, is shown and the production rate  
10 as of July, 1986, is shown on those wells.

11 Q Let me ask you how many wells have been  
12 put in and what time frame?

13 A Okay. During the last two years twelve  
14 wells have been drilled, drilled to develop the Shipp Pool.

15 Seven wells have been completed as produ-  
16 cers. Five wells have not been economic in the Strawn.

17 Q What does this map demonstrate, if any-  
18 thing, with regards to any need to drill additional wells to  
19 determine reserves and/or the limits of the Shipp-Strawn  
20 Pool?

21 A Okay. It appears that additional dril-  
22 ling is necessary to fully develop the pool and determine  
23 where all the limits of the pool are.

24 Q Does this map indicate anything with re-  
25 gards to a standard location or if Phillips were to put a

1 standard location on its lease property, does this map tell  
2 us anything about the productivity of such a well?

3 A Just based on this map it appears that a  
4 well at a standard location would probably not be  
5 commercially productive due to the close proximity of any  
6 standard location to the Tipperary John No. 1 Well., which  
7 was determined to be noncommercial.

8 Q Let me ask, if you would, now, to turn to  
9 Exhibit Five and ask you to identify that and explain what  
10 it shows.

11 A Okay, this -- this map is somewhat re-  
12 lated to the porosity map Mr. Strauss showed.

13 This map was prepared by examining the  
14 logs and determining the product of the porosity and thick-  
15 ness of that porosity in each well.

16 I -- this map has been used to help  
17 determine volumetric reserves in the reservoir.

18 Q And let me ask you now to turn to Exhibit  
19 -- what has been marked as Exhibit Six and ask you to iden-  
20 tify that and explain what that exhibit shows.

21 A Okay, this exhibit shows a reserve calcu-  
22 lation for the recoverable oil on Phillips Shipp State A  
23 Lease.

24 First of all I've stated the volumetric  
25 formula for this calculation.

1                   Then I go through and define the terms in  
2 the formula. That first term is a conversion factor for the  
3 oilfield units used in the formula.

4                   The second term is the reservoir area.

5                   The third term is the reservoir thick-  
6 ness.

7                   The next term is the Greek symbol phi,  
8 standing for reservoir porosity.

9                   The term after that,  $1-S_w$ , where  $S_w$  is  
10 the reservoir water saturation; therefore this entire term  
11 is the reservoir oil saturation figure.

12                   Then to the bottom of that equation is  
13  $B_o$ , which is the formation -- the oil formation volume fac-  
14 tor.

15                   Q           And what specific data have you developed  
16 for the Shipp State A No. 1 Well that Phillips proposes?

17                   A           Okay. Based on what I've studied in the  
18 area, moving down the exhibit, I have determined (A) (h)  
19 (Phi), which was planimetered from the map shown as Exhibit  
20 Five for Phillips acreage.

21                   And the next term, water saturation of 25  
22 percent, or .25, based on examination of well logs in the  
23 Shipp area.

24                   The recovery factor I used is .42 based  
25 on what I've seen on recovery from the Casey Strawn Field,

1 located to the northeast. That pool is used because it's  
2 been on production longer and we are able to determine de-  
3 cline rates and more accurately determine ultimate produc-  
4 tion from that pool.

5 And finally Bo is used of 1.4, based on  
6 well data from the Shipp Strawn pool and Standing's Correla-  
7 tion.

8 Q Now, using those -- that data along with  
9 the volumetric formula, what was your calculation of the re-  
10 coverable reserves on Phillips' lease?

11 A Okay, that calculation is shown at the  
12 bottom of the exhibit, where I come up with 103,100 barrels  
13 of oil recoverable on Phillips Shipp State A Lease.

14 It should be noted that taking the recov-  
15 ery factor out, that the oil in place on Phillips' lease  
16 would be approximately 250,000 barrels.

17 Q Could you please tell us what the econo-  
18 mics involved in putting such a well in would be?

19 A All right. I base my economics on having  
20 an initial production rate which would be based on a 40-acre  
21 allowable as provided for in the field rules, and using a  
22 decline rate similar to what I've seen in other wells which  
23 have gone on decline around there, which gives us a 7-year  
24 or 8-year life, I'm sorry, to produce 103,000 barrels of  
25 oil. A well with that production forecast gives us economics

1 that would have a discounted cash flow rate of return of ap-  
2 proximately 170 percent. The investments return two times,  
3 and payout is in about 8-1/2 months.

4 Q Let me ask you now, if you would, to turn  
5 to what has been marked as Exhibit Seven and identify the  
6 exhibit and explain what it shows.

7 A Okay. Exhibit Seven is a lease plat of  
8 the area, which shows the leasehold ownership of all the oil  
9 and gas rights surrounding Phillips' lease. Just to point  
10 out, the operator to the south is Fasken. Exxon is located  
11 to the southeast. Pennzoil is located east. Conoco holds  
12 the lease rights to the north, and Yates holds the lease  
13 rights to the west.

14 Q And does this show the nearest orthodox  
15 location to your proposed well?

16 A Yes. It shows the nearest orthodox loca-  
17 tion, which is located more or less northwest of the pro-  
18 posed location, which is also shown on this map.

19 Q Let me ask you, if you would, to identify  
20 the two circles that are drawn there and what the purpose of  
21 those circles are?

22 A Those circles represent the theoretical  
23 40-acre drainage radius drawn around each one of those loca-  
24 tions. The purpose of doing that was in determining whether  
25 the 40-acre allowable we are asking for was greater allow-

1 than we should be entitled to, based on the advantage that  
2 our location gives us. These circles are for the purpose of  
3 calculating off lease acreage.

4 Q Let me ask you now just to return briefly  
5 to Exhibit Number Eight and identify that and explain what  
6 that shows.

7 A All right. This is the penalty allowable  
8 calculation I was talking about. We wanted to see how this  
9 location compared with a standard location of the well.

10 There are three factors that we used  
11 here, two of which are based on distance to the lease line.

12 The first factor, labeled A here, shows  
13 that the well is close -- is located, well, 180 feet closer  
14 to the south line of the lease than would be allowed by the  
15 current field rules. This gives a 35 percent factor.

16 The second factor, labeled B, shows that  
17 the well is located 370 feet closer to the east line of the  
18 spacing unit boundary than is allowed by field rules. This  
19 gives us a factor of 73 percent.

20 And the last fact, labeled C, using those  
21 two circles, we get 15.9 acres located outside of the 40-  
22 acre circle for a standard location. That gives us a factor  
23 of 40 percent.

24 Q How do you then calculate the penalty  
25 factor involved?

1           A           We combined and averaged those factors  
2 that I previously talked about and came up with a 40 percent  
3 penalty factor.

4           Q           And then how would that penalty factor be  
5 applied to 80-acre depth bracket allowable?

6           A           As I've shown in this last calculation,  
7 you'd remove 49 percent of the full allowable rate and the  
8 calculation shows that the allowable would then be 227 bar-  
9 rels of oil per day.

10          Q           And what penalty is -- well, what allow-  
11 able is asked for in the application that Phillips has at  
12 issue here?

13          A           By assigning 40 acres to this well we  
14 would reduce our allowable in proportion of 40 acres is to  
15 80 acres as provided in the field rules; that would be a 50  
16 percent reduction, which would give us an allowable of 223  
17 barrels of oil per day.

18          Q           And how does that allowable compare with  
19 the allowable calculated under the penalty that's referenced  
20 on Exhibit Eight?

21          A           That allowable is less than the penalty  
22 allowable that we calculated, which shows that our -- by de-  
23 dicating 40 acres to this well we have already offset any  
24 possible advantage we would have gained based on the loca-  
25 tion of this well.

1           Q           What is your understanding, let me ask,  
2 as to where the production is on Phillips' lease; i.e. the  
3 producable reserves?

4           A           I would say that there are reserves under  
5 all 40 acres of Phillips' lease.

6           Q           Would putting a well in at the proposed  
7 location result in drainage or production from the entire  
8 tract?

9           A           Yes. I believe the entire 40 acres would  
10 contribute to the production from the well.

11          Q           Let me ask you why this well could not be  
12 drilled at a standard location.

13          A           As Mr. Strauss previously testified, the  
14 geologic risk of getting a noncommercial well is very high  
15 at a standard location.

16                    In addition, the mapping that we have  
17 supports this, that wells at a standard location would not  
18 encounter a sufficient thickness of pay to produce at com-  
19 mercially economic (unclear.)

20          Q           If you were required to drill this well  
21 at a standard location, would Phillips proceed with its  
22 drilling program?

23          A           I do not believe Phillips would drill  
24 this well at a standard location.

25          Q           If you drilled this well at a standard

1 location would you be able to recover, would Phillips be  
2 able to recover its just and fair share of the reserves un-  
3 derlying this property?

4 A No, due to the decreasing thickness of  
5 pay there, I do not believe that Phillips would be able to  
6 fully drain its acreage and would not be able to recover the  
7 reserves that I've calculated there.

8 Q Do you have any understanding or know-  
9 ledge of interference or drainage of surrounding wells of  
10 the recoverable reserves underneath Phillips lease property?

11 A Let's see, at a previous hearing today,  
12 8696, I believe, I witnessed an engineer testify that he had  
13 done interference testing and found that two wells located  
14 approximately 1650 feet apart were in communication with  
15 each other.

16 Based on hearing that and the high pro-  
17 duction rates from the wells offsetting Phillips acreage, I  
18 would conclude that Phillips is probably undergoing drainage  
19 at this time.

20 Q Let me ask, do you believe that the gran-  
21 ting of Phillips' application in this instance will be in  
22 the best interest of conservation, the prevention of waste,  
23 and the protection of of correlative rights?

24 A Yes, I do.

25 MR. IVES: At this time I would

1 offer -- one final question.

2 Q Have the exhibits which you have testi-  
3 fied to been either prepared by you or under your direction  
4 and supervision?

5 A Yes, they have.

6 MR. IVES: I would offer Exhi-  
7 bits Four through Eight into evidence at this time.

8 MR. CATANACH: Exhibits Four  
9 through Eight will be admitted into evidence.

10 MR. IVES: And I have no addi-  
11 tional questions at this time.

12

13

CROSS EXAMINATION

14 BY MR. BRUCE:

15 Q Mr. Currie, did I understand you to say  
16 that you believe all 40 acres from this hearing would con-  
17 tribute to production from the well?

18 A Yes.

19 Q Even though the John State No. 1 Well is  
20 a dry hole and the CHB No. 1 Well to the north is a dry  
21 hole?

22 A Yes.

23 Q What is your reasoning for that?

24 A In the John No. 1 Well there was a drill  
25 stem test run which recovered 20 feet of slightly gas-cut

1 mud, indicating the presence of hydrocarbons in the reser-  
2 voir in that area.

3                   Since there is hydrocarbon in the reser-  
4 voir, I'd have to conclude that that would contribute to  
5 production under our acres.

6           Q           If this well was drilled at a standard  
7 location the top allowable would be, what, 223 barrels a day?

8           A           That's correct.

9           Q           And yet you're asking for 227 barrels a  
10 day?

11          A           No, I believe we've asking for 223 bar-  
12 rels a day.

13          Q           So despite the penalty factor you refer-  
14 enced on Exhibit Number Eight, you're not asking for that  
15 227 barrels per day.

16          A           No, I feel we should stick with what is  
17 provided for in the field rules and take the allowable based  
18 on the acreage.

19          Q           You mentioned Cases 8696 and 8790 pre-  
20 viously. Were you listening to the testimony of the witness  
21 at that time?

22          A           Yes, I was.

23          Q           Did not he say that one well could ade-  
24 quately drain 80 acres?

25          A           I believe he did.

1           Q           How come on Exhibit Seven you're spacing  
2 or you're calculating your drainage based on 40-acre  
3 drainage?

4           A           In this case we used 40-acre circles  
5 because we were only asking for an allowable based on 40 ac-  
6 res.

7                       I have looked at 80-acre circles drawn  
8 around that, those two locations, and come up with 25 acres  
9 off lease, and that factor, then, would be 26/80ths, or 33  
10 percent, which is in fact less of a penalty factor than  
11 we're asking for, or we show here.

12           Q           So that would be 26 acres -- wouldn't  
13 that be 26 acres outside divided by 40 instead of by 80,  
14 though, since the southwest of the southwest is not produc-  
15 tive?

16           A           Well, the only reason I'd use an 80-acre  
17 circle is if we felt that 80 acres was productive.

18           Q           Two final questions, Mr. Currie. If it's  
19 fair for a well at a legal location to get an allowable of  
20 223 barrels a day, how can it be fair for a well at quite a  
21 nonstandard location to get the same allowable?

22           A           I've determined that the well at the non-  
23 standard location with that allowable -- or that allowable  
24 would be necessary at that nonstandard location for Phillips  
25 to recover the approximately 100,000 barrels which we've de-

1 terminated is located under our lease.

2 Q Wouldn't that adversely affect the cor-  
3 relative rights in the remaining acreage in that --

4 A Well, there's nothing to prevent the hol-  
5 ders of offset rights to drill for their oil and the --  
6 we're simply trying to protect the --

7 Q The two wells in the south and the other  
8 -- the Vierson -- two wells to the east are at standard lo-  
9 cations, are they not?

10 A The well immediately south, I believe, is  
11 at a standard location. The Exxon Well No. 2 is located 330  
12 feet from the lease line.

13 Q Which was a standard location when it was  
14 drilled.

15 A Yes, but under current field rules is no  
16 longer a standard location.

17 MR. BRUCE: I have no further  
18 questions at this time, Mr. Examiner.

19 MR. CATANACH: Mr. Padilla.

20

21 CROSS EXAMINATION

22 BY MR. PADILLA:

23 Q Mr. Currie, referring to your Exhibit  
24 Number Eight, I call your attention to the calculation you  
25 have at the last line of that exhibit.

1                   You have a formula there and I understand  
2 your testimony that that 445 barrels per day factor was de-  
3 rived from the depth bracket allowable, is that correct?

4                   A            Yes.

5                   Q            And that's 80-acre depth bracket allow-  
6 able.

7                   A            Yes, that's the allowable provided for in  
8 the field rules.

9                   Q            What is the depth bracket allowable for a  
10 40-acre unit?

11                  A            If my memory serves me correctly, the  
12 statewide depth bracket allowable at that depth is 365 bar-  
13 rels a day on the lease.

14                  Q            You don't know for sure?

15                  A            I'd have to check that statement.

16                  Q            Since you're using an 80-acre bracket al-  
17 lowable, shouldn't that 445 figure be based or be one-half  
18 of that 445 figure?

19                  A            I'm not sure I understand. Would you re-  
20 word that for me?

21                  Q            Well, you only have a 40-acre unit, cor-  
22 rect?

23                  A            Correct, we're applying for a 40-acre  
24 unit.

25                  Q            Therefore shouldn't that 445 figure be

1 cut in half, since you're using the 80-acre depth bracket  
2 allowable?

3 A In this case, when we calculated the pen-  
4 alty, we wanted to prepare the penalty based on a full al-  
5 lowable to the penalty based on an acreage based allowable.

6 Q But you don't have an 80-acre unit.

7 A That's true.

8 Q Now, in this Exhibit Eight, you have  
9 straight arithmetic averages, is that correct?

10 A That's correct, on the penalty factor  
11 calculation they're straight averages.

12 Q Is drainage based exponentially sometimes  
13 based on pressures in the volumetric calculations?

14 A Yes, sometimes that would be true.

15 Q You haven't prepared that kind of a cal-  
16 culation?

17 A No, I have not.

18 Q Going now to your Exhibit Number Seven,  
19 the one with the circles, did you calculate how much of the  
20 40-acre circle, or the circle based on the proposed loca-  
21 tion, is outside of the proration unit?

22 A The calculation shown on Exhibit Eight is  
23 the acreage of the 40-acre circle. Outside the 40-acre cir-  
24 cle it would be on its standard location.

25 Q What is the difference between the acreage

1 outside the standard location and the circle on the proposed  
2 location?

3 A That is 15.9 acres.

4 Q Now, going to your Exhibit Number Five, I  
5 have a hard time understanding how the entire 40-acre pro-  
6 tion unit would be productive when you have the zero line  
7 drawn generally, almost at the midpoint of the 40-acre pro-  
8 ration unit.

9 A This Exhibit Five has to be based on the  
10 net porosity map, I believe it's Exhibit Number Two, yes,  
11 and that net porosity map used a 4 percent porosity cutoff  
12 to arbitrarily essentially stop the Isopach contours. That  
13 is not to say that there isn't some porosity less than 4  
14 percent that goes out under the rest of our acreage.

15 Q Well, isn't what you're saying in effect  
16 that that line ought to extend beyond the exterior boundary  
17 of the west -- the western exterior boundary of that pro-  
18 tion unit?

19 A You could do that. It would be based on  
20 existing well control. It would be difficult to say exactly  
21 where that line went and for ease in the volumetric calcula-  
22 tion we conservatively cut off the calculation at that 4  
23 percent cutoff point.

24 Q Instead of the word "conservatively",  
25 wouldn't it be better to use the word "advantageously" used

1 that line?

2 MR. IVES: I'm going to object  
3 to the question as argumentative. I don't think that's been  
4 his testimony at all.

5 MR. PADILLA: I'll withdraw the  
6 question, Mr. Examiner.

7 Q Mr. Currie, is your productive acreage  
8 calculation based upon the zero line?

9 A My productive acreage calculation.

10 MR. IVES: Do you understand  
11 what he's referring to?

12 A No, what do you refer to on this?

13 Q On Exhibit Six.

14 A Okay, are you referring to the figure for  
15 (A) (h) (Phi), 59.1 acre feet?

16 Q Yes.

17 A Yes, that is based on -- on the zero line  
18 is the cutoff.

19 Q Well, how much of this 103,100 barrels  
20 lies west of the -- of the zero line?

21 A My calculation, my calculation here is  
22 based on reserves that lie to the east of that line, which  
23 is why I was saying that was a conservative cutoff. If we  
24 had included the lower porosity to the west, you would have  
25 had somewhat more oil.

1           Q           Mr. Currie, I have a hard time under-  
2 standing why you would use the zero line for calculating re-  
3 coverable reserves, if in fact you say that the entire 40-  
4 acre tract is productive.

5                       MR. IVES: Is that a question?

6           Q           Well, --

7                       MR. IVES: I realize you have a  
8 hard time understanding that, but --

9                       MR. PADILLA: Well, let me fol-  
10 low up on that, Mr. Ives.

11           Q           My question is of the 103,100 barrels,  
12 how much is going to be produced west of the zero line?  
13 What is attributable west of the zero line?

14                       MR. IVES: I object as having  
15 been asked and answered several times previously.

16                       MR. CATANACH: The witness can  
17 answer it, please.

18           A           The reserves calculation shown in Exhibit  
19 Six does not include any -- any oil to the west of that zero  
20 line.

21           Q           Do you consider a well that produces  
22 103,100 barrels a productive well?

23           A           It's certainly productive of hydrocarbon,  
24 yes. How do you mean productive?

25           Q           Is it a commercial well?

1           A           It passes Phillips' economics. We would  
2 drill that well.

3           Q           What's your economic limit in barrels?

4           A           The limit as far as what would pay out?

5           Q           Yes. sir.

6           A           Somewhere in the range of 45-to-55,000  
7 barrels of oil, assuming a gas/oil ratio of around 1000.

8           Q           In other words, if you had -- if Phillips  
9 had a well that -- or you analyzed a proposed location that  
10 would produce 45,000 barrels, you would drill it.

11                   MR. IVES: Let me, before you  
12 answer, ask the Examiner, we're getting into, I believe,  
13 what constitutes proprietary and confidential information of  
14 Phillips Petroleum Company in this line of questioning, and  
15 I would ask that any questioning along these lines which in-  
16 volves such information be governed by a confidentiality or-  
17 der to be entered by the Examiner at this time in connection  
18 with this proceeding.

19                           This -- Phillips' calculations  
20 and their economics, if they got out to competitors, would  
21 or could possibly jeopardize their ability to compete in a  
22 highly competitive marketplace in oil and gas.

23                           So before the witness is al-  
24 lowed to answer that question, I would ask the examiner to  
25 place this under confidence and require that it be used

1 strictly for this proceeding and none other.

2 MR. CATANACH: I will grant  
3 your request at this time.

4 MR. IVES: And so that the re-  
5 quest goes to both keeping this portion or portions dealing  
6 with this type under confidence, and I assume that the lis-  
7 ting of people attending the hearing would constitute the  
8 listing of people who will be bound by your order and also  
9 that the order require that it be used solely for purposes  
10 of this proceeding.

11 MR. CATANACH: Yes, sir.

12 MR. IVES: Okay.

13 A I'm sorry, I don't remember what the  
14 question is.

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

REPORTER'S NOTE:

PAGES 56 THROUGH 58 INCLUSIVE OF THIS TRANSCRIPT CONTAIN  
CONFIDENTIAL INFORMATION AND HAVE BEEN PLACED IN A SEALED  
ENVELOPE INCLUDED HERewith.

Seeley W. Boyd CSR

## 1 CROSS EXAMINATION

2 BY MR. KELLAHIN:

3 Q Mr. Currie, sir, would you pull out  
4 Exhibit Number Five, which is your Phi-H map, and then your  
5 volumetric calculations on Exhibit Number Six.

6 When we look at Exhibit Number Five am I  
7 correct in understanding that you have presumed that the  
8 surface location for each of these wells corresponds to the  
9 bottom hole location for those wells?

10 A That -- that is correct.

11 Q When we look at the volumetric  
12 calculation midway through that exhibit it says "Data for  
13 Phillips . . ." and then you show an acreage feet number of  
14 59 acres.

15 When we look at the first factor, the (A)  
16 factor, or the area factor, is that the area contained on  
17 the 40-acre tract within the zero line on the Phi-H map?

18 A That is correct.

19 Q What did you use for average thickness or  
20 the (h) factor in the calculation?

21 A Okay, the way this was planimetered we  
22 calculated the area -- what's shown on this map is already a  
23 product of (Phi) and (h), so that we planimetered them to-  
24 gether and came up with the area. So there is no -- I  
25 didn't use thickness individually in the calculation.

1           Q           Did you take an average thickness between  
2 each of the contour lines?

3           A           I used the -- well, when I planimetered  
4 it I found out an area that corresponded to each I guess  
5 you'd say Phi-h value as you go through the lease and then I  
6 used a parametal formula to find volume contained in that  
7 structure.

8           Q           Let me say it my own way to see if I un-  
9 derstand your methodology.

10                   How many acres did you calculate within  
11 the zero contour line, surface acres? How many surface ac-  
12 res did you have for the 40-acre tract within the zero line?

13           A           I believe there were 30 acres.

14           Q           30?

15           A           30.

16           Q           30 out of the 40. All right, that's the  
17 surface acres.

18                   In getting the thickness, did you take an  
19 average from the zero line all the way to the eastern bound-  
20 ary of the 40-acre tract?

21           A           Okay, let me -- I think I might be able  
22 to clarify this.

23                   We would have planimetered that one 30-  
24 acre volume, or area.

25           Q           Okay.

1           A           And then gone to the next line in. I be-  
2 lieve that's the value of l in combination with height and  
3 thickness or height and porosity; found the area contained  
4 in that contour and so forth, finding all those areas.

5           Q           I understand.

6           A           And then -- and then instead of using an  
7 average thickness or an average porosity it was, using these  
8 porosity thickness values, it was calculated.

9           Q           Okay, and by doing that, I assume that's  
10 a standard engineering technique for establishing the para-  
11 meters by which you can make a calculation of reserves.

12          A           Correct.

13          Q           Did you calculate the reserves in place  
14 underneath the 40-acre tract before you put in the recovery  
15 factor?

16          A           Yes, I did.

17          Q           And what is that number?

18          A           That's approximately 250,000 barrels.

19          Q           In using a recovery factor you have  
20 selected a recovery factor out of another pool, the Casey  
21 Strawn Pool.

22          A           Correct.

23          Q           Do you have recovery factors for wells  
24 within the Shipp Strawn Pool to apply to the calculation?

25          A           I did not have enough data to come up

1 with recovery factors for the Shipp Strawn Pool because I  
2 was unable to determine what ultimate recoveries at this  
3 time will be from the wells in that pool. Most of them have  
4 not gone on line yet.

5 Q Have you testified before before the Com-  
6 mission, Mr. Currie?

7 A No, I have not.

8 Q Have you done any other penalty calcula-  
9 tions before working on this particular case?

10 MR. IVES: I'm going to object  
11 to the question. I don't think that's relevant. I think it  
12 may be relevant whether these calculations are correct or  
13 not but what other work he's done, I'm not clear is rele-  
14 vant.

15 Q Are you familiar with the way the Oil  
16 Conservation Division calculates penalty allowables in cases  
17 before the Commission?

18 A I have -- I've read through some other  
19 cases and seen some other penalty allowable determinations.

20 Q Have you seen any other penalty calcula-  
21 tions used by the Division that are used the way you have  
22 displayed them on Exhibit Number Eight?

23 A Yes, I have.

24 Q Do you have an example of another case in  
25 which the Commission has used a penalty calculation for a

1 well and used only 50 percent of the acreage that was to be  
2 dedicated for individual wells in that pool?

3 A Let me think a minute here.

4 MR. IVES: If you have problems  
5 with the question we can get it clarified.

6 A I have not. I have not, no.

7 Q What type of Division penalties did you  
8 review, then, to apply them to the analysis you've made on  
9 Exhibit Number Eight?

10 A There was a case where Phillips was ask-  
11 ing for an unorthodox location very similar to this where  
12 the same --

13 Q Do you remember the order number that was  
14 used in that case, Mr. Currie?

15 A No, I don't. I only know the lease name.

16 Q Did that other case involve -- did that  
17 other case involve anything less than the assumption that  
18 the entire standard 80-acre spacing unit was productive?

19 A To my knowledge it did not.

20 Q It was the plain vanilla double circle  
21 penalty?

22 A I believe that's right.

23 Q In which the factor was the encroachment  
24 on adjoining property.

25 A That's correct.

1           Q           And that factor that you used did not  
2 take into consideration a calculation of condemned acreage  
3 or acreage that would not contribute?

4           A           No.

5           Q           Is there a minimum daily producing rate  
6 below which you could not drill this well?

7           A           Yes, but I have not determined what that  
8 is.

9           Q           Do you have an approximate number?

10          A           No, I didn't run those economics.

11          Q           How does your proposed penalty, which  
12 would give you an allowable of 227 barrels a day, how does  
13 that compare to the current producing rates of the offset  
14 wells?

15                       MR. IVES: I object to the  
16 question because the testimony has been quite clear that  
17 this is not the proposed penalty. This was -- this exhibit  
18 was merely offered as an example to show that allowing 40  
19 dedicated acreage would result in a lower allowable and  
20 therefore that the application of particular procedure,  
21 methodology, here would actually have been to Phillips'  
22 benefit but that they are not seeking that. They are only  
23 asking for the 40 dedicated acres with the resulting 223  
24 BOPD.

25          Q           Am I clear in understanding you propose

1 that this location not be penalized other than to divide its  
2 allowable in half?

3 A That's correct, based on acreage assigned  
4 to the well.

5 Q And that allowable would be 227 barrels a  
6 day?

7 A No, that would be half of the field  
8 allowable, which would be 223 barrels a day.

9 Q Okay. How does 223 barrels a day  
10 assigned to this well compare to the current producing rates  
11 of the offsetting wells?

12 A Based on July production it's a lower  
13 production rate than all except, I believe, one.

14 Q Okay. Why don't you give me the July  
15 production rates on an average barrel per day basis for the  
16 offsetting wells?

17 A Okay, it's shown on Exhibit Four. Okay,  
18 the Fasken Consolidated State located to the south -- excuse  
19 me, that's not a July production rate. We only have the in-  
20 itial production rate that was filed with the State. That  
21 was 564 barrels a day.

22 Q I'm sorry, I've lost you on the July pro-  
23 duction numbers.

24 A Okay. On the July production numbers  
25 Consolidated wasn't drilled.

1                   The Exxon State "EX" No. 2 Well --

2           Q           Yes, sir.

3           A           -- was 338 barrels of oil per day.

4           Q           It's average for July was 338?

5           A           Correct.

6           Q           Okay.

7           A           Pennzoil's Vierson No. 2, the average was

8 58 barrels of oil per day.

9           Q           Okay.

10          A           And those are the only two direct offset-

11 ting wells.

12          Q           Well, let's pick up one more just for

13 comparison. How about the Vierson No. 1 to the northeast?

14          A           Okay, that's producing 445 barrels of oil

15 per day.

16          Q           And what is the Fasken Well producing

17 now, not on a July basis? What's your current information

18 on that well?

19          A           The only information I have is what --

20 what they filed on initial potential and that was 564 bar-

21 rels per day.

22          Q           All right. Thank you.

23                           MR. IVES: If I may just take a

24 moment, I might have a couple of questions on redirect.

25                           I have no redirect.

1 MR. CATANACH: Okay. I have no  
2 questions of the witness. He may be excused.

3

4 DAVID J. ANDREWS,  
5 being called as a witness and being duly sworn upon his  
6 oath, testified as follows, to-wit:

7

8 DIRECT EXAMINATION

9 BY MR. BRUCE:

10 Q Mr. Andrews, would you please state your  
11 full name and your city of residence?

12 A Yes, David John Andrews, and I reside in  
13 Midland, Texas.

14 Q And what is your occupation and who is  
15 your employer?

16 A I'm a geologist with Exxon Corporation.

17 Q Have you previously testified before the  
18 OCD and had your credentials accepted?

19 A No, I haven't.

20 Q Would you please give a brief statement  
21 of your educational and work background?

22 A Yes. I received a Bachelor of Science  
23 degree in geology from the University of Texas in the fall  
24 of 1980.

25 In the spring of 1981 I was employed by

1 Exxon Corporation and from the spring of 1981 to the spring  
2 of 1985 I was occupied as an exploration geologist in the  
3 Oklahoma City District.

4 While there my duties included regional  
5 geological studies, generating well packages, and analyzing  
6 any competitive proposals in my areas of interest.

7 In the spring of '85 I was transferred to  
8 the Midland Production District in Midland, Texas, and from  
9 that time until the present I've been occupied as a produc-  
10 tion geologist; duties pretty similar to what I did as ex-  
11 ploration geologist in Oklahoma City.

12 Q And are you qualified to testify before  
13 the Texas Railroad Commission as a geologist?

14 A Yes. I have had my credentials accepted  
15 there and I have testified before the Railroad Commission.

16 Q And have you reviewed the geology con-  
17 cerned in this Case 9036 and are you familiar with that?

18 A Yes, I have. Yes, I am.

19 MR. BRUCE: Mr. Examiner, is  
20 the witness considered qualified?

21 MR. CATANACH: He is considered  
22 qualified.

23 Q Mr. Andrews, in front of you you have  
24 Phillips Exhibit Number Two. Have you reviewed that exhi-  
25 bit?

1           A           Yes, I have.

2           Q           Do you agree with this interpretation re-  
3 regarding the areal extent of porosity?

4           A           No, I don't.

5           Q           In particular in looking at that map the  
6 zero and 10-foot porosity lines, do you, in your opinion is  
7 that area productive of oil?

8           A           In my opinion the area in between the  
9 zero and 10-foot porosity lines are not productive of oil,  
10 no.

11          Q           You've -- have you been listening to the  
12 Phillips witnesses?

13          A           Yes, I have.

14          Q           And particularly did you hear them dis-  
15 cuss the John State Well, the dry hole or nonproductive well  
16 in the proposed unit. One of the witnesses, I believe,  
17 stated there were 20 feet of gas-cut mud in that well?

18          A           Yes, that's correct.

19          Q           In your opinion is that indicative of an  
20 oil productive reservoir?

21          A           In my opinion 20 feet of gas-cut mud is  
22 not indicative of an oil productive reservoir, no, sir.

23          Q           Now looking at that map there are  
24 several dry holes referenced on the map, particularly the  
25 CHD-1 Well to the north, the John State, the Exxon No. 1,

1 and I can't read --

2 A The Waldron No. 1.

3 Q -- the Waldron No. 1 to the northeast.

4 In your opinion after studying the re-  
5 cords, is there any porosity in those wells?

6 A In our opinion after interpreting those  
7 logs, and of course we drilled the Exxon "EX" No. 1 in the  
8 northeast quarter of Section 9, there is no porosity in any  
9 of those four wells.

10 Q Now, so basically you do not agree with  
11 the areal extent of the porosity?

12 A No, sir, I don't.

13 Q Now, assuming that Phillips Exhibit  
14 Number Two is -- is otherwise correct, in your opinion how  
15 much acreage in the proposed unit is productive?

16 A In my opinion acreage that has greater  
17 than 10 feet of porosity could be assumed to be productive.

18 Visually inspecting the 40-acre unit in  
19 Phillips map, I would approximate about 15 acres of that 40-  
20 acre unit would be productive.

21 Q And based on that estimate do you have an  
22 opinion as to a penalty which should be assessed against  
23 Phillips proposed well?

24 A Yes, I do. Based on previous OCD  
25 decisions, we think a reasonable way to come up with a pen-

1 alty for this proposed location, if you take the 15  
2 productive acres and divide it by the 80-acre proration  
3 and spacing unit, that gives us a percentage of 18.75  
4 percent of the allowable; of course, it would be an 81.25  
5 percent penalty.

6 Q And what rate of production would that  
7 penalty be assessed against?

8 A We would assess that to the 223 barrels a  
9 day, which is approximately one-half of the top allowable  
10 for an 80-acre proration unit. They're asking to drill a  
11 40-acre proration unit here and -- or drill on a 40-acre  
12 tract, excuse me, and we do not feel that using the full  
13 allowable of 446 is appropriate here; rather we would put  
14 223 barrels a day, which would be half that allowable.

15 Q In short, you're recommending an 81.25  
16 percent penalty based -- assessed against 223 barrels a day.

17 A That's correct.

18 Q In your opinion is the assessment of a  
19 penalty like you've just described against the Phillips well  
20 in the interest of conservation, the prevention of waste,  
21 and the protection of correlative rights?

22 A Yes, it is.

23 MR. BRUCE: I have no further  
24 questions of the witness at this time, Mr. Examiner.

25 MR. CATANACH: Mr. Ives.

## CROSS EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY MR. IVES:

Q May I ask you, if you would, Mr. Andrews, to draw what you consider to be the productive acreage around the Exxon 2 and the Exxon 4 Wells?

A Exxon 4 Well?

Q Or Exxon 2, I guess.

A You're speaking of the Exxon No. 1 Well here? This is the Exxon "EX" No. 1.

Q That's right, I'm sorry.

A And this is the "EX" No. 2 here.

Q Yeah, the No. 4. I'm sorry, I read that as a 4.

A Okay. I'm not clear on what you're asking. Could you rephrase it, please, or ask again?

Q Yeah. You've indicated what you believe to be the productive acreage under the Phillips -- on the Phillips acreage, and I'm asking you now to indicate if you would the productive acreage for the Exxon No. 2 Well that you have there.

A Yes, that would constitute in all practicality offering another exhibit for the hearing. We're not prepared to do that at this time.

Q I'm just asking you to mark it, if you would, on the present --

1           A           Assuming that this interpretation is cor-  
2 rect?

3           Q           -- Exhibit Two. Yes, please do.

4           A           Assuming that this interpretation is cor-  
5 rect, as I stated before, I think that acreage that has  
6 greater than 10 feet of 4 percent porosity would be produc-  
7 tive, so it would be the acreage inside the 10-foot line,  
8 10-foot contour.

9           Q           Yeah, but what I'm asking, if you could,  
10 just to draw that --

11          A           Okay.

12          Q           -- so we can see it.

13          A           It would go from approximately right here  
14 to approximately right there on this in Section 9.

15          Q           And could you -- do you have any notion  
16 of the extent through the middle of the southwest --

17          A           Yeah, it's --

18          Q           -- quarter of the --

19          A           -- going to be a continuation of this  
20 line coming down to the south, so approximately like that.

21          Q           Let me ask you, if you would, to identify  
22 which line?

23          A           The line that I continued drawing down to  
24 the south was the eastern north/south line of the 40-acre  
25 tract that Phillips is proposing a location on.

1           Q           Now didn't you just indicate, though,  
2 with an "x" on the bottom of what has been marked on Exhibit  
3 Two, that is the south side of what has been marked as Exhi-  
4 bit Two, as the Phillips Lease, the 10 line, and indicate  
5 that that would be within the productive acreage of that  
6 well?

7           A           Yes, that's not Exxon acreage; that's  
8 Fasken acreage, and it is certainly within the productive  
9 reservoir, we would think.

10          Q           So in other words, your well might well  
11 be draining that acreage?

12          A           I think that's conceivable.

13          Q           In terms of the 80-acre unit that Exxon  
14 has dedicated to this Exxon 2, what is, then, the areal ex-  
15 tent of the productive acreage there?

16          A           Approximating, 30 acres, perhaps.

17          Q           And --

18          A           But that's very approximate. An exact  
19 number would have to be planimetered, of course.

20          Q           And what is your allowable on that well?

21          A           That was top allowable, 443 barrels a  
22 day.

23          Q           So it would seem --

24          A           No, it would be 446 barrels a day.

25          Q           So it's your position here that Phillips

1 should have a penalty imposed because it has limited acreage  
2 which you claim is producible on its tract, while Exxon  
3 should have a full allowable notwithstanding the limited ac-  
4 reage on its tract.

5 A Due to the fact that we drilled an ortho-  
6 dox location and that Phillips is asking for an unorthodox  
7 location, yes, sir, that's our contention.

8 Q And you also contend that notwithstanding  
9 the fact that your present Exxon 2 Well, you've indicated  
10 would probably drain the reserves under the Phillips lease.

11 A No, sir. That -- you asked me if it  
12 would drain the acreage over here to the west in the Fasken  
13 acreage. Whether the reservoir actually extends up to the  
14 Phillips acreage or not, again, we said we did not agree  
15 with this interpretation, so we can't say that it will drain  
16 anything on Phillips.

17 Q Well, let me ask, if you would, where you  
18 feel the reservoir stops, if you have any information on  
19 that.

20 A We do not know specifically, assuming  
21 that this interpretation is correct, that this is a correct  
22 contour in here.

23 Again, our interpretation, which we're  
24 not prepared to give an alternative interpretation right  
25 now, in a way you're asking me to do that, so I'm going to

1 have to --

2 Q I recognize that you are not prepared and  
3 you cannot put into evidence anything at this time by way of  
4 alternate interpretation; therefore, assuming that this in-  
5 terpretation is correct, please identify -- please answer my  
6 question which I asked before as to whether or not on this  
7 map as it is set forth there will be drainage of the Exxon 2  
8 Well of the reserves under the Phillips acreage?

9 A Yeah, okay, assuming that this interpre-  
10 tation is correct, I think it's reasonable to assume that  
11 there would be some drainage of the Phillips acreage, yes,  
12 sir.

13 Q Mr. Andrews, let me ask you, given the  
14 present pool rules if your Exxon 2 Well were drilled today,  
15 would that represent an orthodox or an unorthodox location?

16 A It would be unorthodox if it were drilled  
17 today.

18 Q And how far from an orthodox location  
19 would it be?

20 A An orthodox location we would locate ap-  
21 proximately 510 feet from the north line. We're at about  
22 330 feet, so that would be approximately 140 feet, excuse  
23 me, 180 feet.

24 Q And what's the bottom hole location of  
25 that well?

1           A           The bottom hole location is approximately  
2 150 feet to the north, almost directly north; had very lit-  
3 tle east/west variance.

4           Q           And so in fact the bottom hole location  
5 is even more unorthodox under the present pool rules than  
6 the surface loation, is that correct?

7           A           Yes, sir. There was unintentional devia-  
8 tion when the well was drilled and it drifted to the north.

9           Q           Do you know what Phillips is asking by  
10 way of an unorthodox location for its well from the south  
11 line?

12          A           Excuse me?

13          Q           Isn't Phillips seeking a 330-foot from  
14 the south line unorthodox location for its well?

15          A           Yes, sir.

16          Q           And isnt' that the same as your well is  
17 unorthodox at its surface location presently?

18          A           Presently. When we drilled the "EX" No.  
19 2, of course, it was not an unorthodox location.

20          Q           I realize that.

21          A           So you're sort of comparing apples and  
22 oranges.

23                        We did not drill an unorthodox location.  
24 Phillips is proposing to drill an unorthodox location. I  
25 don't feel the comparison is apt.

1           Q           I'm talking about correlative rights and  
2 the ability of a leaseholder to produce the reserves which  
3 are under that leaseholder's property.

4           A           Yes, sir.

5           Q           In terms -- you've indicated that there  
6 will be drainage, given this assumption, which is the only  
7 assumption here before this tribunal today that there will  
8 be drainage from Exxon's well from the Yates acreage.

9           A           Yes, sir. It is our contention, though,  
10 that an unorthodox location that did not have a significant  
11 penalty would be draining other people's reserves on their  
12 acreage and would be infringing on their correlative rights.

13          Q           And isn't that exactly what is happening  
14 in the circumstance of Exxon's well?

15          A           We drilled an unorthodox -- an orthodox  
16 location, excuse me, so I don't think the situations are  
17 analogous at all.

18          Q           Do you think that mere location of the  
19 well determines whether or not correlative rights are always  
20 apportioned fairly and correctly?

21          A           Would you rephrase that, please?

22          Q           Certainly. You've indicated that Exxon  
23 has put down an -- what was at the time an orthodox  
24 location.

25          A           Yes, sir.

1           Q           And what I'm asking is do you think that  
2 the mere drilling of an orthodox location at a point in time  
3 justifies drainage which may be occurring and therefore an  
4 imbalance in terms of what one property is able to produce  
5 of its reserves as opposed to another?

6           A           I feel that the drilling of an orthodox  
7 well, and particularly in this case here, will, of course,  
8 have drainage on offset acreage.

9                       Anyone who's being drained in their off-  
10 set acreage, of course, has the option to drill an orthodox  
11 location without sufferng any penalty. If they come in and  
12 offer to drill an unorthodox location, again we think that  
13 it is infringing on other leaseholders' correlative rights  
14 to allow them to produce that well without a significant  
15 penalty, such as the one that we're proposing today.

16           Q           Let me just ask one or two final ques-  
17 tions, Mr. Andrews.

18                       You've indicated that you want the penal-  
19 ty imposed on Phillips to be based on 15 --

20           A           Productive acres.

21           Q           -- productive acres, which you estimate  
22 to be the amount that exists upon the Phillips lease al-  
23 though you don't have any evidence to suggest or to put on  
24 with regards to this map being inaccurate, and that it  
25 should be assessed, this penalty, on an 80-acre unit, where-

1 as Exxon has no penalty based on its 30 productive acres  
2 which you have estimated again, which is also on an 80-acre  
3 unit, is that correct?

4 A Yes, sir, the fact that we drilled an or-  
5 thodox location in complete adherence with the field rules  
6 would seem to -- there'd be no cause for penalty. We're not  
7 doing anything unorthodox. We were completely orthodox when  
8 we drilled our well.

9 Q Oh, I understand that.

10 A Yes, sir.

11 MR. IVES: I have no further  
12 questions.

13 MR. CATANACH: Mr. Bruce?

14 Mr. Padilla.

15 MR. PADILLA: We have testimony  
16 to put on at this time, Mr. Examiner.

17 MR. CATANACH: Do you have any  
18 questions of --

19 MR. PADILLA: No, I don't have  
20 any questions of him.

21 MR. CATANACH: Mr. Kellahin?

22 MR. KELLAHIN: Thank you, Mr.  
23 Examiner.

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CROSS EXAMINATION

BY MR. KELLAHIN:

Q Mr. Andrews, I want to see if I understood how you have reached certain conclusions you have made.

The first point I'd like to clarify is what refinements or adjustments you have made to the Phillips' calculation of the penalty under their allowable formula.

A Yes, sir.

Q Directing your attention to that subject first, do you agree that the Phillips' calculation of the double circle penalty on their Exhibit Number Six does not include an additional penalty factor for the productive acreage within their unit?

A Yes, sir, I agree with that.

Q You therefore have taken one of their exhibits and have determined that the number for that additional factor was approximately 15 productive acres out of the 80-acre tract that would contribute production to that well?

A Yes, sir. In my opinion, and this is just visually so the number may be a little bit rough, they have approximately 15 productive acres on a theoretical 80-

1 acre proration unit since they only have 40 acres.

2 Q And in making that adjustment, then, you  
3 have looked at the area contained within the contour line  
4 that corresponds to the Fasken Well that shows 12 feet of  
5 pay?

6 A Actually it's the 10-foot contour line.

7 Q That's the 10-foot contour line.

8 A Yes, the Fasken well should actually be  
9 on the other side of that line toward the thicker part of  
10 the reservoir since it has 12 feet of porosity.

11 Q What has been your involvement as a geo-  
12 logist for your company with regards to the geology of this  
13 particular area?

14 A Yes, sir. We -- I've been analyzing this  
15 area for about -- approximately the last six or seven months.  
16 My involvement is specifically picking and drilling wells.  
17 I have not been involved in either of the two wells we've  
18 drilled. My predecessor was involved in that; however, we  
19 are actively exploring this area. We are looking for, ob-  
20 viously, potential offsets; I'm actively involved in that.

21 Q When we look at this exhibit by Phillips  
22 and we've assume it to be accurate for purposes of the dis-  
23 cussion, can you as a geologist and as an expert, find any  
24 indication of any kind of geologic barrier or other factor  
25 that would preclude the Phillips well, if drilled at this

1 proposed location, from draining the acreage of Fasken, Ex-  
2 xon, and Pennzoil?

3 A No, sir. If this interpretation is cor-  
4 rect, and we have not agreed with the interpretation, but if  
5 they were to drill that well with that interpretation, they  
6 would indeed drain the -- well, the reserves, and, of course  
7 infringe upon the correlative rights of the three people  
8 you mentioned, yes, sir.

9 Q You've done a little comparison about the  
10 relationship of at least the surface locations of the off-  
11 setting wells to see whether or not they are in a position  
12 to compete equitably with the offsetting well.

13 As you look to the acreage to the south,  
14 to Mr. Fasken's acreage, is his well in a position where he  
15 can fairly compete with the Phillips well in the absence of  
16 a penalty on the Phillips location?

17 A In the absence of a penalty, no, sir.

18 Q He will need the benefit of a penalty as  
19 you proposed in order for his well to compete fairly with  
20 the Phillips well?

21 A Yes, sir, I think so.

22 Q Is that also true of your well?

23 A Yes, sir. We cannot compete fairly un-  
24 less a penalty such as the one we propose is assessed to the  
25 Phillips well.

1 Q And let's look at the Pennzoil acreage.  
2 Where is their closest producing well?

3 A There's the No. 2 Well in the southwest  
4 quarter of the southeast quarter.

5 Q And it would be impossible for that well  
6 to compete fairly with a Phillips well in the absence of a  
7 penalty.

8 A Yes, sir, assuming that this interpreta-  
9 tion is correct, we feel the same applies to the Vierson 2  
10 Well.

11 Q So for the protection of everyone's cor-  
12 relative rights that offset this well, it's your firm belief  
13 that a penalty as you've suggested is one that's not only  
14 fair but appropriate.

15 A Yes, sir, absolutely.

16 MR. KELLAHIN: No further ques-  
17 tions.

18 MR. BRUCE: Two -- two ques-  
19 tions, Mr. Examiner.

20

21 REDIRECT EXAMINATION

22 BY MR. BRUCE:

23 Q You've been questioned about Exxon's  
24 well, that well isn't in issue today, is it?

25 A As far as I know, no, sir, it's not.

1           Q           Secondly, there are questions about the  
2 bottom hole location. Do the field rules of the Shipp-  
3 Strawn Field address bottom hole locations?

4           A           No, as long as it's unintentional devia-  
5 tion the field rules do not address the bottom hole location  
6 of any well drilled there.

7                           MR. BRUCE: I have no further  
8 questions of the witness.

9                           MR. IVES: I might have one or  
10 two on follow-up.

11

12                           REXCROSS EXAMINATION

13 BY MR. IVES:

14           Q           Mr. Andrews, could you please explain to  
15 me exactly what studies you have done in this area?

16           A           Well, of course, we've taken a look at  
17 the geology of the area. (Unclear) well logs; every -- every  
18 bit of information that we have in this area that helps us  
19 put together some sort of geologic picture about what's  
20 going on, of course we've conducted.

21           Q           How about you specifically?

22           A           I specifically have done some mapping in  
23 the this area. I've taken a look at all the wells in the  
24 area. I've taken a look at all the information that was  
25 done by my predecessor and we have satisfied ourselves that

1 that work is correct and it is reasonable and we have taken  
2 that work and built off of it.

3 Q Mr. Andrews, out of curiosity, why did  
4 not you bring your net pay map to this proceeding? Do you  
5 have a net pay map?

6 A We are not prepared to offer any alterna-  
7 tive exhibits at all here.

8 Q Do you have a net pay map, though?

9 A We have a net pay map that exists, yes.

10 Q And you did not bring that with you here  
11 today?

12 A We are not prepared to put on anything  
13 like that, no, sir.

14 Q But you did not bring it here with you  
15 today, is that correct?

16 A We have certain maps here, yes, sir, but  
17 we're not prepared to put them on.

18 Q I'm just asking about your net pay map, a  
19 simple question.

20 A It is present, yes, sir, we're not pre-  
21 pared to put it on.

22 Q Mr. Andrews, I would request to review  
23 the maps that you've brought with you here today.

24 A No, sir, we're not ready to put them on.

25 MR. BRUCE: I'd object to that.

1 MR. IVES: I would move that  
2 this witness' entire testimony be stricken from this record.

3 MR. BRUCE: For what reason.  
4 He's testified that he knows about the geology in the area.

5 MR. IVES: And I think it's  
6 certainly fair to ask what is present to be able to cross  
7 examine him if it appears necessary to utilize those maps do  
8 it -- to do it.

9 MR. BRUCE: It's common prac-  
10 tice in the courts to offer expert testimony based upon the  
11 testimony made by the other party.

12 MR. IVES: Well, it's common  
13 practice in the courts to allow cross examination based on  
14 --

15 MR. BRUCE: You are -- you have  
16 had a chance to cross examine here.

17 MR. IVES: -- based on studies  
18 prepared by those experts.

19 MR. BRUCE: And it's not common  
20 to engage in discovery at the hearing itself.

21 MR. IVES: Well, I think we've  
22 had some of that go on in any event, given the nature of  
23 these proceedings.

24 MR. BRUCE: Well, you set forth  
25 all your exhibits and therefore they're open to --

1 MR. IVES: Certainly, and I  
2 would make that motion or in the alternative I would move to  
3 strike his testimony.

4 And I think that's at this  
5 point in time what I have for this witness.

6 MR. CATANACH: Mr. Ives, be-  
7 cause Mr. Andrews testified based on your evidence and did  
8 not testify based on their own evidence, I don't think that  
9 they should have to present it.

10 MR. IVES: Well, Mr. Examiner,  
11 I would -- I think Mr. Andrews' testimony was that he was  
12 testifying on the basis of studies he had done and his  
13 expertise in this field. In fact I think his very qualifi-  
14 cations rested on that basis and these maps certainly play  
15 their part in his expertise in regards to this field. So I  
16 think implicitly, if not expressly, his entire qualification  
17 to testify in this matter, and certainly his testimony vis-  
18 a-vis the exhibits introduced by Phillips rests on that --  
19 those qualifications, and I think we would be entitled to  
20 see them.

21 MR. BRUCE: His testimony was  
22 to his qualifications in this area but all of his testimony  
23 here this morning relates only to the exhibits put forth by  
24 Phillips.

25 MR. CATANACH: I'll stay with

1 my decision.

2 Q Mr. Andrews, with regards to the maps  
3 which you have brought with you today but which Phillips is  
4 not going to be allowed to see or cross examine you with re-  
5 gards to, did you prepare any of those maps?

6 A Yes, sir, I did prepare a map.

7 Q Which particular map?

8 A Of the maps that we made?

9 Q Yes.

10 MR. BRUCE: I'm going to ob-  
11 ject. I mean, they're not in evidence.

12 MR. IVES: I realize they're  
13 not in evidence. I think it's bona fide to ask what maps he  
14 has prepared. If he prepared, for instance, a net pay map  
15 which he's testifying that ours is incorrect, I mean if he's  
16 done that, certainly I'm curious to find that out, if there  
17 is a basis for his opinion, and what the basis for that  
18 opinion is. I think that certainly is an appropriate ques-  
19 tion in this circumstance and I realize the Examiner's rul-  
20 ing I won't be allowed to see that, which I will proceed in  
21 accordance with.

22 MR. CATANACH: Mr. Ives, I  
23 would disallow this continued line of questioning concerning  
24 the (not clearly understood by the reporter.)

25 MR. IVES: In that case I would

1 have, I think, just several other questions of Mr. Andrews.

2 Q Mr. Andrews, would Exxon support going to  
3 an acreage based allowable in the Shipp-Strawn Pool?

4 A You're talking about would we want to  
5 change the pool rules?

6 MR. BRUCE: I would object.  
7 That's not at issue in this hearing. This case only has to  
8 do with the penalty for a nonstandard unit and a possible  
9 penalty to be assessed against Phillips has nothing to do  
10 with pool rules of the Shipp-Strawn. That would have been  
11 addressed at the hearing earlier this morning.

12 MR. IVES: I think it's rele-  
13 vant by way of the credibility of this witness and I think  
14 it should be allowed on that basis.

15 Exxon has a full allowable  
16 based on 30 production acres and I believe that goes to im-  
17 peachment of the witness in the particular instance.

18 MR. CATANACH: I would agree  
19 also that's not the substance of this hearing.

20 MR. IVES: And I believe my  
21 next question would probably make that crystal clear and es-  
22 tablish the relevance as to credibility of the witness.

23 My next question was to be not-  
24 withstanding your opposition to going to an allowable based  
25 on productive acreage, you propose to impose that upon Phil-  
lips, is that correct, Mr. Andrews?

1           A           Is that question allowed?

2                           MR. BRUCE:   Well, I can ask  
3 some follow-up questions on it.

4           A           Okay.   Would you repeat the question,  
5 please?

6           Q           The question was based on the premise  
7 that you were going to say no, that Exxon would not agree to  
8 an allowable based on productive acres in the reservoir, and  
9 then the question to follow was yet you propose exactly such  
10 a penalty to be imposed upon Phillips, isn't that correct?

11          A           Well, we didn't answer negative to the  
12 prior question. That was never in the record.

13          Q           I understand that.

14          A           What we are proposing to Phillips is a  
15 penalty based on other examples that have been set by the  
16 OCD for similar unorthodox locations. That's all we're  
17 doing here.

18          Q           If I could ask, which examples are you  
19 referring to?

20          A           Order Nos. 8162-A and R-8239. The last  
21 one was heard, I believe, in front of Examiner Stogner and  
22 he used a formula that was very similar, if not identical,  
23 to this one.

24          Q           How did the factual circumstances in  
25 those cases differ than the factual circumstances in this

1 case?

2           A           Very, very similar, especially the one,  
3 R-8239. That was in a well that was approximately 2 or 3  
4 miles north, excuse me, in the Northeast Lovington play.  
5 Here Amerada proposes an unorthodox location and it is esta-  
6 blished that not all their productive -- or not all the ac-  
7 reage that they are going to contribute to that well, the  
8 proration spacing unit is productive.

9                       Examiner Stogner took a formula where he  
10 took the productive acreage, or what was accepted as the  
11 productive acreage, divided it by the 80-acre proration  
12 spacing unit, and came up with the penalty.

13           Q           And in that case was there nonproductive  
14 acreage to the west of the lease where the proposed well was  
15 to be drilled?

16           A           There was nonproductive acreage west to  
17 the proposed unorthodox location very similar, if not iden-  
18 tical to this, yes, sir.

19           Q           So you feel they were virtually identi-  
20 cal?

21           A           I feel they were very similar, yes, sir.  
22 That's one of the reasons that we proposed this over here.

23           Q           And let me ask, were there wells situated  
24 as there are on the present map to the south and to the  
25 southeast, vis-a-vis the proposed location --

1           A           Yes, as I recall, there --

2           Q           -- of Phillips?

3           A           -- are wells to the east. That were pro-  
4 ductive that offered control.

5           Q           Where exactly was that proposed well to  
6 be placed in that particular matter, 8239?

7           A           Let me get my copy of the order.

8                       MR. KELLAHIN: Excuse me, what  
9 order number are we referring to?

10          A           8239.

11                      MR. IVES: 8239, Tom.

12                      Let me just say, Mr. Examiner,  
13 if the witness is being allowed to bring out exhibits here  
14 to testify to and to the record on, I certainly feel it  
15 would be appropriate to restress my request to see all the  
16 maps that they have prepared. They should not be allowed to  
17 merely bring out what supports their case versus withhold  
18 what does not support their case.

19                      MR. BRUCE: Mr. Examiner, what  
20 he's testifying to now is an OCD order. I think rather than  
21 extend these proceedings the OCD could just take administra-  
22 tive notice of the -- of the orders and the cases just dis-  
23 cussed by my witness and the things the witness is testi-  
24 fying about now have nothing to do with the questions  
25 already asked.

1 MR. IVES: Mr. Examiner, I  
2 would be willing to do that if I could submit testimony by  
3 way of a brief as to the similarities or dissimilarities be-  
4 tween the orders and issues which were present in those par-  
5 ticular cases which Mr. Andrews has testified to.

6 Quite simply, I am not familiar  
7 with the factual circumstance behind those two orders and  
8 it will take me awhile to familiarize myself with that.

9 I certainly do not oppose tak-  
10 ing judicial notice of prior orders entered by this body but  
11 would request an opportunity to comment on those and the ap-  
12 plicability to this proceeding.

13 MR. CATANACH: Mr. Ives, I will  
14 be reviewing administratively the case in question of R-  
15 8239. Would that be adequate to satisfy you?

16 MR. IVES: I certainly under-  
17 stand and appreciate your position. I just simply am not so  
18 aware of the factual circumstance or exactly what is in the  
19 order that would correspond to the witness' testimony that  
20 we have virtually identical circumstance between that case  
21 and this.

22 I would certainly request that  
23 the Examiner's review be on that basis if that can be deter-  
24 mined by virtue of the order which has been entered in that  
25 case.



1 in this case?

2 A I'm a petroleum engineer working for our  
3 operations company.

4 Q Who do you work for, Mr. Groce?

5 A I work for Barbara Fasken, doing business  
6 as Henry Engineering.

7 Q Is Henry Engineering an engineering com-  
8 pany or what is that?

9 A It's a subsidiary, if you will, of Bar-  
10 bara Fasken. It's wholly owned by Barbara Fasken.

11 Q Where is Barbara Fasken's acreage in re-  
12 lation to the proposed location?

13 A We have the acreage south of the proposed  
14 location in Section 9. We have the west half of Section 9.

15 Q Mr. Groce, have you previously testified  
16 before the Oil Conservation Division or the Commission and  
17 had your records accepted as a matter of record as a reser-  
18 voir engineer?

19 A Yes, sir.

20 Q Tell us, sir, what your connection with  
21 the pool in question is today and what studies or what --  
22 what have you done to familiarize yourself with the (un-  
23 clear) at hand today?

24 A Barbara Fasken has most recently drilled  
25 the Consolidated State No. 3, which is the most recently

1 drilled well in the field. In such we have become familiar  
2 with the area and production so that we could recommend and  
3 drill the well at that location.

4 Q Were you involved in the recommendation  
5 to drill that particular well?

6 A Yes, sir.

7 MR. PADILLA: Mr. Examiner, we  
8 tender Mr. Groce as a reservoir engineer.

9 MR. CATANACH: Any objections?  
10 Mr. Groce is considered qualified.

11 Q Mr. Groce, have you been present through-  
12 out the presentation of the case in chief of the applicant  
13 in this case?

14 A Yes, sir.

15 Q Mr. Groce, have you formed an opinion as  
16 to the propriety of the proposed location?

17 A Yes, sir. Based on the information we  
18 know about our well and the evidence presented by Phillips,  
19 they have no case for the unorthodox location. They could  
20 drill at a standard location.

21 Q Mr. Groce, let me refer you to what was  
22 presented this morning as Applicant's Exhibit Number Five  
23 and I'll ask you in the interest of expediency to tape it up  
24 on that well up here.

25 Mr. Groce, we have marked that as Fasken

1 Exhibit Number One due to certain alterations that you made  
2 on that exhibit.

3 Can you identify the alterations that you  
4 have made to the exhibit?

5 A Yes, sir. We have drawn and indicated it  
6 in the red circle a standard location in the center of Phil-  
7 lips yellow highlighted 40-acre proration unit.

8 We've also indicated in dashed red lines  
9 a similar 40-acres which would be surrounding Barbara Fas-  
10 ken's Consolidated State No. 3 to the south.

11 Q Now, how -- how many acres do you have  
12 dedicated to the Fasken well?

13 A We have 80 acres on an east/west 80 dedi-  
14 cated to it.

15 Q But you've only shown a 40-acre tract to  
16 the south for comparison purposes, is that correct?

17 A That is correct.

18 Q Now you've made an assumption that the  
19 information contained in that exhibit is correct, have you  
20 not?

21 A Yes, sir.

22 Q Now what conclusions can you draw from  
23 the information contained in the exhibit in relation to your  
24 alterations of that exhibit?

25 A The red circle indicating a standard lo-

1 cation in the center of the Phillips 40-acre would almost  
2 touch their contour which is one porosity foot contour line,  
3 and in the way of comparison, that would be a better loca-  
4 tion than our Consolidated State No. 3, which shows a .72  
5 porosity foot contour.

6 Q Is your well at a standard location, Mr.  
7 Groce?

8 A Yes, sir.

9 Q Is there another of applicant's exhibits  
10 that supports your position as you have drawn or as you have  
11 made that conclusion from this Exhibit Number One of Fasken?

12 A Did --

13 Q Are there other Phillips exhibits that  
14 support your conclusion?

15 A Yes, sir. I've reviewed all of the exhi-  
16 bits they presented today and I -- all of them are in con-  
17 currence with this exhibit that this is a good location.

18 Q Now tell us about how -- what you con-  
19 sider the -- how you -- what you think of the Fasken well as  
20 far as commercial production is concerned.

21 A We consider it commercial.

22 Q Is it a good well?

23 A It's a very good well. It is still flow-  
24 ing top allowable. It was completed in late August and has  
25 flowed at 445 barrels a day ever since.

1           Q           Where are you in terms of payout on that  
2 well?

3           A           I haven't calculated that but it would be  
4 approximately half paid out.

5           Q           And it's been in production how long?  
6 Since August?

7           A           Two and a half to three months.

8           Q           Mr. Groce, let me hand you what we have  
9 marked as Exhibit Number Two and have -- you may resume your  
10 seat.

11                   I believe you have that.

12          A           Yes.

13          Q           I'd have you identify what we have marked  
14 as Exhibit Number Two and tell us what that is.

15          A           Exhibit Two is an interoffice memo  
16 written to me by Mr. Mark Merritt, who is a petroleum  
17 engineer under my supervision.

18                   He referenced a pressure buildup analysis  
19 that we made on August 2nd, 1986, on the Consolidated State  
20 No. 3 Well.

21          Q           Did Mr. Merritt at your supervision  
22 conduct a material balance calculation to reach conclusions  
23 stated in that exhibit?

24          A           Yes, sir. Based on the bottom hole  
25 pressure that we measured at this buildup and the bottom

1 hole pressure that we had when we drilled the well on a DST,  
2 with the cumulative production, we were able to by material  
3 balance calculate an oil in place of 245,000.

4 Q How does the information contained in  
5 this exhibit compare to the information submitted by Phil-  
6 lips earlier?

7 A It is in very good agreement in that they  
8 -- their engineer testified that he had estimated by volu-  
9 metrics 250,000 barrels of oil in place under their prora-  
10 tion unit.

11 He also indicated that they anticipated a  
12 42 percent recovery factor and we estimated a 43 percent re-  
13 covery factor.

14 They estimated 103,100 barrels of oil to  
15 be recovered. We estimate we will recover 104,000 barrels.

16 Q Mr. Groce, do you have anything further  
17 to add to your testimony?

18 A No, sir, other than based on the evidence  
19 that Phillips has presented, Barbara Fasken drilled an or-  
20 thodox location. We have a commercial well. We feel that  
21 Phillips should be required to drill an orthodox location.  
22 Their evidence indicates they would have at least as good  
23 and maybe a better well than we have and that their recov-  
24 eries would be comparable to ours.

25 MR. PADILLA: Mr. Examiner, we

1 move the introduction of Exhibits One and Two.

2 MR. CATANACH: Any objection?

3 MR. IVES: I'm going to object  
4 to the Exhibit Number Two. I don't think a proper founda-  
5 tion for it necessarily has been laid in this particular in-  
6 stance.

7 MR. PADILLA: Well, Mr. Exam-  
8 iner, I think in response to that question, I think the  
9 foundation is simply a well established. We're simply re-  
10 futing and informing the Division and the Examiner of infor-  
11 mation that is -- that we have in our possession that is ma-  
12 terial to this case.

13 MR. CATANACH: I'm going to al-  
14 low the evidence to be admitted.

15 Exhibits One and Two will be  
16 admitted into evidence.

17 MR. IVES: Mr. Examiner, I'm  
18 going to have certain questions of the witness and I will  
19 probably need five or ten minutes to draw up those ques-  
20 tions.

21 I would ask that we should be  
22 able to take a brief recess at the moment.

23 MR. CATANACH: Okay, we'll  
24 take a ten minute recess.

25

(Thereupon a recess was taken.)

1 MR. CATANACH: Mr. Ives.

2

3

CROSS EXAMINATION

4

BY MR. IVES:

5

Q Mr. Groce, let me ask you, if you would

6

-- well, let me start again.

7

You've indicated that you're familiar

8

with the Shipp-Strawn Pool, is that correct?

9

A Yes, sir.

10

Q Are you familiar with the STU No. 1 Well?

11

Texaco State 1?

12

A Well, I'm not familiar with the northern

13

part of the field, no, sir. It's in the vicinity of the

14

Vierson, the Vierson 1 and 2, Shipp 1, and then the Exxon

15

well and our well.

16

Q Do you know the production history of

17

what I will refer to as the STU 1 Well?

18

A No, sir.

19

Q Are you aware that the initial production

20

was at 440 barrels per day of oil?

21

A No, sir.

22

Q Are you aware that that was -- are you

23

aware that that well was plugged and abandoned after it had

24

produced 20,000 barrels of oil?

25

A No, sir.

1           Q           Mr. Groce, if I could ask you to step up  
2 to what has been marked as Fasken Exhibit Number One, al-  
3 though I think it is erroneously marked Exhibit Number Two  
4 up there, and point to the STU 1 so that the Examiner knows  
5 exactly where we are referring.

6           A           He's referring to the well in the far  
7 northwest corner of Section 4.

8           Q           And could you please spot a location on  
9 this map on the Phillips acreage which would be within the  
10 same two lines on Fasken Exhibit One as would be down on  
11 Phillips lease, if you would?

12          A           Approximately there.

13          Q           Thank you.

14          A           I would judge it to be something like 150  
15 feet of the standard location.

16          Q           From where to where?

17          A           From the standard location to the loca-  
18 tion that you asked me to point to, I'm judging approxi-  
19 mately 150 feet.

20          Q           And that's your best guess based on where  
21 you would place these points on this map?

22          A           Yes, sir. If your contours in the north  
23 end are the same as your contours in the south end, that's  
24 what I would feel would be the location.

25          Q           And let me ask you just once again what

1 is your understanding as to the total production from the  
2 STU 1 Well before it was plugged and abandoned?

3 A As presented by your exhibit, it was  
4 20,000 barrels.

5 Q All right. Now, Mr. Groce, if I could  
6 ask you just to draw in what exactly is the unit which Ms.  
7 Fasken has which is dedicated to your well?

8 A It's a laydown 80 acres in the north half  
9 of the northwest corner of Section 9.

10 Q And is it your opinion -- let me ask you,  
11 if you would, please, just to indicate on that unit where  
12 you have hydrocarbons, what portion of that unit do you have  
13 hydrocarbons under?

14 A It's our opinion we have hydrocarbons un-  
15 der all of it.

16 Q And would that be your opinion with re-  
17 gards to that tract out beyond the zero line which is on  
18 your Exhibit Number One?

19 A Yes, sir.

20 Q Let me ask you, if you would, to draw on  
21 your Exhibit Number One the 87-acre drainage area which is  
22 referred to on your Exhibit Number Two.

23 A Well, that would be that same area you  
24 can see, oh, a pencil-width wider area around the entire  
25 area.

1           Q           And so your contention is that your well  
2 will drain beyond the zero line drawn on your Exhibit Number  
3 One?

4           A           First of all, this zero line is your line  
5 and we simply did not take issue with the zero line. So  
6 we're saying that our acreage is going to drain 104 --  
7 104,000 barrels as presented here; yours is going to do the  
8 same.

9                       We simply concur with that analysis.

10          Q           I understand that, and having accepted  
11 the exhibit, is it your contention that there will be drain-  
12 age beyond the zero line?

13          A           My contention is that if you have defined  
14 it that way, that I'll accept that as your opinion, and I'm  
15 not arguing with you.

16          Q           I'm asking you about your opinion with  
17 regards to your acreage and your Exhibit Number One, which  
18 you have introduced into evidence.

19          A           Our -- I do not have an opinion as far as  
20 the -- where the contour line is, but most Ispachs do not  
21 drain below zero acreage -- or zero footage.

22          Q           Let me ask you then, which 87 acres you  
23 feel your tract is going to drain in actuality.

24          A           In actuality?

25          Q           As opposed to your --

1           A           We had not prepared anything to say  
2 exactly where the boundaries of this reservoir are. Based  
3 on our material balance and an estimate of volumetrics, we  
4 conclude that we're going to drain 80 acres.

5           Q           What 80 acres do you feel it is likely  
6 that your well is going to drain?

7           A           Well, the 80 acres we're prorated, of  
8 course.

9           Q           Do you think there will be any drainage  
10 from your well off Phillips' lease, reserves -- any drainage  
11 of the reserves under Phillips' lease to your well?

12          A           The evidence presented earlier indicates  
13 that these wells are in interference with each other, so  
14 there would be some drainage, yes, sir.

15          Q           Let me ask you, is there any -- what is  
16 the productive acreage on your unit?

17          A           80 acres.

18                   MR. PADILLA: Objection, Mr.  
19 Examiner. We did not present any productive acreage calcu-  
20 lations. We simply took and assumed that the information on  
21 Exhibit Five of Exxon -- Phillips is correct.

22                   We're going beyond the scope of  
23 the direct testimony of this witness.

24                   MR. IVES: I know of no limita-  
25 tion on -- for cross examiner purposes of direct exam, as

1 Mr. Padilla is suggesting. It was, I believe, an old doc-  
2 trine in the law, which is long since past.

3 MR. CATANACH: I'll allow the  
4 question in.

5 A Would you repeat it, please?

6 Q Certainly. What is the productive ac-  
7 reage on your unit?

8 A The 80 acres that we have prorated.

9 Q Mr. Groce, let me ask you, would you sup-  
10 port an allowable based on productive acreage?

11 A I could not answer that. I don't know  
12 what my company's position would be.

13 Q Mr. Groce, you listened to the testimony  
14 of a witness from Exxon Corporation, Mr. Andrews. Is there  
15 anything with which you disagree in connection with his tes-  
16 timony? In other words, did he say anything with which you  
17 disagree?

18 A I don't recall.

19 Q Do you recall his testifying as to the  
20 limited productive acreage on the Phillips tract?

21 A Yes, sir.

22 Q Do you recall him testifying that he did  
23 not believe that you could put in a productive well which  
24 was at a porosity of 10 or less?

25 A I believe he said 10 feet or less, did he

1 not?

2 Yes, sir, I heard that.

3 Q And do you agree with that?

4 A No, sir.

5 Q What do you feel would be a proper point  
6 for productive acreage -- a commercial well porosity?

7 A I don't have a feel for that. Our main  
8 position is that at .72 porosity feet we have a commercial  
9 well and we feel like we're going to recover commercial  
10 quantities as Philips has defined, and that at a standard  
11 location you have better than a .72 porosity foot location,  
12 so therefore you should recover what you already entered in  
13 testimony as a commercial amount of oil.

14 MR. IVES: That's all I have.

15 MR. CATANACH: Mr. Bruce, do  
16 you have any questions of the witness?

17 MR. BRUCE: Nothing.

18 MR. CATANACH: Mr. Kellahin?

19 MR. KELLAHIN: Yes, sir, just a  
20 few, Mr. Examiner.

21

22 CROSS EXAMINATION

23 BY MR. KELLAHIN:

24 Q Mr. Groce, in terms of the ability of  
25 these wells to compete fairly with one another, if you'll

1 examine the surface location of your well in relation to the  
2 proposed Phillips well, let me ask you this first of all, is  
3 your bottom hole location the same as your surface location?

4 A No, it is not.

5 Q Where is your bottom hole location with  
6 reference to the surface location?

7 A It's approximately 150 feet north of our  
8 location. We did have unintentional deviation while we were  
9 drilling, also, as Exxon did.

10 Q You and Exxon, then, have drifted north  
11 about 150 feet.

12 A Yes sir.

13 Q All right. You're welcome to take that  
14 factor into consideration in answering the question. My  
15 question is, using the common boundary line between you and  
16 Phillips, you have already committed yourself to a wellbore  
17 that's in the ground. In the absence of a penalty on the  
18 Phillips well at their location, can you fairly compete for  
19 the reserves in this reservoir?

20 A No. Let me emphasize, even at that 150  
21 foot location, we drilled 660 from the north line so we are  
22 still within a legal location or an orthodox location,  
23 excuse me, at some 510 feet from Phillips' line.

24 Q And how close will they be to you from  
25 the line?

1           A           They would be 330 on their surface  
2 location, and based on that, no, we would not be competing  
3 fairly, because the evidence indicated this reservoir is  
4 going to drain a wide area. These wells would interfere.

5           Q           If the Phillips well produces its 150,000  
6 barrels of oil that it can recover, is this reservoir such  
7 that the well will simply stop flowing at that point when no  
8 more oil is going to be recovered?

9           A           There's a good indication of that.

10          Q           In sharing the oil in the reservoirs, are  
11 you aware of any physical barrier that will preclude the  
12 Phillips well from draining your acreage?

13          A           None.

14          Q           Then how can you compensate yourself?

15          A           Well, first of all, we feel that they  
16 should drill a standard location to compensate us by drill-  
17 ing the same distance we drilled when we drilled ours.

18                    In the absence of that remedy, the only  
19 other one would be a penalized allowable.

20          Q           And what is accomplished with a penalized  
21 allowable?

22          A           It would reduce their takes from the re-  
23 servoir to the point where we could compete for our amount  
24 of oil under our acreage.

25          Q           And is that fair?

1           A           Yes, sir.

2           Q           The penalty proposed by Mr. Andrews, tak-  
3 ing the Phillips calculation and then adding into the con-  
4 demned acreage factor, was a penalty, I think, of somewhere  
5 around 83 percent, if I recall correctly.

6                       Do you concur in that as an acceptable  
7 penalty for this case?

8           A           Yeah, I have no objections to it.

9           Q           Would you support that type of penalty  
10 for this well?

11          A           I think so.

12                       MR. KELLAHIN: Nothing further.

13                       MR. IVES: May we take just a  
14 moment?

15

16                       REXCROSS EXAMINATION

17 BY MR. IVES:

18          Q           Mr. Groce, you've testified that you be-  
19 lieve that the acreage outside of the zero line on your unit  
20 is productive. Would you believe the same with regards to  
21 the unit acreage outside the zero line on the Phillips ac-  
22 reage?

23          A           No, sir.

24          Q           How do you explain the distinction be-  
25 tween your statements?

1           A           I am familiar with yours. I simply took  
2 your zero line as being the zero line.

3           Q           Do you have any reason to -- I believe  
4 you've testified that you have no reason to doubt this and  
5 that you have accepted this for purposes of your testimony,  
6 and in fact you entered this as an exhibit, is that correct?

7           A           Yes, sir.

8                       MR. IVES: That's all the ques-  
9 tions I have.

10                      MR. CATANACH: Mr. Padilla.

11                      MR. PADILLA: I think I'll ask  
12 one question.

13

14                               REDIRECT EXAMINATION

15 BY MR. PADILLA:

16           Q           Mr. Groce, you're not in disagreement, in  
17 basic disagreement with the Phillips testimony here today.

18           A           No, sir.

19           Q           In fact, your figures are pretty much --  
20 pretty much correspond to their figures, right?

21           A           Correct.

22           Q           Now, with respect to our Exhibit Number  
23 One, you just simply assume that that is -- you're not quar-  
24 reling with that, you're just simply taking their informa-  
25 tion and supporting your case with it, isn't that correct?

1           A           That's correct.     Based on the data  
2 presented on our well, which I'm familiar with, they have  
3 drawn a similar situation for their well.     I'm not  
4 quarreling with their Isapach in any way.     I'm simply saying  
5 that their well is going to drain the same amount of  
6 reserves that we predict our well to be.     We have a legal  
7 location.

8           Q           And their evidence illustrates this.

9           A           That is correct.

10          Q           Is it still your first decision that a  
11 standard location is -- should be -- that Phillips should be  
12 required to drill a standard location?

13          A           Yes, sir.

14          Q           If a penalty is necessary, then you would  
15 support Exxon's?

16          A           I would support the stiffest penalty pos-  
17 sible.

18                           MR. PADILLA: I have no further  
19 questions.

20                           MR. KELLAHIN: Mr. Examiner,  
21 one further point.

22

23                           RE CROSS EXAMINATION

24 BY MR. KELLAHIN:

25          Q           Mr. Groce, in analyzing your acreage com-

1       pared to the Phillips acreage, what is the single geologic  
2       factor that you see that distinguishes the two 80-acre  
3       tracts?

4               A               What I'm basing the -- our comparison on  
5       is the contours that they drew for their porosity map, their  
6       contours through our well and the contours through a stand-  
7       ard location, and beyond that, I'm not making any conclu-  
8       sions. I'm not drawing any conclusions.

9               Q               I didn't make my question clear to you.  
10              With regards to the disciplines of your  
11       profession, do you see anything to presume that on your 80-  
12       acre tract, that that acreage, that full 80 acres is not  
13       contributing to your wellbore?

14              A               Based on our evidence or -- yes. We do  
15       not have anything that would indicate that we're not drain-  
16       ing the full 80 acres.

17              Q               Is there a dry hole on your 80-acre  
18       tract?

19              A               All right, let me qualify that statement.  
20       There is a dry hole on our Consolidated No. 1, which is to  
21       the -- actually was prorated in the Midway Strawn Field.  
22       It's in the --

23              Q               That does not lie within your 80-acre  
24       spacing unit, though, does it?

25              A               No, sir, it does not.

1 Q All right.

2 A And there isn't a -- there is a dry hole  
3 in the Tipperary well on the Section 4.

4 Q Within your 80-acre tract there is not a  
5 dry hole, is there?

6 A No, sir.

7 Q There is nothing which you can demon-  
8 strate to show that your acreage is other than productive.

9 A Yes, sir, that's correct.

10 Q And how does that differ from the Phil-  
11 lips acreage? They've got a dry hole right in the middle of  
12 it, don't they?

13 A Yes, sir.

14 Q What conclusion do you reach from the dry  
15 hole in the middle of your 80-acre tract?

16 A Well, in the middle of their acreage,  
17 that would indicate a zero contour line or no pay.

18 Q That's as good as it gets, isn't it?

19 A Yes, sir, that's as good a control as you  
20 can have.

21 MR. KELLAHIN: Nothing further.

22 MR. CATANACH: Anything further  
23 of the witness?

24 He may be excused.

25 Anything further, Mr. Kellahin?

1 MR. KELLAHIN: No, sir. We're  
2 prepared for closing arguments, Mr. Examiner.

3 MR. BRUCE: We're agreed.  
4 We've gone on long enough so I won't drag this out too much  
5 longer.

6 Phillips seeks to drill a well  
7 at what Exxon considers a very unorthodox location, 330 feet  
8 from one lease line and 150 feet from the other lease line.  
9 They seek to do this with essentially no penalty other than  
10 the reducing the allowable to one allowed for a 40-acre non-  
11 standard unit.

12 They did this by calculating a  
13 penalty of 49 percent based on his double circle technique  
14 and then applied this to the top allowable for an 80-acre  
15 unit.

16 Exxon submits that this method  
17 is improper in this case due to, number one, the large  
18 amount of nonproductive acreage in the standard 80-acre unit  
19 that is the south half of the southwest quarter of Section  
20 4, and number two, any penalty cannot be assessed against  
21 the top 80-acre allowable since this only a 40-acre non-  
22 standard unit.

23 As an alternative Exxon feels  
24 that it is necessary in this case for the protection of the  
25 correlative rights of the other interest owners, to follow

1 the penalty assesement method previously used in Order  
2 Nos. R-8162-A and R-8239.

3                   These orders assessed a penalty  
4 or allowable, if you will, for an unorthodox well location  
5 based on productive acreage in the well unit.

6                   Exxon believes that the evi-  
7 dence shows that there's only approximately 15 acres in the  
8 unit which are productive; therefore an allowable of 15 di-  
9 vided by 80, or 18.75 percent should be allowed, and this  
10 allowable should be assessed against the maximum of 223 bar-  
11 rels of oil a day, due to this being a nonstandard 40-acre  
12 unit.

13                   That's all.

14                   MR. CATANACH: Thank you, Mr.  
15 Bruce.

16                   Mr. Padilla?

17                   MR. PADILLA: Mr. Examiner, we  
18 have basically used the same information presented by the  
19 applicant in this case to show that there is -- that the ap-  
20 plication should be denied on the basis that they have, we  
21 believe, every reason that Phillips should drill a good well  
22 on their acreage.

23                   All you have to do is eyeball  
24 the location of the wells to see that the unorthodox loca-  
25 tion requested is grossly out of proportion with other wells

1 in the pool. There are no topographical conditions or any  
2 other type of geology which would indicate that the non-  
3 standard location is necessary.

4                   Somehow the applicants seem in-  
5 credulous that we would -- that Mr. Groce would testify that  
6 he thinks that the 80-acre proration unit operated by Bar-  
7 bara Fasken is fully productive. On the other hand they  
8 themselves say that all of their 40-acre tract is going to  
9 produce. They have been unable to tell us how much it's  
10 going to produce west of the zero line as drawn by them.

11                   I think one of the witnesses  
12 this morning said that he drew -- I think it was the geolo-  
13 gist said that he drew those contour lines very conserva-  
14 tively.

15                   Well, our position is that he  
16 drew them conservatively towards the applicant, not towards  
17 anybody else. I made a point this morning that -- a ques-  
18 tion that I withdrew that it was an advantageous type of  
19 position which they have taken, not conservative, and I  
20 think it is entirely correct.

21                   If it were conservative, they  
22 would have drawn their well to be not to go the other way.  
23 It just simply favors the applicant in this case tremendous-  
24 ly.

25                   We have shown by the evidence

1 that Phillips has presented that their correlative rights  
2 would be protected if they drilled a well and the basis for  
3 this is that they are saying that the entire 40 is going to  
4 be productive. They have under the special rules for the  
5 Shipp-Strawn Pool the authority to place their well 150  
6 feet from the center of that quarter quarter section and I  
7 think if they placed their well right at the radius of that  
8 150 feet, they would obtain a productive well and still be a  
9 standard well.

10 Accordingly, we believe that  
11 the application ought to be denied and that if at all, if  
12 the Commissioner, if the penalty -- or the Division feels  
13 that the nonstandard location ought to be approved, then we  
14 request that the stiffest penalty be applied against the  
15 proposed well location.

16 MR. CATANACH: Thank you, Mr.  
17 Padilla.

18 Mr. Kellahin.

19 MR. KELLAHIN: Thank you, Mr.  
20 Examiner, we appreciate the opportunity to be before you to-  
21 day.

22 We'd like to request an oppor-  
23 tunity to prepare you a draft order in this case in which we  
24 will propose some paragraphs that apply a standard penalty  
25 factor to the Phillips application.

1                   We generally concur in how Mr.  
2 Andrews has adjusted the penalty factor and arrived at an  
3 allowable limitation, but we propose to draft you an order  
4 and set forth the specific language.

5                   I find myself in some quandary  
6 today. I represented Phillips Petroleum before the Commis-  
7 sion for probably fifteen years, and my dad fifteen years  
8 before then, and one of the very first witnesses I ever had  
9 here was Mr. Mueller, who has been coaching us all today as  
10 he coached me many years ago, and his fellows that are work-  
11 ing for him have done an interesting thing with their exhi-  
12 bits. The volumetric calculation is optimistic and an gen-  
13 erous as any engineer could draft and yet that's not enough.  
14 They want some more and the penalty that they show you in-  
15 forms of that exhibit; has no relationship to the evidence  
16 before you.

17                   And as much as I like Mr. Muel-  
18 ler and Phillips Petroleum, I guess I'm thankful that the  
19 week before Thanksgiving they have brought us a big, fat  
20 turkey, and we have killed it today; we have cleaned it; we  
21 have cooked it; and we have cut it; and now is the time to  
22 go home and do something else because this is over.

23                   MR. IVES: We thank Mr.  
24 Kellahin for his histrionics. My closing will be a little  
25 bit more conservative.

1                   This is a simple case of cor-  
2 relative rights. As that term is defined by this Commis-  
3 sion, it means the opportunity afforded to each property  
4 owner in a pool to produce without waste his just and equit-  
5 able share of reserves in that pool.

6                   Phillips has shown calculations  
7 using standard and accepted methods to calculate reserves  
8 under the tract at issue.

9                   Phillips has shown that all it  
10 seeks is an opportunity to produce those reserves that un-  
11 derlie its property. It has shown that the proposed well  
12 location will allow it to produce its fair share while mini-  
13 mizing the risk associated with drilling an unproductive well  
14 and an unproductive well has already been drilled on that  
15 property, a noncommercial well.

16                   Every acre of the 40 acres will  
17 probably contribute reserves to the well, notwithstanding  
18 Mr. Kellahin's reference to the dry -- not the dry well, but  
19 his reference to the JSN-1 Well as a dry well; it simply was  
20 a noncommercial well, not a dry well.

21                   Thus Phillips is not asking for  
22 anything extraordinary or unreasonable. It is of note that  
23 unorthodox locations are not unusual in this pool. Exxon  
24 presently has what is de facto an unorthodox well under the  
25 current pool rules and I believe that even Pennzoil is seek-

1 ing essentially the same thing as is sought by Phillips here  
2 in a hearing which is to proceed before the Commission on  
3 tomorrow's docket, and I suppose I should ask this body to  
4 take judicial notice of the proceeding in Case Number 9003,  
5 which is Pennzoil's application for simultaneous dedication.

6                   With regard to the nonstandard  
7 unit question, this tribunal has held two orders to show  
8 cause this morning why spacing should not be on 40 acres.  
9 This is exactly what Phillips is seeking here, though with  
10 very particularized reasons. As shown by the exhibits and  
11 the testimony, the southwest quarter of the southwest quar-  
12 ter of Unit 4 is geologically condemned with insufficient  
13 porosity to produce or support a commercial well.

14                   To not grant the nonstandard  
15 unit -- spacing unit which Phillips seeks would be in (un-  
16 clear) of Phillips correlative rights and result in the un-  
17 just enrichment of Yates in particular, thus the nonstandard  
18 spacing unit is not only not unreasonable but is called for  
19 in this circumstance.

20                   And finally, Phillips has in  
21 good faith demonstrated by the testimony presented on the  
22 penalty question, and has established that the penalty that  
23 should be imposed is simply based on dedicating 40 acres to  
24 the unit.

25                   While on the one hand the loca-



1 to submit a rough order also in this case?

2 MR. IVES: Certainly would.

3 MR. CATANACH: Is there any-  
4 thing further in Case 9036?

5 MR. IVES: There was one addi-  
6 tional matter. I spoke with Mr. Bruce about the exhibit  
7 which Mr. Andrews was marking on. Apparently that was not  
8 the exhibit which had been given to the tribunal and he has  
9 agreed to put the exhibit which Mr. Andrews made his mark-  
10 ings on in as part of the record in this case.

11 MR. CATANACH: Okay.

12 MR. BRUCE: It was Phillips Ex-  
13 hibit Number Two and we'll just hand mark it as Exxon Exhi-  
14 bit Number One.

15 MR. CATANACH: All right, Exxon  
16 Exhibit Number One will be admitted into evidence.

17 Is there anything further in  
18 Case 9036?

19 If not, it will be taken under  
20 advisement.

21

22 (Hearing concluded.)

23

24

25

## C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9036 heard by me on November 19, 1986.  
David R. Catenach, Examiner  
Oil Conservation Division