



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N D E X

GENE R. CARLSON

Direct Examination by Mr. Kellahin	4
Cross Examination by Mr. Catanach	20

ARDEN WALKER

Direct Examination by Mr. Kellahin	24
Cross Examination by Mr. Catanach	30

E X H I B I T S

Meridian Exhibit One, Isopach	5
Meridian Exhibit Two, Type Logs	9
Meridian Exhibit Three, Type Logs	8
Meridian Exhibit Four, Economic Analysis	15
Meridian Exhibit Five, Calculations	27
Meridian Exhibit Six, Calculations	28
Meridian Exhibit Seven, Affidavit etc.	22
Meridian Exhibit Eight, Rough Draft of Order	11

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. CATANACH: Call next Case Number 9037.

MR. TAYLOR: The application of Meridian Oil Incorporated for special pool rules, Lea County, New Mexico.

MR. CATANACH: Are there appearances in this case?

MR. KELLAHIN: If the Examiner please, I am Tom Kellahin of Santa Fe, New Mexico, appearing on behalf of the applicant, and I have two witnesses to be sworn.

MR. CATANACH: Are there other appearances in this case?

MR. NUTTER: Dan Nutter appearing on behalf of Bass Enterprises Production Company.

MR. CATANACH: Anybody else? Will the two witnesses please stand and be sworn in?

(Witnesses sworn.)

GENE R. CARLSON,  
being called as a witness and being duly sworn upon his oath, testified as follows, to-wit:

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q Mr. Carlson, for the record would you please state your name and occupation?

A My name is Gene Carlson. I'm a petroleum reservoir engineer for Meridian Oil out of Midland, Texas.

Q Mr. Carlson, have you previously testified before the Oil Conservation Division as a petroleum engineer, had your qualifications accepted and made a matter of record?

A Yes, I have.

Q And pursuant to your employment by Meridian Oil Company have you made a study of certain of the engineering and economic factors that surround Meridian's request for special pool rules in the Airstrip-Bone Spring Pool, Lea County, New Mexico?

A Yes, I have.

MR. KELLAHIN: We tender Mr. Carlson as an expert petroleum engineer.

MR. CATANACH: Mr. Carlson is so qualified.

Q Mr. Carlson, let me direct your attention, sir, first of all, to Exhibit Number One, and have you identify that exhibit for us.

1           A           Exhibit Number One is a carbonate net  
2 porosity Isopach of the Third Bone Spring interval, which  
3 produces predominantly in the north part of the Airstrip-  
4 Bone Spring Pool, which you can see is shaded with yellow  
5 shading, the entirety of the Airstrip-Bone Spring Pool.

6                   The Third Bone Spring sand is a sub-member  
7 of the overall interval that is prorated as the  
8 Airstrip-Bone Spring Pool, and as I said, the predominant  
9 production is from the north end of the pool.

10                   The Third Bone Spring sand producers are  
11 highlighted by an even darker orange shading and, as you can  
12 see, there are two in the north end of the field and four in  
13 the south end of the field.

14                   Current status of those wells is that the  
15 two in the north end of the field are prolific producers  
16 while the south end of the field is marginal production and  
17 in fact only the southwesternmost of the Third Bone Spring  
18 producers is currently producing oil.

19           Q           The Airstrip-Bone Spring Pool is on  
20 statewide rules, is it not?

21           A           Yes, it is.

22           Q           And it was historically developed on 40-  
23 acre spacing?

24           A           Yes, sir. Actually we've had two stages  
25 of development in this field.

1           The south end of the field, which, as I  
2 will point out later in the presentation, produces primarily  
3 from the Second Bone Spring sand and carbonate interval, was  
4 originally drilled in the time frame of 1979 and 1980  
5 through 1984.

6           There were originally two Bone Spring  
7 pools in that area; the Upper and Lower Bone Spring were  
8 prorated separately and in July of 1984 the field rules were  
9 combined or the fields were combined and there is now only  
10 one pool and that is the Airstrip-Bone Spring Pool.

11           Development continued in the area and I  
12 don't have a lot of history in the south end of the field,  
13 but in the north end of the field the wells were drilled in  
14 1984 through 1985 time frame and at that time, at the ini-  
15 tial drilling of the No. 15-1, which resides in the south-  
16 east -- in the northeast of the southeast quarter of Section  
17 15, Township 18 South, Range 34 East, we requested that  
18 special field rules be set up for these -- for the north end  
19 of the field, which, as I say, produces from a different in-  
20 terval, actually, than the south, primarily.

21           At that time the Airstrip-Bone Spring  
22 Pool encompassed up to the south half of Section 23, just  
23 south of Sections 14 and 15, and at that time the Commis-  
24 sion, and we're unclear because of the merger of two com-  
25 panies, but at that time we could not derive this informa

1 tion -- at that time the Commission either formally or in-  
2 formally rejected forming special field rules because of the  
3 proximity of the then prorated Air Strip-Bone Spring Field  
4 to our production that we had just recently drilled. And so  
5 our production was brought into this field.

6 Q Has the Commission made any segregation  
7 of the various members of the Bone Spring and isolated them  
8 out as separate pools?

9 A They did originally but back in July of  
10 1984, as I believe I mentioned before, they commingled the  
11 Upper and Lower Bone Spring Pool, with respect to the Air-  
12 strip Field area.

13 Q Why don't you give Mr. Catanach a summary  
14 of what you propose to accomplish with this particular ap-  
15 plication, Mr. Carlson?

16 A Well, because of the widely variant pro-  
17 ducing characteristics of the Bone Spring, the very large  
18 Bone Spring interval in this area, we believe that the --  
19 the operators need the flexibility to do what is appropriate  
20 as they find the Bone Spring to be productive in this area.

21 We have what we believe to be here a  
22 debris flow depositional environment, which causes, as I've  
23 mentioned before, widely variant producing characteristics.

24 In some areas of the field you may find  
25 that wells drain even more than 80 acres and in some areas

1 of the field they may drain less than 80 acres and on the  
2 range of 40 acres, but we do need the flexibility to do  
3 what's right to encourage development in an orderly fashion.

4 Q Let's have you turn to Exhibits Two and  
5 Three which are the type logs and have you identify and de-  
6 scribe those exhibits.

7 A Okay. The two type logs that we present  
8 here, and these are type logs from the north end of the  
9 field, being the Tonto 14 Com No. 1 is the well that is in  
10 the northwest quarter of the southwest quarter of Section 14  
11 of the township, and the Amoco No. 1 State "FU" is the  
12 northeast quarter of the southwest quarter of Section 25 in  
13 the south end of the field.

14 These, I propose to be typical producers,  
15 or typical logs from the north and the south end of the  
16 field.

17 As you can see marked on those logs, we  
18 have marked the perforated intervals in various fashions.

19 On the Tonto State 14 Com No. 1 the pro-  
20 ductive interval you can see that the square inside the  
21 depth scale to be within the Third Bone Spring carbonate in-  
22 terval. The Tonto 14 Com No. 1 is therefore what would have  
23 been a Lower Bone Spring producer in the -- in the previous  
24 field rule designation.

25 However, the No. 1 State "FU" Amoco Well

1 in the south end of the field in the previously specified  
2 location produces from a not too dissimilar depth interval;  
3 however, it is producing from -- stratigraphically from the  
4 Second Bone Spring carbonate interval, which is in the upper  
5 part of the field, or upper part of the overall Bone Spring  
6 interval.

7 Q If the Commission desires to continue the  
8 current order of treating this whole area as one common pool  
9 for purposes of establishing rules, do you have some recom-  
10 mendations to the examiner as to how he might handle the  
11 existence of wells that are currently dedicated to 40-acre  
12 tracts?

13 A Yes. I think that as a matter of conven-  
14 ience of the Commission and existing operators, and since  
15 the current proration unit certificate for each of the exist-  
16 ing wells in the 40-acre area do say 40 acres, even though  
17 they would be exceptions, it would be my suggestion that  
18 those operators not be required to file any exception no-  
19 tices for -- for acreage, because there -- we're not chang-  
20 ing those wells' density. They are exceptions but their  
21 spacing or their proration units will not change in shape or  
22 size.

23 Q How would you recommend the examiner han-  
24 dle the question of establishing allowables for wells on 40  
25 acres and wells that select or exercise the option to be

1 spaced upon 80-acre spacing units?

2           A           Well, even though there are no 40-acre  
3 wells, or wells that would be 40-acre wells, that would pro-  
4 duce anywhere near even the statewide 40-acre allowable,  
5 since we are treating this as -- for a matter of -- because  
6 it's so dissimilar in production, we would suggest that --  
7 that operators that choose to put their wells on 40-acre al-  
8 lowables not have to split the 80-acre allowable but be al-  
9 lowed the full 40-acre allowable, if they -- if they desire.

10           Q           For this approximate depth bracket, what  
11 are we talking about in terms of barrels of oil a day on a  
12 40-acre unit?

13           A           For a 40-acre unit it would be 275 bar-  
14 rels a day while on a -- while on an 80-acre unit it would  
15 be approximately 355 barrels a day.

16           Q           Is there any potential problem with  
17 regards to how the gas/oil ratios are handled for the wells  
18 in the pool?

19           A           No, as a matter of fact, as I mentioned  
20 before, most of the wells that would be in the 40-acre area  
21 are very low oil producers and also the average, I would  
22 say, eyeballing the average of the gas/oil ratios for all  
23 the wells in the field, we're talking less than 1000 average  
24 GOR, and I believe the highest GOR well that I had  
25 information on was about 3000 GOR but it was from a 35-bar-  
rel a day oil well.

1                   So I don't think that there would be any  
2 penalties incurred by anyone or any inconveniences caused by  
3 the gas/oil ratio of 2000.

4                   Q           Let me show you, Mr. Carlson, what we  
5 have marked as Exhibit Number Eight, and we'll take this ex-  
6 hibit out of turn at this time.

7                                   MR. KELLAHIN:   Exhibit Number  
8 Eight, Mr. Examiner, represents a rough draft of a proposed  
9 order in which Mr. Carlson and I have attempted to put in  
10 words the concept of how to handle the special rules.

11                                   You'll have to excuse us, there  
12 are some typographical errors. We've referenced Bone  
13 Springs, plural, and it should be singular, and I believe  
14 later on the exhibit there may have been a reference to  
15 Wolfcamp production when in fact it should have been Bone  
16 Spring production.

17                                   Other than that I think the --  
18 the proposed order is correct.

19                   Q           Mr. Carlson, would you take a minute and  
20 identify for Mr. Catanach where we have attempted to locate  
21 the type of rules that would implement the suggestions  
22 you've made to him this morning?

23                   A           Okay. On the third page of the proposed  
24 order we find Rule No. 1, which specifies that this will en-  
25 compass the same area as the current Airstrip-Bone Spring

1 Pool, or any well completed in the Bone Spring, and in here  
2 in this rule, the Wolfcamp word appears twice. It should be  
3 Bone Spring. And that this would be -- this rule would en-  
4 compass the current Airstrip-Bone Spring Pool and any well  
5 completed in the Bone Spring formation within a mile there-  
6 of.

7 And then we specify in Rule 2 that each  
8 well shall be located on a standard unit containing 80 acres  
9 more or less, consisting of the north half, south half, east  
10 half, or west half of a governmental quarter section;  
11 however, nothing contained in this order shall be construed  
12 as prohibiting the drilling of a well on each of the quarter  
13 quarter sections in the unit, hence 40-acre spacing would be  
14 allowed.

15 Q So under the second portion of proposed  
16 Rule 2, that gives us the flexibility and the option to have  
17 the operator select either the 80 or the 40.

18 A That's right.

19 Q All right. As we move through the rules,  
20 let's have you identify for us how you'll handle the grand-  
21 fathering, if you will, --

22 A Okay.

23 Q -- of the existing 40-acre wells.

24 A I believe it's this Rule 5 right here.

25 Q Yes, sir.

1           A           Okay. The Division Director may grant an  
2 exception to the requirements of Rule 4 without a hearing  
3 when application has been filed for an unorthodox location  
4 necessitated by topographical conditions or the recompletion  
5 of a well previously drilled to another horizon.

6                       All operators offsetting a proposed loca-  
7 tion shall be notified by registered or certified mail and  
8 the application shall state that such notice has been (un-  
9 clear).

10                      The Director may approve the application  
11 upon receipt of written waivers from all operators offset-  
12 ting a proposed location, or if no objection -- excuse me,  
13 this is not the grandfathering --

14           Q           I -- I directed you to the wrong one. It  
15 is on the last page and it is --

16           A           It's on the last page in --

17           Q           -- paragraph two.

18           A           -- Item 2.

19           Q           Yes, sir.

20           A           I'm sorry. I thought it was on the other  
21 page. I'm sorry to confuse the issue.

22                      All right. In here effectively we've at-  
23 tempted to grandfather all of the existing 40-acre wells  
24 without a requirement of paperwork, and in fact the paper-  
25 work requirement will be for the -- for the 80-acre wells.

1 Pursuant to Paragraph A of Section 70-2-  
2 18 contained in Chapter 271, any wells completed after  
3 December 1st, 1986, in the Airstrip-Bone Spring Pool shall  
4 have dedicated thereto 80 acres in accordance with the fore-  
5 going proposed rules.

6 So we're only talking about this coming  
7 into effect for wells completed after December 31st -- or  
8 1st, excuse me.

9 Or, pursuant to Paragraph C of said Sec-  
10 tion 70-2-18, existing wells shall automatically be approved  
11 as 40-acre nonstandard spacing or proration units unless the  
12 operator files a new Form C-102 with the Division dedicating  
13 80 acres to the existing well within sixty days from the  
14 date of this order.

15 I'm sorry I cause the confusion.

16 Q That was at least our attempt to draft  
17 language that would grandfather in the existing wells,  
18 maintain the status quo on the allowables for those 40-acre  
19 wells, and to give the flexibility and option to subsequent  
20 development on 80 acres.

21 A That's right.

22 Q Let's go now, sir, to an economic analy-  
23 sis that you have made with regards to the drilling and  
24 spacing of wells, and let me ask you to direct your atten-  
25 tion now to what is marked as Exhibit Number Four.

1 Will you identify and describe that exhibit  
2 for us?

3 A Okay. Exhibit Number Four is an economic  
4 analysis with respect to the Airstrip-Bone Spring Field.

5 Q Just a minute. We don't have it together  
6 yet.

7 The Examiner's copy of that exhibit is  
8 identified, I think, as Exhibit Number Two, and we are  
9 referencing it as Exhibit Number Four.

10 All right, please continue.

11 A Okay. The Airstrip-Bone Spring Field un-  
12 der 40-acre -- the Airstrip Bone Spring Field under 40-acre  
13 and 80-acre spacing is analyzed here as to the economic out-  
14 come for an operator based upon some other work which will  
15 be presented later in the testimony supporting the fact that  
16 an 80-acre well in the Airstrip-Bone Spring with recoveries  
17 of 140,000 barrels and 47.1-million cubic feet, would be an  
18 economical proposition on 80 acres, yet would not be so on  
19 40-acre spacing.

20 The -- this is demonstrated in the econo-  
21 mic parameters and reserve parameters listed on the economic  
22 analysis exhibit.

23 As you can see, for a 100 percent working  
24 interest and an 87-1/2 net interest the net reserves  
25 resulting from approximately 140,000-barrel and 50-million

1 cubic foot well would be 120,000 barrels and 40-million  
2 cubic feet, approximately.

3 The working interest investment required  
4 to drill this well by our current estimates is \$539,000, ap-  
5 proximately.

6 Scheduling this production at an initial  
7 production rate of 230 barrels a day, an average initial po-  
8 tential for a well in this area, and using oil prices of  
9 \$15.00 per barrel held flat for three years and then esca-  
10 lated at 4 percent with no cap, and a gas price of \$1.50 per  
11 Mcf held constant through the same period and escalated at 4  
12 percent, the payout for this proposal on 80-acre spacing  
13 would occur in 2.4 years.

14 An after tax rate of return would be gen-  
15 erated of approximately 40 percent; profit to investment ra-  
16 tio at 15 percent would result in .49, with resulting pre-  
17 sent value at 15 percent of \$263,000.

18 In brief summary this is a very attrac-  
19 tive economic venture and would withstand the risk of oil  
20 and gas opportunities that we have in this area and we would  
21 certainly drill a proposal like this.

22 Q You're talking about the 80-acre option.

23 A The 80-acre option. Now, let's -- I call  
24 your attention to the third column which references econo-  
25 mics of having to drill two wells on the same 80-acre prora-

1 tion unit, hence 40-acre spacing.

2           Where you have gross reserves averaging  
3 the same for the two wells, we're talking about just accel-  
4 erating the recovery from that 80-acre spacing. The average  
5 life for the 80-acre wells, is about eight years, by the  
6 way, and for a 40-acre well sharing an 80-acre proration  
7 unit with another 40-acre well, it's about five years, the  
8 economic life.

9           As you can see here, the working interest  
10 investment is exactly double and the payout becomes 4.28  
11 years. The after tax rate of return becomes 13.33 percent.  
12 The present value to investment ratio at 15 percent is  
13 slightly negative and the present value at 15 percent is -  
14 7.2 thousand dollars, (-\$7,200).

15           Basically we, in our company, certainly  
16 would not drill a proposal like this, which shows would be  
17 an economical proposal and even if you had almost a treasury  
18 bond rate of return hole rate (sic), this would notwithstand  
19 the risk of oil and gas opportunities.

20           We further call attention to this central  
21 column on this where it says a new well on 40-acre spacing,  
22 if a -- if an operator were to get a farmout or otherwise  
23 obtain 40 acres to drill a well in this area, and he had the  
24 fear of someone else concurrently drilling a well and shar-  
25 ing his reserves, you see the same effect. That operator

1 would be actually discouraged from drilling a 40-acre well,  
2 because his economic outcome would be so poor.

3 In very brief summary, the second column  
4 is to show that -- that 40-acre spacing, being the spacing  
5 out here, would actually, potentially discourage develop-  
6 ment.

7 Q In addition to discouraging development,  
8 if the Division stays with the 40-acre spacing, can that re-  
9 sult in the drilling of an unnecessary well?

10 A Yes, it would.

11 Q Do you have anything else with regards to  
12 your presentation, Mr. Carlson?

13 A No, sir.

14 MR. KELLAHIN: That concludes  
15 our direct examination of Mr. Carlson.

16 We would move introduction of  
17 his exhibits One through Four and then the propose order,  
18 Exhibit Number Eight, at this time.

19 MR. CATANACH: So Exhibits One  
20 through Four?

21 MR. KELLAHIN: And Eight.

22 MR. CATANACH: Exhibits One  
23 through Four and Exhibit Eight will be admitted as evidence.

24 Mr. Nutter, do you have any  
25 questions of the witness?

1 MR. NUTTER: No. I might have  
2 one question regarding the -- this might be directed to Mr.  
3 Kellahin, just for clarification. I don't know.

4 MR. KELLAHIN: The 40-acre units  
5 that are in existence now would be automatically grand-  
6 fathered in, is that correct?

7 MR. KELLAHIN: That was cer-  
8 tainly our intention with the language, Mr. Nutter, and if  
9 we've not accomplished that, we'd be happy to redraft it.

10 MR. NUTTER: And then there's  
11 provision for obtaining a 40-acre nonstandard proration  
12 unit.

13 MR. KELLAHIN: For any subse-  
14 quent wells.

15 MR. NUTTER: For any subse-  
16 quent.

17 MR. KELLAHIN: Yes, sir.

18 MR. NUTTER: Now, would those  
19 40-acre units also be entitled to the 275-barrel allowable?

20 MR. KELLAHIN: That was our in-  
21 tention.

22 MR. NUTTER: Okay. That's all  
23 I have.

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CROSS EXAMINATION

BY MR. CATANACH:

Q Mr. Carlson, do you know why the Division originally consolidated these two pools?

A No, I don't. I believe it was possibly for a matter of convenience.

The Upper Bone Springs and Lower Bone Springs are not widely variant in lithologica or producing characteristics. This is a debris flow in depositional environment, and you just get widely variant characteristics, but they -- they vary uniformly, I guess.

This is actually depositionally, to oversimplify, maybe it's a junk yard of carbonate blocks that have fallen off of the Mo Reef to the north of this area in geologic time and so that's why you have such widely variant characteristics.

Q I just want to clarify one thing. The two wells located in Section 14, those are producing from the Third carbonate, is that correct?

A Those are producing from the Third Bone Spring carbonate, yes, sir.

Q What other wells that you know of are producing also from the Third Bone Spring carbonate?

A As highlighted on the map, the only

1 existing producer is the Mesa Compton Well in the northeast  
2 quarter of the northwest quarter of Section 35, approximate-  
3 ly three miles south of there, and it is currently a 10-bar-  
4 rel, 15 Mcf a day well.

5 It will have an ultimate recovery around  
6 40,000 barrels, which again establishes that this Third Bone  
7 Spring interval is the -- a salvage zone, if you will, in  
8 the south part of the field.

9 Q So then most of the wells in the south  
10 end of the field produce from the --

11 A Second.

12 Q -- Second Bone Spring.

13 A Yes, sir. That's not to say that the  
14 Second Bone Springs would not or could not produce somewhere  
15 in the north end of the field.

16 Q Has it been tested?

17 A It was added to the No. 15-1, which is  
18 just west of our wells in Section 14, although we did not  
19 see any production increase.

20 Q On Exhibit Number One you show the whole  
21 Bone Spring Field, is that correct?

22 A The yellow area is the current boundaries  
23 of the Airstrip-Bone Spring Field.

24 Q How many different operators do you have  
25 in this pool?

1           A           As far as operators within the pool, I  
2 believe that Mesa, Chevron, Amoco, and Meridian Oil are the  
3 only operators of existing wells, although Bass Enterprises  
4 and a host of other companies have acreage whether now pro-  
5 ducing or not yet produced or has produced and has since  
6 been plugged in the field area.

7                           And that was included in our notification  
8 exhibit.

9   MR. CATANACH: Will there be  
10 somebody to testify about that, Mr. Kellahin?

11   MR. KELLAHIN: We have provided  
12 as the alternative a certified, attested to certificate  
13 about notice, which is Exhibit Number Seven, in which we  
14 have attached the list of all interested parties that we can  
15 find, along with copies of the letters that were sent to  
16 those individuals.

17           A           As far as current wells in the Airstrip-  
18 Bone Spring Field, I believe Amoco, Bass, Chevron, and Mesa  
19 and Southland Royalty, hence Meridian Oil are operators.

20           Q           Have you had any indication about any  
21 support or opposition from any of these other operators?

22           A           We got calls. Mobil is 50 percent inter-  
23 est owner in our acreage and Amoco, of course, is interested  
24 with respect to their -- their area down south. They, I  
25 guess, chose to not make an appearances, although when we

1 explained our proposal to them they -- they seemed to appear  
2 satisfied with what we were doing.

3 I guess the main point to be brought to  
4 bear here is the southern area of the field is probably on  
5 the order or 85 percent depleted and their level of interest  
6 is a little bit diminished at this time.

7 Q Where do you get that figure from?

8 A It's a very rough estimate based on just  
9 the current cumulatives and the apparent EUR's of the wells  
10 in the south area of the field.

11 Q Do you know if there's been any wells  
12 drilled to the south of the existing pool boundary?

13 A I do not have knowledge of any wells that  
14 have been drilled to that zone. This, as I said, this is a  
15 debris flow environment and normally produces within four to  
16 five miles of the Abo Reef complex boundary, which is noted  
17 on Exhibit One.

18 There have been numerous dry holes drill-  
19 led which are indicated with the zero footage on the -- on  
20 the map that are scattered all over the map here as you can  
21 see.

22 MR. CATANACH: Mr. Kellahin, is  
23 your second witness going testify as to the drainage charac-  
24 teristics?

25 MR. KELLAHIN: Yes.

1 MR. CATANACH: I have no fur-  
2 ther questions of the witness.

3  
4 ARDEN WALKER,  
5 being called as a witness and being duly sworn upon his  
6 oath, testified as follows, to-wit:

7  
8 DIRECT EXAMINATION

9 BY MR. KELLAHIN:

10 Q Mr. Walker, would you please state your  
11 name and occupation?

12 A My name is Arden Walker. I'm a petroleum  
13 engineer, reservoir engineer, for Meridian Oil.

14 Q And your first name is A-R-D-E-N?

15 A That's correct.

16 Q Mr. Walker, have you previously testified  
17 before the Division?

18 A No, I have not.

19 Q Would you summarize for Mr. Catanach your  
20 educational experience and your professional employment?

21 A I received a Bachelor Science petroleum  
22 engineering degree from Texas Tech University in May of  
23 1982.

24 I subsequently went to work for El Paso  
25 Exploration Company in Midland, where I served as a produc-

1 tion operations engineer over southeastern New Mexico,  
2 southwestern Texas, and southern Louisiana, also, for appro-  
3 ximately three and a half years.

4 Subsequent to the merger of El Paso and  
5 Meridian, I've been for the past year a reservoir engineer  
6 with responsibilities over the southeastern corner of New  
7 Mexico as a reservoir engineer.

8 Q As a reservoir engineer, Mr. Walker, what  
9 studies or calculations have you made that are of importance  
10 to us in this hearing this morning?

11 A Well, I've performed a detailed study of  
12 the Airstrip-Bone Spring Field, trying to get a feel for the  
13 producing horizons, trying to quantify the expected recov-  
14 eries from our wells in Sections 14 and 15, indicating  
15 drainage, use of volumetric analysis, and also some pressure  
16 studies.

17 Q You've had the opportunity to review and  
18 hear Mr. Carlson's proposal with regards to the special  
19 rules for this pool?

20 A That's correct.

21 Q Are you in support of the implementation  
22 of those rules?

23 A Yes, I am.

24 Q What specific matters do you have for the  
25 Examiner this morning with regards to your work?

1           A           Well, first of all I don't know what ex-  
2           hibit you --

3           Q           Well, why don't you describe for us the  
4           two areas that you specifically worked to and then we'll go  
5           to the exhibits themselves?

6           A           Okay. I have done some pressure analysis  
7           work, which took initial reservoir pressures from the two  
8           wells in Sections 14 that showed significant decrease from  
9           the 14-1 Well to the 14-2 Well in a fairly short time period  
10          of approximately a year.

11          Q           All right, sir, and what else have you  
12          done?

13          A           I've also done some volumetric analysis  
14          work in which I've tried to use performance data, indicating  
15          ultimate recoveries of a range of 150,000 to 225,000 barrels  
16          and back out an areal recovery from those numbers.

17          Q           Based upon that analysis have you reached  
18          any conclusion with regards to the implementation of 80-acre  
19          spacing for this pool?

20          A           Yes. It appears that the wells in the  
21          north side, Sections 14 and 15, appear to be draining in ex-  
22          cess of 80 acres, assuming, as I said, the performance data  
23          that I -- that I have looked at.

24          Q           Would the flexibility of special pool  
25          rules that give the option to the operator to drill on 80-

1 acre spacing or the election to stay with 40-acre spacing  
2 one that would be in the best interests of protecting the  
3 correlative rights of Meridian and the other operators in  
4 the pool?

5 A I believe so, based primarily on the pre-  
6 vious testimony of the widely varying characteristics of the  
7 Third Bone Springs and Second Bone Springs formations. I  
8 believe that the 80-acre spacing in our area is warranted,  
9 whereas in the south, if it was necessary to develop on 40  
10 acres, it would be -- that flexibility would be warranted  
11 also.

12 Q Let's turn now to the volumetric calcula-  
13 tions, which I believe are Exhibit Number Five, and have you  
14 summarize for us the information you have put on that exhi-  
15 bit.

16 A Okay. In Exhibit Number Five the volu-  
17 metric analysis work that I've done on the two Meridian  
18 wells located in Sections 14, the 14 No. 1 well was com-  
19 pleted in April of 1985 and it's located in the northwest  
20 quarter of the southeast quarter of Section 14. I have de-  
21 termined that ultimate recovery of 225,000 barrels based on  
22 the performance of the existing -- existing well, and using  
23 log data of 43 feet of net porosity, 4 percent average -- I  
24 mean 4.0 percent average porosity, formation volume factor  
25 of 1.06, which was taken from initial reservoir conditions,



1 the Meridian Tonto 14 State No. 2 Well was drilled, effec-  
2 tively on a 40-acre spacing from the 14.1 Well, and had a  
3 reservoir pressure of 1650 psi, which is indicative of pres-  
4 sure drainage from the 14 No. 1.

5 Q Were Exhibits Five and Six prepared by  
6 you?

7 A Yes, they were.

8 MR. KELLAHIN: If I have not  
9 previously done so, Mr. Catanach, we would tender Mr. Walker  
10 as an expert engineer and move the introduction of his  
11 Exhibits Five and Six at this time.

12 MR. CATANACH: Mr. Walker is  
13 considered qualified and Exhibits Five and Six will be  
14 admitted into evidence.

15 MR. KELLAHIN: We would also at  
16 this time move the introduction of Exhibit Seven, which is  
17 the certificate with regards to the notification required by  
18 the Division pursuant to rules.

19 MR. CATANACH: Exhibit Number  
20 Seven will be admitted into evidence.

21 MR. KELLAHIN: That concludes  
22 our presentation and we tender Mr. Walker for cross examina-  
23 tion.

24 MR. CATANACH: Mr. Nutter, do  
25 you have any questions of Mr. Walker?

MR. NUTTER: No, sir.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CROSS EXAMINATION

BY MR. CATANACH:

Q Mr. Walker, in your Exhibit Number Five, where did you come up with the estimated ultimate recovery?

A As I mentioned, they are based on estimated performance from the wells and using decline curve analysis we've arrived at the ultimate recoveries of 225,000 and 150,000 barrels.

Q Mr. Walker, have you studied the drainage characteristics of any of the wells in the south end?

A No, I have not.

Q Besides the initial reservoir pressure differences, have you noticed any other interference in the two wells?

A Not specifically from the producing characteristics of it.

MR. CATANACH: I don't have any further questions of the witness. He may be excused.

Mr. Kellahin.

MR. KELLAHIN: Yes, sir.

MR. CATANACH: We seem to have a problem with the advertisement in that no provision for an infill well finding was advertised.

MR. KELLAHIN: Yes, sir.

1 MR. CATANACH: We may -- may  
2 have to talk this over with the Director and see if we have  
3 to readvertise.

4 MR. KELLAHIN: I disagree with  
5 you about any defect in the notice, Mr. Examiner. I think  
6 the deletion of that information from the notice leaves the  
7 application as advertised on the docket more severe or  
8 restrictive than the applicant had intended.

9 By the deletion of that infor-  
10 mation, then, it's notice to the world that they should come  
11 and fight an 80-acre case that would result in the change of  
12 all those 40-acre wells to 80 acres.

13 By the addition of that infor-  
14 mation it is more liberal; in fact, is not unlike you handle  
15 the unorthodox well locations where you advertise a more re-  
16 stricted location and then at the hearing find the appli-  
17 cant is moving to a less restricted location.

18 In addition, I think you'll  
19 find that there's actual notice from Mr. Carr on behalf of  
20 Meridian in which he has told each of those individuals that  
21 had interest in the area that they should come and appear  
22 today, and I think there's enough notice there, enough op-  
23 portunity for people to be aware. It was obviously good  
24 enough to get Mr. Nutter here today and it should be satis-  
25 factory for all purposes, and we would suggest that you need

1 not advertise this case again.

2 MR. TAYLOR: I tend to think  
3 that if these things are ever involved with special pool  
4 rules and we look at the letters and say that the letters to  
5 the offset operators specifically state that the request in-  
6 cludes authority to drill a second well, I would suppose  
7 that would suffice.

8 MR. CATANACH: Then we'll leave  
9 the advertisement as it is.

10 Mr. Kellahin, I just have a  
11 casual question.

12 MR. KELLAHIN: You may get a  
13 casual answer, Mr. Chairman.

14 MR. CATANACH: Would Meridian  
15 gain any advantage in converting the whole pool to 30-acre  
16 spacing as opposed to trying to come in and creating a 40-  
17 acre pool?

18 MR. KELLAHIN: I do not believe  
19 we gain any advantage.

20 MR. WALKER: I believe we  
21 haven't established that there isn't some part of this over-  
22 all interval that wouldn't be best spaced on 40 acres should  
23 it be produced in our end of the field.

24 We haven't exactly fully devel-  
25 oped our end although the wells we have drilled we found

1 that eighties may be most appropriate, and so we just want  
2 the flexibility. Again, restating that the main thing we're  
3 after is the flexibility to do something in this widely var-  
4 iant environment.

5 MR. KELLAHIN: As you can see,  
6 it's a very difficult and complex geologic area and so long  
7 as the Division chooses to make the Bone Spring interval a  
8 single source of supply and one reservoir, then within the  
9 various qualities of reservoir in that interval we need the  
10 flexibility to handle the various members.

11 If the Division wants to change  
12 the approach and try to treat each one of these individual  
13 pods as a separate reservoir, then we certainly could come  
14 back in for special rules for a special portion of it, but  
15 that may simply lead us into another series of cases estab-  
16 lishing separate pools for lots of little areas like this.

17 Our proposal today is the best  
18 as we can see to solve a complicated problem and to give all  
19 the operators an opportunity to be flexible under the rules.

20 MR. CATANACH: As I understand  
21 it, you're asking for temporary special rules?

22 MR. KELLAHIN: Yes, sir, we're  
23 suggesting a period of 18 months to give us an opportunity  
24 to see if this works. If there is an adverse consequence  
25 that we're not aware of, it would give us a period of time

1 in which to come back and solve that problem.

2 MR. CATANACH: Okay. Is there  
3 anything further in Case 9037?

4 If not, it will be taken under  
5 advisement.

6

7 (Hearing concluded.)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9037, heard by me on Nov 19, 1986.

David R. Catanok, Examiner  
Oil Conservation Division

1 STATE OF NEW MEXICO  
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
3 OIL CONSERVATION DIVISION  
4 STATE LAND OFFICE BUILDING  
5 SANTA FE, NEW MEXICO

6 20 July 1988

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 In the matter of Case 9037 being re- CASE  
10 opened pursuant to the provisions of 9037  
11 Division Order No. R-8364, which pro-  
12 mulgated temporary special rules and  
13 regulations for the North Air Strip-  
14 Bone Spring Pool, Lea County, New  
15 Mexico.

16 BEFORE: Michael E. Stogner, Examiner

17 TRANSCRIPT OF HEARING

18 A P P E A R A N C E S

19 For the Division: Robert G. Stovall  
20 Attorney at Law  
21 Legal Counsel to the Division  
22 State Land Office Bldg.  
23 Santa Fe, New Mexico

24 For the Applicant: W. Thomas Kellahin  
25 Attorney at Law  
KELLAHIN, KELLAHIN & AUBREY  
P. O. Box 2265  
Santa Fe, New Mexico 87504

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N D E X

TOM OLLE

Direct Examination by Mr. Kellahin	4
Cross Examination by Mr. Stogner	7

E X H I B I T S

Meridian Exhibit One, Map	5
Meridian Exhibit Two, Production Curve	8
Meridian Exhibit Three, Production Curve	8
Meridian Exhibit Four, Production Curve	8
Meridian Exhibit Five, Production Curve	8
Meridian Exhibit Six, Production Curve	8
Meridian Exhibit Seven, Tabulation	9
Meridian Exhibit Eight, Tabulation	9
Meridian Exhibit Nine, Tabulation	9
Meridian Exhibit Ten, Tabulation	9
Meridian Exhibit Eleven, Tabulation	9
Meridian Exhibit Twelve, Calculations	9
Meridian Exhibit Thirteen, BHP Data	11
Meridian Exhibit Fourteen, Cross Section	13

1 MR. STOGNER: Gentlemen, let's  
2 get started.

3 I'll call next Case Number  
4 8037, which is in the matter of Case Number 9037 being re-  
5 opened pursuant to the provisions of Division Order No. R-  
6 8364, which promulgated temporary special rules and regu-  
7 lations for the North Air Strip-Bone Spring Pool in por-  
8 tions of Sections 14 and 15 in Township 18 South, Range 34  
9 East, of Lea County, New Mexico.

10 I'll call for appearances.

11 MR. KELLAHIN: Mr. Examiner,  
12 I'm Tom Kellahin of the Santa Fe law firm of Kellahin, Kel-  
13 lahin & Aubrey, appearing on behalf of Meridian Oil, Inc..  
14 Meridian Oil was the original applicant that sought the  
15 pool rules back in November of '86.

16 I have one witness, engineer-  
17 ing witness, Mr Tom Olle.

18 MR. STOGNER: Are there any  
19 other appearances in this matter? Will the witness please  
20 stand and be sworn?

21

22 (Witness sworn.)

23

24

25

1 TOM OLLE,  
2 being called as a witness and being duly sworn upon is  
3 oath, testified as follows, to-wit:  
4

5 DIRECT EXAMINATION

6 BY MR. KELLAHIN:

7 Q Mr. Olle, for the record would you  
8 please state your name and occupation?

9 A My name is Tom Olle. I'm the Regional  
10 Reservoir Engineer for Meridian Oil in Midland, Texas.

11 Q Mr. Olle, you spell your last name  
12 O-L-L-I-E?

13 A O-L-L-E.

14 Q I'm sorry, O-L-L-E.

15 Mr. Olle, is Meridian Oil, Inc., still  
16 an operator in the Airstrip-Bone Spring Pool in Lea County,  
17 New Mexico, that's the subject of this application?

18 A Yes, we are.

19 Q And did your company originally seek the  
20 promulgation of special rules for this pool back in Novem-  
21 ber of 1986?

22 A Yes, we did.

23 Q You sought at that time temporary 80-  
24 acre spacing for this pool and all the other pool rules?

25 A Yes.

1 Q And what is your position today after  
2 having studied the pool for 18 months or so?

3 A Based on field performance, based on  
4 bottom hole pressures that we've taken and will be present-  
5 ing shortly, we feel that 80-acre spacing is justified and  
6 it will cause waste to go back to 40-acre spacing.

7 Q Let me direct your attention, sir, to  
8 what is marked as Exhibit Number One. Would you take a  
9 moment and orient the Examiner as to where the Air Strip-  
10 Bone Spring Pool lies in relationship to any other Bone  
11 Spring pool?

12 A Okay. It lies to the north of the Air  
13 Strip Pool, which is shown on the map down to the south and  
14 southeast. The acreage that's shaded in yellow is the ac-  
15 reage that Meridian has current operations in or is cur-  
16 rently under control through farm-in.

17 We currently operate five wells within  
18 the pool, four of which are producing from the most proli-  
19 fic Third Bone Spring dolomite, and these are the wells  
20 we'll be discussing today.

21 Q In the Air Strip-Bone Spring Pool, to  
22 the south and east of the subject pool, that production in  
23 that area is generally depleted or in advanced stages of  
24 depletion, is it not?

25 A That's correct.

1 Q And that pool down there deals with the  
2 Second Bone Spring.

3 A Yes, sir, Second Bone Spring dolomite.

4 Q When we look at the subject pool, the  
5 Air Strip-Bone Spring that you've been drilling in, ident-  
6 ify for us within the yellow area and also within the dark  
7 black shaded outline, show Mr. Stogner what were the origi-  
8 nal wells at the time of the original hearing for spacing.

9 A Okay. At the time of the original spac-  
10 ing wells that existed were the Tonto 14-1, which is locat-  
11 ed in the northwest of the southwest of Section 14; the  
12 Tonto 14-2, which is located in the northeast of the south-  
13 west of Section 14; and the Tonto 15-1, which is located in  
14 in the northeast of the southeast of Section 15.

15 Q Were there any other Bone Spring wells  
16 in the pool at the time it was created?

17 A No, sir.

18 Q Identify for us what has been the subse-  
19 quent development or attempts to obtain additional Bone  
20 Spring production, first of all directing your attention to  
21 what may have occurred between the Air Strip-Bone Spring  
22 and then the pool to the south and east of this pool.

23 A Okay. Subsequent to the original  
24 hearing, Meridian has drilled two wells within the acreage  
25 which is colored yellow in Section 14 and 15. Those are

1 the Tonto 15 No. 2, located in the southeast and northeast  
2 of Section 15 and the Tonto 14-3 which is located in the  
3 southwest and northwest of Section 14.

4 We have also drilled one well in the  
5 northeast of the -- excuse me, the northwest of the north-  
6 east of Section 23, just to the south here, and it did not  
7 encounter the Third Bone Spring dolomite.

8 Phillips has completed, or attempted a  
9 completion in the southwest -- northeast of the southwest  
10 of Section 15, which completed, which produced for a very  
11 short period of time out of the Third Bone Spring dolomite  
12 and is subsequently being tested in the Second Bone Spring  
13 Sand.

14 Q Does the attempts made since the origi-  
15 nal spacing hearing for establishing additional Bone Spring  
16 production between the Air Strip North and the Air Strip  
17 Pool down to the southeast, does that continue to satisfy  
18 you as an engineer that those two pools are in fact sepa-  
19 rated?

20 A Yes, sir, it does.

21 Q Let's look within the North Air Strip-  
22 Bone Spring Pool itself and have you identify for Mr. Stog-  
23 ner what has been the further development of the pool since  
24 the original hearing?

25 A Okay. Within the pool there

1 have been two wells drilled that are currently completed.  
2 They are, as mentioned earlier, the Tonto 15-2, which is  
3 located in the southeast of the northeast of Section 15,  
4 and the Tonto 14-3, which is located in the southwest of  
5 the northwest of Section 14.

6 Q Let me direct your attention now, sir,  
7 to Exhibits Two through Six and have you identify that  
8 series of exhibits for us.

9 A Okay. Exhibits Two through Six are the  
10 production curves for the wells producing from the Tonto --  
11 the North Air Strip Field.

12 Q Can you generally characterize for us  
13 what information you see in analyzing the production curves  
14 for the pool wells?

15 A What you see is that the solid -- on  
16 these curves the solid lines are gross oil per month and  
17 the little triangles are the water production.

18 And what we've seen on these is that  
19 initially these were very high rate wells and produced at  
20 top allowable rates. Currently if the pressure in the  
21 reservoir is declining the production rates are beginning  
22 to drop off.

23 Q What does that tell you about the  
24 spacing pattern for further development of the pool wells?

25 A It -- from our analysis of these decline

1 curves we evaluated what we felt the ultimate recovery on  
2 these wells would be.

3 The current cumulative on these wells is  
4 approximately 70-to-270,000 barrels per well. The ultimate  
5 recoveries estimated in these wells are about 170-to-385  
6 MBO per well, and from this and when we get to a later ex-  
7 hibit -- am I getting ahead here a little bit?

8 Q Well, let's turn past the production  
9 plots and look at Exhibit Seven through Eleven and have you  
10 generally describe what that information is.

11 A Exhibits Seven through Eleven are the  
12 tabular data that back up the production curves of Exhibits  
13 Two through Six.

14 Q All right, let's go to the volumetric  
15 calculations now where -- which are shown on Exhibit Number  
16 Twelve and have you describe for us how you as an engineer  
17 have analyzed the ability of these wells to drain more than  
18 40 acres.

19 A What we have done is using the decline  
20 curves in analogy to other fields that are -- had produced  
21 from similar dolomites, have evaluated what we feel the ul-  
22 timate recovery from these wells will be combining their  
23 production to date with the decline trend.

24 And what we've found is that the ulti-  
25 mate recovery from these wells will be approximately 170 to

1 385 MBO per well.

2                   The well -- we have done a volumetric  
3 calculation then from these calculations of ultimate re-  
4 covery and using the net pays from the log calculations and  
5 a recovery factor of 25 percent, we've estimated that the  
6 drainage areas for these wells will range from just over 80  
7 acres to almost 160 acres, indicating that 80-acre spacing  
8 is warranted.

9                   Also, in looking at these wells we've  
10 found that the lower ultimate recoveries are being indicat-  
11 ed by the later drilled wells, especially the Tonto 14-3  
12 and the Tonto 15-2, which indicates that portions of their  
13 reserves have already been drained by the existing well-  
14 bores, which again corroborates the large drainage area.

15                   Q           How do your volumetric analyses compare  
16 to the volumetric analyses presented at the original  
17 spacing hearing insofar as we compare the Tonto 14-1 and  
18 the 14-2 Wells to what you've done?

19                   A           Essentially in comparing these the log  
20 calculations are essentially the same with the exception of  
21 we're estimating slightly higher porosity due to re-evalua-  
22 tions, fractured dolomite; we're estimating slightly higher  
23 porosity and on the Tonto 14-2 it also indicated slightly  
24 higher net pay.

25                   Q           In addition to making a volumetric ana-

1 lysis of the reservoir performance, Mr. Olle, have you also  
2 analyzed pressure data for the pool?

3 A Yes, sir, we have. Exhibit Twelve,  
4 excuse me, Exhibit Thirteen is a listing of the bottom hole  
5 pressures that we've taken in the North Air Strip Field.  
6 Essentially on all of our wells we've taken initial bottom  
7 hole pressures at the time they were drilled and completed,  
8 and we found that in the Third Bone Spring dolomite out  
9 here the initial bottom hole pressure is approximately 3800  
10 pounds. Let me also mention the nomenclature on this is  
11 that what says it's lower is a dolomite string within the  
12 Third Bone Spring dolomite, which was productive from the  
13 Tonto 15-1 Well and when it says middle and upper are the  
14 dolomites, the third Spring dolomite, which is the primary  
15 producing zone in the field.

16 Essentially what we've found is that the  
17 initial bottom hole pressure in the field was about 3800  
18 pounds in April of '85 when the Tonto 14-1 was completed.  
19 By March of '86, when the Tonto 14-2 was completed, that  
20 bottom hole pressure had dropped to 1650 pounds.

21 Q You had those two pressure points or  
22 pressure information at the time of the original spacing  
23 hearing.

24 A Yes, sir, that's correct.

25 Q And the balance of the pressure informa-

1 tion is information that's been developed subsequent to  
2 that hearing.

3 A Yes, sir. The subsequent information,  
4 the Tonto 14-3 in the correlative zones had a pressure of  
5 about 1480 pounds in January of '87 when it was completed  
6 and in June of 1987 when the Tonto 15-2 was completed the  
7 pressure in the reservoir had dropped to approximately 1150  
8 pounds.

9 So all of the wells have shown contin-  
10 uing decline in bottom hole pressure in subsequent develop-  
11 ment. Also, for comparison, we went back in March and Ap-  
12 ril of this past year and ran additional bottom hole pres-  
13 sures on the wells and we found that the indicated pressure  
14 in the 15-2 was in the range of about 700 and -- well, for  
15 instance, in March was 798 pounds. The bottom hole pres-  
16 sure in the 14-1 was 809 pounds, indicating two things that  
17 the bottom hole pressure does. It means we're still get-  
18 ting very high rates out of these wells, indicating very  
19 high permeability in a fractured formation. We're seeing  
20 that from what is called the middle and upper, and we'll be  
21 able to show these on a cross section we'll present in a  
22 moment, that there's very good vertical communication with-  
23 in the Third Bone Spring dolomite with less lateral commun-  
24 ication and we feel that 80-acre spacing is warranted.

25 Q Let's take a moment and show Mr. Stogner

1 the relationship on the cross section of the different Bone  
2 Spring members.

3 Identify for the record, Mr. Olle, what  
4 is Exhibit Number Fourteen?

5 A This is an east/west cross section  
6 across the field from the Phillips well in Section 15 over  
7 to the Mesa Petroleum well in Section 13, and essentially  
8 what it shows is that this zone of Third Bone Spring dolo-  
9 mite, which is the common pay, is most persistent across  
10 the center of the field and on Meridian's lease.

11 The -- for nomenclature purposes, we  
12 mentioned the lower zone, what's lower is this Tonto zone,  
13 or the Third Bone Spring sand, and when I was mentioning  
14 the 15-2 having the same pressures in the Middle and Upper  
15 were these two sets of perforations shown here from about  
16 90 -- one set has a top at about 93 -- 9530 and the other  
17 set at about 9670. They both had the same bottom hole  
18 pressures.

19 And essentially what the bottom hole  
20 pressure data has indicated to us is that this entire  
21 formation is pressure communicated and both laterally and  
22 vertically persistent across the field.

23 Q In your opinion, Mr. Olle, will the con-  
24 tinuation on a permanent basis of 80-acre spacing for this  
25 pool be one -- be a procedure and rules that will avoid the

1 drilling of unnecessary wells?

2 A Yes.

3 MR. KELLAHIN: That concludes  
4 our examination of Mr. Olle, Mr. Stogner, and we move the  
5 introduction of Exhibits One through Fourteen.

6 MR. STOGNER: Exhibits One  
7 through Fourteen will be admitted into evidence at this  
8 time.

9

10 CROSS EXAMINATION

11 BY MR. STOGNER:

12 Q Mr. Olle, are all these wells that are  
13 presently producing out there, are they all producing from  
14 a single wellbore as far as are any of them dually complet-  
15 ed?

16 A No, there isn't.

17 Q (Unclear) weeks ago, whenever it first  
18 came out there was an upper and a lower and then it went  
19 back and forth.

20 A No, in this field there have always been  
21 the Third Bone -- it's -- all the production of this field  
22 is essentially from the Third Bone Spring dolomite and it's  
23 always been produced together.

24 Q Okay.

25 A I think that the original Air Strip

1 Field to the south, originally was set up with separate  
2 pool rules for an upper and lower zone and then they were  
3 merged at a time previous to the previous hearing.

4 MR. STOGNER: I have nothing  
5 further of this witness.

6 Is there any other questions  
7 of Mr. Olle?

8 MR. KELLAHIN: No, sir.

9 MR. STOGNER: He may be ex-  
10 cused.

11 Does anybody else have any-  
12 thing further in the Case Number 9037 reopened today?

13 It will be taken under advise-  
14 ment.

15

16 (Hearing concluded.)

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9037 heard by me on 20 July 1988.  
Michael S. Rogers, Examiner  
Oil Conservation Division