

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO

9 September 1987

EXAMINER HEARING

IN THE MATTER OF:

Application of Pelto Oil Company for statutory unitization, Chaves County, New Mexico.	CASE 9210
and	
Application of Pelto Oil Company for a waterflood project, Chaves County, New Mexico.	CASE 9211

BEFORE: Michael E. Stogner, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:	Jeff Taylor Attorney at Law Legal Counsel to the Division State Land Office Bldg. Santa Fe, New Mexico 87501
-------------------	--

For the Applicant:	James G. Bruce Attorney at Law HINKLE LAW FIRM P. O. Box 2068 Santa Fe, New Mexico 87504
--------------------	--

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

GERALD B. MURRELL

Direct Examination by Mr. Bruce	6
Cross Examination by Mr. Stogner	18

ROBERT L. SPOTTSWOOD

Direct Examination by Mr. Bruce	23
Cross Examination by Mr. Stogner	

E X H I B I T S

Pelto Exhibit One, Land Description	8
Pelto Exhibit Two, Plat	8
Pelto Exhibit Three, Unit Agreement	10
Pelto Exhibit Four, Operating Agreement	11
Pelto Exhibit Five, Summary	11
Pelto Exhibit Six, Summary	14
Pelto Exhibit Seven, Summary	15
Pelto Exhibit Eight, Ratifications	15

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

E X H I B I T S

Pelto Exhibit Nine, Document	15
Pelto Exhibit Ten, Plat	16
Pelto Exhibit Eleven, Notice Information	17
Pelto Exhibit Twelve, Feasibility Study	24
Pelto Exhibit Thirteen, Curves	25
Pelto Exhibit Fourteen, Curves	27
Pelto Exhibit Fifteen, Log	30
Pelto Exhibit Sixteen, Log	30
Pelto Exhibit Seventeen, Structure Map	31
Pelto Exhibit Eighteen, Cross Section	32
Pelto Exhibit Nineteen, Cross Section	32
Pelto Exhibit Twenty, Cross Section	32
Pelto Exhibit Twenty-one, Map	33
Pelto Exhibit Twenty-two, Map	34
Pelto Exhibit Twenty-three, Isopach	36
Pelto Exhibit Twenty-four, Graph	37
Pelto Exhibit Twenty-five, Calculations	39
Pelto Exhibit Twenty-Six, Calculations	39
Pelto Exhibit Twenty-Seven, Graph	41
Pelto Exhibit Twenty-Eight, Plat	42
Pelto Exhibit Twenty-Nine, Rules	44
Pelto Exhibit Thirty, Map	44

E X H I B I T S CONT'D

1		
2		
3	Pelto Exhibit Thirty-one, Map	45
4	Pelto Exhibit Thirty-two, DATA	47
5	Pelto Exhibit Thirty-three, Table	48
6	Pelto Exhibit Thirty-four, Table	50
7	Pelto Exhibit Thirty-five, Table	50
8	Pelto Exhibit Thirty-Six, Table & Map	54
9	Pelto Exhibit Thirty-seven, Table	54
10	Pelto Exhibit Thirty-eight, Sketch	54
11	Pelto Exhibit Thirty-nine, Sketch	55
12	Pelto Exhibit Forty, Map	56
13	Pelto Exhibit Forty-one, List	56
14	Pelto Exhibit Forty-two, Analysis	59
15	Pelto Exhibit Forty-three, Analysis	60
16	Pelto Exhibit Forty-four, Analysis	61
17	Pelto Exhibit Forty-five, Correspondence	62
18		
19		
20		
21		
22		
23		
24		
25		

1

2

MR. STOGNER: Call next Case

3

Number 9210.

4

MR. TAYLOR: The application of

5

Pelto Oil Company for statutory unitization, Chaves County,

6

New Mexico.

7

MR. STOGNER: Call for appear-

8

ances?

9

MR. BRUCE: Mr. Examiner, my

10

name is Jim Bruce, from the Hinkle Law Firm in Santa Fe, re-

11

presenting the applicant.

12

At this time I'd request that

13

this case be combined with Case 9211.

14

MR. STOGNER: Let me get this

15

straight, Mr. Bruce, you want this consolidated with Case

16

9211?

17

MR. BRUCE: That's correct.

18

MR. STOGNER: At this time

19

we'll call Case Number 9211.

20

MR. TAYLOR: The application of

21

Pelto Oil Company for a waterflood project, Chaves County,

22

New Mexico.

23

MR. STOGNER: I assume you want

24

to appear in that case also?

25

MR. BRUCE: I will appear in

1 that case, also.

2 MR. STOGNER: Are there any
3 other appearances in either one of these cases?

4 There being none, please con-
5 tinue, Mr. Bruce.

6 How many witnesses will you
7 have, Mr. Bruce?

8 MR. BRUCE: Two witnesses.

9 MR. STOGNER: Will the
10 witnesses please stand and be sworn at this time?

11

12 (Witnesses sworn.)

13

14 MR. STOGNER: Okay, Mr. Bruce,
15 please continue.

16 MR. BRUCE: Okay.

17

18 GERALD B. BURRELL,

19 being called as a witness and being duly sworn upon his
20 oath, testified as follows, to-wit:

21

22 DIRECT EXAMINATION

23 BY MR. BRUCE:

24 Q Mr. Murrell, would you please state your
25 full name and city of residence?

1 A My name is Gerald P. Murrell and I reside
2 in Houston, Teas.

3 Q And what is your occupation and who are
4 you employed by?

5 A I'm employed as Vice President of Land
6 with Pelto Oil Co.

7 Q Would you please briefly state your edu-
8 cational and employment background?

9 A I'm a 1964 graduate of the University of
10 Texas at Austin with a degree in petroleum land management.

11 In the intervening 23 years I worked as a
12 landman for Tenneco Oil, Getty Oil, and as a Land Manager,
13 Vice President of Land with several independent companies,
14 the last 7-1/2 with Pelto.

15 Q And were you in charge of the land mat-
16 ters involved in Case Numbers 9210 and 9211?

17 A I was.

18 MR. BRUCE: Mr. Examiner, are
19 the witness' credentials acceptable?

20 MR. STOGNER: They are.

21 Q Mr. Murrell, will you please briefly
22 state what Pelto Oil Company seeks by its applications in
23 Case Numbers 9210 and 9211?

24 A In Case Number 9210 Pelto has applied for
25 statutory unitization of a portion of the Twin Lakes San An-

1 dres Associated Pool underlying 4,863.82 acres of state and
2 fee lands in all or portions of Sections 25, 26, 35, and 36,
3 Township 8 South, Range 28 East; Sections 31 and 32 of Town-
4 ship 8 South, Range 29 East; and Sections 1, 2, and 12 of
5 Township 9 South, Range 28 East; Sections 5, 6, 7 and 8 and
6 18 of Township 9 South, Range 29 East. An exact land de-
7 scription is submitted as Exhibit Number One.

8 Pelto seeks to unitize this area for the
9 purpose of establishing a secondary recovery waterflood
10 project, which is the subject of Case Number 9211.

11 Q Would you please refer to Exhibit Number
12 Two and describe its contents for the examiner?

13 A Yes. Exhibit Two is a plat which
14 outlines the unit area and identifies the separate tracts
15 within the unit area. These tracts are formed on the basis
16 of according to common mineral ownership and there are 37
17 separate tracts within the unit area.

18 Pelto is the operator of all tracts
19 except Tract Number 17, which is operated by the Harlow
20 Cororation.

21 MR. STOGNER: I'm sorry, who?

22 A Harlow Corporation.

23 Q Would you please describe the unitized
24 formation?

25 A The unitized formation is the San Andres

1 formation underlying the unit area with vertical limits
2 found in the interval between 2708 and 2798 feet, as recor-
3 ded on the duolateral log in the Pelto Oil O'Brien L No. 16
4 Well on December 23rd, 1984. This is the same as the Twin
5 Lakes San Andres Unit Well No. 80. This well is located
6 2310 feet from the north line and 1675 feet from the east
7 line of Section 6, Township 9 South, Range 29 East, in
8 Chaves County.

9 The unitized formation will include all
10 subsurface points throughout the unit area correlative to
11 this depth.

12 Q Would you describe how Pelto Oil Company
13 came to be an operator in this field and how it decided to
14 seek unitization of the field?

15 A Yes. In 1984 Pelto Oil investigated this
16 area among others as a potential secondary recovery project
17 and determined that the Twin Lakes San Andres Pool could be
18 successfully waterflooded.

19 In 1984 we purchased the entire operating
20 interest of Stevens Operating Corporation and instituted
21 further engineering studies to determine waterflood feasib-
22 ility. We have subsequently purchased additional interest,
23 working interest in the area and at this time Pelto owns re-
24 cord title to approximately 72 percent of the working inter-
25 est in the unit.

1 We undertook to further this as a result
2 of our already -- we had already conducted engineering
3 studies in support of the purchase of the Stevens interest,
4 and since the Stevens interest constituted 85 to 90 percent
5 of the unit area on the surface acre basis, we decided,
6 elected to move ahead with the waterflood project.

7 Q Would you please refer to Exhibit Number
8 Three and describe it briefly for the Examiner?

9 A Exhibit Three is a copy of the unit
10 agreement for the proposed Twin Lake San Andres Unit. This
11 unit agreement was drafted based upon other similar
12 agreements which had previously been approved by the State
13 Land Office and the Oil Conservation Division.

14 The unit agreement describes the unit
15 area and unitized formation. The unitized substances
16 include all oil and gas produced from the unitized
17 formation; however, even though small amounts of gas may be
18 recovered, the secondary recovery project is aimed only at
19 recovering additional oil.

20 Designated unit operator is Pelto Oil
21 Company and the unit agreement provides a method for removal
22 of unit operator.

23 The agreement also provides for expansion
24 of the unit area; however, at this time Pelto does not
25 foresee any expansion of the unit.

1 Q Would you please refer to Exhibit Number
2 Four and describe its contents?

3 A Yes. Exhibit Four is a copy of the unit
4 operating agreement for the proposed unit area. This docu-
5 ment sets forth the authorities and duties of the unit oper-
6 ator as well as the apportionment of expenses by and between
7 the working interest owners.

8 Q Okay. Would you please describe tract
9 ownership and how you determined the names of the working
10 interest and royalty interest owners within the unit area?

11 A Yes. Exhibit Five is a tract by tract
12 listing of the interest owners. These names were obtained
13 from Pelto's current Division Order and/or title opinion
14 files, since it operates all but one of the tracts.

15 Tract 17 ownership was initially deter-
16 mined by conducting a check of county records, but that
17 check was found to be incorrect and subsequent ownership was
18 determined from current Division orders which were provided
19 by the Tract 17 working interest owners.

20 Q How many royalty and working interest
21 owners are there in the proposed unit?

22 A There are 61 royalty owners and initially
23 there were 17 working interest owners there; we're down to
24 11 now. There have been some repurchasing, some acquisi-
25 tions of interest within the unit.

1 Q Would you please describe your attempts
2 to obtain the voluntary commitment of working interest and
3 royalty interest owners in the unit?

4 A Yes. Initial contacts were made with
5 some of the major working interest owners in 198 -- late
6 1986 by telephone and/or meetings, including Tenneco and
7 Petrus, which is now Pelto, Petrus, P-E-T-R-U-S, which is
8 now owned by Pelto, Sun Oil, W. G. Stroecker, and Marion
9 Weeks.

10 The first general meeting was called for
11 June 24th 1987, when finalized agreements and an engineering
12 report were sent out by letter on June 9th of 1987; however,
13 by telephone follow-up many of the working interest owners
14 were unable or unwilling to attend for a variety of reasons.
15 Only Harbert Energy representative were in attendance.

16 By follow-up certified mail dated June
17 29th, 1987, we advised all working interest owners of the
18 June 24th meeting results and once again requested ques-
19 tions, comments, and/or ratification in order that we could
20 set a new meeting date.

21 We received minimal response and in fact
22 were advised by Sun that its interest was so small it would
23 not join the unit but would entertain offers to purchase.

24 Tenneco likewise advised that its inter-
25 est was to be included in a package with other properties to

1 be sold and telephone follow-up to the June 29th letter re-
2 vealed that the interest of NRM Operating, Edwards and Leach
3 Oil Company, Adams & McGahey, John W. Adams, and the Estates
4 of E. W. and June Adams, had been or were in the process of
5 being purchased by the Harlow Corporation.

6 The June 29th letter resulted in
7 ratifications by Harbert Energy, Nabob Production Company,
8 W. G. Stroecker, and Marion Weeks.

9 Since a number of the working interest
10 owners had expressed an intent or desire to sell, Pelto then
11 made written offers to purchase the interest of all
12 remaining working interest owners. As a result we have
13 reached agreement to purchase in principal with two owners
14 and are negotiating on several others.

15 Columbia Gas notified us last week that
16 it intends to join the unit.

17 We have had no response to our letters or
18 telephone calls from TXO Production other than a call
19 following up our offer to purchase, requesting a list of the
20 inventory of well equipment. That was furnished to them but
21 we have not since heard from them.

22 The Winther interests, we've not received
23 their ratification but in a telephone conversation yesterday
24 with Mr. Winther he advised that those had been placed in
25 the mail from Fairbanks, Alaska, within the past two weeks.

1 It's Pelto's intent to offer any working
2 and royalty interest acquired to the working interest owners
3 in the unit who have voluntarily joined the unit at the time
4 of such acquisition.

5 Initial royalty owner contact was made by
6 letter dated December 22nd, 1986. Copies of all pertinent
7 agreements and documents were mailed certified to the royal-
8 ty owners on July 9th, 1987, and this mailing resulted in
9 commitments of slightly over 73 percent of the unit royalty
10 owners.

11 A subsequent mailing on August 11th,
12 1987, accounted for another 3+ percent and telephone con-
13 tacts were then made or attempted on the remaining unsigned
14 major royalty owners.

15 Q In your opinion have you made a good
16 faith effort to secure the voluntary unitization of the par-
17 ties in the pool being unitized?

18 A Yes.

19 Q Referring back to Exhibit Five and also
20 moving on to Exhibit Number Six, would you please discuss
21 what percentage of the working interest ownership has commit-
22 ted to the unit at this time?

23 A Yes. Exhibit Six is a summary of the
24 status of working interest owner commitments as of 9-4-87.
25 Excluding the interest of Winther but including the commit-

1 ments of Sun and Columbia, we now have commitments to appro-
2 ximately 87-1/2 percent of working interest ownership in the
3 unit.

4 Q And referring to Exhibit Numbers Five and
5 Seven, what percentage of the royalty interest ownership has
6 committed to the unit?

7 A Exhibit Seven is a summary of the status
8 of royalty owner commitment as of 9-4-87, and although not
9 reflected in Exhibits Five or Seven, we received
10 ratification yesterday by Mr. Frates Seeligson, F-R-A-T-E-S
11 S-E-L-L-I-G-S-O-N, which means that we now have 83.6 percent
12 of the royalty interest owners voluntarily committed to the
13 unit.

14 Copies of ratifications executed by
15 working and royalty interest owners are submitted as Exhibit
16 Number Eight.

17 In addition, the Commissioner of Public
18 Lands, which has 9.8 percent of the total unit royalty, has
19 preliminarily committed the State's royalty interest as
20 shown in Exhibit Number Nine, contingent upon OCD approval.

21 Q And that would bring you up to over 90 --

22 A That would bring the total up to over 93
23 percent.

24 Q Regarding nonconsenting working interest
25 owners, does Pelto Oil Company request that the order issued

1 in Case 9210 provide for carrying working interest owners?

2 A Yes. Pelto requests that any working
3 interest owner who does not pay his share of initial unit
4 (unclear) cost be carried with his share of costs being
5 payable out of production, together with a 200 percent
6 charge assessed as nonconsent penalty. We think this is
7 reasonable based on the high capital cost for unit and
8 waterflood.

9 Q With respect to the proposed waterflood,
10 would you please describe any unique problems and expenses
11 attributable thereto?

12 A Yes. There's an insufficient -- there's
13 insufficient water in quantity and in quality in the immedi-
14 ate area of the proposed unit within which to institute a
15 waterflood project. Realizing the critical nature of this
16 scarcity, Pelto acquired water rights in Lea County, approx-
17 imately 27 miles southeast of the unit. In addition, Pelto
18 acquired rights-of-way on which to build a pipeline from the
19 water source to the field. A plat showing the location of
20 the water source and the right-of-way to the field is sub-
21 mitted as Exhibit Number Ten.

22 The cost of acquiring the water rights
23 and the rights-of-way was approximately \$239,000.

24 While this will be discussed by our next
25 witness, Pelto Oil Company requests approval of this expen-

1 ditare as a unit expense. The water source, rights-of-way
2 and pipeline will be owned by the unit's working interest
3 owners in proportion to their unit participation.

4 Q Was notice of Case Numbers 9210 and 9211
5 given by certified mail to all interest owners in the
6 proposed unit area?

7 A Yes, it was. A notice consisting of a
8 cover letter with copies of the applications in Cases Number
9 9210 and 9211 attached was sent by certified mail to all
10 interest owners. Copies of the letter and copies of the
11 certified return receipts are submitted as Exhibit Number
12 Eleven.

13 We have not yet received several of these
14 certified return receipts but will submit them to the OGD
15 when we receive them.

16 Q In your opinion will the granting of the
17 unitization and waterflood applications be in the interest
18 of conservation, the prevention of waste, and the protection
19 of correlative rights?

20 A Yes.

21 Q Were Exhibits One through Eleven prepared
22 by you or under your direction or compiled from company re-
23 cords?

24 A They were.

25 MR. BRUCE: At this time, Mr.

1 Examiner, I move the admission of Exhibits One through
2 Eleven.

3 MR. STOGNER: Exhibits One
4 through Eleven will be admitted into evidence at this time.

5 MR. BRUCE: I have no further
6 questions of the witness at this time.

7

8

CROSS EXAMINATION

9

BY MR. STOGNER:

10

Q Mr. Murrell, is it Murrell?

11

A Murrell, uh-huh.

12

Q Mr. Murrell, as far as your certified

13

mailing, when was this done?

14

A Which -- which particular mailing do you

15

mean?

16

Q The one notifying of today's hearing.

17

A That was on August the 20th, I believe,

18

or August 19th, August 19th.

19

Q Now this is Exhibit Number Eleven, right?

20

A Right.

21

Q Okay, it's dated August 20th, right?

22

A Is it dated August 20th? Oh, yours went

23

out the 19th, mine went out the 20th, yes, I'm sorry.

24

Q Okay, now when you say his, which docu-

25

ment are you referring to?

1 A That's one that hasn't been admitted yet.

2 Q Oh, okay, it will be admitted later.

3 Okay.

4 Run this by me again. As far as the un-
5 committed royalty interest owners, when were they first not-
6 ified?

7 A On July the 9th.

8 Q Of this year?

9 A Of this year. Well, now, actually they
10 were first notified by letter on December 22nd of 1986.

11 Q Do you have that particular document or
12 what essentially was it or is that in a packet somewhere?

13 A It was jsut -- no, we did not send a
14 package to them at that time. It was a letter notifying
15 them of the status, that we were preparing to send them doc-
16 umentation on the unit. We had had a number of inquiries
17 about the nature of the royalty and what was happening, and
18 we felt it was best at that time to respond to the working
19 interest owners as a whole, advising them where we were
20 headed with the waterflood.

21 The actual documents, the unit agreement
22 and ratifications, were sent on July 9th of this year.

23 Q And how about your working interest own-
24 ers?

25 A Working interest owners, as I say, we had

1 some -- some preliminary early meetings with them during
2 1986; however, the official letter with all the documenta-
3 tion went to them on June the 9th, 1987.

4 Q Have you received any objections from any
5 of these parties?

6 A No, we've had no comments with respect to
7 objections to the operating agreement or the unit agreement.

8 We've had, as I said, a number of people
9 who have just expressed an interest in selling their inter-
10 est and, of course, we had the expression from Sun that they
11 weren't going to join the unit.

12 Q And as far as your royalty interest list
13 of the uncommitted royalty interest owners, have any of
14 those expressed an opposition to your unit agreement?

15 A Definitely not. We've had an overwhel-
16 ming response from the royalty owners.

17 Q Okay. Those that have not responded,
18 have you found that most of them can't be found or what is
19 --

20 A We can't find some of them. We've got
21 addresses; however, some of the certified receipts we've
22 gotten back or have not gotten back are for royalty owners
23 which we've tried to run down and in some cases haven't been
24 able to do that.

25 Q Okay. In your testimony you mentioned a

1 200 percent penalty to carry some of the uncommitted. Are
2 you talking about the uncommitted working interest owners?

3 A Just the working interest owners, cor-
4 rect.

5 Q Mr. Murrell, are you aware of any amend-
6 ment to the Statutory Unitization Act allowing for such a
7 penalty in New Mexico statutes?

8 MR. BRUCE: It's a --

9 MR. STOGNER: You ought to be
10 able to just point me to it.

11 MR. BRUCE: 70-7-7(s).

12 Q Are there any Federal acreage involved in
13 this unit?

14 A No, sir.

15 Q What percentage of it is state lands?

16 A State land is here somewhere.

17 Q Exhibit Number Seven?

18 A Exhibit Number Seven, I believe, yes, uh-
19 huh.

20 Q This is a preliminary approval?

21 A Yeah, that's percentage of the royalty
22 interest. I had the -- here it is. It's on Exhibit Number
23 Five, I believe, at the end. Nope, sorry.

24 believe, at the end. Nope, sorry.

25 Yeah, 640 acres is State; 4,223.82 acres

1 is fee; or approximately 13.16 percent State; and 86.84 per-
2 cent fee.

3 Q Another difficult question. Where is
4 that State acreage at?

5 A Section 36 of Township 8 South, Range 28
6 East. It will be Tracts 1 through 11.

7 MR. STOGNER: I have no further
8 questions of this witness.

9 Mr. Bruce, do you have any fur-
10 ther questions?

11 MR. BRUCE: Nothing further,
12 Mr. Examiner.

13 MR. STOGNER: At this time
14 we'll take a 10 minute break.

15

16 (Thereupon a recess was taken.)

17

18 MR. STOGNER: This hearing will
19 come to order.

20 Mr. Bruce.

21 MR. BRUCE: Just to be safe,
22 Mr. Examiner, I move the admission of Exhibits One through
23 Eleven.

24 MR. STOGNER: Exhibits One
25 through Eleven will be admitted into evidence.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ROBERT L. SPOTTSWOOD,

being called as witness and being duly sworn upon his oath,
testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. BRUCE:

Q Mr. Spottswood, would you please state
your full name and your city of residence?

A My name is Robert L. Spottswood and I
live in Houston, Texas.

Q And what is your occupation who is your
employer?

A I'm the Manager of Petroleum Engineering
for Pelto Oil Company.

Q And would you please state your
educational and work experience?

A I received a BS in petroleum engineering
from the University of Oklahoma in January, 1953; couple of
years in the United States Army Engineers; and I have 27
years with Shell Oil Company in various petroleum reservoir
engineering assignments in the United States and Holland,
including numerous waterfloods as Project Engineer and
Project Manager; then two years with Enstar Petroleum as
Corporate Manager of Petroleum Engineering; and 3 years with

1 my current employer, Pelto Oil Company, as the Manager of
2 Petroleum Engineering.

3 As part of my job I've been in charge of
4 the engineering matters related to the proposed Twin Lakes
5 Field unitization and waterflood.

6 I'm a Registered Professional Engineer in
7 the State of Texas, and I have appeared before the New
8 Mexico Oil Conservation Commission in 1964 as a witness.

9 MR. BRUCE: Mr. Examiner, are
10 the witness' credentials acceptable?

11 MR. STOGNER: They are.

12 Q Mr. Spottswood, after purchasing its wor-
13 king interest from Stevens Operating Corporation, did Pelto
14 Oil Company begin preparation of a waterflood and unitiza-
15 tion feasibility study and please I refer you to Exhibit
16 Number Twelve?

17 A Yes. We -- we started a waterflood unit-
18 ization feasibility study and it resulted in what's seen as
19 Exhibit Twelve.

20 This study was prepared by Pelto Oil Com-
21 pany personnel with assistance, technical assistance, from
22 consultants outside the company. It's taken about two and a
23 half years of study.

24 As already testified, we anticipated Pel-
25 to Oil Company to have greater than 70 percent of the wor-

1 king interest and most of any one of the other working in-
2 terest owners were very small. They lived anywhere from
3 Birmingham, Alabama, to Alaska; therefore, we went ahead on
4 a Pelto study without a technical committee, as such, but we
5 had technical sessions with working interest representatives
6 from Tenneco and Petrus, Harbert Energy Corporation, and
7 we've had technical discussion, comments on the telephone,
8 with Harlow Corporation, Columbia Gas, and Mr. Stroeker in
9 Alaska.

10 Q Would you please discuss the history of
11 the Twin Lakes Field, and I refer you to Exhibit Thirteen, I
12 believe.

13 A I might say that some of the exhibits,
14 Mr. Examiner, are in the engineering study and others have
15 been added to it.

16 This is -- Exhibit Number Thirteen is the
17 production history curves from the Twin Lakes Field from De-
18 cember, 1964, through April of 1986.

19 The Twin Lakes Field was discovered in
20 November, 1964, with O'Brien C. No. 2 in Section 1, Township
21 9 South, 28 East, in Chaves County, New Mexico. It flowed
22 20 barrels of oil a day, 21 degree API souf crude, from the
23 Permian San Andres formation.

24 Development on 40 acres began in 1967,
25 you'll notice the producing well count up at the top, and it

1 reached 15 producers by the end of 1977.

2 Rapid development occurred between 1978
3 and 1982 and then in November of 1981 the oil production
4 reached a peak at 86,000 barrels of oil per month, 60,000
5 MCF per month of gas, and 21,000 barrels of water per month
6 from 106 producers.

7 And then from that point on you can see
8 that the decline in oil production has set in. It's due
9 mainly to the depletion drive mechanism that's in this
10 reservoir with a very slight gascap expansion and some lim-
11 ited interstitial water production. For example, the aver-
12 age gas/oil ratio in 1979 was about 652 cubic feet a barrel
13 versus the 300 cubic feet a barrel of the solution ratio
14 estimate. This has been progressively increasing to 2037
15 cubic feet a barrel in 1986 and is currently around 2150.

16 The reservoir pressures we've seen from
17 an initial 915 psia in many parts of the field have dropped
18 down below 100 psia.

19 The cumulative oil production to April
20 the 1st, 1986, was about 4-million barrels of oil and 4.1
21 BCF of gas, 2-million barrels of water, with an estimated
22 plus or minus 1-million barrels of remaining movable primary
23 reserves.

24 Field production during March of 1986 was
25 down to 16,262 barrels of oil, 29.6-million cubic feet of

1 gas, and 25,167 barrels of water from 115 producers.

2 Cumulative production to date through May
3 of 1987 has been 4.1-million barrels of oil, 4.4 BCF of gas,
4 and 2.3-million barrels of water and the current May, 1987,
5 field production was 9,705 barrels of oil, 122,215 MMCF of
6 gas, and 21,716 barrels of water from 97 producers.

7 1983 Pelto Oil Company looking for pro-
8 ducing properties to buy, which had development potential,
9 made a field performance study which indicated low primary
10 oil recovery efficiency and potential additional oil recov-
11 ery through waterflooding.

12 We then acquired Stevens Oil Company in-
13 terest in the field in May, 1984, and we started our de-
14 tailed engineering waterflood feasibility study from which
15 we've concluded.

16 I'd like now to move to Exhibit Number
17 Fourteen, which is the main portion of the field, and I'll
18 come back later to describe which part of the field is the
19 main portion of the field. The proposed unit area in this
20 particular exhibit of production covers, or it has produced
21 about 98 percent of the field oil cumulative to April the
22 1st of 1986.

23 The -- some of the conclusions, again
24 this is a similar type of exhibit showing the production
25 from December of '64 to April the 1st, 1986, some of the

1 conclusions from our engineering study are as follows:

2 One, the Twin Lakes San Andres formation
3 can be successfully waterflooded.

4 Number two, the cumulative oil production
5 to April the 1st, 1986, was 3,819,000 barrels, or 7.4 per-
6 cent of the oil in place. Cumulative gas production to Ap-
7 ril the 1st, 1986, was 4 BCF of gas, and cumulative water
8 production to April the 1st, 1986, was approximately 1.7-
9 million barrels of water, which represents 31 percent water
10 in the total fluids.

11 Point number three, movable primary oil
12 reserves at April the 1st, 1986, down to an economic cutoff
13 of one barrel per day per well, was about a million barrels
14 of oil, or 1.9 percent of the oil in place. The economics
15 and methods of operation will dictate the amount of recover-
16 able primary oil, and I'll discuss this later.

17 Point number four, additional secondary
18 oil reserves in the range of 4.8-million barrels, with a
19 secondary primary ratio of one, down to about 2.893-million
20 barrels with a secondary primary ratio of 0.6, could be an-
21 ticipated from waterflooding, which brings the total pro-
22 posed unit recovery efficiencies, primary plus secondary, up
23 to 14.9 percent on the low side up to 18.6 of the original
24 oil in place as a potential high side.

25 Point number five, since April the 1st,

1 1986, the proposed unit has been operated at an overall
2 loss. Leases are being maintained for inclusion into a
3 waterflood unit and in the last three months of 1987 the
4 field in the proposed unit area is back to a marginal profit
5 position.

6 Point six, conclusion six, an adequate,
7 dependable and compatible source of water is required in or-
8 der to profitably waterflood the Twin Lakes Field and Pelto
9 has acquired this along with rights-of-way from the -- from
10 an Ogallala source 27 miles southeast of the Twin Lakes
11 Field.

12 Conclusion seven, total cost of the pro-
13 posed waterflood project is estimated to be \$8.3-million and
14 economics based on a constant \$15.00 per barrel of oil with
15 unescalated costs, show a reasonable profit.

16 Point number eight, unitization is the
17 most efficient and economical method of enhancing remaining
18 primary reserves and recovering secondary reserves in the
19 Twin Lake Field.

20 Conclusion nine, a single cost revenue
21 factor for unit participation should be based upon ultimate
22 primary oil recoveries for both working and royalty inter-
23 est.

24 And then the final conclusion ten, due to
25 the advanced stage of primary depletion and marginal econo-

1 mics of continued nonunitized primary operations, we res-
2 pectfully request the expeditious granting of our water-
3 flooding and unitization applications.

4 Q Mr. Spottswood, would you refer to
5 Exhibits Fifteen and Sixteen and discuss the interval which
6 Pelto Oil Company proposes to waterflood?

7 A Okay. Mr. Examiner, Exhibit Fifteen is
8 just a print of the log that we're also submitting into
9 evidence as Exhibit Sixteen, so it's a lot easier to look at
10 Exhibit Number Fifteen, but the log has been marked, also.

11 In looking at Exhibit Fifteen in the
12 proposed unitized interval on the duolateral log curve to
13 the left, oil is produced from two major zones in the field,
14 designated as P-1 and P-2 in the San Andres formation. Well
15 production performance, infill well data, and workover
16 experience support both the P-1 and P-2 zones are
17 contributing to production.

18 There is another zone, as you can see,
19 called the San Andres P-3, and it is not productive in the
20 field.

21 We have subdivided the P-1/P-2 interval
22 into five sub-zones, which reflect fluctuations in sea
23 level, and in examination of core samples and limited ditch
24 cuttings indicate rock types are in this field that have
25 been encountered in the tidal flat environment. These fine-

1 grained reservoir rocks of lower permeability consist of
2 porous dolomite, anhydritic dolomite, and dolomitic anhy-
3 drites.

4 Q Could you please discuss the geology of
5 the Twin Lakes San Andres area and I refer you to Exhibit
6 Seventeen?

7 A This Exhibit Number Seventeen is a struc-
8 ture map on the top of the P-1 zone.

9 One thing that I might point out, that
10 the contours here are above -- feet above sea level. As you
11 can see, the structural strike is essentially north to south
12 with an eastward dip at 60 to 200 feet per mile.

13 The east flank is relatively steep with
14 origins of steepening we're really not certain from where it
15 came.

16 The down dip limits of the field have not
17 been clearly established since a free water level has not
18 yet been encountered and I'll discuss the producability of
19 the down dip wells later.

20 There's been a minor structural closure
21 on the west side of 25 to 30 feet, where production data in-
22 dicates a small initial gas cap, probably less than 5 per-
23 cent of the hydrocarbon filled pore space within the unit is
24 found.

25 Q Are these zones, the P-1 and P-2 zones,

1 continuous across the proposed unit area, and I refer you to
2 Exhibits Eighteen and Nineteen.

3 A Right. Yes, they -- these sub-zones are
4 continuous across the -- across the proposed unit area.

5 Cross section A-A' is a dip cross section
6 from east to west. It shows the sub-zone continuities and I
7 might add that there have been four infill wells drilled in
8 the field and they have shown drainage which indicates con-
9 tinuity between zones.

10 Exhibit Number Nineteen also shows sub-
11 zone continuities and it's a strike cross section from north
12 to the south.

13 Q Would you also please discuss Exhibit
14 Number Twenty?

15 A Exhibit Number Twenty is a regional sche-
16 matic north/northwest to south/southeast cross section,
17 where the line of section is at right angle to the facies
18 strike. The facies strike in the northeast to southwest di-
19 rection is inferred in order to explain the oil trapping
20 mechanism, so you can look up to the northwest there, of the
21 field, seals are formed by dense anhydritic dolomite and an-
22 hydrites. To the southeast these rocks grade into very fine-
23 grained secrosic (sic) dolomites of increasing reservoir
24 qualities. This overall trend is systematic and predictable

25

1 on a regional scale; however, local nonsystematic variations
2 on the field development scale are to be anticipated and we
3 have encountered these in the Twin Lakes Field, and that is
4 some down dip decrease in permeability.

5 Q Would you please refer to Exhibit Twenty-
6 one and discuss the log coverage of the wells in the field?

7 A Exhibit Twenty-one is a plat which shows
8 log and core coverage. 126, or 75 percent of the 169 wells
9 drilled in the field have a resistivity and a porosity log.
10 28 other wells have only cased hole porosity logs available.
11 15 wells have no log data or only an uncalibrated cased
12 hole neutron log. Most of the 43 wells with poor log cover-
13 age are located on the west side of the field, and you can
14 see that in -- in the triangles and also the rectangles.

15 There are scattered places throughout the
16 rest of the field where only cased hole log data are avail-
17 able. I might add at this point, this is the main reason
18 for excluding oil in place as a unitized parameter because
19 of the poor log coverage.

20 As can be seen, six wells were cored with
21 varying amounts of data available on five wells and we ran
22 special analysis on cores from two wells, the Citco State 7
23 and the O'Brien L-16. Waterflood susceptibility tests indi-
24 cate that significant amounts of oil can be removed from
25 these rocks by water injection.

1 I might add that in our engineering re-
2 port, pages 4 through 6, the net pay criteria is fully dis-
3 cussed.

4 Q Does the proposed unit area include the
5 entire Twin Lakes Pool?

6 A The proposed unit area does not include
7 the entire Twin Lakes Pool.

8 Q Would you please refer to Exhibit Number
9 Twenty-two and discuss the reasons for that?

10 A Exhibit Number Twenty-two shows the dis-
11 tribution by well of the 4-million barrels of cumulative oil
12 produced to 4-1-86, and you'll notice the circles and the
13 numbers beside represent the cumulative amount of oil that's
14 been produced.

15 As you can see, there's a wide variation
16 in oil cumulatives, which reflect time of drilling, reser-
17 voir quality, influence of the gas cap. Note the poor oil
18 recoveries around the periphery and in the northern portion
19 of the field. The unit outline was selected to encompass
20 what we believe is the economically floodable portion of the
21 field. We drew around 40 -- the unit was drawn around 40-
22 acre locations with a producer, around recommended and prob-
23 able undrilled locations, and around some open, undrilled
24 spots to protect the unit. Look up to the northern boundary
25 there. It follows a break in well performance in Sections

1 25 and 30. The last row of good oil producers are included
2 in the unit. The next row of wells to the north have much
3 lower oil cumulatives. For example, about 4700 barrels per
4 well on the first row right outside the unit to the north
5 versus 28,500 barrels per -- of oil per well on the first
6 row to the north in the unit.

7 We think that the poor recovery reflects
8 lower rock permeabilities; that is, a lower pay quality.
9 For example, the recoveries translated in the wells to the
10 north of the unit, first line to the north, recovered about
11 6 to 8 stock tank barrels per net acre foot, and the last
12 row of wells in the unit recovered about 37 stock tank bar-
13 rels per net acre foot.

14 The overall average primary oil recovery
15 in the north, in the area north of the unit is estimated to
16 be 162 barrels per acre versus 991 barrels per acre within
17 the proposed unit, or these wells have averaged about 6000
18 barrels per well recovered versus 33,000 barrels per well
19 recovered in the main area and the recovery efficiency in
20 the north has been about 1.8 percent of the oil in place
21 versus about 9.3 percent of the oil in place in the south.

22 The recovery of oil in the north repre-
23 sents only 4 percent of the field ultimate primary recovery.

24 Also you'll notice -- or another point is
25 that the producing water cuts from the north area have been

1 very high. They've averaged 55 percent water initially and
2 67 percent water cut cumulative to April the 1st, 1986, ver-
3 sus the main portion of the field cumulative average water
4 cut to date, through April of '86, was 31 percent water cut.

5 Another point on the -- that helped --
6 that we looked at to decide about including the north area
7 or excluding it, you'll note that the drill locations in the
8 north make it difficult to install an efficient waterflood
9 pattern without excessive drilling. The estimated capital
10 cost per additional barrel recovered in the north is about
11 five times that that we expect in the south.

12 All of these facts led us to the conclu-
13 sion that there is too high of a risk associated with water-
14 flooding the north area of the Twin Lakes Field.

15 Q Would you please move on to Exhibit Twen-
16 ty-three and discuss the permeability?

17 A Exhibit Twenty-three is a net pay Isopach
18 map of the proposed unit area. As previously stated, well
19 production performance, infill well data, and workover
20 experience support that both P-1 and P-2 zones pay plus
21 probable categories are contributing to oil production.
22 Since our analysis of the north end indicated that water-
23 flooding would be highly risky and uneconomic, we did not
24 include a net pay Isopach on this map.

25 Note on -- in the main kpart of the field

1 a lack of pay data in the northwest portion of the main
2 field area, which we've already discussed the lack of log
3 data on Exhibit Number Twenty-one. As can be seen, there
4 are wide variations between a well's ultimate oil recovery
5 and net pay as defined by logs. This isn't surprising since
6 these kinds of rocks can have wide ranges of permeability
7 for a particular porosity as indicated on the log. This is
8 particularly true in the north end, also.

9 The edge areas of porosity pinchouts and
10 low rock permeabilities are mainly defined by poor well per-
11 formance as previously discussed under cumulative oil pro-
12 duction, Exhibit Number Twenty-two.

13 We -- we made an original oil in place
14 calculation and came up with about 51.5-million barrels in
15 place and the techniques to do this is described in our
16 feasibility study on page six for determining pay, porosity,
17 water saturation, in calibrated cased hole logs and assuming
18 values for wells without logs and in uncalibrated cased
19 holes.

20 Under these assumptions oil in place de-
21 terminations are not accurate enough for tract unitization
22 parameter considerations.

23 Q Would you please refer now to Exhibit
24 Twenty-four and discuss how primary reserves in the unit
25 were calculated?

1 A Exhibit Twenty-four illustrates how each
2 tract's remaining primary oil reserves were consistently ex-
3 trapolated. As you can see, this is a combination of hyper-
4 bolic and exponential declines.

5 The hyperbolic best fits the early de-
6 cline, then an exponential decline of 11 percent per year,
7 which was exhibited by the older wells in the Twin Lakes
8 Field, was used for the remainder of tracts producing life.
9 A history cutoff date of April the 1st, 1986, was used in
10 order to reflect the somewhat stable economics prior to
11 rapid drop in and gas prices in April, 1986.

12 For example, in 1985 the field oil price
13 varied between \$24.50 and \$25.00 per barrel.

14 In January, 1986, it dropped to \$25.33;
15 February, \$23.13 a barrel; March, \$15.91 a barrel; and in
16 April it further dropped to \$11.98 a barrel; and this drop-
17 ped right on down to a low point in August of 1986 of \$8.88
18 per barrel. In other words, oil prices dropped a maximum of
19 \$16.50 in 1986 and some 26 producers were shutin to reduce
20 operating losses. It went from 95 producers in 1985 on down
21 to a low of about 69 in December of 1985.

22 A tract cutoff limit of one barrel of oil
23 per day per well was assumed as a measure of ultimate mov-
24 able primary oil which would reflect economics prior to the
25 rapid drop in oil and gas prices in April, 1986.

1 The actual economic limit is probably
2 closer to 4 barrels per day at a current December, 1986,
3 price, and I'll discuss these two economics limits a little
4 more fully later.

5 Q In your opinion has the pool been
6 adequately defined by development?

7 A Yes.

8 Q And is the pool in an advanced state of
9 depletion insofar as primary production is concerned?

10 A Yes.

11 Q As part of the feasibility study were
12 primary and secondary reserves calculated?

13 A They were.

14 Q Please refer to Exhibits Twenty-five and
15 Twenty-six and discuss those calculations.

16 A Exhibit Twenty-five shows the proposed
17 unit area primary oil production history and forecast using
18 one barrel of oil per day per well cutoff. From the sum of
19 individual tract curves remaining primary moveable oil
20 reserves are about a million barrels for a total primary
21 ultimate of 4.8-million barrels, or 9.4 percent of the
22 original oil in place.

23 Note the exponential decline from 1987 to
24 2001, where then there's a rapid falloff in the number of
25 producers.

1 And Exhibit Number Twenty-six shows the
2 proposed unit area primary oil production history and fore-
3 cast using 4 barrels per day per well cutoff. Also from the
4 sum of individual tract curves, remaining primary oil
5 reserves are only 391,000 barrels, which gives a total pri-
6 mary ultimate of 4.2-million barrels or 8.2 percent of the
7 original oil in place. Note the very rapid falloff in oil
8 production, the number of wells, and then the shorter life
9 compared to one barrel per day per cutoff.

10 Later we'll present comparative economics
11 of continued primary operations at \$15.00 per barrel of oil
12 versus waterflooding, which will show about 300,000 barrels
13 remaining primary reserves under an economic forecast.

14 However, as we've pointed out, the
15 proposed unit has been operated at an overall loss since
16 April the 1st, 1986, except for the last three months of
17 1987, in order to preserve leases for inclusion into the
18 waterflood unit.

19 I'd like to move right on in and discuss
20 the secondary performance now. The ratio of secondary re-
21 covery to primary ultimate is an industry-accepted method of
22 estimating waterflood recoveries from comparable reservoirs.
23 We made a review of analog San Andres fields under a water-
24 flood for comparison.

25 Three San Andres fields, Chaveroo, Flying

1 M, and Milne Sand, having the same depositional environment,
2 ranges of net pay, porosity and permeability and oil gravity
3 as Twin Lakes, were selected as analogs. The estimation of
4 secondary to primary ratios of these analog fields varied
5 from 0.6 to 1.4 with the low end reflecting inefficient
6 injection patterns and rates.

7 From this review a range of secondary to
8 primary ultimate recovery ratios of 0.6 to 1.0 appear
9 reasonable for the Twin Lakes Field.

10 Q With a waterflood project instituted,
11 what does Pelto Oil Company forecast for unit production,
12 and I refer you to Exhibit Twenty-Seven?

13 A Exhibit Twenty-seven shows the history
14 and three forecasts of the unit oil production. You can see
15 the drop in production there in '87 reflects the conversion
16 of producers to injectors.

17 We anticipate about one year injection
18 until the reservoir is filled up.

19 The high recovery case, secondary to
20 primary ratio equal to one, portrays an assumed peak oil
21 production of 48,400 barrels per month or about 1600 barrels
22 of oil a day, to be reached by 1991, assuming water
23 injection began in July, 1987. Now we're experiencing a six
24 or eight month delay in starting injection from these
25 forecasts.

1 This peak is only 60 percent of the
2 primary peak of 2,672 barrels of oil per day, which was
3 reached in 1981, and is only 8 percent of the anticipated
4 unit water injection rate.

5 The low recovery curve, secondary to
6 primary 0.6, has a peak of 33,400 barrels per month, or 1100
7 barrels of oil a day also reached in 1991, and is 41 percent
8 of the primary production peak and 5 percent of the
9 anticipated water injection rate.

10 These peak oil rates are somewhat higher
11 than those observed in the analog fields of Milne Sand,
12 Chaveroo, and Flying-N, due to our planning and immediate
13 full scale injection rates in primarily closed 5-spot
14 patterns in the Twin Lakes Field. Note we're looking at 20
15 to 22 year waterflood life.

16 Now the bottom curve called remaining
17 primary movable oil reflects a 1-barrel per day per well
18 cutoff and the 4-barrel per day per well cutoff not shown;
19 forecast ends in 1994.

20 Q Would you please refer to Exhibit Twenty-
21 eight and discuss the waterflood pattern for the field?

22 A Consistent with analog field
23 performances, 80-acre 5-spot patterns were selected to
24 provide maximum sweep efficiencies with designed oil
25 production and injection capacities at minimal cost. This

1 pattern also provides the flexibility for selective 20-acre
2 infilling or converting to normal 9-spots of flood perfor-
3 mance, as that might dictate.

4 You'll note the northeast to southwest
5 injection pattern parallel what we think are natural forma-
6 tion fracture trends which might exist. You'll see four in-
7 fill wells there with the large circles that have already
8 been drilled and we believe that they will give us addition-
9 al data on directional response if any is noted.

10 Poor producers, eccentric drilling pat-
11 terns, and a need to inject into the original gas cap on the
12 west, prevent oil migration, results in irregular patterns
13 on the west and the southwest sides.

14 You'll notice also we've labeled with
15 stars there three injectors are proposed to be drilled to
16 complete four important 5-spots on the northeastern and eas-
17 tern edge of the proposed unit.

18 We also show four edge wells are shown as
19 shut-in producers for future utility or alternate producers
20 or injectors as the need arises.

21 Up to the north just outside of the unit
22 there are two wells that we show as potential injectors and
23 we are currently negotiating for these two wells with offset
24 operators.

25 Q Does Pelto Oil Company request that the

1 order in this matter contain and administrative procedure
2 for approving unorthodox well locations and for changing
3 producing wells to injection wells?

4 A Yes. As a waterflood program continues
5 it may be necessary to convert producing wells to injection
6 wells or to drill additional injection or producing wells
7 and we request that an administrative procedure be estab-
8 lished in the order by which a well can be converted to an
9 injection well or a producer or an injector could be drilled
10 by applying to the OCD for administrative approval, provid-
11 ing that OCD rules are complied with.

12 Also it may be necessary to drill addi-
13 tional injection or producing wells at unorthodox locations
14 and Pelto Oil Company requests that such unorthodox loca-
15 tions be approved administratively.

16 Proposed special pool rules for these re-
17 quests are submitted as Exhibit Number Twenty-nine.

18 Q Please look now at Exhibit Thirty and
19 discuss the production system for the unit.

20 A Exhibit Number Thirty shows a production
21 system which will all be new. It has been designed by West
22 Texas Consultants under Pelto's direction. You'll see
23 there's a central facility which will have free water knock-
24 out, heater-treating, fiberglass oil storage tanks, skim
25 tank, and a lease automatic (not understood) transfer.

1 There'll be main gathering lines for oil plus water and a
2 low pressure fiberglass -- which are low pressure fiber-
3 glass, and a separate gas gathering line. There are five
4 satellites for the 58 producers which each producer will
5 have a 3-inch polyethylene flow line on the surface and at
6 each satellite we'll have individual -- ability to make in-
7 dividual well tests for oil, gas, and water, and then we
8 will allocate monthly production back to each well.

9 The electrical distribution system will
10 be completely rebuilt in the field.

11 Q Please now move on to Exhibit Number
12 Thirty-one and discuss the proposed injection system?

13 A This injection system was designed by
14 West Texas Consultants under Pelto's direction. The water
15 supply line is coming in there from the southeast. It's
16 from the Ogallala formation wells 27 miles to the southeast.
17 We will also have the ability to inject produced water and
18 we will keep the produced water and the Ogallala water sep-
19 arate at the surface.

20 I might say that currently the produced
21 water is being disposed of into the White Lake Ranch Dry Bed
22 Water Disposal System.

23 Also there are central facilities which
24 will include a storage tank, four vertical turbine pumps
25 that have the ability to deliver up to 22,000 barrels of

1 water a day.

2 Initially we -- we're -- we plan to limit
3 the surface pressure to 540 psig, which is .2 psi per foot
4 and then we have the equipment to be able to go up to a max-
5 imum of 1200 psig after step rate tests are approved by the
6 State.

7 There are five satellites and one central
8 injection point. We'll record volumes and pressures
9 measured on each well. We'll have 1-1/2 inch buried fiber-
10 glass injection lines with 1500 pound capacity to each in-
11 jector and as you can see, or as we've said, we will be con-
12 verting 55 injectors to producers -- 55 producers converted
13 to injectors and we plan to drill 3 injectors, for a total
14 of 58 injection wells. Again the two wells up to the north
15 are not shown. They would be tied in in the system if we're
16 able to negotiated with the offset operators like we think
17 we will be.

18 The injector will have a stainless steel
19 wellhead. We'll have 2-3/8ths inch fiberglass lined tubing
20 and I'll get into this plus the packer in a couple of sche-
21 matics of injection wells. We'll set the packers within 75
22 feet of the top perms. We will put inhibited, treated water
23 in the annulus and that then is our proposed injection sys-
24 tem.

25 Q What are the capital requirements for

1 unitization, and installation of the water -- of the water-
2 flood project?

3 A I'd like to refer you to Exhibit Number
4 32 and just point out a few things in it.

5 The total cost of the proposed waterflood
6 project is estimated to be \$8.3-million, which consists of
7 \$1.1-million pre-unitization expense; \$6.2-million initial
8 installation capital, and \$1-million future capital to in-
9 stall larger pumping units during the anticipated peak well
10 responses.

11 The pre-unitization expenses you can see
12 on this is the summation of the cost incurred and prepared
13 for by Pelto prior to unitization for activities uniquely
14 required to evaluate the floodability of the San Andres re-
15 servoir; to acquire water rights and the rights-of-way for
16 water source pipeline; to design the waterflood and facili-
17 ties, and to determine the cost to install the waterflood.

18 As you will see under the consultant and
19 legal fees, source water acquisition of \$80,000; acquiring
20 the water rights and surface leases, \$21,000, and then on
21 down, \$4000 for surveying for facilities and water source
22 system.

23 And then under point number 2, the acqui-
24 sition of source water some \$134,000, already mentioned by
25 Mr. Murrell that we've spent \$239,000 on the water source

1 system.

2 The bottom of this first page of this ex-
3 hibit shows the subtotal of pre-unitization expense of
4 \$1,100,000.

5 The next page of Exhibit Thirty-two shows
6 a breakdown of the costs were \$3.5-million for the water-
7 flood installation facilities, \$1.5-million for the water
8 supply system, \$900,000 to convert 55 wells to injection,
9 \$300,000 to drill 3 injectors, for a grand total of initial
10 capital of \$7,300,000, and then when you add the \$1,000,000
11 for anticipated future enlarged pumping units, brings the
12 grand total proposed waterflood costs to \$8,300,000.

13 Q Referring to Exhibit Number Thirty-three
14 and based upon the expenditures you just mentioned, would
15 you please discuss the economics of the waterflood and the
16 anticipated profit for the project?

17 A Exhibit Number Thirty-three which shows
18 unescalated \$15.00 per barrel and \$1.50 per MCF economics,
19 which is also shown in the feasibility studies. This --
20 these analyses exclude Federal income tax and administrative
21 overheads.

22 The continued primary operation column
23 that you see there shows an operating profit to 4 barrels of
24 oil per day per well; however, during the last months, as
25 we've mentioned, of 1986 and the first part of 1987, the

1 overall unit area was operated at a loss in order to pre-
2 serve leaseholds for inclusion in the unit. With the oil
3 price dropping from \$25.00 per barrel late in '85 to \$12.00
4 per barrel in April and then on down to a low of \$8.88 in
5 August, the -- we believe that a \$15.00 per barrel repre-
6 sents a reasonable economic forecast.

7 So the investment of \$8,300,000, we see a
8 gain over continued primary and you just subtract those
9 three columns up there of 4,415,000 barrels in the secon-
10 dary/primary of one increased over primary or under secon-
11 dary/primary of .6, 3,486,000 barrels gain over primary.

12 The gas also gained some 1.280 BCF under
13 secondary/primary of one to 1.174 gain in BCF over primary
14 under assumed secondary/primary ratio of .6.

15 The undiscounted profit over and above
16 primary is some \$36.7-million under the secondary/primary
17 case of one and \$17.7-million under the secondary/primary
18 case of 0.6.

19 If you discount the profit at 10 percent,
20 the discounted profit is about 12.2-million over primary un-
21 der the high case and \$3.6-million under the secondary/pri-
22 mary of .6.

23 Q In your opinion will waterflood opera-
24 tions in this portion of the pool prevent waste and will it
25 result with reasonable probability in the increased recovery

1 of substantially more oil from the pool than would otherwise
2 be recovered?

3 A Yes.

4 Q And will the estimated additional costs
5 of conducting unitized waterflood operations exceed the
6 estimated value of additional oil to be recovered plus a
7 reasonable profit?

8 A No.

9 Q On what basis are the unitization
10 parameters calculated, and I refer you to Exhibits Thirty-
11 five and Thirty-six?

12 A Let's see, is it Thirty-five or is it
13 Thirty-four?

14 Q Thirty-four and Thirty-five.

15 A Yeah, Thirty-four. Okay, let's look at
16 Exhibit Thirty-four first.

17 Exhibit Number Thirty-four is similar to
18 what was -- is in the engineering report except we've split
19 it into -- Tract 10 into Tract 10 and 10-A, and everything
20 is identical.

21 It shows the 37 individual tracts in the
22 proposed unit that we've already introduced as Exhibit
23 Number Two.

24 The working interest, royalty interest,
25 and overriding royalty interest data were gathered from

1 Division orders or, as already testified to. All the
2 production numbers on this particular exhibit are from New
3 Mexico's Annual Production and/or C-115 reports.

4 As previously stated, a forecast date of
5 April the 1st, 1986, was assumed in order to minimize
6 efforts of the early 1986 rapid drop in oil and gas prices
7 on current production, revenue, and estimated future
8 reserves. Net pay and oil in place values were not
9 determined by tract due to insufficient open hole log
10 coverage and the lack of consistent correlation between well
11 performance and net pay.

12 Look at the column called Acres. The use
13 of acres in determining unit participation is not
14 appropriate since the proposed unit is essentially fully
15 developed with only a few undrilled locations.

16 The next column of oil production from
17 January of '86 to April of '86 and April of '85 to April of
18 '86 and the oil and -- current oil and gas revenue period of
19 January, February, March, 1986, were listed to show current
20 information for possible split formula considerations;
21 however, since April the 1st, 1986, the proposed unit has
22 been operated as an overall loss, as we've said, therefore
23 the remaining primary oil reserves, we believe, have little
24 to no current value except to maintain leases for inclusion
25 into a waterflood unit.

1 Of course, the current production affects
2 the extrapolation used to determine remaining movable prim-
3 ary oil reserves. These reserves, when added to the cumula-
4 tive production, give ultimate primary oil recovery for each
5 tract, which is the best measure of anticipated oil recovery
6 under waterflood operation.

7 The uniform decline extrapolation of oil
8 production to a cutoff of one barrel of oil per day per well
9 better measures the remaining primary oil volumes that will
10 be recovered along with the secondary -- additional second-
11 ary oil from waterflooding. This cutoff also reflects eco-
12 nomics, with escalations, prior to the rapid drop in oil and
13 gas prices in April, 1986.

14 The last column over there, the primary
15 recoveries from extrapolation to 4 barrels of oil per day
16 per well was used for economics of remaining primary opera-
17 tions at current low oil and gas prices and it's shown here
18 for comparison only.

19 The most equitable formula for deter-
20 mining working and royalty interest unit participation is a
21 single cost/revenue factor based upon ultimate movable pri-
22 mary oil recoveries with a one barrel per day per well cut-
23 off and these or this is the basis for participation which
24 have been shown in the unit agreements.

25 Moving right on to Exhibit Number Thirty-

1 five, this particular table has been changed somewhat from
2 the engineering study because -- in order to reflect Pelto
3 acquiring Petrus and some other minor working interest chan-
4 ges.

5 The first page of this exhibit shows each
6 working interest owner's unit cost participation fraction
7 for the parameters previously discussed and then pages 2, 3,
8 and 4 show each one of the working interest owners by -- by
9 tracts that they have interest in.

10 Q Does the participation formula contained
11 in the unitization agreement allocate the produced and saved
12 unitized oil to the separately owned tracts in the unit area
13 in a fair, reasonable and equitable basis?

14 A Yes.

15 Q Will unitization and secondary recovery
16 benefit the working interest owners and royalty interest
17 owners within the portion of the pool included in the unit
18 area?

19 A Yes, the royalty interest owners will re-
20 cover additional revenues and the working interest owners
21 will recover profits beyond that of continued primary pro-
22 duction.

23 Q Would you please now describe the pro-
24 posed waterflood application which is Case Number 9211?

25 A We -- we have -- Mr. Examiner, we have

1 already submitted our C-108 application and I propose just
2 to emphasize some main points of that application, if that's
3 all right.

4 MR. STOGNER: Please do.

5 A Exhibit Number Thirty-six is a table
6 along with a map, which shows the old and new designated
7 well numbers.

8 Q Would you please move on to Exhibit Thir-
9 ty-seven?

10 A Right. Exhibit Thirty-seven, which was
11 part of the C-108 application is a table of proposed injec-
12 tion wells. It shows 58 proposed injectors, that is 55 pro-
13 ducers to be converted to injectors, plus three newly drill-
14 led injectors. All the new well numbers are shown, the well
15 location, the type, the date the well was drilled, its total
16 depth and plugged back total depth data, hole and casing
17 sizes and weights, the casing depths and number of sacks ce-
18 mented, the tops of cement, the proposed injection inter-
19 vals, the proposed tubing packer depths, and -- are -- are
20 shown on this Exhibit Thirty-seven.

21 On Exhibit Thirty-eight I've selected
22 just a couple. We submitted some 58 wellbore sketches as
23 part of the application. I want to just take a couple of
24 them and talk about the.

25 Exhibit Number Thirty-eight is called a

1 Proposed Injector at the top, Twin Lakes San Andres Unit No.
2 9, former lease and well number, O'Brien P No. 3. It's a
3 typical producer to be converted to injector.

4 Notice on the right side are current con-
5 ditions and then on the left side proposed conditions after
6 the well has been converted.

7 You can see at the bottom cement data,
8 where the perforations are, the cement top, casing informa-
9 tion.

10 On the left side you'll notice the top of
11 the P-1 at 2527 and the base of P-2 at 2586. We propose to
12 perforate most of the P-1/P-2, the entire interval, but
13 selectively those zones -- those portions of that interval
14 that we believe contain movable oil. As you'll see on the
15 left side there, we're planning to put 2-3/8ths inch OD
16 fiberglass-lined tubing with a plastic-coated Baker Model AD
17 packer at 2452 and this is some 75 feet above the top per-
18 foration.

19 If you'll turn to Exhibit Number Thirty-
20 nine, it is a typical injector of the three that we're going
21 to drill, and it's not yet surveyed and we've talked about
22 the location flexibility in our application; these depths
23 are estimated. Note that we're going to set 5-1/2 inch cas-
24 ing here and cement with 800 sacks. Again on the left side,
25 we're going to selectively perforate and acid treat the P-

1 1/P-2 interval and then the packer seat with the tubing some
2 75 feet above the top perf.

3 Q And do you request approval of all these
4 proposed injection wells?

5 A Yes, uh-huh, please, please do that.

6 Q Would you please discuss all wells and
7 leases within one-half mile of the proposed injection wells
8 and I refer you to Exhibit Number Forty?

9 A Exhibit Number Forty is a map which shows
10 two miles around the field and a half mile radius of the in-
11 jectors and of course it was submitted with our C-108 appli-
12 cation.

13 Exhibit Number Forty-one, then, is a list
14 of affset wells. There are some 58 producers and 4 shut-in
15 future utility wells in the unit, showing old and new well
16 numbers, the date drilled, the TD and plugback depth, all
17 the pertinent information that's required, with some re-
18 marks.

19 There are also included on this table
20 some 20 wells within or without the unit to -- some of them
21 are to be plugged, some have been plugged, and we have 12
22 wellbore skectches which were also submitted with this exhi-
23 bit as part of our original application.

24 We have included a couple of other wells
25 that we didn't in our original application and that's the

1 Sandco No. 2 Well and the Harlow Kuchemann No. 2. Those
2 wells were not really required under offset guidelines, but
3 for completeness we've included it in this table and these
4 are the two wells that we're negotiating with the operators
5 to take over and make injectors and if successful, we want
6 administrative approval to convert these two wells to injec-
7 tion.

8 We believe that all this information
9 shows that wells have been properly abandoned and we have
10 also three wells that we've been in discussion with the
11 State people in Artesia about properly abandoning, O'Brien F
12 No. 3, O'Brien N No. 4, both wells outside the unit, and
13 O'Brien L-14, currently within the unit and it's temporarily
14 abandoned. It has no utility, it's very tight and never
15 produced any -- any oil.

16 So in conclusion of these outside the
17 unit wells, we believe that -- that others have been proper-
18 ly plugged and abandoned.

19 Q Would you please discuss injection rates
20 and other matters regarding the proposed waterflood opera-
21 tions?

22 A As we have stated in our original appli-
23 cation, we expect to start injecting rate at about 11,600
24 barrels of water a day, building right on up to a maximum of
25 21,800 barrels of water per day, which I might add is the

1 limits of our water rights, of our fresh water rights, or
2 Ogallala water rights, and then we believe that over the
3 life of the field it will average something like we'll be
4 putting in 18,200 barrels of water a day.

5 We anticipate injecting some 145-million
6 barrels of water over the plus or minus 22-year of the pro-
7 ject life, which averages that 18,200 barrels per day. This
8 was determined by taking 75 percent flood efficiency and
9 putting in three floodable pore volumes of water over the
10 life.

11 The injection system as we've already
12 mentioned, will be a closed system. The Ogallala and pro-
13 duced waters to be injected will be kept separate on the
14 surface.

15 On the injection pressure side we will
16 limit ourselves to 540 psig or 0.2 psi per foot limit until
17 we see that we could exceed that by a step rate test and
18 receive approval from the State to go up to a maximum of
19 1200 psi, which is our equipment limitation.

20 The water source, as we've said, is Ogal-
21 lala water and it will be produced water as the waterflood
22 matures.

23 The Ogallala is the closest acceptable
24 water source that has a sustained -- can sustain volumes in
25 the rates that we need. We have an appropriation of 1030

1 acre feet per year, which is about 21,892 barrels per day
2 and we have received from the State Engineer rights to ap-
3 propriate this and the State Land Office has granted us
4 right of easement for this remote water, water source.

5 We, as stated in our C-108 application,
6 we plan to selectively clean out, perforate, and acidize in-
7 jectors where needed, and as producers respond, they will
8 also be selectively stimulated as -- as needed.

9 Q Are there any fresh water sources in this
10 area, and I refer you wot Exhibits Forty-two and Forty-
11 three?

12 A No, there are no known fresh water aqui-
13 fers, that is, the total dissolved solids less than 10,000
14 milligrams per liter, in the immediate vicinity of the Twin
15 Lakes Field.

16 I'd like to refer you to Exhibit Number
17 Forty-two. This is an analysis to determine the compatibi-
18 lities of Dakota and Santa Rosa waters with San Andres pro-
19 duced water.

20 The first page there is the Dakota forma-
21 tion water, located in Section 35 on the west side of the
22 main part of the field. As you'll see, it has a high total
23 solids of 24,970 parts per million, which is certainly not a
24 fresh water aquifer.

25 I might add here that the Martin Labora-

1 tories, who've done a lot of work for us and do a lot of
2 other work in compatibilities, recommend not injecting this
3 water into the San Andres or mixing it on the surface due to
4 calcium sulfate precipitation and scaling problems.

5 Other formation water analysis in this
6 exhibit from the Santa Rosa formation water in Well No. 1,
7 which is in the east half of Section 35, Well No. 2, which
8 is in Section 26, both of these are on the west side of the
9 field around 900 feet, or so, and you'll see from the Santa
10 Rosa analysis both contain high solids, 12,000 to 22,000
11 parts per million, which are certainly not fresh water aqui-
12 fers.

13 The Martin Lab concludes that the Santa
14 Rosa water could be injected into the San Andres; however,
15 these samples may have had too much iron and solids due to
16 wells not cleaned up.

17 And then there's a final analysis of the
18 San Andres water, which was from the White Lakes Ranch
19 disposal system, and you'll see there it's very high total
20 solids of 223-to-240,000 parts per million.

21 Exhibit Forty-three is another water
22 analysis exhibit from three water wells in the Twin Lakes
23 Field from 500-to-630 foot depth. Notice here again the
24 high solids content from 12,500 to about 13,500 parts per
25 million; certainly not fresh water.

1 The laboratory concludes here there's no
2 incompatibility injecting Santa Rosa waters in the San
3 Andres and I might add that we use Santa Rosa waters in our
4 two injectivity tests but we believe that's somewhat of a
5 limited reservoir and it cannot sustain the volumes and
6 rates that -- that we need.

7 Q Would you please discuss the source of
8 the Ogallala injection water and its compatibility with
9 water in the San Andres formation?

10 A I'd like to refer you to Exhibit Forty-
11 four, which is a Martin Laboratory's water compatibility
12 analysis of the Ogallala and the San Andres.

13 In July, 1986, we had Martin Laboratories
14 in Monahan, Texas, mix Ogallala water with San Andres pro-
15 duced water from the Twin Lakes Field in varying percent-
16 ages, to determine compatibility and their findings are, on-
17 ly one condition results in incompatibility. That is, oxy-
18 gen in the Ogallala water and hydrogen sulfide in the pro-
19 duced water results in the precipitation of elemental sul-
20 phur, possible wellbore plugging, question mark, and severe
21 aggravation of corrosion.

22 The remedy of that, of course, would
23 either remove oxygen from the Ogallala water, which we be-
24 lieve would be very costly, or to keep the water separate at
25 the surface, which is our plan in the Twin Lakes Field.

1 Their second finding, they discussed the
2 possibility of formation plugging and conclude, and we agree
3 with them, the deposition of elemental sulphur in formation
4 -- in the formation would be so widespread that if there
5 were any plugging it would be infinitesimally small and in
6 their experiences with waterflood where oxygen-bearing water
7 is injected into a sulfide-bearing formation, they have
8 never been aware of any conclusive evidence that detectable
9 plugging occurs, nor have they seen any differences in in-
10 jection rates on the same project between waters with and
11 without oxygen.

12 Q What project allowable does Pelto Oil
13 Company request for this unit?

14 A In accordance with OCD Rule 701(F)(3), we
15 request that each producing well be granted an allowable
16 equal to its productive capacity.

17 Q Were all surface owners and offset opera-
18 tors or lease owners notified as required by Form C-108?

19 A Yes, and I'd like to refer you to Exhibit
20 Number Forty-five and here you'll see that we have -- were
21 able to contact 23 out of the 24 owners of interest within a
22 half mile of the proposed injectors and you'll see there's
23 letters that I've written on August the 19th when it was
24 mailed and then we also have a list of the operators and the
25 surface owners and the unleased mineral interest owners, and

1 we have Xeroxed copies of the certified receipts, return re-
2 ceipts back to -- back to Pelto, and the last page shows
3 tract description and surface owner, and who the operator,
4 lessee, and mineral owners are.

5 Q Is the unitized management operation in
6 further development of this pool necessary in order to
7 effectively carry on secondary recovery operations and will
8 it substantially increase the ultimate recovery of oil from
9 the unitized portion of the pool?

10 A Yes, I believe it will.

11 Q In your opinion will the granting of
12 these applications be in the interest of conservation, the
13 prevention of waste, and the protection of correlative
14 rights?

15 A Yes.

16 Q And were Exhibits Twelve through Forty-
17 five prepared by you, under your direction, or compiled from
18 company records?

19 A Yes, they were.

20 MR. BRUCE: Mr. Examiner, at
21 this time I move the admission of Exhibits Twelve through
22 Forty-five.

23 MR. STOGNER: Exhibits Twelve
24 through Forty-five will be admitted into evidence at this
25 time.

1 MR. BRUCE: That's all I have
2 of the witness at this time.

3

4

CROSS EXAMINATION

5

BY MR. STOGNER:

6

Q The surface owner has been contacted of
7 the initial injection, is that correct?

8

A Yes.

9

Q I have one figure I need. You probably
10 went over it but let me go over it one more time.

11

A All right.

12

Q What is the present average daily produc-
13 tion of the oil wells in this particular pool at this time?

14

A All right, let me look that up for you.
15 The last information I have, Mr. Examiner, for the total
16 field, in May of 1987, produced 9,705 barrels of oil, 22,215
17 MCF of gas, and 21,716 barrels of water.

18

Q Well, is that the cumulative for that
19 year?

20

A No, that's the last month.

21

Q Oh, the last month.

22

A Yes, sir.

23

Q And what was that oil figure again?

24

A The oil for the month of May was 9,705.

25

The gas was 22,215 MCF for that month, and the water produc-

1 tion was 21,716.

2 Did you ask for the cumulative?

3 Q Well, I wanted a daily oil production and
4 that's how many wells, 100 and --

5 A Let's see, that one would be for -- let
6 me look at my well count here -- for wells that are current-
7 ly producing, just a minute, I have that here some place.
8 Let me find the well count, or maybe it's back here in the
9 back. Yeah, well count, okay, producing wells for May,
10 1987, 97 wells for the total field.

11 Q Does that come in under 10 barrels of oil
12 per day average?

13 A I haven't calculated that but it would be
14 97 over -- 97 over what did I say, 9705?

15 Q 9705.

16 A 9705 divided by 31 times 97, right?
17 Yeah, so 9705 divided by 31 divided by 97, yes, it comes un-
18 der 5 -- comes to about 3.23 barrels of oil per day per
19 well.

20 Q Okay. Your participation formula.

21 A Yes, sir.

22 Q That was covered in which exhibit? Let's
23 go to that.

24 A All right, participation formula would be
25 -- it's a long table, Exhibit Thirty-four.

1 Q Thirty-four.

2 A Now that's not the formula but that --
3 the formula is in the unit agreement.

4 Q Okay.

5 A So we could dig that out for me, Jim, but
6 the basis for participation is on Exhibit Thirty-four, for
7 each tract 1 through 35, there's 37 tracts, would be that
8 far column called Heavy Ultimate Primary Fraction.

9 Say, for example, Tract Number 1 has
10 tract's working interest ownership and each participant,
11 then, would get their fraction of the tract's working inter-
12 est times that fraction and it's -- that's in the agreements
13 spelled out.

14 Q In the agreement --

15 A Spelled out in the agreement.

16 MR. BRUCE: Exhibit Three.

17 A Is it unit agreement, Exhibit Three?

18 Q And is that the same as the voting --

19 A That is the same as the voting for the
20 working interest owners.

21 Certainly there -- and the revenue side
22 is whatever net revenue that you have against that.

23 Q And how is that 200 percent to be charged
24 to those nonparticipating working interest owners at this
25 time? The calculated interest formula, how does that come

1 about and how is that being -- how is that going to be --

2 A Well, the 200 percent will apply to the
3 initial capital expenditure.

4 Q Okay.

5 A So -- and that will be the \$7.3-million.

6 Q Okay, now how is that be accounted for on
7 a monthly basis until such 200 percent is reached, and then
8 what happens?

9 A The -- if a person, if a unit operator
10 does not agree to participate, then a separate accounting
11 will be held for his interest until the amount of money that
12 he normally would have paid of that, say, \$7.3-million, has
13 been paid back out the unit proceeds plus 200 percent of
14 what he would have been liable to pay.

15 Q Will this be kept track of in your office
16 or will it be paid to an escrow account somewhere?

17 A I'm not sure.

18 MR. MURRELL: It probably would
19 be set up just in our office as a payout account, as we nor-
20 mally do (unclear) and keep track of this all the time in
21 the Accounting Department.

22 Q Now I believe some of the interests have
23 not been found, is that correct?

24 A That's right.

25 Q Some of the interests, working interests?

1 A No, the working interests --

2 Q They have all been found?

3 A Yes.

4 Q Okay.

5 A Some of the royalty interest have not
6 been found.

7 Q Should there be a time limitation where
8 these noncommitted working interest owners at this time
9 should -- if they elect later on after this hearing, should
10 there be something or some sort of a time limit?

11 MR. MURRELL: I'm sorry. You
12 say in order to sign these people --

13 Q Yes, if you give them some sort of a time
14 -- I think of it like compulsory pooling. We usually give
15 them ninety days to join and if they haven't joined, then
16 the 200 percent penalty --

17 MR. MURRELL: Yeah, I think
18 some reasonable period of time, whatever that may be.

19 MR. STOGNER: Okay, you're
20 familiar with our 200 or our 200 percent risk penalty in the
21 compulsory pooling, are you not?

22 MR. MURRELL: Fairly.

23 MR. STOGNER: I was thinking of
24 -- this is the first compulsory pooling unitization that
25 we've had since these new rules are -- have been enacted. I

1 was thinking of the same sort of procedure in which our com-
2 pulsory pooling's have in assessing those particular provi-
3 sions into the unitization.

4 MR. MURRELL: That would --

5 MR. BRUCE: That would be ac-
6 ceptable.

7 MR. TAYLOR: When do you plan
8 to initiate operations?

9 A As soon as -- well, operations, of
10 course, are many things, but right now we've pre-ordered a
11 lot of material. We're waiting for the order of the unit --
12 of the State for unitization and waterflood and when that is
13 issued, we're going to be off and running and putting the
14 waterflood in and spending considerable sums of money.

15 MR. TAYLOR: So it would be ef-
16 fective as soon as its entered, right?

17 A Will we spend money as soon as the unit's
18 effective?

19 MR. MURRELL: Yeah, usually
20 within the ninety days, I would assume, we'd either got
21 these people to join or we'd made some other arrangement
22 with these people, or they've just said, no, we're not going
23 to do anything, in which case the penalty would be invoked
24 and they'd be a carried party.

25 MR. STOGNER: As far as your

1 waterflood procedure, you followed the lines laid out in C-
2 108 and the standards put on us by the Underground Injection
3 Control, is that correct?

4 A Yes, sir.

5 Q Okay, and you'll abide by those.

6 A Yes, we will.

7 Q And occasional mechanical integrity tests
8 prior to injection, will those be followed and in contact
9 with our District Office in Artesia so that --

10 A Yes, sir.

11 Q -- they may inspect such operations?

12 A We've had very fine support with your of-
13 fice in Artesia. We plan to continue to work very closely
14 with them on meeting all the rules and regulations of the
15 State, yes, sir.

16 Q Okay. And all of the tubings in the
17 injection wells are to be plastic-coated, is that correct?

18 A That's right, yes, sir. Fiberglass, I'm
19 sorry, fiberglass lined.

20 Q Oh, fiberglass lined.

21 A Yes, sir.

22 Q It will be a closed system, correct?

23 A The injection water system on the surface
24 will be closed, yes. The two waters will be kept separate.

25 Q Now once the main injection -- waterflood

1 injection gets started, have you made provision for water
2 disposal?

3 A Yes, we're still tied into a water dispo-
4 sal system and we would continue to do that.

5 Q Do you know if they're able to take the
6 volumes that you will be producing at that time?

7 A Well, we're hoping, of course, initially
8 that there won't be any increase in water and we'll be put-
9 ting Ogallala water in, so the little water that we dont'
10 really want to put in the ground (not clearly understood)
11 will continue. Now as the pressure builds up and everything
12 looks fine and there happens to be more rapid water break-
13 through, which the system itself might not be able to han-
14 dle, we're set up to reinject that produced water back into
15 the ground, so we're flexible enough to take whatever the
16 disposal system can or can't take and still want to put pro-
17 duced water, if needed, into the center three or four injec-
18 tion wells as kind of swing wells.

19 So we'll be able to do whatever we need
20 to do.

21 Q Okay, and those, the injection -- the re-
22 injection process -- procedure will be an enclosed system,
23 is that correct?

24 A Yes, it will be, yes, sir.

25 Q Okay.

1 MR. STOGNER: I have no further
2 questions. Mr. Bruce?

3 MR. BRUCE: Nothing further.

4 MR. STOGNER: Does anyone else
5 have any further questions of this witness?

6 You may be excused.

7 A Thank you.

8 MR. STOGNER: Is there anything
9 further in this case?

10 MR. BRUCE: No, sir.

11 MR. STOGNER: Or either, either
12 of these two cases.

13 If not, Cases Numbers 9210 and
14 9211 will be taken under advisement.

15

16 (Hearing concluded.)

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO
HEREBY CERTIFY the foregoing Transcript of Hearing before
the Oil Conservation Division (Commission) was reported by
me; that the said transcript is a full, true, and correct
record of the hearing, prepared by me to the best of my
ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case Nos. 9210 & 9211
heard by me on 9 September 1987.
[Signature] Examiner
Oil Conservation Division