

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BUILDING
5 SANTA FE, NEW MEXICO

6 23 August 1989

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Nearburg Producing for CASE
10 an unorthodox oil well location. Lea 9724
11 County, New Mexico.

12 BEFORE: David R. Catanach, Examiner
13
14

15 TRANSCRIPT OF HEARING
16
17

18 A P P E A R A N C E S

19 For the Division: Robert G. Stovall
20 Attorney at Law
21 Legal Counsel to the Division
22 State Land Office Building
23 Santa Fe, New Mexico

24 For Nearburg Producing: William F. Carr
25 Attorney at Law
CAMPBELL and BLACK, P. A.
P. O. Box 2208
Santa Fe, New Mexico 87501

I N D E X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BILL OWEN

Direct Examination by Mr. Carr 3

Cross Examination by Mr. Catanach 8

LOUIS MAZZULLO

Direct Examination by Mr. Carr 9

Cross Examination by Mr. Catanach 17

E X H I B I T S

Nearburg Exhibit One, Location Map 5

Nearburg Exhibit Two, Diagram 6

Nearburg Exhibit Three, Structural Map 9

Nearburg Exhibit Four, Isopach 12

Nearburg Exhibit Five, Cross Section 14

1 MR. CATANACH: Call next Case
2 9724.

3 MR. STOVALL: Application of
4 Nearburg Producing Company for an unorthodox oil well
5 location, Lea County, New Mexico.

6 MR. CARR: May it please the
7 Examiner, my name is William F. Carr, with the law firm
8 Campbell & Black, P. A., of Santa Fe. We represent Near-
9 burg Producing Company and I have two witnesses.

10 MR. CATANACH: Any other ap-
11 pearances in this case?

12 Will the witnesses please
13 stand to be sworn in?

14

15 (Witnesses sworn.)

16

17

18 BILL OWEN,
19 being called as a witness and being duly sworn upon his
20 oath, testified as follows, to-wit:

21

22

23 BY MR. CARR:

24

25

Q Will you state your full name and place
of residence?

A Bill Owen, Roswell, New Mexico.

1 Q Mr. Owen, by whom are you employed?

2 A LDM Associates.

3 Q And in what capacity?

4 A As a landman for this company.

5 Q What is the relationship of LDM to Near-
6 burg Producing Company?

7 A We're working interest partners in this
8 area of Lea County.

9 Q Have you previously testified before the
10 Oil Conservation Division and had your credentials accepted
11 and made a matter of record?

12 A Yes.

13 Q And were you qualified as a petroleum
14 landman at that time?

15 A Yes.

16 Q Are you familiar with the application
17 filed in this case?

18 A Yes.

19 Q And are you also familiar with the sub-
20 ject area?

21 A Yes.

22 MR. CARR: Are the witness'
23 qualifications acceptable?

24 MR. CATANACH: They are.

25 Q Mr. Owen, would you briefly state what

1 Nearburg seeks with this application?

2 A We seek an unorthodox well location in
3 Section 13 of Township 17 South, Range 37 East.

4 Q Would you refer to what has been marked
5 for identification as Nearburg Exhibit Number One, identify
6 this, and review it for Mr. Catanach?

7 A This is just a location map indicating
8 this area of Lea County, primarily being Township 17 South,
9 Range 37 East, identifying the east half of the northeast
10 quarter of Section 13.

11 Q On this map is also indicated the
12 location of the proposed well?

13 A That's correct.

14 Q What is the primary objective in this
15 well? What formation?

16 A Strawn formation.

17 Q And are there any special rules in
18 effect for the area or is this under statewide rules?

19 A Yes, there are special rules, the South
20 Humble City Strawn.

21 Q And what are the well location require-
22 ments and spacing requirements as set forth in these rules?

23 A They require an 80-acre spacing and that
24 a well be located no further than 150 feet from the center
25 of a quarter quarter section.

1 Q Would you now refer to what has been
2 marked as Nearburg Exhibit Number Two, first identify this
3 for Mr. Catanach and then review the information on this
4 exhibit?

5 A Exhibit Number Two is an enlarged blowup
6 of the ownership in the northeast quarter of Section 13,
7 identifying the east half of the northeast quarter as our
8 proposed proration unit and the exact well location, being
9 1100 feet from the north line, 880 feet from the east line.

10 Q Now this is a standard proration unit?

11 A Yes.

12 Q On what acreage are you gaining an
13 advantage by virtue of this unorthodox location?

14 A Just the west half of the northeast
15 quarter.

16 Q Does the exhibit indicate the ownership
17 in the west half of the northeast quarter?

18 A Yes, it does.

19 Q And how does that compare to the owner-
20 ship in the east half?

21 A The ownership is the same in both
22 quarter sections, both 80 acres.

23 Q On the west half you've also indicated
24 Bonneville and Amerada Hess. What is their interest or
25 what has happened to their interest in the proration unit

1 that comprises the east half of this quarter section?

2 A Bonneville and Amerada have elected to
3 farm out their interest in the east half, excuse me, in the
4 -- yes, in the east half of the northeast quarter to Near-
5 burg Petroleum.

6 Q Was notice given to any offsetting
7 owners?

8 A Yes, to the Bonneville and Amerada Hess.

9 Q But no notice of the hearing was given
10 because they have -- are participating in the project?

11 A That is correct.

12 Q All right. Were Exhibits One and Two
13 prepared by you or compiled under your direction?

14 A Yes.

15 MR. CARR: At this time we'd
16 move the admission of Nearburg Exhibits One and Two.

17 MR. CATANACH: Exhibits Number
18 One and Two will be admitted as evidence.

19 Q Mr. Owen, will Nearburg also call a
20 geological witness to present the technical testimony con-
21 cerning the reason for this location?

22 A Yes.

23 MR. CARR: That concludes my
24 direct examination of Mr. Owen.

25

CROSS EXAMINATION

1
2 BY MR. CATANACH:

3 Q Mr. Owen, who was notice given to,
4 again?

5 A Bonneville and Amerada Hess are aware of
6 our well location. They are people that own substantial
7 interest in that same area of Lea County, as indicated here
8 in the northeast quarter, and upon us discussing it with
9 them and them reviewing the geological data, they have
10 elected to farm out.

11 Q They have no problem with the location
12 then?

13 A No.

14 MR. CATANACH: That's all I
15 have.

16 The witness may be excused.

17 MR. CARR: At this time we
18 call Mr. Mazzullo.

19
20 LOUIS J. MAZZULLO,
21 being called as a witness and being duly sworn upon his
22 oath, testified as follows, to-wit:
23
24
25

1 DIRECT EXAMINATION

2 BY MR. CARR:

3 Q Will you state your full name for the
4 record, please?

5 A My name is Louis Mazzullo.

6 Q Mr. Mazzullo, where do you reside?

7 A Midland, Texas.

8 Q By whom are you employed and in what
9 capacity?10 A I'm a geological consultant on retainer
11 to Nearburg Producing Company.12 Q Have you previously testified before
13 this Division and had your credentials as a geologist ac-
14 cepted and made a matter of record?

15 A Yes, I have.

16 Q Are you familiar with the application
17 filed in this case on behalf of Nearburg Producing Company
18 and are you also familiar with the subject area?

19 A Yes, I am.

20 MR. CARR: Are the witness'
21 qualifications acceptable?

22 MR. CATANACH: They are.

23 Q Mr. Mazzullo, would you refer to what
24 has been marked for identification as Nearburg Exhibit
25 Number Three, identify this for Mr. Catanach, and review

1 the information contained on the exhibit?

2 A Exhibit Number Three is a structure map
3 of the Strawn limestone in the area of the South Humble
4 City Field, Strawn Field.

5 The wells that are denoted by the tri-
6 angles are wells that are actually producing out of the
7 Strawn formation. Among those are several wells that I
8 have indicated, the Mary Anne No. 1, the Wright No. 1 and
9 the Wright No. 2 in Section 12 north of the proposed loca-
10 tion. These are wells that are operated by Nearburg Pro-
11 ducing Company. There are additional dry holes that
12 Nearburg has also drilled in and around this section.

13 This map was compiled on the basis of
14 subsurface data from well logs and also from many miles of
15 seismic data, tens of miles of seismic data, that Nearburg
16 and their partners either shot themselves or bought com-
17 mercially.

18 The purpose of this map is to show that
19 in exploring for the Strawn reservoir here the primary tool
20 that we use is seismic data and the way we use the seismic
21 data is twofold: First of all, we look for structural
22 anomalies that may indicate the presence of the reefs, the
23 patch reefs that make up the reservoirs in this area, and
24 the second thing we look for on the seismic sections are
25 anomalies within the signals that we receive. In other

1 words, so-called wavelet anomalies that are indicative of
2 possible porosity development within the Strawn section.

3 This map shows several structural
4 anomalies, closures, small closures, which are associated
5 with some of the production in the area. If you take note
6 of the area around the Wright No. 1 and the Wright No. 2
7 Wells north of the location in Section 12, you'll notice
8 that the Wright No. 1 sits on a small structural closure at
9 the Strawn level and the Wright No. 2 is on the edge of the
10 same closure or structural nose.

11 Similarly, if you go over to the west of
12 the proposed location, along the border between Section 14
13 and 13, you'll notice a couple of Strawn wells that are
14 associated with more subtle structural nosing; no pro-
15 nounced closure but some structural nosing.

16 The proposed location itself is situated
17 on a structural closure as defined by two critical seismic
18 lines that I have indicated by the the dashed lines on this
19 map that pass in the vicinity of the location. The loca-
20 tion is indicated by the orange dot and arrow.

21 The anomaly, this anomaly at the
22 proposed location seems to be separated from that that is
23 associated with the Wright wells by a small structural sad-
24 dle, which may or may not have bearing in terms of whether
25 or not we think the location is going to be a common reser-

1 voir to the Wright No. 2 and I'll get into that in a
2 minute.

3 The fact of the matter is that the
4 anomaly is present here. Not all of this structural ano-
5 maly is associated with reefal build-up. Some of it is
6 tectonic in nature. Some of it is more deeper seated in
7 nature, so I'm not going to imply that that entire anomaly
8 is an area of perspective Strawn, and I'll show you on the
9 next exhibit why I think so.

10 Q Are you ready to the --

11 A Yeah.

12 Q -- isopach? Would you review Exhibit
13 Number Four for the Examiner, please?

14 A Exhibit Number Four is a map showing the
15 thickness -- the thickness of the Strawn limestone section
16 in the area. Again, this is built primarily on the basis
17 of downhole data that we've gotten from all this well con-
18 trol in the area, but it's also aided by the seismic iso-
19 chron maps that geophysicists have generated in this area.

20 You'll notice that production from the
21 Strawn, again the wells that are triangles -- that have the
22 triangles around them, production in the Strawn is gener-
23 ally and loosely associated with isopach closure. In other
24 words, where the Strawn thickens is where you get the
25 better chance of finding productive Strawn facies in this

1 area.

2 The -- again, the two seismic lines, the
3 two critical seismic lines are shown by the dashed lines
4 that go in the vicinity of the proposed location. One
5 thing to note there is that porosity development in the
6 Strawn is not -- is not entirely predictable, so that even
7 though you may have a nice isopach closure, the whole
8 closure is not necessarily filled with porosity. Porosity
9 development is a complicated -- is a function of a lot of
10 complicated post-depositional factors here that -- that
11 make it very difficult to predict how much of an anomaly is
12 going to be filled with porosity.

13 So what we try to do in picking a loca-
14 tion here is to find the optimum location based on what we
15 see on the seismic signal. We look for anomalies on the
16 seismic signal that are indicative of possible porosity
17 development and we pick the best area on the seismic line
18 where we see this anomaly. So ideally we would like to
19 pick a location where two lines intersect and we could see
20 the anomaly on both lines but a lot of times that doesn't
21 work out. In this case we don't see the anomaly best
22 developed at the intersection of these two key seismic
23 lines but rather the best anomaly is just south of the in-
24 tersection where we have the proposed location.

25 So that's where we want to put it. We,

1 if we move it anywhere, if we go off of this anomaly in any
2 direction, we run a very high risk of drilling a dry hole
3 because these are commonly one or two well features that
4 we're looking for. So we picked the best location, the
5 most optimum location, and we assume for the present time
6 that it's going to be a one-well feature.

7 Q Let's go to the cross section, Exhibit
8 Number Five, and I'd ask you to review that for Mr. Cata-
9 nach.

10 A Okay. Exhibit Number Five is a strati-
11 graphic cross section from north to south. There's an
12 index map on the cross section that shows where it goes.
13 It's the same structure map that we had on Exhibit Number
14 Three.

15 But basically it goes from north to
16 south, from the Howenstein No. 1 dry hole, north of the
17 Nearburg Wright No. 1, through the Wright No. 1 and Wright
18 No. 2 and the proposed location, and down to the Norris No.
19 3 dry hole southwest of the proposed location and then to
20 the Norris No. 2, the Inexco Norris No. 2, which is another
21 productive Strawn well to the southwest.

22 Referring real quickly again to Exhibit
23 Number Four, the areas that I've shaded in green on Exhibit
24 Number Four are the areas that are the maximum -- where the
25 maximum porosity development is either seen in the subsur-

1 face on logs or on the seismic section. The same green
2 patches on Exhibit Number Four correspond to the dotted,
3 green, porous reef facies I've indicated on the cross
4 section.

5 You'll note that these porous reef
6 facies come and go at various levels in the Strawn; they're
7 not always at the top. Some of it, as in the case of the
8 Wright No. 1, is developed at the bottom of the section,
9 some in the middle of the section, as in the case of the
10 Norris No. 2 on the east end -- on the south end of the
11 cross section, and in the case of the Wright No. 2, which
12 is immediately north of the proposed location, porosity
13 development is near the top of the Strawn.

14 What we anticipate at the proposed loca-
15 tion, that porosity development is going to be near the
16 top of the section. We don't know that for sure. We could
17 only imply that by the magnitude of the structural and iso-
18 pach closure that we've mapped. But in any case, because
19 the isopach and structural closures are separated by -- by
20 saddles from the offset production, we anticipate that the
21 development that we see at our proposed location may be
22 separate from what we see at the Wright No. 2 or the Norris
23 No. 2, for that matter.

24 But this just serves -- goes to show --
25 this purpose of this exhibit is just to show the lateral

1 and vertical separation of the porosity units and it's --
2 this is one of the factors that makes it very difficult to
3 map these things, because they do change horizons very
4 drastically and very abruptly. As I said, these are
5 generally one to two wells features in size at most.

6 Q Is this unorthodox location necessary to
7 maximize Nearburg's opportunity of making a successful
8 Strawn well in the northeast -- in the east half of the
9 northeast quarter of Section 13?

10 A Yes, that's exactly how it was proposed,
11 why it was proposed.

12 Q Were Exhibits Three through Five pre-
13 pared by you?

14 A Yes.

15 MR. CARR: At this time, Mr.
16 Catanach, we'd move the admission of Exhibits Three through
17 Five.

18 MR. CATANACH: Exhibits Three
19 through Five will be admitted as evidence.

20 Q In your opinion will granting this ap-
21 plication be in the best interest of conservation, the pre-
22 vention of waste, and the protection of correlative rights?

23 A Yes, it will.

24 MR. CARR: That concludes my
25 direct examination of Mr. Mazzullo.

1 CROSS EXAMINATION

2 BY MR. CATANACH:

3 Q Mr. Mazzullo, you take your seismic to
4 map out your structure, is that correct?

5 A Right.

6 Q Does your seismic differentiate between
7 the porous section within the structure?8 A That's -- that's what they intend to do.
9 The mapping of the structure is straightforward, you know.
10 You pick the top of the -- you pick the mapping horizon and
11 you do your fancy numbers and calculations, but in terms of
12 where the porosity is, that's done more qualitatively by
13 looking for peculiarities in the signal and the actual
14 wavelet response that you get on the seismic section it-
15 self, when you see it change in character, and where the
16 maximum change in character, that's generally where we like
17 to locate. Where you see the most anomalous character on
18 the wavelet form, that's where we like to locate our wells.19 Q Has Nearburg used seismic in this area
20 successfully?21 A Yes, we have. We've used it success-
22 fully and we've had our difficulties with it, as well.23 One of the biggest risks in using this
24 technique is our distorted signals that you receive because
25 of complications in the structure that's immediately below

1 the Strawn.

2 For example, we drilled the No. 1
3 Stillings (sic) Federal in Section 7, northeast of our No.
4 1 Wright Well, which we anticipate -- anticipate to come in
5 high on the Strawn and it had what appeared to be an ano-
6 maly, a seismic wavelet anomaly.

7 Well, it came in on the wrong side of a
8 fault which cut the Strawn, and there was obviously no
9 anomaly there, because it was a tight section of Strawn,
10 the problem there being interference from the fault that we
11 didn't recognize prior to drilling the well.

12 So we do run a very high risk in uti-
13 lizing the technique and it shows. I mean we've had our
14 share of dry holes in the area but we've had our share of
15 successes on account of the -- being as precise as possible
16 about locating these wells.

17 I might say our success rate is prob-
18 ably on par, if not a little bit better, than normal in
19 this area, even considering the dry holes.

20 Q What's normal?

21 A Normal in this area, I think, would be
22 anywhere from 30 to 50 percent success rate, which is
23 pretty good, you know, under any circumstances.

24 MR. CATANACH: That's all the
25 questions I have of the witness. He may be excused.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Is there anything further in
this case?

MR. CARR: Nothing further.

MR. CATANACH: If not, Case
9724 will be taken under advisement.

(Hearing concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 9724, heard by me on August 23 19 87.

David R. Catanzel, Examiner
Oil Conservation Division

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARING

SANTA FE, NEW MEXICO

Hearing Date AUGUST 23, 1989 Time: 8:15 A.M.

| NAME | REPRESENTING | LOCATION |
|-------------------|------------------------|-------------|
| BILL OWEN | LDH Associates | Roswell |
| Mark Degenhart | Kelt | Roswell, NM |
| HUGH INGRAM | CONOCO | HOBBS |
| HANS SHELNE | CONOCO | HOBBS |
| Tim McGhee | " | Hobbs |
| Jerry Hoover | conoco | Hobbs |
| W Kellockin | Kellon Kellon Anthony | Santa Fe |
| Susan Courtright | Phillips Petroleum | Odessa, TX |
| Bob Misty Jr | Kelt | Roswell |
| J. Bruce | Hinkle Law Firm | Albq |
| Bob Baker | Byram | Santa Fe |
| Louis J. MAZZUCCO | Nearburg Producing Co. | Midland |
| William F. Gray | Campbell & Black, P.A. | Santa Fe |
| Hed J | UNOCAL | Midland |
| Robert Altam | Unocal | Midland, TX |
| Tom Olke | Meridian Oil | Midland, TX |

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARING

SANTA FE, NEW MEXICO

Hearing Date AUGUST 23, 1989 Time: 8:15 A.M.

| NAME | REPRESENTING | LOCATION |
|-------------------|--------------------------|-------------|
| Paul Shukis | Meridian Oil | Midland Tx. |
| Gary Green | Santa Fe Energy Co | Midland, TX |
| TIM PARKER | Santa Fe Energy Co | Midland, TX |
| LARRY ALSOPK | Union Oil Co. California | Midland, TX |
| Lawrence D. Hamer | Marathon Oil Co | Houston Tx |