

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARING

SANTA FE, NEW MEXICO

Hearing Date MARCH 7, 1991 Time: 9:00 A.M.

NAME	REPRESENTING	LOCATION
W. Perry Pearce Melissa Rankin	Montgomery & Andrews, P.A. Harvey E. Yates Company	Santa Fe Roswell, N.M.
William L. Jay R. C. Anderson	Lauphac & Black P.A. Chevron	Santa Fe Midland
James Bruce	Hinkle Law Firm	Albuquerque
Bryan Cotner	Chevron U.S.A.	Midland
Denise Beckham	Chevron U.S.A. Inc.	Midland
STANTON CHAMMAN	CHEVRON USA, INC	Midland
Don Lindsey	CHEVRON USA, INC.	MIDLAND, TX
Louis Mazzullo	Newman Prod. Co.	MIDLAND,
Mark Nearburg	" "	" "
W. J. Kellum	Kellum Kellum and Sons	Santa Fe
Ron Johnson	POT 41073	Midland
Sealy Cavin	Shuman & Howard Law Firm	Albuquerque
HARRY SQUIRRELS	Snyder Ranch	HOBBS
JW Neal	Engel Ranch	HOBBS
JIM SHARP	" "	HOBBS

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARING

SANTA FE, NEW MEXICO

Hearing Date MARCH 7, 1991 Time: 0:00 A.M.

NAME	REPRESENTING	LOCATION
John Lodge	Pacific Enterprises	Midland, TX.
DARRELL ROBERTS	SANTA FE ENERGY RESOURCES	MIDLAND, TEXAS
Raye Miller	Marbob Energy Corp	Artesia, N.M.
David Cromwell	Pacific Enterprises	Midland TX
Manuel Jimenez	Mobil oil	Midland, TX
RAY VADEN	CHEVRON	MIDLAND, TX.
Dan Foland	Amerada Hess	Tulsa, Ok
Jim Almsd	Amerada Hess	Seunoh TX
Randy Offenbergew	SANTA FE ENERGY RES	MIDLAND TX
John Thoma	SANTA FE ENERGY RESOURCES	MIDLAND, TX
Larry Murphy	"	"
Melissa Randle	Hawley & Gates Company	Roswell, NM
James W. Ryzor	Hawley Petroleum Inc	Midland, TX
L D Robline	"	"
Brett K. Boush	"	"
William R Huck	Consultant for	"

Hearing Date 3/8/91

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING )  
CALLED BY THE OIL CONSERVATION )  
DIVISION FOR THE PURPOSE OF )  
CONSIDERING: )  
APPLICATION OF MOBIL EXPLORATION ) CASE NO. 10233  
& PRODUCING COMPANY )  
\_\_\_\_\_ )

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: JIM MORROW, Hearing Examiner  
March 7, 1991

Santa Fe, New Mexico

This matter came on for hearing before the Oil  
Conservation Division on March 7, 1991, at 11:13 a.m. at Oil  
Conservation Division Conference Room, State Land Office  
Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico,  
before Freda Donica, RPR, Certified Court Reporter No. 417,  
for the State of New Mexico.

FOR: OIL CONSERVATION            BY: FREDA DONICA, RPR  
      DIVISION                        Certified Court Reporter  
    CCR No. 417

I N D E X

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

March 7, 1991  
Examiner Hearing  
CASE NO. 10233

PAGE

APPEARANCES

3

MOBIL'S WITNESSES:

DAN BURNHAM

Direct Examination by Mr. Pearce	4
Cross-Examination by Mr. Neal	16
Examination by Mr. Stovall	38
Cross-Examination by Mr. Neal (Cont'd)	40
Redirect Examination by Mr. Pearce	43

MANUEL JIMENEZ

Direct Examination by Mr. Pearce	44
Cross-Examination by Mr. Neal	52
Redirect Examination by Mr. Pearce	57
Examination by Mr. Stovall	58
Recross-Examination by Mr. Neal	59

SNYDER RANCHES' WITNESS:

LARRY C. SQUIRES

Direct Examination by Mr. Neal	61
Cross-Examination by Mr. Pearce	67
Examination by Mr. Stovall	76, 78

REPORTER'S CERTIFICATE

81

\* \* \*

E X H I B I T S

Applicant's 1-5	34	35
Applicant's 6-10	52	52
Applicant's 11	60	61

ID	ADMTD
34	35
52	52
60	61

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A P P E A R A N C E S

FOR THE DIVISION:                    ROBERT G. STOVALL, ESQ.  
General Counsel  
Oil Conservation Commission  
State Land Office Building  
310 Old Santa Fe Trail  
Santa Fe, New Mexico 87501

FOR THE APPLICANT:                    MONTGOMERY & ANDREWS  
325 Paseo de Peralta  
Santa Fe, New Mexico  
BY: W. PERRY PEARCE, ESQ.

FOR SNYDER RANCHES:                    NEAL & NEAL  
116 North Turner  
Hobbs, New Mexico  
BY: J. W. NEAL, ESQ.

1 HEARING EXAMINER: Call case 10233.

2 MR. STOVALL: Application of Mobil Exploration &  
3 Producing Company for approval of salt water disposal, Lea  
4 County, New Mexico.

5 HEARING EXAMINER: Call for appearances.

6 MR. PEARCE: May it please the Examiner, I am W. Perry  
7 Pearce of the Santa Fe law firm of Montgomery & Andrews,  
8 appearing in this matter on behalf of Mobil Exploration &  
9 Producing U.S. I have two witnesses who need to be sworn.

10 MR. NEAL: On behalf of Snyder Ranches, Inc., J. W.  
11 Neal, Box 678, Hobbs, New Mexico. And I will have one  
12 witness, Mr. Larry Squires, president of (Sky) Ranch. <sup>Snyder's</sup> (JHM)

13 HEARING EXAMINER: The witnesses will please stand and  
14 be sworn.

15 (Witnesses sworn.)

16 HEARING EXAMINER: Go ahead.

17 MR. PEARCE: Thank you, Mr. Examiner.

18 DAN BURNHAM

19 the Witness herein, having been first duly sworn, was  
20 examined and testified as follows:

21 DIRECT EXAMINATION

22 BY MR. PEARCE:

23 Q. For the record, sir, would you please state your  
24 name and place of employment?

25 A. My name is Dan Burnham. I work for Mobil Oil in

1 Midland, Texas.

2 Q. What is your capacity with Mobil?

3 A. I'm a staff production geologist.

4 Q. Mr. Burnham, have you previously appeared before  
5 the New Mexico Oil Conservation Division and examiners and  
6 had your credentials as an expert in the field of petroleum  
7 geology accepted and made a matter of record?

8 A. Yes, I have.

9 Q. And are you familiar with the subject matter of  
10 Mobil's application today?

11 A. Yes.

12 MR. PEARCE: Mr. Examiner, at this time, without  
13 opposition, I would request that Mr. Burnham be accepted as  
14 an expert in the field of petroleum geology.

15 MR. NEAL: I'd like to ask one question, if I may. Was  
16 he involved in our previous case, in any of the research?

17 THE WITNESS: No.

18 MR. NEAL: No problem.

19 HEARING EXAMINER: We'll accept his qualifications.

20 Q. (By Mr. Pearce) Mr. Burnham, let's begin, please.  
21 I would ask you to refer to what we've marked as Exhibit  
22 Number 1 to this proceeding. Would you describe, please,  
23 for the Examiner and those in attendance what Exhibit Number  
24 1 is?

25 A. Exhibit Number 1 is an application for -- by

1 Mobil for authority and request authority to dispose of  
2 produced water in a salt water disposal well in southeast  
3 Lea County, New Mexico, in our State Section 27 Number 1.

4 Q. About four pages back in that is a copy of a form  
5 C-102, division's form. Could you look at that and just  
6 highlight what's reflected on that?

7 A. The C-102 form is just indicating the location of  
8 the well bore.

9 Q. Let's flip to the next page to locate that well a  
10 little better.

11 A. It's in the northeast quarter of Section 27; this  
12 is in Township 18 South, 35 East.

13 Q. All right, sir. About three or four pages back  
14 there is a section headed Roman numeral VIII. And, I'm  
15 sorry, the pages are not --

16 A. It's page number nine, but it's not numbered;  
17 lithologic detail.

18 Q. This is the section of data required by form  
19 C-108 relating to the lithology of the zone. Could you just  
20 describe what's reflected there, please?

21 A. The lithology of the zone in the South Vacuum  
22 Devonian field is an interbedded -- the particular zone  
23 which we're producing out of, they produce out of a Devonian  
24 dolomite. It was white-to-tan, medium-to-coarse crystalline  
25 with vuggy and cavernous porosity.

1           I'll just go through a portion of this. The  
2 structure is a faulted anticline. And I'll indicate it on a  
3 structure map here in just a moment. Average porosity  
4 within the pay zone in the dolomite was 13 percent.  
5 Permeability was 5 to 30 millidarcies. The thickness,  
6 average thickness, of these well bores in the area of the  
7 Devonian was 500 feet, and the top of pay was 12,000 feet;  
8 so it's a pretty deep field. The overlying fresh water zone  
9 within this area, two are included, the Ogallala at 300 feet  
10 and the Santa Rosa at 1,400 feet. And immediately above or  
11 below the proposed injection zone there are no fresh water  
12 zones at all.

13           Q.     Anything else you'd like to highlight on that  
14 exhibit for us?

15           A.     No.

16           Q.     Let's look now at what we've marked as Exhibit  
17 Number 2. And would you describe that, please?

18           A.     Exhibit Number 2 is a xerox copy of a portion of  
19 the oil and gas fields of southeastern New Mexico 1960  
20 supplement. Within this is a description of the -- 1960  
21 description of the South Vacuum Devonian Field, and within  
22 it again talks about the type of trap as a faulted  
23 anticline, talks about the type of drive as a water drive  
24 reservoir. And the very back page of it indicates a small  
25 structural map dated June 1960, and it shows also a type log

1 on the right-hand side. And this is the structure map which  
2 we have indicated up here on the wall, just an enlarged  
3 version so that it's easier to read.

4 Q. At this time I'd ask you to stand, and let's  
5 address our attention to what we've marked as Exhibit 3,  
6 which is an enlarged copy of the map that was included as  
7 Exhibit 2. And would you highlight the significant data  
8 represented on that exhibit, please?

9 A. I've indicated here in the orange a discovery  
10 well which was the Union, referred to now as Unical Number  
11 35 Number 1, which was a discovery well in the field. It  
12 produces just out of the very upper portions, upper dolomite  
13 within the Devonian section in this area. Was drilled in  
14 1968, and I believe it was completed early in 1959.

15 The structure, as indicated before, and from this  
16 other exhibit, is a faulted anticline. We can see the fault  
17 running approximately from the northwest to the southeast.  
18 There is a considerable amount of throw on this,  
19 approximately 400 feet, 400 plus feet of throw on the  
20 fault. And subsequently, at the initial discovery, there  
21 were 14 other wells -- 13 other wells, 14 total producers  
22 within the Devonian Field which produced approximately seven  
23 million barrels of oil. That's about all.

24 Q. It appears that the next thing hung on the wall  
25 is what we've marked as Exhibit Number 4, which is the same

1 map with this additional data added. Could you describe  
2 that for us, please?

3 A. One thing on this other exhibit, I have noted  
4 with green which are the producing wells in the Devonian.  
5 There are other producing wells and horizons within this  
6 area, but I highlighted with the green only those which are  
7 Devonian producers.

8 HEARING EXAMINER: There are some Devonian producers in  
9 the pool; is that correct?

10 THE WITNESS: Yes.

11 Q. (By Mr. Pearce) Let's move to 4, please.

12 A. Exhibit Number 4, what I've done -- and I could  
13 have put a new map with all the updated, but just for  
14 clarification I've used the same map. And what I've done  
15 was just add a couple of wells which were -- have previously  
16 been drilled since then. What I've identified on here,  
17 again, the green is the current producing Devonian wells.  
18 There are four of them. The discovery well is still  
19 producing after 1.2 million barrels of oil. The Number 3  
20 well and Number 2-26 well is still producing, and the 1.6-J  
21 is producing. Those are the four current producing wells.  
22 Current production on these wells are about 80 barrels of  
23 oil per day and 4,500 barrels of water.

24 HEARING EXAMINER: Total?

25 THE WITNESS: Total. That's out of the PI records.

1 Currently, all of the water out of these four wells is  
2 currently injected into a salt water disposal well, which (is  
3 currently) a producing well in the Devonian. And they're  
4 injecting into their 2-35, which is an injector, a salt  
5 water disposal well within this same producing Devonian  
6 interval. So they're actually injecting into their pay  
7 zone, basically a pressure maintenance in there. And they  
8 are currently (producing) <sup>injecting</sup> all of that water into that well  
9 every day. As I say, the other wells have since been  
10 abandoned and plugged out of the Devonian, so those are the  
11 only four Devonian producers immediately right in this  
12 area.

13 I've also highlighted with the orange dots on  
14 your maps any of the salt water disposal wells which are in  
15 the area. There are a number of them. This well was  
16 initially drilled as a dry hole by unit. It has since been  
17 made actually open hole, injected and disposed of in the  
18 Devonian, 9.8 million barrels of salt water. They have  
19 since plugged this well, and they converted this well.

20 There's a well up here -- I don't remember the  
21 name of the thing -- that was drilled up in the -- in  
22 another pool which injected 34 million barrels of salt  
23 water. It has since been plugged in the Devonian.

24 The 2-35, which was originally a producer -- it  
25 produced 320 million barrels of oil -- and since being

1 turned around into an injector in the same injection  
2 zone --

3 Q. (By Mr. Pearce) It produced how much?

4 A. Excuse me, 320,000 barrels. We'll get to the  
5 bigger number here in a minute. It has since 1971 injected  
6 39 million barrels of salt water in this well in the  
7 Devonian. This well is currently out of vacuum still. Our  
8 records indicate that the well has never had any surface  
9 pressure.

10 You go up to our 27, this is Mobil operated, and  
11 that's highlighted in the yellow here. Mobil-operated 27-2  
12 was originally a Devonian producer, produced 311,000 barrels  
13 of oil. And we also attempted a Bone Spring completion, a  
14 miserable 4,000 barrels of oil, and since June of last year  
15 started an injection into it into the Devonian. I'll show  
16 you which zone it is. This is below the pay zone,  
17 approximately 150 feet below the original upper pay zone,  
18 our salt water disposal well. We have injected 1.2 million  
19 barrels of salt water.

20 HEARING EXAMINER: Is that -- the red spot, is that  
21 your proposed location?

22 THE WITNESS: This is the proposed location, the 27  
23 Number 1, that's correct.

24 A. A well was drilled up in this area by Blanks  
25 Energy, drilled to the Devonian, did not make a Devonian

1 completion, and apparently have sold it to Maralo, and they  
2 have -- or are currently disposing into the Devonian, and  
3 they've put in 3.4 million barrels of salt water. And I've  
4 got some monthly totals that go in there. There was a  
5 shallow disposal well which was drilled by Arco Sinclair  
6 years ago, disposed of in a real shallow zone, only down to  
7 6,600 feet, and it has since been plugged also. So there's  
8 1, 2, 3, 4, 5 -- in the area, five Devonian disposal wells.  
9 Of those, these three that I've got records on, the Maralo  
10 well is right now putting in 430 barrels of water per day,  
11 and they show a five-pound injection surface pressure. The  
12 Union 35 Number 2 down here has almost 40 million barrels.  
13 These are November numbers, by the way. They put in  
14 approximately 40 million barrels of salt water. They're  
15 putting in 6,081 barrels of salt water a day, and they're on  
16 a vacuum. And our well is currently injecting 5,700 barrels  
17 of salt water per day, and it's on a vacuum also. I think  
18 that's all I have on that one.

19 Q. (By Mr. Pearce) Would you return to your seat?  
20 No, Number 5.

21 A. One moment.

22 Q. Please address your attention to Number 5 also on  
23 the wall.

24 A. This is a structural cross-section which I've put  
25 together just using the 35 Number 2, just the disposal

1 wells, and our current proposed disposal well. So it would  
2 include the Union 35 Number 2, our 27 Number 2 and our  
3 proposed well, 27 Number 1, is the red dot.

4 The Union well, the datum is minus 7,500 subsea,  
5 and we're hanging this structurally. We can see that the  
6 structural high well actually is our 2-27, Mobil operated.  
7 The Union well is down structure to it. And also our 27  
8 Number 1 over here is also down structure about 60 feet.  
9 These wells are approximately 1,300 feet apart in that  
10 range.

11 The Union well, I show an original oil-water  
12 contact of approximately 79 -- minus 7,900 feet. Come down  
13 into the lower portions up here. This is proved up by not  
14 only dry holes off the edges of the field, but also in DSD  
15 within the interval, which basically recovered 100 percent  
16 salt water. The original perforations in this particular  
17 well were this upper set, and these lower ones were added  
18 when they converted to salt water disposal.

19 I've colored in here in brown as the word for  
20 shale, the overlying Woodford shale, which is an excellent  
21 correlation marker throughout the Permian Basin. I've also  
22 colored a blue and also a purple. The blue indicates, and  
23 as I've before testified, the producing interval within this  
24 South Vacuum Devonian is a dolomite. It's excellent  
25 porosity and permeability. All of the dolomite stringers

1 within the area here have been correlated across to using  
2 sample logs, well-cutting sample logs, and that's what's  
3 colored in the purple. And the blue intervals are the  
4 tighter limestone stringers throughout the field. There's  
5 basically an interbedded dolomite, which are porous and  
6 permeable, and interbedded with it are limestone, which are  
7 tight and permeable. And that's what the color scheme is on  
8 here.

9 As you can see, the correlations across the top  
10 of the field, the Woodford shale overlies it. Right below  
11 the Woodford shale is a fairly continuous thick limestone  
12 interval, which apparently caps the whole interval in  
13 there. It is tight and does not produce. The original  
14 producing interval in each of these wells, here, here and  
15 here, is the producing interval, and this is the only  
16 interval which produces in the South Vacuum Devonian.

17 Below this interval is interbedded tight  
18 limestones, and the lower interval in here, which is just  
19 excellent porosity and permeability, which is the zone we  
20 are injecting into right now.

21 Our 27 Number 2 -- let me start over here. The  
22 Union well has added perforations to these two zones and are  
23 injecting into the producing interval. Apparently they've  
24 gotten permission to do that or they wouldn't be doing  
25 that. We are not producing. We are structurally high to

1       them and would not produce -- we wouldn't inject into it  
2       anyway. We have deepened our well and have gone in and  
3       injected below casing right here at 11-9-54, where our  
4       casing is set. We are injecting open hole to the TD of the  
5       well here at 13,600 approximately. We have two surveys on  
6       the well, and the other gentleman, Manuel, will talk about  
7       the surveys. We have two injection surveys which show us  
8       where our water is going. This first hash mark here was our  
9       388 survey. And we ran a survey earlier this year in  
10      January, and it shows that we're basically going to the same  
11      interval. There's no indication of any water or movement  
12      behind pipe.

13                    This is our proposed salt water disposal well, 27  
14      Number 1. It is currently a plugged well. It was a  
15      producer at one time. It produced 421,000 barrels of oil.  
16      It was plugged and concurrently, of course, have squeezed  
17      everything off in there. What we propose to do is drill  
18      this out and to deepen the well to the proposed depth of  
19      13-9-70 and inject below our casing at 11,800, inject into  
20      these lower, wet, porous dolomites for the purpose of  
21      disposing of salt water.

22                    HEARING EXAMINER: It injects into the Fusselman also.

23                    THE WITNESS: Yes, it does; that's correct.

24                    MR. PEARCE: Anything further, Mr. Burnham?

25                    THE WITNESS: I don't have anything further.

1 Q. (By Mr. Pearce) Are there other items of  
2 geological interest which you'd like to highlight for the  
3 Examiner at this time?

4 A. I don't think so.

5 MR. PEARCE: Mr. Examiner, at this time I move the  
6 admission of Exhibits 1 through 5. I have no further  
7 questions of this witness at this time, and he is available.

8 MR. NEAL: The Examiner please, would it be  
9 satisfactory if I could cross-examine the witness at this  
10 time?

11 HEARING EXAMINER: Go ahead.

12 CROSS-EXAMINATION

13 BY MR. NEAL:

14 Q. How long have you been with Mobil?

15 A. I've been with Mobil six years and total  
16 experience of ten years.

17 Q. And that's been as a geologist?

18 A. That's correct.

19 Q. When did you first come into the vacuum field  
20 study?

21 A. Started working in the vacuum field in 1985.

22 Q. Now, when did you first become aware of the  
23 report that was made in 1960 by Mr. Sweeney for Roswell  
24 Geological Society?

25 A. Looking through some of our present or past

1 testimony on one of the other cases we had, this was one of  
2 our original exhibits, and that's when I first looked at it.

3 Q. And that was the previous case where the same  
4 parties appeared, I believe.

5 A. That's correct.

6 Q. As far as your making a clear and independent  
7 study of this area, you're just relying on whatever was in  
8 that report?

9 A. That's correct.

10 Q. Directing your attention to your Exhibit Number  
11 1, on the second page, which is your form C-108, and calling  
12 our attention to item number 11 where it states that you've  
13 prepared a chemical analysis of fresh water from two or more  
14 fresh water wells, if available, within one mile, how many  
15 did you examine?

16 A. I didn't put all this together. Just one. As  
17 far as I know, I think there's one -- let's see -- it's --

18 Q. Do you know where that location of that well that  
19 was tested is?

20 MR. PEARCE: Mr. Examiner, the report of that test is  
21 headed Exhibit D, and it is Champion Chemicals, maybe a  
22 little more than halfway back.

23 MR. NEAL: Thank you.

24 MR. PEARCE: Yes, sir.

25 Q. (By Mr. Neal) Have you got that before you?

1           A.     Yes, I do.

2           Q.     I call your attention --

3           HEARING EXAMINER: Hold up just a minute. I don't have  
4 it yet, sir.

5           Q.     (By Mr. Neal) Also considering that, that's  
6 Exhibit D, I believe, you also had a map which I assume to  
7 be where this location -- within a mile radius.

8           A.     That's correct.

9           Q.     Now, where is the Snyder windmill on the map?  
10 And perhaps it would be easier to identify that on one of  
11 the bigger maps.

12          A.     I don't have an exact location. I've seen a plat  
13 that indicates it in this quarter section up here in the  
14 northwest of the northwest quarter. I believe it's down in  
15 this section.

16          Q.     Why would you draw the line on your map to the  
17 one mile? Wasn't that where you did your test?

18          MR. PEARCE: If you look at that map, Mr. Neal, the two  
19 circles on that map, one is the half mile area of review as  
20 required, and the other map is the two-mile circle as  
21 required; so although we looked for water wells within one  
22 mile, there's not a circle on that map reflecting that.

23          MR. NEAL: Thank you.

24          MR. PEARCE: Yes, sir.

25          Q.     (By Mr. Neal) Would you indicate on either one of

1 those exhibit maps where you think its location is?

2 A. Yes, sir. I think it's in this southwest  
3 quarter. I have not been on the lease, I don't know exactly  
4 where it is.

5 Q. You've been told that that's where it was?

6 A. That's right.

7 Q. Would you just put an "X" there?

8 A. Somewhere in this quarter. I don't know. It  
9 could be right in here somewhere.

10 Q. Do you know whether or not it's adjacent to any  
11 road or public highway?

12 A. No, I don't know.

13 Q. Is the name Snyder windmill, is that because  
14 there's a windmill on it?

15 A. That's what I'd indicate it.

16 Q. Now, in that particular test, it's showing that  
17 your chlorides are very low. And that is excellent water,  
18 is it not, in that area?

19 A. I'm not a water expert. It looks like it's got  
20 low chlorides.

21 Q. You have also filed within your application other  
22 tests, water analysis from other wells, from the Abo and the  
23 Devonian and so forth, where you go anywhere from 6,000  
24 parts of chloride to over 400,000, I believe; is that  
25 correct?

1           A.     I think the highest I see there is 140 --  
2     139,000. But that's correct, there are -- water that we are  
3     disposing or proposing to dispose of is out of the north  
4     vacuum area.

5           Q.     I want my question to be corrected because I  
6     believe 139 is correct. Anyway, that's pretty salty, isn't  
7     it?

8           A.     That's correct.

9           Q.     So it's very important -- strike that. In this  
10    particular area, that is an excellent area of the Ogallala  
11    formation for fresh water, is it not?

12          A.     Most of the area around there is excellent water  
13    in the Ogallala.

14          Q.     So it becomes very important that the water zone  
15    of the Ogallala be protected.

16          A.     Mobil is very keen on or interested in the  
17    environment and taking care of the Ogallala formation;  
18    that's correct.

19          Q.     What effort -- you mentioned that you have a  
20    survey of where your water is being presently disposed of in  
21    your first well.

22          A.     Yeah, we have a survey. And actually we have an  
23    exhibit which Manuel will show later in the testimony, a  
24    large blowup of that survey, and he can give you some  
25    details on that.

1 Q. Do you know how the survey is performed?

2 A. I'm not an expert on injection surveys. He will  
3 handle that.

4 Q. But you do know there is a survey made.

5 A. That's correct.

6 Q. How often is that done?

7 A. Well, as I testified, one was done in 1988, and  
8 one was done again this spring, in January of 1991.

9 Q. And is that about the time you first started  
10 injecting into the well?

11 A. The well -- no. First injection into the --  
12 which well are we referring to?

13 Q. Your present disposal well.

14 A. In the 27 Number 2, the first -- I believe  
15 approximate date was June of 1990.

16 Q. And you filed these monthly water disposal  
17 reports with the Conservation Commission.

18 A. Yes.

19 Q. Now, as I understand it, you have not been out at  
20 the location personally as to the water well that was  
21 tested.

22 A. No. I've been at the location of the 27 Number 2  
23 tank battery and our facilities on the disposal, but I've  
24 not been on to the windmill area.

25 Q. Have you driven around to ascertain whether or

1 not it was within the half-mile area or a mile area that  
2 there are other water wells?

3 A. No.

4 Q. What, if anything, other than the survey, has  
5 Mobil proposed to keep checking to make sure there's no  
6 water getting into the Ogallala formation? What do you  
7 propose to do, if anything?

8 A. We do as the state has asked us to do, and we  
9 comply with the regulations which they've set forth. I  
10 think it's every five years we test the integrity of the  
11 back side of the casing.

12 Q. Now, directing your attention to Exhibit Number  
13 3, the map, as I understand it, the circles in green with  
14 the red in the middle are present disposal wells?

15 A. No. Number 3 is the -- green are all the  
16 Devonian producers within the area.

17 Q. They're producing at this time?

18 A. No. Exhibit 4 is, but Exhibit 3 just shows the  
19 overall field area with the 1960 map and the producers which  
20 ever produced out of it. They are not current producers.

21 Q. In addition to the Devonian wells, there's  
22 numerous other wells in the area that have been plugged.

23 A. Right. There's a number of Bone Spring wells.  
24 There's a number of -- some attempted Delaware wells, San  
25 Andres also.

1 Q. And they are located up and down from the  
2 northwest to the southeast in the map that's shown on 3; is  
3 that correct?

4 A. They're -- I don't know exactly the locations, I  
5 didn't put them on this particular map; but, yes, there are  
6 additional wells. We're drilled throughout the area.

7 Q. Are you familiar with a well that was drilled by  
8 Hondo Oil and Gas within the last few years to the west of  
9 your proposed location?

10 A. No.

11 Q. Are you aware that they had a water blowout?

12 A. The well I think you're questioning is a Blanks  
13 Energy well.

14 MR. PEARCE: Let's determine if, in fact, we're talking  
15 about the same well.

16 Q. (By Mr. Neal) Do you know where the location of  
17 this other well is?

18 A. There was a well that had a salt water flow in  
19 it, yes.

20 Q. Was that fairly close to your present proposed  
21 new location?

22 A. It's a mile-and-a-half away from it.

23 Q. Would you mark that on there?

24 A. That's the one I indicated up here already. It's  
25 this Maralo well. It was drilled by Blanks Energy to the

1 Devonian, was not a commercial producer, and Maralo  
2 apparently purchased it from Blanks. It's the Arco State  
3 Number 2, and they're currently injecting salt water into  
4 the Devonian in that location.

5 Q. (By Mr. Neal) Have you made a study as to what  
6 was the cause of that blowout of water buildup?

7 A. The well just to the north of it, which I've  
8 circled in pink around the edge of it, is an old former  
9 injector well that was drilled by Sinclair. They injected  
10 open hole from 3,900 feet to 6,600 feet. I think the  
11 pressures on those were very high. They had injection  
12 pressures of a couple of thousand pounds on the surface. So  
13 I surmise that this particular well probably contributed to  
14 some of that problem.

15 Q. So that in the drilling of the next well, it's  
16 possible some of the salt water could get into your fresh  
17 water zone.

18 A. If it was cased properly, that's correct.

19 Q. Now, where do you think that this water would be  
20 going that you propose to inject into the new location?

21 A. The water is going to go into the porous  
22 dolomites below our casing at 11,800 feet.

23 Q. In which direction? Will it flow principally to  
24 the southeast, or will it go in a circle, or what will it  
25 do?

1           A.     I haven't the foggiest idea.

2           Q.     You have no idea where it will go?

3           A.     Water -- I'm not an engineer, but water is going  
4 to go to the area where you have the least --

5           Q.     The line of least resistance?

6           A.     Exactly.

7           Q.     So you don't know if it's going to go north,  
8 south, east or west.

9           A.     I surmise that it will go to the south and to the  
10 west, based on the fact that we have a fault of four or 500  
11 feet of throw in there. The fault is, I believe, a sealing  
12 fault, based on a couple of things, but basically based on  
13 the fact that we have hydrocarbon entrapment to the tune of  
14 over seven million barrels, and it's been a nice producer,  
15 good structure. If it were not at sealing fault, the  
16 hydrocarbons would not be there.

17          Q.     Tell me what a sealing fault is.

18          A.     A fault that does not allow fluid or migration,  
19 pressure, etcetera, across the fault boundary.

20          Q.     Do you think that's the type of fault line that's  
21 here?

22          A.     Yes, I do.

23          Q.     What do you base that on?

24          A.     Just on other work in other areas where I worked  
25 with faults in displacements of this variety. We know that

1 the fault is down-thrown by a couple of deep penetrations  
2 just offset of the area.

3 Q. Do they appear on that map?

4 A. Yeah.

5 Q. Would you indicate that, please?

6 A. The 26 Number 3, which is a down-thrown well.

7 Q. Would you put a circle around that?

8 A. That particular well is down-thrown with a throw  
9 of over 400 feet. And as testified in previous cases, the  
10 fault is sealed, it's a sealing fault.

11 Q. Other than relying on the geological society and  
12 this report and this one well, is that the basis that  
13 you're --

14 A. And the previous case, the testimony with our 27  
15 Number 2.

16 Q. My question is directed to you. Other than the  
17 study here in this one well, have you made an independent  
18 study of it yourself?

19 A. I've looked at the area. I have not made a  
20 detailed correlation study of the area, no. This looks like  
21 good work. It's a simple faulted anticline.

22 Q. When you have a sealing fault, what is the effect  
23 of that?

24 A. Excuse me?

25 Q. What is the effect of that when you have a

1 sealing fault?

2 A. By definition of the sealing fault, you don't  
3 have movement of fluids or pressure across that boundary.

4 Q. Are there any plans or been consideration for  
5 continuing testing up and down the fault line to make sure  
6 in these other wells that there's not any contamination  
7 going on in the fresh water area?

8 A. Not that I know of. Our particular operation out  
9 there on our lease is -- we do everything we can and -- to  
10 comply with state regulations, make sure that our well bores  
11 are in integrity.

12 Q. Do you have your file on the previous case?

13 A. No.

14 Q. This was marked, I believe, Exhibit Number 1 in  
15 case number 9337.

16 HEARING EXAMINER: Do you have a copy of that for us,  
17 sir?

18 MR. NEAL: No, sir. I'm just going to ask a few  
19 questions on it.

20 HEARING EXAMINER: All right, go ahead and ask them. I  
21 don't know if it will help the record any if we don't see  
22 them.

23 MR. NEAL: I'm going to ask you to take administrative  
24 notice of your files. I want to show all these locations of  
25 all these wells; that's the purpose of it.

1 HEARING EXAMINER: Show the location of which wells,  
2 sir?

3 MR. NEAL: These wells that are not shown on these  
4 exhibits here that was previously shown in the other case.

5 HEARING EXAMINER: All right, go ahead. I would ask to  
6 take administrative notice of the exhibits of Mobil in case  
7 number 9337.

8 Q. (By Mr. Neal) Directing your attention to Exhibit  
9 Number 1 of the Mobil -- styled Mobil Producing Texas New  
10 Mexico, Inc., that shows numerous wells up and down this  
11 fault, does it not?

12 A. That's correct.

13 Q. And, to your knowledge, some of these wells that  
14 are shown in that exhibit are dry holes.

15 A. That's correct. Some of them are noted there.

16 Q. Some of them are at 5,000, some at 7,000, some  
17 are deeper.

18 A. Right.

19 Q. There's more than just the Devonian production  
20 along that line.

21 A. Oh, I think I testified to that, yes.

22 Q. Now, to what extent, if any, have you attempted  
23 to determine whether or not there have been any surveys made  
24 or anything else to determine where the water has been going  
25 into those other disposal wells?

1           A.     Which disposal wells are you referring to?

2           Q.     The ones you have testified to.

3           A.     The -- I don't know of any surveys. The only  
4 thing I have is the state record which indicates which zones  
5 are perforated, where the recompletion zone was.

6           Q.     Whether or not there have been any checking or  
7 tests made to determine whether or not any water is getting  
8 into the Ogallala, do you know of anything that's been done  
9 in that area?

10          A.     The only thing that we've done, and, of course, I  
11 can't account for the other operators, is we have run two  
12 surveys within our own well. We also have installed a gauge  
13 on the back side, on the casing side, of our annulus to  
14 determine whether or not we have built up any pressure, as  
15 just a precautionary measure.

16          Q.     How often is that checked?

17          A.     I don't know. Daily.

18          Q.     Good. Now, I believe you testified that one of  
19 these disposal wells had been plugged?

20          A.     That's correct.

21          Q.     Why would they plug it?

22          A.     I don't know.

23          Q.     Is it because they're getting such a buildup of  
24 water?

25          A.     I kind of doubt it just because the well next

1 door to it there, they're still taking 5,600 barrels a day  
2 on a vacuum.

3 Q. As I understand it, the new well you're  
4 proposing, you expect it to be on vacuum also.

5 A. That's correct.

6 Q. Now, I believe the Maralo well is a disposal  
7 well?

8 A. That's right.

9 Q. Where do you think that water is going?

10 A. It's going in the Devonian also.

11 Q. Is it going to the southeast?

12 A. Again, it's up close to that fault, and it's a  
13 sealing fault, and so it's going to be going path of least  
14 resistance. In my opinion, it's going south and it's going  
15 west along the edge of that fault.

16 Q. Where is the water that you're disposing of at  
17 this time, and where the new well will be, where is it  
18 coming from?

19 A. Where is the water coming from?

20 Q. Uh-huh.

21 A. It's coming from the North Vacuum Field.

22 Q. Why are you having to move it?

23 A. We're moving it because we don't have an adequate  
24 source in that area to dispose of the water.

25 Q. You mean you've already filled up the cavity?

1           A.     No. In fact, Mobil has spent several million  
2 dollars attempting a Devonian recompletion up in that area  
3 to try to take the water, and the Devonian was tight at that  
4 location. We have since got permission and asked the state  
5 for permission to inject into the 27 Number 2. And after  
6 getting approval on it, we have built approximately an  
7 eight-mile pipeline down to that particular area and have it  
8 installed and are injecting currently.

9           Q.     Are you aware of the area where this water is  
10 coming from, that there has now developed a substantial  
11 water blowout problem in other drilling?

12          A.     There are some problems in Texaco acreage to the  
13 south of where we are. We have encountered no -- this is in  
14 the San Andres area, shallow. We have not had any problems  
15 at all on our lease.

16          Q.     Is the San Andres the principal area where you're  
17 producing your oil from?

18          A.     No. The principal production area is the Abo  
19 formation, but we are producing out of approximately 11  
20 other horizons which are mixed up in this combined water  
21 samples.

22          Q.     Is the San Andres productive at that place?

23          A.     Yes.

24          Q.     In other words, there's not any water being  
25 injected into it?

1           A.     Yes, we're injecting into the San Andres also, as  
2 a water plug.

3           Q.     So you have excess water that you have to dispose  
4 of.

5           A.     That's correct.

6           Q.     What's the economic benefit to Mobil of that?

7           A.     Well, the more water -- if we can economically  
8 dispose of that water, we will produce more oil and gas for  
9 our operators and for those who we lease the land from.

10          Q.     In just a rough figure, what kind of dollars are  
11 we talking about?

12          A.     I have no idea.

13          Q.     Millions?

14          A.     Yeah, I'm sure it is. The longer we can produce  
15 those wells economically with a higher water cut, and we are  
16 dealing with a mature water flood, and every year our flood  
17 is maturing, we will continue to have higher water needs and  
18 we will have a greater need of more disposal capacities.

19          Q.     As long as you make a profit you're going to  
20 stay.

21          A.     I think that's what we're in the business for.

22          MR. NEAL: That's right. No quarrel with that. I have  
23 nothing further and have no objection to the exhibits.

24          MR. PEARCE: May I just jump back in at this point? I  
25 didn't understand, Mr. Neal. Were you proposing to

1 incorporate the full record from 9337 or just that map?

2 MR. NEAL: Just that map.

3 MR. PEARCE: In view of that, Mr. Examiner, I would  
4 move that the Examiner take administrative notice of the  
5 full court record. The map that was discussed has lots of  
6 data in it, as does the rest of that case file, and I think  
7 for completeness the whole record needs to be noticed in  
8 this proceeding. And if I may, as I said, that was case  
9 number 9337 and order --

10 HEARING EXAMINER: I'd like to ask you both to submit a  
11 written request that that be done. You submit a request  
12 saying what you want done and you submit --

13 MR. NEAL: I have no objection to what he's doing.

14 HEARING EXAMINER: Both of you submit a written request  
15 and we'll do it.

16 MR. PEARCE: I'll be happy to do it. Thank you, Mr.  
17 Examiner.

18 MR. STOVALL: Mr. Pearce, the case you're referring to  
19 is the case on the state 227?

20 MR. PEARCE: Yes.

21 MR. STOVALL: I just want to get a couple of things in  
22 the record. In that case, you're talking about the  
23 commission de novo hearing? Is that the one we're  
24 discussing?

25 MR. PEARCE: That's the one I was talking about. And,

1 as I understand it, that is the proceeding in which that map  
2 was an exhibit.

3 MR. NEAL: That is correct.

4 MR. STOVALL: And I will, for the record, state on  
5 behalf of the division and the commission that that case was  
6 appealed through the judicial system. The primary issue in  
7 the case was whether or not there was a sealing fault. And  
8 I think the Supreme Court found that the commission had  
9 sufficient evidence to find there was a sealing fault. And  
10 I would ask that if --

11 MR. NEAL: Under that particular evidence.

12 MR. STOVALL: I would ask that the decision in the  
13 Supreme Court case 18,860 be incorporated as well, Mr.  
14 Examiner. And I will submit that in writing, if you so  
15 request.

16 MR. NEAL: I have no objection to that.

17 HEARING EXAMINER: All right, thank you.

18 Go ahead, Mr. Pearce.

19 MR. PEARCE: That's all I have at this time, Mr.  
20 Examiner.

21 HEARING EXAMINER: You had moved, and you agreed we  
22 ought to accept Exhibits 1 through what?

23 MR. PEARCE: Well, I had moved the admission of  
24 Exhibits 1 through 5.

25 MR. NEAL: I have no objection at this time.

1           HEARING EXAMINER: All right, 1 through 5 are accepted  
2 into evidence.

3           MR. PEARCE: Thank you, sir.

4           HEARING EXAMINER: Mr. Burnham, who operates the  
5 producing wells in the pool?

6           THE WITNESS: Unical.

7           HEARING EXAMINER: The numbers you quoted, and I think  
8 they're tabulated on Exhibit Number 4 --

9           THE WITNESS: Yeah, I gave you a total.

10          HEARING EXAMINER: Tell me how the little blocks read.  
11 I couldn't find that in the legend.

12          THE WITNESS: Here's the legend over here on the side.  
13 Production data -- they're all out of the Devonian.  
14 Production data. The cumulative production is in thousand  
15 barrels of oil. The current production is just in barrels  
16 of oil per day. And the salt water disposal, which is the  
17 BSWs, is in million barrels.

18          HEARING EXAMINER: Here's one that reads 30 BOPD. This  
19 is on the discovery well, which is 30 --

20          THE WITNESS: That would be the daily production.

21          HEARING EXAMINER: It says 3,519 barrels of water per  
22 day, 1,206 MBO.

23          THE WITNESS: Is the quimed oil production.

24          HEARING EXAMINER: Obviously, there's been no injection  
25 into that well.

1 THE WITNESS: Correct, correct.

2 HEARING EXAMINER: Did the lower three zones ever  
3 produce any oil?

4 THE WITNESS: Lower three as in the way that I've got  
5 it drawn on here?

6 HEARING EXAMINER: Yes.

7 THE WITNESS: No. The only producing interval is, as  
8 you can see, this upper -- the very first dolomite that's in  
9 the area. That's the only one that is perforated throughout  
10 this whole area.

11 HEARING EXAMINER: Did the Fusselman ever produce in  
12 this area?

13 THE WITNESS: I believe it was tested; but, no, it did  
14 not. The Montoya produced in a couple of wells, a very  
15 small volume of oil; but the main producing interval within  
16 the field is the Devonian.

17 HEARING EXAMINER: On the well that you have labeled  
18 Magnolia Petroleum 227, you've indicated the Fusselman zone  
19 is open to salt water disposal, and there's a little  
20 shaded-in area in the lowermost Devonian stringer.

21 THE WITNESS: Those are the tracer logs in there.

22 HEARING EXAMINER: What does that show again?

23 THE WITNESS: What this is showing is just the two  
24 different tracer injector surveys which we've run, and  
25 Manuel will address those in a little more detail. What

1 we're showing is where our salt water is going. This was  
2 run in 1988. The casing is set right here. It's coming  
3 into the open hole and going into this.

4 MR. STOVALL: Mr. Burnham, just so it makes sense, when  
5 you say "the casing is set right here," would you  
6 identify --

7 MR. PEARCE: It's 11-9-54.

8 MR. STOVALL: And the first survey area is how deep?

9 THE WITNESS: This is at 12,000, approximately 30  
10 feet. It's going into -- what it's doing is going into the  
11 first porous interval.

12 HEARING EXAMINER: Even though the Fusselman is open,  
13 it's not taking any water?

14 THE WITNESS: That's correct. Within this area and  
15 actually throughout the southeast New Mexico Permian Basin  
16 the Devonian is known to take large volumes of water without  
17 much pressure resistance.

18 HEARING EXAMINER: How much is that 227 taking at this  
19 time?

20 THE WITNESS: This well is currently taking 5,600 or  
21 5,700 barrels a day.

22 HEARING EXAMINER: At what pressure?

23 THE WITNESS: At no pressure, vacuum.

24 MR. STOVALL: I have a couple of questions.

25

EXAMINATION

1 BY MR. STOVALL:

2 Q. This proposed well, the 127, is north and west of  
3 the 227, which is currently being used for injection?

4 A. That's correct.

5 Q. What is your opinion as a geologist as to -- let  
6 me back up and preface that -- Mr. Snyder previously  
7 objected to the 227 because he felt the water would encroach  
8 on his land, and the commission found it would not. What is  
9 your opinion, based on the location of the wells -- is this  
10 water injected into this well more or less likely to go  
11 towards and on to Mr. Snyder's land were there to be an  
12 encroachment?

13 A. It's even less likely because we're farther away  
14 from his property.

15 Q. You've reviewed the exhibits in the previous  
16 case?

17 A. Yes.

18 Q. Do you agree with the conclusions presented by  
19 Mobil at that time?

20 A. Yes. Of course, we don't know exactly which  
21 zones we will encounter in our proposed well because we're  
22 on the open hole. We assume by the continuity of the offset  
23 wells that we will have same zones present.

24 Q. Do you know what the options are if you're not  
25 granted this as far as what to do with the water you're

1 producing in the area?

2 A. Yes. I think it was actually in the last case,  
3 there were actual dollar numbers. I don't have those  
4 available. The other options are to truck the water to some  
5 other facility or to have someone else haul it off for us at  
6 a pretty high expense.

7 Q. Are these commercial facilities that you're  
8 proposing, or are these just for production from Mobil  
9 wells?

10 A. This is only for Mobil wells.

11 Q. So if this application were denied, you'd have to  
12 find another place to put a well; is that correct?

13 A. That's correct.

14 Q. Or find somebody else who would take the water;  
15 is that correct?

16 A. That's correct.

17 Q. Are there any commercial disposal facilities in  
18 the area that you're aware of?

19 A. There are some. There's subsurface disposal  
20 areas also. There's some other commercial injection wells  
21 available also.

22 Q. Do you know who operates any of those?

23 A. I know who.

24 Q. You can answer the question.

25 A. The Snyder Ranches apparently operate --



1 that will get on the Snyder Ranches' property?

2 MR. PEARCE: I object. I'm not sure that record says  
3 that.

4 MR. NEAL: I will challenge the record, and it's a  
5 direct statement. I asked whether or not there would be  
6 water that would get on Snyder Ranches' land, and the answer  
7 was yes, and that's in the transcript. And I'll be glad to  
8 furnish that question and answer and page.

9 HEARING EXAMINER: Please do that.

10 MR. PEARCE: And I will furnish the rest of the record.

11 HEARING EXAMINER: Anything further, Mr. Neal?

12 MR. NEAL: No, sir.

13 HEARING EXAMINER: I did have one more question.

14 THE WITNESS: Okay.

15 HEARING EXAMINER: Why wouldn't you put more water in  
16 the Number 2-27?

17 THE WITNESS: The reason we're seeking for this  
18 application is because we are continuing to have to  
19 introduce additional water flood, and also as the water  
20 flood matures, we are continuing to have additional water  
21 needs. And also in this particular well, we are looking for  
22 a backup in case we do have mechanical problems -- these are  
23 on 1958 well bores -- that we can go ahead and switch very  
24 quickly. We have the line already in place and the surface  
25 facilities there. We can immediately alleviate our problem

1 and get back to producing oil and gas.

2 HEARING EXAMINER: Would your current approval allow  
3 you to put more water in there?

4 THE WITNESS: Current approval is 10,000 barrels per  
5 day, I believe, in that particular well.

6 HEARING EXAMINER: You put about 6,500 a day in it.

7 THE WITNESS: What was the number that I quoted you?  
8 5,700 a day.

9 HEARING EXAMINER: 5,700?

10 THE WITNESS: That's correct.

11 HEARING EXAMINER: What is your additional need now at  
12 this time? How much more -- would the 10,000 handle you  
13 except for needing the backup?

14 THE WITNESS: It might, but it -- I don't know our  
15 current -- our current needs are 5,700 barrels a day. But  
16 as we continue to mature this water flood and get other  
17 wells on, if we were to get the 10,000 barrels, we would be  
18 shutting in production -- high water-producing wells that  
19 are making a small amount of oil just because we couldn't  
20 handle the water. And that's why we're asking for this  
21 application.

22 MR. PEARCE: May I?

23 HEARING EXAMINER: Sure.

24 REDIRECT EXAMINATION

25 BY MR. PEARCE:

1 Q. Mr. Burnham, I'd ask you to look at the second  
2 page of Exhibit Number 1 at the bottom. There is a typed-in  
3 footnote which refers to order number R-8645. Do you see  
4 that?

5 A. I see that.

6 Q. That order was dated May the 5th, 1988, according  
7 to that note?

8 A. That's correct.

9 Q. When did you testify earlier that you were  
10 finally able to begin injection of water into the 27-2 well?

11 A. We injected water approximately June of 1990.

12 Q. Something over two years after the order?

13 A. Yes.

14 MR. PEARCE: Thank you.

15 HEARING EXAMINER: I didn't pick up on the point you  
16 were making.

17 MR. PEARCE: It took us a very long time from when this  
18 division entered an order allowing us to inject water before  
19 we actually could.

20 MR. NEAL: In other words, he wants us to deny -- not  
21 be permitted to contend that we had a trespass, but we're  
22 still -- we have one --

23 MR. PEARCE: I don't know that this is the time --

24 MR. NEAL: -- doesn't have the authority to issue a  
25 permit that permits a trespass. He's liable for damages.



1           Q.     Mr. Jimenez, have you testified before the Oil  
2 Conservation Division or its examiners previously and had  
3 your credentials accepted and made a matter of record?

4           A.     No, sir.

5           Q.     Would you briefly describe for us, please, your  
6 educational background and work experience as it relates to  
7 the field of petroleum engineering?

8           A.     Yes. I obtained a BS in petroleum engineering  
9 from Texas Tech University in 1976. Since then I have  
10 worked three years as an engineer, eight years as a  
11 production engineer, worked three years as a completion  
12 engineer, and then one year as a supervising engineer for  
13 Mobil Oil Company. My experience is in West Texas, Oklahoma  
14 and New Mexico.

15          Q.     And, Mr. Jimenez, are you familiar with the  
16 application filed on behalf of Mobil in this proceeding  
17 today?

18          A.     Yes, sir.

19          MR. PEARCE: Mr. Examiner, at this time I would ask the  
20 recognition of Mr. Jimenez as an expert in the field of  
21 petroleum engineering.

22          HEARING EXAMINER: His qualifications are accepted.

23          Q.     (By Mr. Pearce) Mr. Jimenez, at this time I would  
24 ask you to place a couple of exhibits before you  
25 simultaneously. They're exhibits which we have numbered 6

1 and 7. And then if you will open Exhibit Number 1 to the  
2 third page of that exhibit, which is the form C-101 filed  
3 with the division. I'd ask you to discuss what's reflected  
4 by these exhibits, please.

5 A. Okay. Apparently Exhibit Number 6 is the current  
6 status or condition of our state Section 27 Number 1 well  
7 which we are proposing to convert to a salt water disposal  
8 well. It is currently plugged and abandoned, according to  
9 commission requirements. It was abandoned back in 1969.

10 Exhibit Number 7 is the proposed condition of the  
11 salt water disposal well, or the proposed salt water  
12 disposal well, in order to get from the plugged and  
13 abandoned condition to the disposing condition. C-101  
14 details the procedure that we plan to do. We're going to  
15 drill out the various cement plugs that are currently in the  
16 well bore. We plan to dust off the top of the 75-inch  
17 casing, which was cut off at 1689 feet when it was plugged.

18 At that time we plan to pressure test the top of  
19 that casing to insure the testing integrity and insure that  
20 the 75-inch casing is not leaking. If there is a leak, we  
21 plan to squeeze at that time. When we get through with  
22 that, we are planning to drill out the cement retainer,  
23 drill out the cement across the old Devonian (purse) <sup>Perfs</sup> AKH that was  
24 squeezed off back when it was plugged and abandoned. Again,  
25 we do plan to pressure test the Devonian. And at that time,

perfs (JAM)  
1 if the (purse) is not squeezed off, we do plan to resqueeze to  
2 insure that the total well bore does have pressure  
3 integrity.

4 Once we get through with that, we plan to drill  
5 out the bottom of the casing shoe and drill out our  
6 open-hole section. When we get down to our proposed depth,  
7 we plan to run open-hole logs and analyze them and submit  
8 them to the commission for their records.

9 We do plan to follow that with a stimulation of  
10 the open-hole section, which would include 2,000 gallons of  
11 hydrochloric acid, followed by 10,000 gallons of gelled  
12 hydrochloric acid. And we do plan to use 6,000 pounds of  
13 graded rock salt.

14 Once we establish injection, then we plan to pull  
15 out with that work stream packer, run in with permanent  
16 packer and install our injection tubing, which will consist  
17 of probably four-and-a-half-inch tubing, internally coded.

18 Q. At this time, while we're still dealing with  
19 Exhibit Number 1, I would ask you to turn to the page we  
20 referred to before headed Lithologic detail, which is five  
21 or six pages back, I think. Let's pause for a moment. And  
22 I would ask you to please direct your attention to what is  
23 marked Roman numeral XII. And would you read that statement  
24 for us, please?

25 A. Yes, sir. "MPTM has examined the available

1 geologic and engineering data and finds no evidence of open  
2 faults or any other hydrological connection between the  
3 Devonian Formation and any underground source of drinking  
4 water."

5 Q. Thank you, sir. There was some discussion  
6 earlier about how often the injection pressure on this well  
7 would be measured. What was the testimony and how often is  
8 that pressure gauged?

9 A. As far as the injection pressure, that's measured  
10 on a daily basis. Right now the injection pressure is on a  
11 vacuum. To satisfy state requirements for pressure testing,  
12 once every five years we plan to pressure test the tubing  
13 casing annulus. The period of testing is 30 minutes,  
14 500-pound pressure. And if it holds, then that will pretty  
15 much satisfy the requirement on that basis. On a daily  
16 basis, we do have pressure gauges on the annulus, casing  
17 annulus, as well. And we do have a pumper going by on a  
18 daily basis checking the pressures to insure that we do not  
19 have pressure on the casing annulus.

20 Q. And is it your understanding that the injection  
21 pressures on injection wells are reported monthly to the Oil  
22 Conservation Division?

23 A. Yes, sir. They're reported on the monthly water  
24 disposal reports C-120-A, is the report number. And we  
25 report volumes, pressures on that monthly report.

1           Q.     We've had a good deal of questioning, Mr.  
2 Jimenez, about the tracer surveys that have been conducted  
3 on the 27-2 well. I would ask you now to approach the  
4 exhibit we've put on the wall, which is Exhibit Number 8.  
5 And could you discuss what's reflected on that exhibit for  
6 us, please?

7           A.     Yes, sir. This is a tracer survey of the current  
8 disposal in the Vacuum South Devonian Field, the state  
9 Section 27 Number 2. What we have over here on the left is  
10 a gamma ray neutron log which is basically just to correlate  
11 our depths. The metal log is a tracer survey that was run  
12 back in March of '88 when we applied for a disposal permit.  
13 What it showed back then -- and I haven't changed anything  
14 on this particular log -- what it showed back then that we  
15 were disposing most of our water in an interval from 12,038  
16 to 12,096. Eighty-four percent of the water was going out  
17 in that interval, with some minor water going out just below  
18 that.

19                   The line that you see here is actually  
20 temperature survey, injection temperature survey. What this  
21 shows is that there is no water going out of the well bore  
22 below this interval here, about 12,100. This is a survey  
23 that was run back in March.

24                   January of this year we came back to this same  
25 well, and we ran another tracer survey. The configuration

1 is a little different. This is a temperature log, and this  
2 is a tracer survey, but both logs ran the same type of  
3 survey. They both ran tracer surveys and they both ran a  
4 temperature survey.

5 What this shows, this indicates a radioactive  
6 slug that was injected from the logging tool. We followed  
7 this radioactive slug down the hole until we noticed at what  
8 interval the radioactive slug dissipates or leaves the well  
9 bore. At that point, we determined the amount of water, the  
10 percentage of water, that is leaving the well bore. Looking  
11 at the percentages that we came up with, we found that  
12 basically from 12,060 to 12,080 there, that 94 percent of  
13 our water was leaving the well bore, with minor water  
14 leaving the well bore just below that, which is pretty close  
15 to what, you know, the initial survey indicated.

16 Q. Anything else you'd like to discuss with us as it  
17 relates to that exhibit?

18 A. No, sir, that's all.

19 Q. You can return to your seat, please. And I want  
20 to direct your attention to what we have marked as Exhibit  
21 Number 9, please. Discuss this exhibit for us, please.

22 A. This Exhibit Number 9 is a disposal rate -- water  
23 disposal rate on barrels per day versus time. As Dan  
24 Burnham testified earlier, we started injection in this well  
25 in June of 1990. And this just shows our disposal rates on

1 a barrel of water, per-day basis. Started out a little over  
2 3,000 barrels of water per day, got to a high of about  
3 7,000, down to our current disposal rate of about 5,700  
4 barrels of water per day.

5 Q. Look now at Exhibit Number 10, please.

6 A. Exhibit Number 10 is a plot of injection pressure  
7 versus time, covering the same time interval that we have  
8 injected water into our 27 Number 2. What it signifies is  
9 that the line in blue is our actual injection pressure,  
10 shows that we are injecting water at zero PSI, or really  
11 just a slight vacuum. What the red line signifies is what  
12 the authorized or permitted injection pressure is for this  
13 particular well, which is 2,375 PSI.

14 Q. Anything else on either of those exhibits?

15 A. No, sir.

16 Q. Mr. Jimenez, at this time I want to ask you a  
17 couple of general questions. Is it your opinion that you  
18 know the Devonian zone in which the disposed water is most  
19 likely to enter?

20 A. Yes, sir.

21 Q. And is it your opinion that that is an  
22 environmentally sound disposal method for these fluids?

23 A. Yes, sir.

24 Q. And do you believe that the fresh water zones,  
25 which are some 11,000 plus feet above the disposal zone, are



1 you're injecting in, would that show where it was going?

2 A. Yes, sir.

3 Q. If it were some other area?

4 A. That's what that survey shows, is that all of our  
5 water is being disposed down into the Devonian formation.

6 Q. So if a periodic survey were made over time, then  
7 as long as it was showing going into that same area, then  
8 there wouldn't be a problem, would there, of pollution with  
9 the fresh water?

10 A. No, sir.

11 Q. So that a survey of that nature periodically  
12 would protect the fresh water zones, would it?

13 A. Yeah, with respect to water disposal or water  
14 injection. This type of survey is not really typical unless  
15 you feel like there is a problem. And this -- we ran this  
16 survey to illustrate that we are currently still injecting  
17 water into the same zone as what the initial survey showed.

18 Q. If such a survey were made, it would show where  
19 the water was going other than the particular zone where you  
20 wanted it to go.

21 A. Right.

22 Q. All right. Now, I think I misunderstood -- does  
23 this survey run all the way from zero to total depth?

24 A. No, sir; no, sir. It runs from approximately --  
25 we ran our survey -- the current survey ran from about

1 12,150 up to about 12,000 -- or, excuse me 10,700.

2 Q. But if a problem did develop uphole in the  
3 Ogallala, it would show on that type of survey.

4 A. This type of survey, since we're logging down  
5 close to TD, would probably not show water leaving the -- or  
6 at the surface; but pressure-wise, we should be able to  
7 catch that with our pressure gauges.

8 Q. Now, if it was operating at the time, it would  
9 show it on your radioactive, wouldn't it?

10 A. Pardon?

11 Q. It would show on the tracer if you were running  
12 it at the time from zero all the way to total depth.

13 A. Right. Typically, you don't really run a survey  
14 for that length. It does tend to run the costs up on your  
15 surveys.

16 Q. Here you're looking for a place where the water  
17 is going. You can also run a survey for the purpose of  
18 determining if it's going anywhere else except the hole.

19 A. Right. Let me explain. The reason why we run it  
20 this deep is because we believe that our tubing integrity is  
21 good and that we don't have any leaks close to the surface.

22 Q. If you did happen to have a leak -- and leaks do  
23 occur up the hole -- it would show up, wouldn't it?

24 A. Right.

25 Q. And if it was in a close area where communication

1 of salt could go into the Ogallala, then you could have a  
2 problem in the fresh water zone, couldn't you?

3 A. That's possible. Again, that's why we do monitor  
4 the pressure gauges. Along with the every five-year  
5 pressure testing of the annulus, there is a Bradenhead test  
6 that's done annually where the well is shut in for 24 hours,  
7 then the casing valves are opened up to see if there is any  
8 water flow. At that time we would detect any kind of flow.

9 Q. Tell me on a pressure -- I'm not an engineer and  
10 it's very obvious by my ridiculous questions -- but on these  
11 pressures on the pressure gauge, will that show whether or  
12 not any water is leaking into another formation?

13 A. If it requires pressure to leak into it, yes. If  
14 it will take it on a vacuum, no.

15 Q. Well, if you had a hole at 60 foot in your casing  
16 and there was a breakdown in your cementing of that casing,  
17 surface casing, would water go into the Ogallala formation?

18 A. It depends if it required any pressure to be  
19 pumped into the Ogallala. If the hydrostatic from 60 feet  
20 to the Ogallala is greater than what the pressure in the  
21 Ogallala is, then I would say no, it would not require any  
22 kind --

23 Q. To your knowledge, have you made any studies as  
24 to whether or not it would require pressure to get into the  
25 Ogallala, or would it go in vacuum, or what?

1           A.     No, sir; no, sir. We believe that our casing  
2 integrity is sufficient.

3           Q.     Let's assume your casing goes bad. Casing has  
4 gone bad in Lea County. You understand that.

5           A.     Right.

6           Q.     That's been going on for over 30 years, hasn't  
7 it? Thirty years from now we may have a bad casing leak.

8           A.     It's possible.

9           Q.     The only thing I'm asking you, you don't know  
10 whether or not it would or would not go into the Ogallala  
11 under those circumstances.

12          A.     No, sir. I've not obtained a pressure on the  
13 Ogallala formation.

14          Q.     Are you familiar with the Windmill Oil Company?

15          A.     No, sir.

16          Q.     In Hobbs, New Mexico, at the San Andres?

17          A.     No, sir.

18          Q.     Where they use -- where there's been casing  
19 leaks, and the water has been fresh water, and it scums and  
20 it's made over several thousand barrels of oil in the last  
21 20 years; do you know anything about that?

22          A.     No, sir.

23          Q.     Wasn't Mobil an operator in the East Hobbs Pool?

24          A.     I'm not familiar with that.

25          Q.     Now, let's see. As I understand it then, 6 and 7

1 is your schematic on how you intend to complete this well;  
2 is that right?

3 A. Yes, sir.

4 MR. NEAL: I have no further questions.

5 MR. PEARCE: May I?

6 HEARING EXAMINER: Yes, sir, go ahead.

7 REDIRECT EXAMINATION

8 BY MR. PEARCE:

9 Q. Mr. Jimenez, we've had a good deal of discussion  
10 about well bore integrity, and I want to go back and review  
11 what I understand is going on and see if I'm correct.  
12 Within the present injection well and the proposed injection  
13 well, there's a string of casing; is that correct?

14 A. Yes, sir.

15 Q. And inside that string of casing is a second tube  
16 through which the water to be disposed of is injected; is  
17 that correct?

18 A. Yes, sir.

19 Q. And that tubing is plastic-lined to prevent  
20 corrosion?

21 A. Yes, sir.

22 Q. Between the tubing and the casing, that space  
23 that's called an annulus, is filled with an inert fluid; is  
24 that correct?

25 A. Yes, sir. It's typically treated to eliminate

1 corrosion in the annulus.

2 Q. So that if a casing leak, in fact, developed, the  
3 most likely occurrence is that that inert fluid would, to  
4 the extent it could, leak out of the annular space and that  
5 -- in fact, there is a pressure gauge on the annular space;  
6 is there not?

7 A. Yes, sir.

8 MR. PEARCE: Thank you. That's all.

9 HEARING EXAMINER: I'd ask a question or two about  
10 that, Mr. Jimenez. Is there any pressure at all on the  
11 tubing casing annulus?

12 THE WITNESS: No, sir, not right now.

13 HEARING EXAMINER: So it and the tubing read the same  
14 pressure?

15 THE WITNESS: Right.

16 HEARING EXAMINER: Whenever you go out there and  
17 observe it.

18 THE WITNESS: Right.

19 HEARING EXAMINER: Is the tubing casing annulus filled  
20 with fluid of any kind?

21 THE WITNESS: Yes, sir. Packer fluid, like I  
22 mentioned, is treated with a corrosion inhibitor to minimize  
23 corrosion in the annulus.

24 EXAMINATION

25 BY MR. STOVALL:



1 HEARING EXAMINER: The witness may be excused.

2 MR. PEARCE: Mr. Examiner, at this time I would like to  
3 present and move the admission of what I have marked as  
4 Mobil Exhibit Number 11, which is the affidavit of service,  
5 and I'd like to highlight a problem which I'm responsible  
6 for, to Mr. Neal and to the division. That notice was not  
7 timely sent 20 days prior to this hearing, and I believe it  
8 will be necessary for us to recall this case in two weeks so  
9 that any party who received that notice who is not here  
10 today could appear if they wish to express an opinion on  
11 this matter.

12 HEARING EXAMINER: You just need to readvertise it  
13 again, see if anybody else shows up.

14 MR. PEARCE: Actually, I don't need to readvertise; we  
15 just need to leave this open, and we can take the case under  
16 advisement at the next hearing. The advertisement was  
17 timely made, the mailing notice was not.

18 HEARING EXAMINER: Renotice it then?

19 MR. PEARCE: Yes, sir.

20 MR. STOVALL: Not actually even renotice, but rather  
21 allow time for that notice --

22 MR. PEARCE: Allow the 20-day clock to run.

23 MR. STOVALL: Nothing has to be done except the passage  
24 of time.

25 MR. NEAL: I have no objection to that at all.

1 HEARING EXAMINER: And you're willing to accept this?

2 MR. NEAL: Yes, sir.

3 MR. PEARCE: He got one, we know he got one.

4 HEARING EXAMINER: Exhibit 11 is accepted. Anything  
5 further, Mr. Pearce?

6 MR. PEARCE: No, sir.

7 MR. NEAL: I have one witness, will be very short. Mr.  
8 Squires, will you take the witness chair?

9 HEARING EXAMINER: We'll accept 1 through 11, if we  
10 haven't already.

11 LARRY C. SQUIRES

12 the Witness herein, having been first duly sworn, was  
13 examined and testified as follows:

14 DIRECT EXAMINATION

15 BY MR. NEAL:

16 Q. State your name.

17 A. Larry C. Squires.

18 Q. Mr. Squires, you're the president of Snyder  
19 Ranches Inc., a corporation?

20 A. That's correct.

21 Q. And as such, are you the operator of -- the  
22 Snyder Ranches operate several ranches in Lea and Eddy  
23 County; is that correct?

24 A. That's correct.

25 Q. And is one of the important factors of being able

1 to ranch fresh water?

2 A. Very definitely so.

3 Q. And have you had unfortunate experiences with  
4 contamination of fresh water in the potash area?

5 A. Yes, I have had water wells that have been  
6 contaminated by open pits by the oil and gas industry.

7 Q. And that's under the caprock towards Carlsbad.

8 A. That's correct.

9 Q. As far as this particular area, you haven't had  
10 any problems at this time.

11 A. Not as yet, and I would like to try and prevent  
12 any problems before they do happen.

13 Q. You heard the testimony of Mr. Burnham, and  
14 referring to, I believe, the Champion water well report  
15 that's contained in Exhibit Number 1 -- and it's marked  
16 Exhibit D -- and I'll ask you if you know where the Snyder  
17 windmill is.

18 A. Well, yes, I know where -- we've got several  
19 windmills, and I was not sure where this windmill was  
20 located.

21 Q. Directing your attention to Exhibit 3, where is  
22 the closest windmill from either Mobil's well presently  
23 being used or the proposed well?

24 A. Well, in Section 34, just off of highway 529,  
25 approximately a mile or three-quarters from their disposal

1 well.

2 Q. And you heard the testimony of Mr. Burnham that  
3 there is a well here in the corner of the quarter marked  
4 W. M. Snyder.

5 A. He is correct; there is a water well there, yes.

6 Q. Is there any windmill on it?

7 A. Hasn't been a windmill on it in six or seven  
8 years.

9 Q. Is it presently being pumped by a submergible  
10 pump?

11 A. That's correct; it's got a submergible pump in  
12 it.

13 Q. Did you contact Champion Chemicals to determine  
14 where they had taken the test?

15 A. Yes. I contacted Owen Roberts who is the fellow  
16 that sampled the water, and I also discussed it with Mr.  
17 Randolph Scott, the chemist.

18 Q. Where did he tell you that they took the test?

19 A. Mr. Roberts indicated to me that he --

20 Q. Did he indicate or tell you?

21 A. He told me. He says, "Oh, yes, I remember that.  
22 I sampled that water well. It's just off of highway 529  
23 down in a draw." And I assumed that that was the windmill  
24 that we have on that -- in that area because there's no  
25 windmill on the 40 acres that they've testified to. And, of

1 course...

2 Q. To your knowledge, were you ever contacted about  
3 taking a sample from that water that's located in the Snyder  
4 ranch on the map for W. M. Snyder?

5 A. Not for this case, no, not at all. Mobil  
6 employees, no one has contacted me about taking a sample of  
7 any of our water wells for this application.

8 Q. Now, is this particular area where the proposed  
9 well is to be located, is that on your ranch?

10 A. If I may, I'll point it out on this map.

11 Q. Call the number of the exhibit.

12 A. Either one of the exhibits; both of them have got  
13 Section 34.

14 Q. Wait a minute. Exhibit -- what's that right  
15 there?

16 A. This is Exhibit 3.

17 Q. All right, Exhibit 3.

18 A. The water well that the Champion Chemical  
19 employee indicated to me that he sampled was within a  
20 thousand feet of this highway right here.

21 Q. Will you put a mark there, please, as a windmill  
22 well?

23 A. He indicated to me that he sampled this water  
24 well right here. I asked him specifically, I said, "Did you  
25 sample the water?" I said, "Do you know where Mobil's

1 disposal well is?" He says, "Yes, where those big black  
2 tanks are." I said, "Yes, that's correct." I said, "Did  
3 you sample a water well within a thousand, 1,500 feet of  
4 that disposal well?" He says, "No, I did not."

5 Q. All right. Now, Mr. Squires, is that area part  
6 of the Lea County water basin?

7 A. Yes.

8 Q. And subject to the jurisdiction of the state  
9 engineer of the State of New Mexico?

10 A. Yes. We have a farm located not too far from  
11 there that's got 800-acre feet of water allocated to this  
12 farm.

13 Q. And is that a strong area -- strong water sand in  
14 that area?

15 A. Oh, very definitely. We have some irrigation  
16 wells that are approximately 90 feet deep that produce six  
17 to 900 gallon a minute.

18 Q. And the chlorides shown where the Snyder  
19 windmill, wherever that may be, is one; is that correct?

20 A. One milligram per liter; that's correct.

21 Q. That's pretty good water, isn't it, compared to  
22 what they're pumping in the other tests that have been  
23 shown?

24 A. It's excellent fresh water.

25 Q. It's your purpose of protesting here today to

1 request the commission or the hearing examiner to assure  
2 that adequate steps are taken whereby no contamination of  
3 the Ogallala formation can occur.

4 A. That is exactly my purpose. I am not a  
5 geologist. I do not understand all of this technical  
6 stuff. But the one thing that I do understand is that there  
7 have been fresh water contaminations within the area, within  
8 the Buckeye area, in the Texaco area, and it's been caused  
9 by geologists, and competent geologists indicate to me that  
10 it's caused by water seeping up through into the Salado  
11 formation and getting around old abandoned well bores that  
12 were plugged 30 years ago and seeping into the Ogallala.

13 We're very concerned about it in this area  
14 because less than a year ago, or approximately a year ago,  
15 Hondo Oil and Gas reentered a well in the northwest part of  
16 this Section 27, and they flowed salt water out of six-inch  
17 pipe for ten days. And as a farmer and rancher in the area,  
18 I'm vitally concerned where the water is coming from and why  
19 is it there, because I am told by Mr. Sexton and other  
20 people in the area that it's not naturally occurring water,  
21 that it's water that's gotten into the salt formation from  
22 other ways. And a lot of people, a lot of knowledgeable  
23 people, cannot tell you exactly why that water is getting  
24 into that Salado section. And it appears to be migrating  
25 from the Buckeye area to the southeastern toward my ranch

1 and our farming area, and, yes, I'm vitally concerned. I'm  
2 certainly not here trying to force Mobil to do business with  
3 me. We don't really want their business.

4 Q. Mr. Squires, do you know of other instances of  
5 fresh water contamination in the Ogallala formation in Lea  
6 County?

7 A. Yes.

8 Q. Has it been occurring all over the county?

9 A. That's correct.

10 Q. Now, just one more question, if I can find my  
11 note here. In your protest you have requested the  
12 commission to take adequate steps. In other words, it's  
13 your opinion as a landowner and a rancher that there be more  
14 inspections required of these disposal wells to make sure  
15 there's no contamination that will occur?

16 A. I certainly do. You know, I feel like that a lot  
17 of oil companies are very casual about testing the adjacent  
18 water wells within the area, as pointed out very definitely  
19 that these people thought they had sampled the water well on  
20 that 40 acres when, in fact, it was a mile-and-a-half away.  
21 It was casual occasional sampling of a water well.

22 MR. NEAL: I have nothing further.

23 HEARING EXAMINER: Mr. Pearce?

24 MR. PEARCE: Thank you.

25 CROSS-EXAMINATION

1 BY MR. PEARCE:

2 Q. Mr. Squires, let's talk about the water well that  
3 got sampled. Let's assume for purposes of my questioning  
4 that, in fact, they didn't get that well on your 40-acre  
5 tract due east of the proposed disposal well but, in fact,  
6 sampled some other well.

7 A. I don't know whether they sampled that well or  
8 not. I know that none of Mobil's employees or agents called  
9 me and asked me that they'd like to take a sample of that  
10 well.

11 Q. And I really didn't understand that answer. I  
12 thought you had indicated to me that this Champion sample  
13 was not a sample from that well.

14 MR. NEAL: From the well on the 40 --

15 Q. (By Mr. Pearce) Do you know that?

16 A. I don't know that for a fact. If it is, then  
17 he's in error because he says that there's a windmill on  
18 it. There is no windmill on it.

19 Q. Have you taken a current water sample of the well  
20 on that 40-acre tract in Section 26? You're telling me  
21 there's a well with a downhole pump; is that right?

22 A. That's correct.

23 Q. Do you have a water sample of that water?

24 A. I don't have a water sample of it now. I was out  
25 there a couple of days ago, and I turned it on and I got a

1 drink out of it.

2 Q. Do you have anything that leads you to believe  
3 that a water sample from that well would be different --  
4 would yield different results than are reflected on this  
5 page of Exhibit Number 1?

6 A. Well, yes. I would think that certainly if any  
7 contamination occurs from the salt water disposal well  
8 that's 660 feet away from it, that certainly the  
9 contamination of the chlorides would certainly show up in  
10 that well much sooner than they would a mile-and-a-half  
11 away.

12 Q. Do you have any indication currently that there  
13 is any contamination in that well bore on that 40-acre tract  
14 in Section 26?

15 A. No, I do not. I would like to see Mobil sample  
16 the water for me and submit monthly analyses to me so we can  
17 determine whether or not it's got any contamination in it or  
18 not.

19 Q. Do you have any idea what the cost of that water  
20 sampling is, testing?

21 A. Yes.

22 Q. What does that cost?

23 A. Approximately \$50.00 a sample.

24 Q. And yet over all these years with the well in  
25 Section 35 injecting 35 million barrels of salt water for

1 disposal, you have not tested the water in that well; is  
2 that correct?

3 A. I have not tested it because it's been good water  
4 all this time. And, of course, that disposal well down  
5 there in that area has been there for a long time, and is  
6 approximately two-and-a-half miles away.

7 Q. Let's refocus our attention to some discussion  
8 you had about a surface disposal facility. Where is that  
9 facility, Laguna Katuna?

10 A. It's located approximately 25 miles from this  
11 area.

12 Q. And where is your ranch in relation to this area,  
13 the area of the disposal well, where is your ranch?

14 MR. NEAL: Which one?

15 A. I've got three or four ranches.

16 Q. (By Mr. Pearce) Where are those ranches?

17 A. My home is located approximately two miles to the  
18 east, two-and-a-half miles to the east. Our north boundary  
19 is located approximately two miles north of there. Our west  
20 boundary is approximately four miles west of there, south  
21 boundary approximately two miles.

22 Q. South of this location?

23 A. Yes.

24 Q. And do you have other ranches to the south of  
25 this acreage?

1           A.     Yes, south and west both.

2           Q.     Is the current surface disposal facility in the  
3 vicinity of one of your ranches?

4           A.     Yes, it was. I have recently sold that ranch.

5           Q.     And when that ranch was yours, did you have  
6 Ogallala water on that ranch?

7           A.     No, we never have.

8           Q.     Where did the water for that ranch in operation  
9 come from?

10          A.     We got the -- we have some water wells on that  
11 ranch, but it's not Ogallala water. The Ogallala pinches  
12 out, as I understand it, along the edge of the caprock. The  
13 -- it's Santa Rosa water, and I believe that's correct, and  
14 also some pockets of water that are located within the red  
15 beds in that area. But as far as in the basic vicinity of  
16 Laguna Katuna, there is no fresh water, never has been.

17          Q.     How is the water transported to that surface  
18 disposal facility?

19          A.     Primarily by pipeline; in fact, 99 percent of it  
20 is transported by pipeline.

21          Q.     And those pipelines, I assume, cross major  
22 portions of your ranch, or do they not?

23          A.     Ninety-nine percent of the right-of-ways procured  
24 by the pipelines is federal government.

25          Q.     Lands that you have grazing leases on?

1           A.     I did have grazing permits on them. I do not  
2 now. I've sold it.

3           Q.     And when you speak of your ranches, are we  
4 including acreage which you own in fee and acreage which you  
5 lease?

6           A.     That's correct. I might like to add, Mr. Pearce,  
7 the Laguna Katuna salt water disposal company is not owned  
8 solely by me. I'm a minority stockholder.

9           Q.     You mentioned, Mr. Squires, one of your ranches  
10 or all of your ranches, and I didn't understand which, has  
11 800-acre feet of water rights.

12          A.     I have a farm approximately three miles from this  
13 disposal well that has about 800 acres of water rights.

14          Q.     Which direction?

15          A.     East.

16          Q.     And the water at that farm is at an approximate  
17 depth of 90 feet; is that correct?

18          A.     That's correct.

19          Q.     And have you sampled the water from those wells?

20          A.     No, I have not.

21          Q.     You mentioned your understanding that Hondo Oil  
22 and Gas Company had attempted a reentry of a well, I believe  
23 you said in Section 27?

24          A.     I'm not sure whether it's in Section 27 or the  
25 southwest southwest 22. It's either -- it's right in the

1 corner, the northwest northwest 27 or southwest southwest  
2 22.

3 Q. Do you have any information about the well which  
4 they reentered, the depth of that well or the zoning?

5 A. It was -- they reentered it, it was my  
6 understanding, for shallow production. They entered -- they  
7 encountered a salt flow of approximately two to 3,000 feet.  
8 The water flowed for a week, ten days and they plugged and  
9 abandoned it.

10 Q. Two to 3,000 feet?

11 A. I don't know. All I saw was the water gushing  
12 out on to our ranch. It damaged quite a bit of surface in  
13 that area.

14 Q. I'm sorry, I want to go back and try to  
15 understand. I thought I understood you to say that you  
16 understood that the interval from which the water was  
17 flowing to be two to 3,000 feet.

18 A. That's what the pumper or the man out on the  
19 location told me.

20 Q. That's what I was trying to determine. I  
21 appreciate that, sir.

22 A. I had felt like that we might get some  
23 information on that well this morning in that hearing.

24 MR. PEARCE: Mr. Examiner, I don't believe I have  
25 anything further of Mr. Squires at this time.

1           MR. NEAL:  Nothing further.

2           HEARING EXAMINER:  Mr. Squires, the contamination of  
3 your ranchland from potash and oil field operations, has  
4 that been your ranch in this area?  Was that contamination  
5 of your ranchland in the area of this application?

6           THE WITNESS:  Yes, sir.  There has been some  
7 contamination of the surface of our lands from this Union  
8 disposal well located in this same pasture.  Primarily, most  
9 of this contamination has occurred in shallow water aquifers  
10 over close to the Mash Draw area.

11          HEARING EXAMINER:  Is your ranch -- does it include all  
12 or parts of what's shown on Exhibits 3 and 4 as Sections 21,  
13 22, 23, 26, 27 and 28 and 33, 34 and 35?

14          THE WITNESS:  Yes, sir.  Basically, I think our north  
15 boundary would be the -- north boundary would be this line  
16 right here.  I believe that's correct.

17          HEARING EXAMINER:  Where is south?  Is it way on south  
18 of the map?

19          THE WITNESS:  Yes, it goes south and back east towards  
20 Monument.

21          HEARING EXAMINER:  So, basically, all that's shown  
22 is -- the contour lines up there is part of your ranch.

23          THE WITNESS:  Yes, sir, it sure is.

24          HEARING EXAMINER:  Did I understand you to say that --  
25 you or Mr. Neal one -- that you weren't really protesting

1 this application, but you wanted to make sure that certain  
2 safeguards or adequate safeguards were required so that  
3 water contamination would not occur?

4 THE WITNESS: Well, our prime concern is that --  
5 protection of our fresh water source. We don't feel like  
6 that Mobil is very interested in our water well because we  
7 don't feel like they've even sampled it. And this is our  
8 main concern.

9 HEARING EXAMINER: Would you, as a monitoring  
10 procedure, should this application be granted, or as a  
11 monitoring procedure for the other disposal well, would you  
12 have any problem with them obtaining periodic samples from  
13 your well to run analysis on?

14 THE WITNESS: No, sir, I don't; but we do feel like  
15 that their water does encroach upon our property, and Mobil  
16 has not -- we feel like that our Devonian formation in our  
17 40 acres is storing their waste that's being transported  
18 from ten miles away, and we don't think Mobil has a right to  
19 use our property without our consent. But, certainly, I  
20 really have no objections to proper safeguards and a good  
21 salt water disposal well, no, I certainly don't.

22 HEARING EXAMINER: So the sampling program utilizing  
23 your well, you wouldn't have any objection to that, if I  
24 heard you correctly. And while you didn't sample it, that  
25 well, I believe you said you drank from it recently, and

1 that was within the last month or so?

2 THE WITNESS: Last couple of days, yes, sir.

3 HEARING EXAMINER: Do you use the water for your ranch  
4 house or irrigation?

5 THE WITNESS: Livestock. There's no house there.

6 EXAMINATION

7 BY MR. STOVALL:

8 Q. Mr. Squires, you said you're only a small owner  
9 in Laguna Katuna?

10 A. That's correct.

11 Q. Are you an officer of that?

12 A. Yes.

13 Q. Is that a corporation?

14 A. Yes.

15 Q. Are you an officer of the corporation?

16 A. I'm the president of the corporation.

17 Q. Who are the other major stockholders in the  
18 corporation?

19 A. Trent Stradley, Wade Shipley, Lloyd Goodheart.

20 Q. Is that it?

21 A. That's it, yes.

22 Q. You indicated pipeline comes -- a lot of the  
23 water that's disposed of is delivered by pipe; is that  
24 correct?

25 A. A hundred percent of it is at this time, yes.

1 Q. Does any of that pipe cross the area where your  
2 800-acre feet of water is located?

3 A. Oh, no, no, it's 30 miles from there.

4 MR. STOVALL: I have no further questions.

5 HEARING EXAMINER: All right, the witness may be  
6 excused.

7 MR. NEAL: I have nothing further.

8 HEARING EXAMINER: I'd like to ask Mr. Jimenez one more  
9 question.

10 Mr. Jimenez, would Mobil have any problem with  
11 sampling that well on a periodic basis, the well we've  
12 discussed with Mr. Squires, his well?

13 MR. JIMENEZ: No, we wouldn't have any problem at all.  
14 In fact, we'd like to do that, just to keep a proper monitor  
15 out there.

16 HEARING EXAMINER: Do you know if in salt water  
17 disposal wells, if Mobil ever uses a procedure of pressuring  
18 up on the annulus to observe whether or not there's any  
19 difference in pressures on wells such as this, the one  
20 you're applying for that is injecting on a vacuum?

21 MR. JIMENEZ: We have not done it since we started  
22 injection, but we will do it as part of the commission  
23 requirements, yes.

24 HEARING EXAMINER: You would then -- that would be  
25 acceptable to you to put a positive pressure on the annulus

1 in order to better monitor whether or not you had a leak in  
2 the tubing or the packer.

3 MR. JIMENEZ: Okay, to maintain constant pressure?

4 HEARING EXAMINER: Yes.

5 MR. JIMENEZ: That's -- I haven't heard of many  
6 instances where they do that. I would like to talk to the  
7 operations folks and see if they would have any problem with  
8 doing that.

9 HEARING EXAMINER: If you'd do that and include that in  
10 some kind of a written submission, along with the material  
11 Mr. Pearce is going to submit concerning the cites he'd like  
12 to make as to the records.

13 MR. JIMENEZ: Okay.

14 MR. STOVALL: I think since this case will be open for  
15 two more weeks, perhaps at the next hearing, Mr. Neal; is  
16 that all right?

17 MR. NEAL: Fine.

18 EXAMINATION

19 BY MR. STOVALL:

20 Q. Mr. Jimenez, what would you recommend? What  
21 would you think would be an adequate frequency of the  
22 testing of a water well which is the subject of Mr. Squires'  
23 concern?

24 A. I think on a quarterly basis would probably be  
25 sufficient to sample that water.

1 HEARING EXAMINER: Quarterly?

2 MR. JIMENEZ: Yes, sir.

3 Q. (By Mr. Stovall) From your knowledge and  
4 experience in production engineering, have the techniques  
5 involved in preventing leakage through casing, etcetera,  
6 improved over the last 30 years?

7 A. As far as leaking from the tubing to the casing,  
8 they've improved on the type of linings in the last several  
9 years. And, of course, we would use the best possible  
10 lining for our tubing to prevent or minimize any kind of  
11 tubing leak, yes, sir.

12 Q. And monitoring, has that been improved, either  
13 the technology or the regulatory requirements?

14 A. Basically, as far as monitoring, it's just a  
15 matter of monitoring your pressure gauges or putting a  
16 positive pressure on your annulus, once a year, or something  
17 to that effect.

18 MR. NEAL: Quarterly would be entirely satisfactory.

19 HEARING EXAMINER: Quarterly sampling of the well?  
20 Anything further?

21 The witness may be excused. And, let's see, I  
22 guess we'll leave this case open for two weeks for anyone to  
23 appear that wants to. We'll be in recess then until 1:45.

24 (The foregoing hearing was adjourned at the  
25 approximate hour of 12:56 p.m.)


1 STATE OF NEW MEXICO )  
2 :  
3 COUNTY OF SANTA FE )

4 I, FREDA DONICA, RPR, a Certified Court Reporter, DO  
5 HEREBY CERTIFY that I stenographically reported these  
6 proceedings before the Oil Conservation Division; and that  
7 the foregoing is a true, complete and accurate transcript of  
8 the proceedings of said hearing as appears from my  
9 stenographic notes so taken and transcribed under my  
10 personal supervision.

11 I FURTHER CERTIFY that I am not related to nor employed  
12 by any of the parties hereto, and have no interest in the  
13 outcome hereof.

14 DATED at Santa Fe, New Mexico, this 5th day of  
15 April, 1991.

16   
17 Freda Donica  
18 Certified Court Reporter  
19 CCR No. 417

20 I do hereby certify that the foregoing is  
21 a complete and accurate transcript of the proceedings in  
22 the Executive hearing of Case No. 1023, B  
23 heard by me on March 7, 1991  
24   
25 Examiner  
Oil Conservation Division

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING )  
CALLED BY THE OIL CONSERVATION )  
DIVISION FOR THE PURPOSE OF )  
CONSIDERING: )  
 ) CASE NO. 10233  
APPLICATION OF MOBIL EXPLORATION )  
& PRODUCING COMPANY FOR APPROVAL )  
OF SALT WATER DISPOSAL, )  
LEA COUNTY, NEW MEXICO )  
 )

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner  
March 21, 1991  
3:35 p.m.  
Santa Fe, New Mexico

This matter came on for hearing before the Oil  
Conservation Division on March 21, 1991, at 3:35 p.m.  
at Oil Conservation Division Conference Room, State Land  
Office Building, 310 Old Santa Fe Trail, Santa Fe, New  
Mexico, before Paula Wegeforth, Certified Court Reporter  
No. 264, for the State of New Mexico.

FOR: OIL CONSERVATION      BY: PAULA WEGEFORTH  
DIVISION                      Certified Court Reporter  
CSR No. 264

1 EXAMINER STOGNER: Call next case, 10233.

2 MR. STOVALL: Application of Mobile Exploration and  
3 Producing Company for approval of salt water disposal,  
4 Lea County, New Mexico.


5 EXAMINER STOGNER: This case was heard on the  
6 March 7th, 1991, docket. It was continued for some reason.

7 MR. STOVALL: It was continued because the notices had  
8 not actually gone out in time. There was no additional  
9 action on anyone's part. It was just a matter of allowing  
10 time to lapse.

11 EXAMINER STOGNER: In that case, at this time I'll  
12 call for any additional appearances and/or testimony.

13 None being, this case will be taken under  
14 advisement.

15  
16  
17 \* \* \*

18  
19  
20 I do hereby certify that the foregoing is  
21 a complete and true record of proceedings in  
22 the Examiner's office, Case No. 10233,  
23 heard by me on 21 March, 1991.  
24  Examiner  
25 Oil Conservation Division

