

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING)
CALLED BY THE OIL CONSERVATION)
DIVISION FOR THE PURPOSE OF)
CONSIDERING:) CASE NO. 10838

APPLICATION OF HARVEY E. YATES COMPANY

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: David R. Catanach, Hearing Examiner

October 7, 1993

Santa Fe, New Mexico

This matter came on for hearing before the
Oil Conservation Division on October 7, 1993, at
Morgan Hall, State Land Office Building, 310 Old Santa
Fe Trail, Santa Fe, New Mexico, before Deborah O'Bine,
RPR, Certified Court Reporter No. 63, for the State of
New Mexico.

ORIGINAL

I N D E X

October 7, 1993
Examiner Hearing
CASE NO. 10838

APPEARANCES PAGE
3

HARVEY E. YATES COMPANY'S WITNESS:

SHARI DARR

Examination by Mr. Carroll 4
Examination by Examiner Catanach 9

LARRY BROOKS

Examination by Mr. Carroll 10
Examination by Mr. Stovall 17
Examination by Examiner Catanach 20

REPORTER'S CERTIFICATE 25

E X H I B I T S

	ID	ADMTD
Exhibit 1	6	9
Exhibit 2	7	9
Exhibit 3	8	9
Exhibit 4	12	17
Exhibit 5	14	17
Exhibit 6	14	17
Exhibit 7	16	17

A P P E A R A N C E S

FOR THE DIVISION: ROBERT G. STOVALL, ESQ.
General Counsel
Oil Conservation Commission
State Land Office Building
310 Old Santa Fe Trail
Santa Fe, New Mexico 87501

FOR THE APPLICANT: LOSEE, CARSON, HAAS & CARROLL
P.O. Drawer 239
Artesia, New Mexico 88210-0239
BY: ERNEST L. CARROLL, ESQ.

1 EXAMINER CATANACH: We're going to skip the
2 other Santa Fe case, 10775. That's going to go to the
3 end of the docket because that is opposed, and we're
4 going to go to Case 10838.

5 MR. STOVALL: Application of Harvey E.
6 Yates Company for an unorthodox oil well location, Lea
7 County, New Mexico.

8 EXAMINER CATANACH: Are there appearances
9 in this case?

10 MR. CARROLL: Yes, Mr. Examiner. I'm
11 Ernest L. Carroll of the Artesia law firm of Losee,
12 Carson, Haas & Carroll, and I am here today on behalf
13 of the Harvey E. Yates Company, and I have two
14 witnesses.

15 EXAMINER CATANACH: Additional
16 appearances? Will the two witnesses please stand and
17 be sworn.

18 (Witnesses sworn.)

19 MR. CARROLL: We'd first call Miss Darr to
20 the stand.

21 SHARI DARR,
22 the witness herein, after having been first duly sworn
23 upon her oath, was examined and testified as follows:

24 EXAMINATION

25 BY MR. CARROLL:

1 Q. Would you please state your full name and
2 by whom you are employed for the record.

3 A. Shari Darr and Harvey Yates Company.

4 Q. How are you employed by the Harvey E. Yates
5 Company?

6 A. As their land manager.

7 Q. Miss Darr, have you had occasion to
8 previously testify before the Oil Conservation
9 Division and have your credentials accepted as a
10 professional petroleum landman?

11 A. Yes, sir, I have.

12 Q. Are you familiar with the facts surrounding
13 this particular application made on behalf of Harvey
14 E. Yates?

15 A. Yes.

16 MR. CARROLL: Mr. Examiner, I would tender
17 Miss Darr as an expert in the field of petroleum land
18 management.

19 EXAMINER CATANACH: Miss Darr is so
20 qualified.

21 Q. (BY MR. CARROLL) Miss Darr, would you
22 briefly state for the record what this application is
23 that's being made by the Harvey E. Yates Company?

24 A. We are seeking authorization to drill our
25 Young Deep Unit No. 21 at an unorthodox oil well

1 location.

2 Q. You have prepared certain exhibits, have
3 you not, for presentation here today?

4 A. Yes.

5 Q. Would you turn to Exhibit No. 1. Would you
6 please identify for the record what that exhibit is,
7 and then if you would relate the significance to this
8 application.

9 A. Exhibit No. 1 is a basic land plat, and
10 we've placed a border around the unit boundaries which
11 the unit is in Township 18 South, Range 32 East, and
12 it covers the south half of Section 3, the south half
13 of Section 4, and all of Sections 9 and 10.

14 We've placed on green arrow on this plat
15 indicating the unorthodox well location.

16 Q. This particular Young Deep Unit, this unit
17 is operated by Harvey E. Yates Company, is it not?

18 A. Yes, it is.

19 Q. This particular unit actually has more than
20 one horizon unitized; is that correct?

21 A. Yes.

22 Q. What are the horizons that are unitized for
23 purposes of this?

24 A. There's a Wolfcamp, a Bone Spring, and a
25 Delaware.

1 Q. This particular well that we're seeking
2 this application with reference to, what is the
3 projected horizon for it?

4 A. The Wolfcamp.

5 Q. Would you turn to your Exhibit No. 2?
6 Would you identify what this exhibit is and its
7 significance for the record?

8 A. This is a plat prepared by our drafting
9 department, and it uses the same border and outlines
10 the unit, and we have indicated the Wolfcamp
11 participating area by not crosshatching it.

12 Q. So the area in which this projected well,
13 this No. 21 well, is going to be drilled is within the
14 participating area of the Young Deep Unit for the
15 Wolfcamp formation?

16 A. It is, and it's indicated once again by a
17 green arrow.

18 Q. This particular well that is being sought
19 to be drilled, this No. 21 well, that is the -- it is
20 within -- it's being drilled in what one would
21 normally call the five spot location, is it not?

22 A. It is.

23 Q. It's going to be drilled in amongst four
24 other wells that Harvey E. Yates presently operates?

25 A. That's correct.

1 Q. Exhibit No. 3, would you turn to that?
2 What is Exhibit No. 3?

3 A. Exhibit No. 3 shows what would be the
4 northeast quarter of the southwest quarter of Section
5 3. We've blown it up. And the broken line square in
6 the middle shows where an orthodox well location would
7 be within that quarter section, quarter quarter. And
8 if you'll look in the lower left-hand corner there,
9 we've indicated where our well will be, and it's not
10 within that orthodox area.

11 Q. So basically this plat is just to depict
12 how this well is unorthodox with respect to this
13 application?

14 A. That's correct.

15 Q. For this particular area in spacing
16 regulations, it should have been drilled 330 off of
17 all the quarter quarter lines; is that correct?

18 A. That's correct.

19 Q. With respect to the notice, I believe that
20 you contacted the Division and was advised that, since
21 this was within the unit that's being operated and
22 within the five spot location, no other notice was
23 necessary to be given?

24 A. That's correct.

25 Q. From the land standpoint, the application,

1 the granting of this application, would it prevent
2 waste and protect correlative rights, in your opinion?

3 A. Yes. Yes, it would.

4 MR. CARROLL: Mr. Examiner, I would move
5 admission of Harvey E. Yates Company's Exhibits 1, 2,
6 and 3.

7 EXAMINER CATANACH: Exhibits 1 through 3
8 will be admitted as evidence.

9 MR. CARROLL: I would pass the witness at
10 this time

11 EXAMINATION

12 BY EXAMINER CATANACH:

13 Q. Miss Darr, I am a little unclear on your
14 Exhibit No. 2. You said the participating Wolfcamp
15 area is shown as what?

16 A. Not being crosshatched.

17 MR. CARROLL: Mr. Examiner, at one time
18 part of the area in this unit was deleted from the
19 Wolfcamp participating area. And if you see down in
20 the legend, the crosshatched area on the western edge
21 is what was deleted from the Wolfcamp. That does not
22 affect this location.

23 Q. (BY EXAMINER CATANACH) Your Exhibit No. 3
24 shows well No. 10. The proposed well No. 21 will
25 actually be in the same proration unit as the No. 10,

1 the same 40 acres?

2 A. It will be right in the middle of that
3 quarter section almost.

4 MR. STOVALL: You're almost in four
5 proration units; right?

6 THE WITNESS: Right. It will include a bit
7 of that proration unit.

8 Q. (BY EXAMINER CATANACH) So it will actually
9 share the proration unit that the No. 10 is occupying?

10 A. Part of it, yes.

11 EXAMINER CATANACH: I don't have anything
12 further. The witness may be excused.

13 MR. CARROLL: Mr. Brooks.

14 LARRY BROOKS,
15 the witness herein, after having been first duly sworn
16 upon his oath, was examined and testified as follows:

17 EXAMINATION

18 BY MR. CARROLL:

19 Q. Would you please state your name and
20 occupation and by whom you're employed for the
21 record.

22 A. Larry Brooks, Harvey E. Yates Company.

23 Q. How are you employed?

24 A. Geologist.

25 Q. Mr. Brooks, have you had an occasion to

1 testify prior to this hearing for the Division or
2 Commission and have your credentials as petroleum
3 geologist accepted?

4 A. I have.

5 Q. Mr. Brooks, are you familiar with the
6 geological facts concerning this application that is
7 being made by Harvey E. Yates today?

8 A. Yes, I am.

9 MR. CARROLL: Mr. Examiner, I would tender
10 Mr. Brooks as an expert in the field of petroleum
11 geology.

12 EXAMINER CATANACH: Mr. Brooks is so
13 qualified.

14 Q. (BY MR. CARROLL) Mr. Brooks, you have
15 prepared certain exhibits today, have you not?

16 A. Yes.

17 Q. Mr. Brooks, I don't know, did you need to
18 comment with respect to Exhibit No. 2, first of all,
19 before you got into your exhibits?

20 A. Yes, I would. Basically, surrounding the
21 Wolfcamp participating area colored in blue, you'll
22 see noncommercial Wolfcamp tests. In the center of
23 the participating area, you'll see two triangles.
24 Those are proposed recompletions to the Wolfcamp. And
25 then one circled, which is an economic Wolfcamp

1 producer from the AC and AF horizon.

2 Basically, what it shows is a limit to the
3 extent of the Wolfcamp trend to the north, to the
4 west, and to the south. I will get into this later,
5 but there are debris flows that trend from northwest
6 to southeast.

7 Q. Mr. Brooks, could you just summarize, first
8 of all, what is the thinking behind, the motivation
9 behind seeking in drilling this particular well at
10 this unorthodox location?

11 A. It satisfies really two criteria. One to
12 economically intercept the Wolfcamp carbonate
13 reservoir, which is based on considerable seismic
14 control in the area, and the anomaly maps -- isochron
15 maps of those anomalies.

16 The other thing is to efficiently set up
17 our five spot for the Bone Spring waterflood. Had
18 this been just a Bone Spring depth to the B zone
19 carbonate, it would be fulfilling the rule being
20 within ten foot off the lease line to set up a five
21 spot.

22 Q. Mr. Brooks, if you would turn now to your
23 first exhibit, I believe it's Exhibit No. 4, and if
24 you would identify what it is and then its
25 significance.

1 A. Exhibit No. 4 is an isochron map from the
2 Penn Shale to the AE. This is an anomaly within that
3 time unit.

4 Basically what it shows is the seismic
5 control. We have five lines, and there are two lines
6 that are off the scope of this map that control this
7 prospect. Isochron units there are roughly equivalent
8 to 5 mils equal 47 feet.

9 What I've done is I've contoured the
10 thickest part of the anomaly. If you'll notice in the
11 northwest northwest of 10, the Young Deep No. 1 is at
12 a 35 mil contour, and the proposed location, the Young
13 Deep 21, is just in a 40 mil contour.

14 Going north of that, you'll see in the
15 section southwest of the northwest, it's a Marathon
16 well. They had shows, but in the AF and AC and AE
17 they were tight. And it also shows that right under
18 30 mils is your economic carbonate growth limit for
19 this reservoir.

20 Q. Is there anything else that you'd like to
21 comment on with respect to this exhibit?

22 A. No.

23 Q. Would you turn to your next exhibit and
24 identify it also for the record -- this would be
25 Exhibit 5 -- what it is and then its significance.

1 A. Exhibit 5 is another isochron map. This is
2 a more limited isochron map to the main anomaly. This
3 is the top of the AF to the base of the AG.

4 Basically what this shows is the Young Deep
5 1 is within a 30 mil closed contour. This closed
6 isochron has about 40 mils of closure. It has a
7 velocity sag underneath setting up the debris flow.
8 This would show the high energy access in the main fan
9 of your debris load.

10 Q. Anything else that you'd like to comment
11 with respect to this?

12 A. No.

13 Q. If you would turn to your Exhibit No. 6 and
14 identify it for the record and then its significance.

15 A. Exhibit No. 6 is a stratigraphic
16 cross-section A-A'.

17 MR. STOVALL: Mr. Brooks, if you give us a
18 sheet, we need to unfold it.

19 THE WITNESS: Exhibit No. 6 is a
20 cross-section A-A' which runs roughly west to east
21 from our Young Deep 20 through the Sinclair well just
22 out of the unit in Section 2. What I've done here is
23 correlated AB to the Penn Shale.

24 The Young Deep 1 well is our present
25 completion, and it is completed from perfs 10,406 to

1 446 and 10,590 to 10,600. This well was acidized,
2 sort of treated tight, left it shut in overnight, and
3 came on, two swab runs and kicked off flowing. It was
4 capable of 1,000 barrels a day, but it's completed at
5 the top allowable.

6 Basically, you'll see from the AF zone,
7 from 10,590 to about 10,780 a real thick dolomite that
8 has up to 11 percent porosity. This is the anomaly
9 that's referred to in Exhibit 5 as the AF to AG
10 anomaly.

11 We feel we treated into this anomaly, and
12 this is what is so critical to the location of the
13 Young Deep 21. As closed within that contour, it is
14 only about 120 to 143 acres.

15 These things are very linear debris flows.
16 They don't fan out real wide and cover vast sections
17 of land. They're narrow in troughs, subsurface
18 troughs, and they fill in the lows in the Young Deep
19 1.

20 This is stratigraphic; so it looks like
21 it's real thick. If it was hung structurally, the
22 Young Deep 1 is at the lowest point in that channel.

23 Q. Anything else you'd like to comment on with
24 respect to this?

25 A. Basically, it shows all the other

1 miscompletions, the zones that were tested in the
2 Wolfcamp and tight. The Young Deep 1 is the only
3 current Wolfcamp producer in the Young Deep Unit.

4 Q. If you would turn to your next exhibit,
5 Exhibit 7, and identify it for the record.

6 A. Exhibit 7, again, is a cross-section, a
7 stratigraphic cross-section, from north to south from
8 the Love "3" Federal #1 to the Young Deep 1 to the
9 Young Deep 29, showing the same zones annotated, any
10 perforations or tests, and the results.

11 Again, the Young Deep 29 had tested the
12 uppermost carbonate perms in the AC, and it completed
13 initially for 816 barrels a day for about a half day
14 and died and was tight. There was no economic
15 production ever established.

16 The Love "3" Federal #1 drilled by Marathon
17 tested all zones and had good shows but was tight
18 also, lacked reservoir quality.

19 Q. Mr. Brooks, based upon your geological
20 interpretation of this area, is it your opinion that
21 if this well is not drilled at this unorthodox
22 location, that in all likelihood it would miss the
23 productive area of the Wolfcamp in this particular
24 region?

25 A. That is correct. If you see the narrow

1 necking of Exhibit 5, the isochron in AF to AG, you'll
2 see you have to pretty much be within 30 mils.
3 Twenty-five mils or less results in a tight
4 completion.

5 Q. In your opinion, Mr. Brooks, is it
6 necessary in order to protect the correlative rights
7 of the owners of the rights here and to prevent waste
8 to grant this application?

9 A. It is.

10 Q. Mr. Brooks, is there anything else that you
11 would care to inform the Division Examiner of with
12 respect to this application? Anything I've
13 overlooked?

14 A. No.

15 MR. CARROLL: Mr. Examiner, I would tender
16 admission of Mr. Brooks's Exhibits 4 through 7.

17 EXAMINER CATANACH: Exhibits 4 through 7
18 will be admitted as evidence.

19 MR. CARROLL: Mr. Examiner, at this time I
20 would pass the witness.

21 MR. STOVALL: Mr. Examiner, before you
22 start, I've got a question.

23 EXAMINATION

24 BY MR. STOVALL:

25 Q. I want a brief geologic education here, if

1 you would, Mr. Brooks.

2 A. Sure.

3 Q. What is an isochron, and what's a mil?

4 A. Isochron is a unit of equal time. The
5 anomaly is any change within that unit that can be
6 correlated back to producing intervals.

7 What we have here, and you'll notice the
8 cross-sections go from AC to Penn Shale, I've
9 correlated all six seis lines that run across this
10 prospect, and they are anomalous to what oil field
11 jargon would be called footballs. Okay? This is a
12 bifurcation of a constant peak and separating into a
13 doublet. This doublet encapsulates top and bottom of
14 the debris flow. This is a significant anomaly in
15 seismic evaluation.

16 The zone that you see, the AF zone in the
17 Young Deep 1 is the thickest part of that doublet.
18 Okay? You're coming along, tracking railroad-track
19 type seismic lines, and all of a sudden you have a
20 bifurcation, and an amplitude change is considered to
21 be an amplitude anomaly. It is that anomaly that
22 we're searching for on seismic to delineate these
23 narrow and small Wolfcamp trends.

24 The basic environmental setting is, you
25 have a Wolfcamp shelf to the northwest that runs to

1 the northwest of the prospect. It runs southwest to
2 northeast. Debris flows bypass in a northwest to
3 southeast manner along submarine canyons, topographic
4 low expressions. This debris is a limestone to
5 dolomite. It can vary.

6 The fact is it's being deposited on shales
7 that are soft, sediment at the time of deposition, not
8 exposed to marine. Debris coming off the shelf is
9 faster in speed than, say, Young Deep-Bone Spring
10 carbonate which spreads out on sand. You can't incise
11 too much in sand because you have a hardness of sand
12 that's different than the carbonates.

13 In this case, you have soft shales that can
14 be pushed out of the way quite easily in narrow
15 troughs. So the energy efficiency of moving these
16 debris flows into the basin can cover greater
17 distances.

18 Q. In other words, it's a seismic way of
19 depicting the shape or thickness of the reservoir?

20 A. Exactly. They can be converted to isopach
21 maps and integrating well control, which have been
22 done. Roughly, where you see 30 mils, multiply it by
23 about 9.7, 9.5, and it will give you about 300 foot of
24 thickness, 280 feet of thickness.

25 That's gross interval. You'll net out of

1 that about 120 foot of clean carbonate in any single
2 debris flow because you've got some interbedded shales
3 that are below seismic resolution of 14 mils, 13 mils.

4 MR. STOVALL: I don't consider myself an
5 expert, but at least I've got a better feeling.

6 EXAMINATION

7 BY EXAMINER CATANACH:

8 Q. I thought you testified, Mr. Brooks, that
9 you wanted to stay on the bottom side of the 25 line?

10 A. No, no, no. I want to stay within the
11 thickest part of that anomaly. Anything out of that
12 -- if you'll refer to both exhibits. At 26, 27 mils
13 in the Young Deep 29, this is in Exhibit 4, resulted
14 in a tight well.

15 If you look at the Section 3, between 28
16 and 29 mils of the Marathon Love well was also tight.
17 They had more shale within that package.

18 By subsurface mapping, this 35 mils that we
19 had in the Young Deep 1 was a successful carbonate
20 completion. We stand to be at 40 mils at the Young
21 Deep 21.

22 Other tests that were tight, you look over
23 here to the southwest at the Young Deep 20, it's
24 within the 25 to 30 mil range, and it is also tight in
25 the carbonate.

1 On Exhibit 5, you'll notice that we'll be
2 within 30 mils. Now, this is a more limited
3 isochron. This is limiting it to the limit of
4 resolution of that thickness, taking it out of the
5 zone that's immediately above it. And that limits it
6 more to within the 25 mil -- actually, 30 mil window.
7 But that 30 mils is a single zone.

8 The 40 mils is the AE right above it, which
9 is another 100 foot of carbonate.

10 Q. Am I correct in understanding that the only
11 production within the unit in the Wolfcamp now is from
12 the No. 1 well?

13 A. That's correct. We have tested three other
14 wells, the Young Deep 31, the Young Deep 29, and the
15 Young Deep 20. The only other two wells that have
16 sufficient carbonate to really test would be really
17 the 3-4. The 4-1 has a zone in it, but it's really
18 thin. It may end up being another part of the deleted
19 acreage within the participating area.

20 Q. The rest of these wells are all Bone Spring
21 producers?

22 A. That's correct.

23 Q. And you ultimately plan to set up a
24 waterflood in the Bone Spring?

25 A. That's correct.

1 Q. Do you know when that's going to occur?

2 A. We're under pressure maintenance at this
3 point. We do have Socorro PRRC doing an inverse
4 modeling study right now, and we should have our
5 results within a month or two, but it is eventually
6 moving to five spot.

7 Q. There is a pressure maintenance underway at
8 this time?

9 A. Um-hm, has been for several years. In
10 fact, the Young Deep 1 was an injector, and before
11 plugging it, I evaluated the Wolfcamp for
12 recompletion. We then changed the flood pattern to
13 the Young Deep 3-1.

14 Q. Would you anticipate that well being a dual
15 completion?

16 A. No, I wouldn't at this point, no.

17 Q. You're going to deplete the Wolfcamp first?

18 A. Exactly, since the waterflood is down the
19 road.

20 Q. Now, within your -- looking at either your
21 Exhibit 4 or 5, you think the productive area within
22 the AF and AG zones is going to be within, as you say,
23 the 25?

24 A. No. I feel that the productive interval on
25 Exhibit 5 will be between 27 and anything greater than

1 30. 30 is a producer; okay?

2 Q. So anything greater than 27?

3 A. Yeah, 27 because 24 is getting on the edge,
4 and you're getting pretty risky there. You look at 29
5 on Exhibit 5, it's only about 8 mils of that AF zone.

6 Looking on Exhibit 4, you can see you had
7 27 mils of total isochron, and it was tight. You look
8 up to the Marathon well to the north, you had 27, 28
9 mils, and it was tight.

10 So now you're pushing it up to a minimum of
11 30 mils in one exhibit and 27 in another, remembering
12 that the one that shows 27 mils is the actual debris
13 flow itself. And from evidence it shows that 27 mils
14 of gross carbonate is ineffective as a Wolfcamp
15 producer. You can deduce that 27 mils to 30 mils of a
16 single carbonate, we have experience over to several
17 fields to the east where if you don't have 100 foot of
18 clean carbonate, it's tight. And it's also Wolfcamp,
19 and it's from these zones.

20 Q. So at a 27 in terms of thickness, you're
21 looking at, did you say -- what was the conversion?

22 A. Twenty-seven times 9.5, about 230 feet of
23 gross anomaly. Of that, you'll net out about 100 and
24 some feet of carbonate because you've got some shales
25 that are below resolution.

1 Q. And at your proposed location, you're going
2 to have approximately, what do you think?

3 A. Two hundred and eighty-five feet plus of
4 gross carbonate, of which I expect about 130 foot of
5 clean carbonate with porosity.

6 Q. Now, you could drill a well at a standard
7 location, but you're really trying to get that
8 location at the 40-acre, five spot pattern?

9 A. Right.

10 Q. That's probably the main consideration?

11 A. That would be the main consideration.
12 Otherwise, if we didn't do that, we could go down to
13 the south and drill between the 7 and the 6, and it
14 would probably even be thicker, but this, like I said,
15 it satisfies the two criteria. We really are wanting
16 to set up a flood, and we can't see leaving the
17 Wolfcamp behind in the process.

18 EXAMINER CATANACH: I don't have anything
19 else. Anything else? If there's nothing else, the
20 witness may be excused. Anything further?

21 MR. CARROLL: Mr. Examiner, that completes
22 our case.

23 EXAMINER CATANACH: There being nothing
24 further, Case 10838 will be taken under advisement.

25

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)

) ss.

COUNTY OF SANTA FE)


I, Deborah O'Bine, Certified Shorthand Reporter and Notary Public, HEREBY CERTIFY that I caused my notes to be transcribed under my personal supervision, and that the foregoing transcript is a true and accurate record of the proceedings of said hearing.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL, October 16, 1993.

Deborah O'Bine

DEBORAH O'BINE
CCR No. 63



October 7 1993
David Catena
C1

CUMBRE COURT REPORTING

P.O. BOX 9262

SANTA FE, NEW MEXICO 87504-9262

(505) 984-2244