

STATE OF NEW MEXICO  
ENERGY AND MINERALS DEPARTMENT  
OIL CONSERVATION DIVISION  
STATE LAND OFFICE BLDG.  
SANTA FE, NEW MEXICO

3 June 1987

EXAMINER HEARING

IN THE MATTER OF:

Case 8190 being reopened pursuant to                   CASE  
the provisions of Division Order No.                   8150  
R-7556, Union, Harding, and Quay  
Counties, New Mexico.

BEFORE: David R. Catanach, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:	Jeff Taylor Attorney at Law Legal Counsel to the Division State Land Office Bldg. Santa Fe, New Mexico 87501
For Amoco Production Co.:	William F. Carr Attorney at Law CAMPBELL & BLACK P. A. P. O. Box 2208 Santa Fe, New Mexico 87501

## A P P E A R A N C E S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

For Amoco Production Co.: Daniel P. Currens  
Attorney at Law  
Amoco Production Company  
Post Office Box 3092  
Houston, Texas 77253

For Cities Service: W. Thomas Kellahin  
Attorney at Law  
KELLAHIN, KELLAHIN, & AUBREY  
P. O. Box 2265  
Santa Fe, New Mexico 87051

For Amerigas, Inc.: James G. Bruce  
Attorney at Law  
HINKLE LAW FIRM  
P. O. Box 2068  
Santa Fe, New Mexico 87504

For Ross Carbonic: Kurt Sommers

For Amerada Hess: Jim Hefley

1

2

## I N D E X

3

4

STATEMENT BY MR. CURRENS

7

5

6

JAMES W. COLLIER, JR.

7

Direct Examination by Mr. Currens

8

8

Cross Examination by Mr. Catanach

38

9

10

STATEMENT BY MR. CARR

42

11

12

13

14

15

## E X H I B I T S

16

17

Amoco Exhibit One, Map

10

18

Amoco Exhibit Two, Reproduction

12

19

Amoco Exhibit Three, Reproduction

13

20

Amoco Exhibit Four, Graph

13

21

Amoco Exhibit Five, Graph

15

22

Amoco Exhibit Six, Graph

18

23

Amoco Exhibit Seven, Graph

18

24

Amoco Exhibit Eight, Graph

20

25

Amoco Exhibit Nine, Table

23

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## E X H I B I T S CONT'D

Amoco Exhibit Ten, ABC, Well Data	23
Amoco Exhibit Eleven, ABC, Well Data	26
Amoco Exhibit Twelve, ABC, Well Data	28
Amoco Exhibit Thirteen, ABC, Well Data	30
Amoco Exhibit Fourteen, Schematic	32
Amoco Exhibit Fifteen, Schematic	33
Amoco Exhibit Sixteen, Schematic	35
Amoco Exhibit Seventeen, Schematic	36

1

2

MR. CATANACH: Call next Case

3

8190.

4

MR. TAYLOR: In the matter of

5

Case 8190 being reopened pursuant to the provisions of

6

Division Order R-7556, which order established special rules

7

and regulations for the Bravo Dome 640-acre area in Union,

8

Harding, and Quay Counties, including a provision for 640-

9

acre spacing units.

10

Interested parties may appear

11

and show cause why the Bravo Dome 640-acre area should not

12

be developed on less than 640-acre spacing and proration

13

units.

14

MR. CATANACH: Are there ap-

15

pearances in this case?

16

MR. CARR: May it please the

17

Examiner, my name is William F. Carr, with the law firm

18

Campbell & Black, P. A., of Santa Fe. We represent Amoco

19

Production Company.

20

I'm appearing in association

21

with Daniel R. Currens, attorney for Amoco Production Com-

22

pany from Houston, who will present Amoco's case.

23

MR. CATANACH: Are there other

24

appearances?

25

MR. CURRENS: Daniel Currens,

1 Mr. Examiner.

2 MR. CATANACH: Thank you, Mr.  
3 Currens.

4 MR. KELLAHIN: Mr. Examiner,  
5 I'm Tom Kellahin of Santa Fe, New Mexico, appearing on be-  
6 half of Cities Service Oil and Gas Corporation.

7 MR. BRUCE: Mr. Examiner, my  
8 name is Jim Bruce from the Hinkle Law Firm in Santa Fe, rep-  
9 resenting Amerigas, Inc.

10 MR. SOMMER: Mr. Examiner, my  
11 name is Kurt Sommer. I appear on behalf of Ross Carbonics,  
12 Inc.

13 MR. HEFLEY: My name is Jim  
14 Hefley. I appear on behalf of Amerada Hess Corporation,  
15 Tulsa, Oklahoma.

16 MR. CATANACH: I'm sorry, I  
17 didn't get your name, sir.

18 MR. HEFLEY: Hefley, H-E-F-L-E-  
19 Y.

20 MR. CATANACH: Anybody else?  
21 How many witnesses are we going  
22 to have?

23 MR. CURRENS: I've got one  
24 witness, Mr. Examiner.

25 MR. CATANACH: One witness.

1 Does anybody else have any witnesses?

2 Will the witness please stand  
3 and be sworn?

4  
5 (Witness sworn.)

6  
7 MR. CATANACH: Do you want to  
8 put the map on the wall?

9 MR. CURRENS: I don't think  
10 it's necessary, Mr. Examiner. I think the people that are  
11 interested in them have some copies available.

12 This is merely an orientation  
13 map, this first particular map. The exhibits that we will  
14 be using are all easily lap size beyond -- besides this one.

15 MR. CATANACH: Okay.

16 MR. CURRENS: And perhaps while  
17 people are looking at those exhibits, Mr. Examiner, I might  
18 just go ahead and restate, as you said, this is a reopening  
19 of Case 8190, which was heard in May -- on May 15th, 1984,  
20 concerning rules for the Bravo Dome Carbon Dioxide Area.

21 From that case Order No. R-7556  
22 issued and established on a temporary basis a Bravo Dome  
23 160-acre area and a Bravo Dome 640-acre area, and set this  
24 matter to be reopened at this time.

25 Since the engineering analysis

1 of drainage at the time of that earlier hearing in 1984 was  
2 primarily based on calculations and modeling, the order in-  
3 cluded a requirement that a plan be furnished the Division  
4 for field testing to demonstrate the drainage efficiency of  
5 wells located on 640-acre spacing units.

6 Now plans to accomplish this  
7 were submitted and approved. Tests have been run, the in-  
8 formation analyzed, and we're here today to present you the  
9 results.

10 Those tests will conclusively  
11 demonstrate 640-acre spacing is proper. Our recommendation  
12 is that the temporary rules that were previously issued in  
13 this cause be adopted for the 640-acre area and be made per-  
14 manent.

15

16 JAMES W. COLLIER, JR.,

17 being called as a witness and being duly sworn upon his  
18 oath, testified as follows, to-wit:

19

20 DIRECT EXAMINATION

21 BY MR. CURRENS:

22 Q Will you state your name, by whom you're  
23 employed, at what location, and in what capacity?

24 A My name is James W. Collier, Junior. I'm  
25 employed by Amoco Production Company in Houston, Texas, as a

1 Senior Petroleum Engineering Associate.

2 Q Mr. Collier, have you ever testified be-  
3 fore this body before?

4 A No, I have not.

5 Q Will you briefly summarize for us your  
6 educational and work background in the field of petroleum  
7 engineering ?

8 A Yes. I graduated from Texas A & M  
9 University in 1972 with a Bachelor of Science degree in pet-  
10 roleum engineering.

11 I was employed by Amoco Production Com-  
12 pany in 1972 and have worked for this firm for the past fif-  
13 teen years.

14 I have worked in various reservoir engin-  
15 eering positions, handling primary, secondary, and tertiary  
16 oil recovery engineering projects. I've also been assigned  
17 to various engineering supervisory positions over the past  
18 ten years in West Texas and in Houston.

19 Also I have been accepted as an expert  
20 witness by the Texas Railroad Commission in the past.

21 Q Mr. Collier, let me further ask you with  
22 respect to the matter that's before this hearing today, have  
23 you had occasion to make studies of individual well perfor-  
24 mance histories and tests that were run in conjunction with  
25 the Commission order having to do with 640-acre drainage?

1           A           Yes, sir.

2                           MR. CURRENS: I submit Mr. Col-  
3   lier is --

4                           MR. CATANACH: Mr. Collier is  
5   so qualified.

6           Q           Mr. Collier, let me direct your attention  
7   to what's marked as Amoco's Exhibit One, and that's our only  
8   large exhibit, a map, and ask you what that depicts.

9           A           Okay. This map depicts the Bravo Dome  
10   CO2 Gas Area in New Mexico. The map includes both the Amoco  
11   operated Bravo Dome CO2 Gas Unit and the Cities Service  
12   operated West Bravo Dome CO2 Gas Unit.

13                           The Amoco unit is outlined with the  
14   heavy, bold, solid border. The Cities Service West Bravo  
15   Dome CO2 Gas Unit is in the cross hatched area in the south-  
16   western part of this map.

17           Q           Okay. I also see a dashed line on this  
18   map. What does that depict?

19           A           That depicts the outline of the 640-acre  
20   area as defined by the NMOCD following two hearings in 1984.

21           Q           Those being the hearings that Amoco had  
22   on 640-acres and the one that Cities Service subsequently  
23   had for 640-acre spacing.

24           A           Yes, sir, that's correct.

25           Q           Okay. Just generally would you describe

1 for us that outline that covers the eastern side and the  
2 south and the north a little more?

3 A Okay. Essentially, the entire Amoco  
4 operated Bravo Dome CO2 Gas Unit is spaced on the 640 acres.

5 Following the hearing 8190 in May of  
6 1984, the order subsequent to that hearing established tem-  
7 porary 640-acre spacing rules for a period of three years  
8 for the entire Bravo Dome Unit Area, with the exception of  
9 twelve townships in the southwest part of this map.

10 If one were to draw a line north/south  
11 between Ranges 31 East and 32 East, traversing across Town-  
12 ships 18 North and 19 North, then you would have a picture  
13 of what the 640-acre area was subsequent to the Case 8190.

14 Q Okay, and then the changes that were made  
15 beyond that were as a result of the second hearing held by  
16 Cities Service having to do with that area.

17 A Yes, sir.

18 Q All right, sir. I further notice on this  
19 map you have some colored symbols. Do they have signifi-  
20 cance?

21 A Yes. There are two symbols on this map.  
22 There are three orange dots. Those are the locations of  
23 Amoco's long term flow tests which were run to help validate  
24 640-acre spacing was proper, and there are four green  
25 triangles. Those are the locations of shut-in pressure mon-

1 itor wells that have not produced and the purpose is to see  
2 interference from the offset producing wells in the form of  
3 pressure response.

4 Q Okay, anything further with respect to  
5 this map?

6 A No, sir.

7 Q Let me recall that back at the hearing in  
8 1984 we showed some long term flow tests and those were  
9 tests where production had taken place for some period of  
10 time, and that production had been analyzed and I believe in  
11 two of those instances a projection had been made as to what  
12 performance would be expected if 160 acres or 640 acres was  
13 being drained.

14 Is my memory correct?

15 A Yes, sir. Those are the two -- two  
16 southernmost orange dots on Exhibit One.

17 Q Okay, let's look at Exhibit Two and tell  
18 me what that is, please.

19 A All right, Exhibit Two is a reproduction  
20 of the old Exhibit Thirteen from Case 8190 held in May of  
21 1984.

22 Q And that's the exhibit that was entered  
23 at that time and has to do with one of these orange dots?

24 A Yes. Exhibit Two is the long term flow  
25 test data and the predictions therefrom for Well 1934-201G,

1 which is the westernmost of the two orange symbols on Exhi-  
2 bit One.

3 Q The southern orange symbol.

4 A Yes, sir.

5 Q Okay, now there was another long term  
6 flow test that had predictions made at that time. Do you  
7 have a copy of the exhibit that we entered at that time?

8 A Yes, sir, Exhibit Three for this case is  
9 a reproduction of the old Exhibit Fourteen from the original  
10 Case 8190.

11 Q Now which orange dot is that?

12 A That is the easternmost of the two south-  
13 ern orange dots, or Well 1935-221G.

14 Q And it similarly made a projection as to  
15 the results that would be expected if 160 acres was being  
16 drained or if 640 acres was being drained.

17 A That's correct.

18 Q Okay. That's been three years ago. Were  
19 those two tests continued?

20 A Yes, sir. We continued the monitoring  
21 flowing tubing pressure and rate performance on both of  
22 these wells in order to validate our predictions.

23 Q Okay, well, let's look and see what addi-  
24 tional data we've obtained in the interim.

25 I believe Exhibit Four has to do with

1 Well 1934-201G.

2 A Yes.

3 Q Let's look at that exhibit.

4 A Yes, sir. This Exhibit Four is again  
5 back on Well 1934-201G, which corresponds to Exhibit Two,  
6 which I just discussed.

7 What I've shown here is an updated  
8 performance. If you look at the middle third of this graph  
9 you can see that we have updated the flowing tubing pressure  
10 performance out to a total test period of about 1000 days.

11 Likewise, we've updated the gas produc-  
12 tion rates for this well the same time period of 1000 days.

13 Q Okay, now you show on there the old rate  
14 prediction you had down in the bottom third of that exhibit,  
15 I believe. Is that what the dashed line is?

16 A Yes, sir. The dashed line is the predic-  
17 tion of gas flow rate from this well that was made back in  
18 1984.

19 Q And has production from that well been  
20 substantially different than the amount that we had predic-  
21 ted at that time?

22 A Yes, sir, we have averaged -- actually,  
23 since 1984 we've averaged roughly 2-million cubic feet a day  
24 from this well as compared to the 1984 prediction, which was  
25 just under 1-million cubic feet per day.

1 Q Now what's the top third of this particu-  
2 lar graph, cumulative production?

3 A The cumulative -- yes, sir, this is cumu-  
4 lative production with the actual being the solid, heavy  
5 line, and the 1984 prediction being the dashed line.

6 Q The two dashed lines just went together  
7 and the solid lines are what's actually occurring?

8 A Yes, sir.

9 Q All right, then using this additional da-  
10 ta, were your old predictions still good?

11 A No, sir.

12 Q So was it necessary then to make a new  
13 prediction to match the actual production history that you  
14 have over this more extended period of time?

15 A Yes, sir, that's correct.

16 Q Do you have a prediction on this particu-  
17 lar well?

18 A Yes. Exhibit Five is an updated predic-  
19 tion using the same modeling technique that was used for the  
20 '84 prediction.

21 Q Okay, let's just discuss that for us,  
22 please.

23 A Okay. Again, if you look at the lower  
24 third of this graph, the actual gas flow rate performance is  
25 shown in a light blue solid line. The model was updated --

1 well, let me move to the next curve, in the middle curve,  
2 you can see that I've also superimposed actual flowing tub-  
3 ing pressure performance and if you'll look closely, you'll  
4 see that the red line in the middle third of this graph  
5 overlies the blue line. The reason it does that is because  
6 I chose to input the actual flowing tubing pressure perfor-  
7 mance from this well into the model and instructed the model  
8 to predict flowing tubing -- excuse me, flowing gas rates  
9 from this well, and the match that resulted from this model-  
10 ing work can be seen in the lower third; if you compare the  
11 solid red line to the solid blue line, you can see that we  
12 have a very acceptable and very valid match of producing  
13 rates.

14 Q I take it in the upper third the blue  
15 line is the actual cumulative production there, too.

16 A Yes, sir. The --

17 Q Okay, now in addition to those lines  
18 there are some black lines on this exhibit. What are they?

19 A Those black lines are the predictions  
20 that we obtained by inputting the same flowing tubing pres-  
21 sure performance but yet instructing the model to assume a  
22 160-acre drainage area rather than a 640 area.

23 Q Okay, so you tell the model it can't  
24 reach out past 160 acres and the black line is the result  
25 you get.

1 A That's correct.

2 Q The bottom one is for the rate?

3 A That's correct.

4 Q And the top one would be the cumulative  
5 that was associated with that rate.

6 A Yes, sir.

7 Q Now, Mr. Collier, let me ask you if --  
8 which one of those predictions most closely fits the actual  
9 data, the 160 or the 640?

10 A I think it's obvious that the 640-acre  
11 drainage prediction more closely fits actual performance.

12 If you look at the cumulative perfor-  
13 mance, the percent difference between the predicted cumula-  
14 tive on 640 acres and the actual cumulative is less than 4  
15 percent.

16 Q All right, sir, let me ask you if based  
17 on this work, if you you have an opinion as to the drainage  
18 associated with the production from this well?

19 A Yes, sir. I believe this particular well  
20 is draining 640 acres.

21 Q Anything further with respect to this ex-  
22 hibit?

23 A No, sir.

24 Q Okay, we had two of those 1984 exhibits  
25 we were looking at awhile ago, and I assume you've done sim-

1 ilar work on the second of those wells?

2 A Yes, sir, I have.

3 Q Well, let's go ahead and look at Exhibit  
4 Six, then, and tell me about that.

5 A Again Exhibit Six corresponds to Exhibit  
6 Three, which, Exhibit Six provides an update of actual flow-  
7 ing tubing pressure performance and gas flow rate perfor-  
8 mance for Well 1935-221G, which is the easternmost of the  
9 two orange dots on Exhibit One.

10 Q And is the setup on this similar to what  
11 we just looked at before?

12 A Yes, sir. We are looking at actual gas  
13 flow rates in the solid blue curve in the bottom third of  
14 this graph, and you can see that the '84 prediction was  
15 about 1.2-million cubic feet a day, held constant, but the  
16 actual flow rate has been something on the average in excess  
17 of 2-million cubic feet per day in this well.

18 Q Okay, so again we have a situation where  
19 we were able to produce at a higher rate than we had used in  
20 the earlier predictions. I take it that again necessitated  
21 a new match and prediction system.

22 A Yes, sir.

23 Q Okay, let's turn to Exhibit Seven and  
24 look at those predictions that will appear on that one, sir.

25 A Exhibit Seven provides the updated pre-

1 diction. Again we have input the actual flowing tubing  
2 pressure into our predictive model. Again the solid blue  
3 curve in the middle third of this graph overlays the red  
4 curve. That is because we've input the actual flowing tub-  
5 ing pressure measured on this well and have instructed the  
6 predictive model to predict gas flow rates from this well,  
7 using that flowing tubing pressure performance, and that  
8 prediction is shown in the solid red line in the bottom  
9 third of this graph.

10 Q Okay, that's the 640-acre prediction?

11 A Yes, sir.

12 Q And there's a black line in the bottom  
13 third of that graph, as well. That's the 160-acre predic-  
14 tion?

15 A Yes, sir.

16 Q Let me ask you, Mr. Collier, which is the  
17 best match?

18 A I think it's obvious from looking at both  
19 rates, our history match performance as well as the cumula-  
20 tive performance in the upper third of this graph, that the  
21 640-acre prediction more closely matches actual performance  
22 than the 160 does.

23 Q Okay, again let me ask you with respect  
24 to this particular well, if you have an opinion as to what  
25 area is being drained by production from it?

1           A           Yes, sir, I conclude without a doubt that  
2 this well is draining 640 acres.

3           Q           Anything further with respect to this ex-  
4 hibit?

5           A           No, sir.

6           Q           Okay, I notice that up at the northern  
7 end of the map we have one more orange dot. Is that another  
8 long term flow test?

9           A           Yes, sir, it is.

10          Q           And do you have that one depicted on Ex-  
11 hibit Eight?

12          A           Yes. Exhibit Eight is the flow test in-  
13 formation gathered from Well 2233-321K.

14          Q           Okay, and that test ran for a much  
15 shorter period of time than the ones we just looked at,  
16 which were, what, about 1000 days. This is how long?

17          A           About six months, 180 days.

18          Q           About six months, so this test was a rel-  
19 atively new but short term test.

20          A           Yes, this test was initiated in late 1985  
21 and concluded in early 1986.

22          Q           Okay. You had from this the same data,  
23 rates, and flowing tubing pressures, and did they allow you  
24 to make a prediction?

25          A           Yes, sir, using the measured rates over

1 this 180-day period, we input those rates into a model simi-  
2 lar to the two we've previously spoken about, although using  
3 the actual reservoir parameters inherent to this well, and  
4 again have made predictions assuming a 160-acre drainage  
5 area and a 640-acre drainage area, and those predictions are  
6 shown as flowing tubing pressure performance in the upper  
7 part of this graph, the red line being the 640-acre predic-  
8 tion and the green line being the 160-acre prediction.

9 Q What's the relationship or the comparison  
10 between the actual performance and those predicted perfor-  
11 mances under different drainage radius?

12 A The prediction on 640 acres of flowing  
13 tubing pressure is a better match with actual than the 160-  
14 acre prediction is. In fact, the actual flowing tubing  
15 pressure performance is even above the 640-acre prediction  
16 for this particular well.

17 Q Indicating drainage greater than 640,  
18 probably, from that well?

19 A It indicates to me that in all likelihood  
20 this well is draining more than 640 acres.

21 Q Okay, let me ask you if there are any  
22 other characteristics having to do with your predictions on  
23 this 6-month test that you have seen on your 3-year tests  
24 that lend some validity to the work on this shorter term  
25 long-term flow test.

1           A           Yes, sir, in all the modeling work that I  
2 have done and seen, the characteristic of these models is  
3 that the prediction for 160 acres and 640 acres is similar  
4 in a very early time period of the prediction, approximately  
5 at 60 to 70 to 80 days, you start seeing a divergence of the  
6 two predictions, and this has been a very common trait.

7           Q           And you saw that divergence on the two  
8 long term flow tests that we looked at --

9           A           Yes.

10          Q           -- just prior to this one?

11          A           Yes, sir.

12          Q           All right, sir, anything further with re-  
13 spect of this exhibit?

14          A           No.

15          Q           Okay, I believe that's all the long term  
16 flow tests that we had in this particular series. There  
17 were the green triangles on the map. Tell me again what  
18 those were denoting?

19          A           Those four green triangles denote the  
20 locations of shut-in pressure monitor wells that have never  
21 produced since the unit went on production in 1984.

22          Q           Okay, if I understand correctly, the  
23 green triangles are at the locations of wells that have been  
24 shut-in except for testing purposes on completion, or  
25 something of that nature, but when production started from

1 the unit they were not turned onto production even though  
2 all of their offsets and neighbors may have been.

3 A That's correct.

4 Q Okay. Since these were shut-in wells did  
5 you have a data gathering program to go with them?

6 A Yes, sir. We, well, first of all, we ran  
7 initial bottom hole pressure build-up tests on those four  
8 wells and then subsequent to the offset producers being put  
9 on production we have monitored the bottom hole pressure in  
10 all four of these shut-in wells on approximately a quarterly  
11 basis.

12 Q Do you have a tabulation of the results  
13 of that pressure monitoring?

14 A Yes, sir, Exhibit Nine is such a  
15 tabulation.

16 Q Okay, we have individual well analyses  
17 and work that's been done on each of these?

18 A Yes, sir.

19 Q So we may want to refer back to Exhibit  
20 Nine from time to time, but why don't we move on and look at  
21 the individual well tests or shut-in histories of these  
22 wells and see what they show us.

23 Let's look at Exhibit Ten, which I think  
24 is a three part exhibit?

25 A Yes. Exhibit Ten is actually is three

1 parts, labeled Ten-A, Ten-B, and Ten-C.

2 Q Okay, what well is that associated with?

3 A This is Well 1833-351G, which is the  
4 southwesternmost shut-in pressure monitor well.

5 Q Okay, what's the A part of this depict?

6 A This is a plot of pressure versus time  
7 for this particular well.

8 Q And is anything else shown on there ex-  
9 cept those actual points?

10 A We -- the actual points are shown with  
11 the blue X's. We have also constructed a 9-section model  
12 describing the producing system around this shut-in well and  
13 the prediction of pressure versus time is shown as a rust  
14 colored line this Exhibit Ten-A.

15 Q Okay. What's the B portion for orienta-  
16 tion so that we kind of get all of these in mind?

17 A The B portion is a plot of bottom hole  
18 pressure measured in the shut-in monitor well versus the  
19 offset cumulative gas production volumes to the shut-in  
20 well.

21 Q Okay, you've got another rust colored  
22 line.

23 A Yes, that is a prediction from the same  
24 model as I showed you before on the Ten-A, just showing dif-  
25 ferent parameters, those being pressure versus cumulative

1 production from the offsets.

2 Q Okay, what's the third part of this exhi-  
3 bit?

4 A The third part, Exhibit Ten-C, is a tabu-  
5 lation of the offset producer cumulative gas volumes on a  
6 well-by-well basis. This particular well only has two off-  
7 sets and I've shown a tabulation of actual production in the  
8 model, cumulative production, and then the last column is  
9 the percentage difference between the two.

10 Q Okay. Now, if I understand correctly,  
11 what you've done is taken a model with the center of it  
12 being the shut-in well and modeled the -- that section that  
13 that's in and the eight surrounding sections, such that you  
14 have a nine section block being the offsets to that shut-in  
15 well, and then you have made pressure measurements on the  
16 shut-in well and you have model predictions of what should  
17 have happened.

18 Now is that generally the scheme we're  
19 going into here?

20 A Yes, sir, that's correct.

21 Q Okay. Let me ask you what you see from  
22 this first one.

23 A I see no -- no data on this test which  
24 can cause me to make any kind of engineering conclusion.

25 Q Why is that?

1           A           Because the pressures measured bottom  
2 hole subsequent to the initial bottom hole pressure build-up  
3 test run in this well are slightly higher than the initial  
4 reservoir pressures.

5           Q           Looks like we had a bad initial pressure  
6 on that well, then, is that right?

7           A           Yes, sir, it does.

8           Q           And that makes that one incapable of ana-  
9 lysis, really.

10          A           Yes, sir, I would not use this to make an  
11 analysis.

12          Q           Well, let's see if we can find one that  
13 is capable.

14                      Let's look at Exhibit Eleven and that  
15 series. Tell us which well that is.

16          A           All right. Again, Exhibit Eleven has  
17 three parts, A, B, and C.

18                      Exhibit Eleven-A is a plot of pressure  
19 versus time for Well 1835-161M, which is the southeastern-  
20 most shut-in pressure monitor well.

21                      Exhibit Eleven-A again, as I mentioned,  
22 is a plot of pressure versus time.

23          Q           Okay, and I notice that the pressure has  
24 declined with the passage of time. I take it that's been a  
25 period of production from the offsets.

1           A           Yes, sir, it's about a 3-year period.  
2 This well has shown a definite decline in reservoir pres-  
3 sure.

4           Q           Does that indicate to you a good match  
5 between your model and the actual pressure results that you  
6 have measured?

7           A           Yes, sir, I think is a very valid match.

8           Q           Okay, what about the B part of this?

9           A           The B part again plots offset cumulative  
10 production versus pressure in the monitor well, the blue  
11 crosses being the actual points and the model prediction  
12 being the solid rust colored line.

13          Q           How is your match there?

14          A           Again I believe the match is very rigor-  
15 ous.

16          Q           Okay, and the C part shows the production  
17 history. How many offsets does this one have?

18          A           This well is offset all around so it's  
19 got eight offset wells.

20          Q           Okay, and I believe on this you have the  
21 model predicted production and the actual production. How  
22 do those compare?

23          A           They compare very closely. Actually the  
24 percent difference between the prediction and the actual  
25 cumulatives is about one percent out of a total of roughly 7

1 BCF.

2 Q Okay. Let me ask you, Mr. Collier, that  
3 when you analyze this one and you look at the pressure de-  
4 cline that's taken place at this well location, and the off-  
5 set production, do you have a conclusion as to whether or  
6 not the shut-in well is being affected by the production  
7 from its neighbors?

8 A Yes, sir, I believe this well, because it  
9 has shown a definite drop in reservoir pressure, has to have  
10 been affected by offset production.

11 Q Okay, is it your opinion that production  
12 in this particular area is evidencing 640-acre, or greater,  
13 drainage?

14 A Yes, sir, I believe it is.

15 Q Okay, we've got two more of these shut-in  
16 tests. Let's look at them, or did you have anything further  
17 on that one?

18 A No, sir.

19 Q All right. Let's go to -- what's the  
20 next one, the northeastern green dot, triangle?

21 A Yes, the next series of exhibits is  
22 Twelve-A, Twelve-B, and Twelve-C. This depicts the shut-in  
23 performance of Well 2034-201G, which is the northeasternmost  
24 of the shut-in pressure monitor wells.

25 Q Okay, why don't you just run through the

1 A, B, and C parts in a similar manner? We all know the X's  
2 are the actual and that the --

3 A Correct.

4 Q -- rust color is the predicted, so what  
5 -- just tell us what we're seeing there.

6 A Okay. Again in this well, it is offset  
7 by eight producers and it has shown a definite decrease in  
8 reservoir pressure at the shut-in location, and that's de-  
9 picted on Twelve-A.

10 Q Good match?

11 A Yes, I believe again this is a good  
12 match.

13 Q All right, sir.

14 A Exhibit Twelve-B is a plot of cumulative  
15 production from the offset eight producers versus pressure  
16 in the shut-in monitor well, and again we have a good match  
17 between the actual and the predicted.

18 Q Okay. How did our predicted and actual  
19 production compare?

20 A Okay, out of a total cumulative offset  
21 production of about 9 BCF our prediction was only one per-  
22 cent difference from the actual.

23 Q Let me ask you again with respect to this  
24 well, the analysis that you've made of it, as to any opinion  
25 you have with respect to pressure interference from its off-

1 set wells and what drainage may be being recognized by the  
2 shut-in well.

3 A Since this area is spaced on 640-acre  
4 well spacing and yet we've seen a definite pressure decline  
5 in this well, I conclude that we are definitely affecting  
6 this well on this type of spacing.

7 Q All right, sir. Anything else with  
8 respect to this series?

9 A No, sir.

10 Q We have one more shut-in series of tests,  
11 I believe, and that would be the northwestern of these  
12 wells. That's Exhibit series Thirteen, A, B, and C?

13 A Yes, sir.

14 Q How about discussing those in a similar  
15 manner?

16 A Okay. This is the pressure performance  
17 for a shut-in monitor Well 2033-161G, which is the  
18 northwesternmost of the four shut-in pressure monitor wells.

19 Exhibit Thirteen A again is a plot of  
20 pressure versus time. This shows a decline again in  
21 reservoir pressure measured at the shut-in well over a  
22 period of three years.

23 Again we have constructed a nine-section  
24 model and that is -- again the prediction is shown in the  
25 rust colored line and again we have a very valid match.

1 Q Okay, B part?

2 A The B part again is the cumulative pro-  
3 duction versus pressure plotting the offset cumulatives ver-  
4 sus the pressure in the monitor well, and again we have a  
5 very valid match between the actual measured pressure versus  
6 cumulative and the predicted.

7 Q Okay. How many offset wells are there?

8 A This well is only offset on four sides.

9 Q And how did the production and the pre-  
10 diction from those compare?

11 A Well, as shown on Exhibit Thirteen C,  
12 offset cumulative has been about 1.3 BCF from the four off-  
13 set cumulatives total and our prediction is less than 1 per-  
14 cent in there or off of that actual.

15 Q All right, deviation.

16 A Deviation.

17 Q Let me ask you again your opinion with  
18 respect to your analysis of the data on the 2033-161G test  
19 location as to whether or not you believe 640 acres is being  
20 effectively and efficiently drained as evidenced by a de-  
21 cline in shut-in pressure in that well.

22 A I believe since the wells again in this  
23 location are on 640-acre spacing, and that we've seen a  
24 pressure decline in a shut-in well, that we are effectively  
25 draining an area of 640 acres.

1           Q           Okay, you've mentioned a time or two here  
2 that wells are on 640-acre spacing in here and I take it by  
3 that you mean that there's one well per section.

4           A           Yes.

5           Q           Is the geometry of the well locations ab-  
6 solutely uniform and in a grid so that each one's exactly in  
7 the same spot in all of the sections that we've been looking  
8 at?

9           A           No, geometrically there are slight varia-  
10 tions for various reasons. The wells are not exactly one  
11 section apart.

12          Q           Okay. Let's look at Exhibit Fourteen and  
13 see if we can get a little better understanding of that par-  
14 ticular aspect here. Tell me what Exhibit Fourteen shows,  
15 please.

16          A           Exhibit Fourteen is a schematic showing  
17 the first shut-in pressure monitor well and its offset sit-  
18 uation. This is the first one I discussed earlier, this  
19 being Well 1833-351G.

20                    The shut-in pressure monitor well is  
21 shown with the -- again with the triangle, and I've shown  
22 arrows with distances from that well to the offset produ-  
23 cers.

24          Q           Okay, I notice you have some concentric  
25 rings there. It looks like the center of the circles is the

1 shut-in well. Is that correct, and what are those rings?

2 A Okay, on this graph -- on this plot I've  
3 superimposed the radius that corresponds to a drainage area  
4 of 640 acres, that being the inside concentric ring.

5 Also, the middle concentric ring is a  
6 drainage radius depicting a 960-acre area.

7 And the outside ring is the radius  
8 depicting a 1280-acre area.

9 Q Okay, so if I understand correctly,  
10 you're saying that what is seen at the triangle there, if it  
11 -- if -- the wells are located a certain distance away are  
12 being affected by what has happened over that distance, in  
13 withdrawal.

14 A That's correct.

15 Q Okay. Is there anything -- if I recall,  
16 you said you didn't really see anything significant about  
17 this particular test.

18 A Yes, sir. I made no conclusions from  
19 this test.

20 Q Okay. Is there anything further with  
21 respect to Exhibit Fourteen?

22 A No, sir.

23 Q Let's look at Exhibit Fifteen. I believe  
24 that's the southwestern shut-in well. Do you have a similar  
25 exhibit there?



1 well even outside a 1280-acre radius of drainage.

2 Q Okay, so if I understand correctly,  
3 you're saying that because you see in this shut-in well,  
4 which has never produced, a decline in pressure of 35 psi,  
5 while the eight offset wells were on production, and all of  
6 those offset wells are at a distance that is equal to or  
7 greater than a 640-acre drainage area, and radius, that you  
8 believe that that definitely shows that they're in pressure  
9 communication and interference --

10 A Yes, sir.

11 Q -- to that shut-in well. Couldn't have  
12 come from anywhere else except the production --

13 A That's correct.

14 Q -- of those wells. All right, sir. Any-  
15 thing else with respect to this one?

16 A No, sir.

17 Q Well, let's look at the next one of  
18 those, please.

19 A All right. Exhibit Sixteen is a schema-  
20 tic of the shut-in pressure monitor Well 2034-201G, which is  
21 the northeasternmost shut-in pressure monitor well.

22 Q Let me just ask you if that leads you to  
23 a conclusion having to do with the area affected by produc-  
24 tion in the vicinity of this well.

25 A Yes. Yes, sir, it does. Again we've

1 seen a substantial pressure drop in this well of 22 psi from  
2 the original of 385 psi.

3                   The nearest offset producing well to this  
4 pressure monitor well is off to the east, southeast a little  
5 bit, at a distance of 2,952 feet, which is right on or very  
6 near the radius depicting a 640-acre area of drainage.

7           Q           Okay, so it's your conclusion that 22  
8 pound pressure drop, I believe you said, --

9           A           Yes, sir.

10          Q           -- and the location of all these wells  
11 currently supports your prior conclusion.

12          A           Yes, sir. With one well at 640-acre  
13 distance and the other seven offsets well outside of the  
14 1280 acres, I conclude that we're draining 640 acres as a  
15 minimum area.

16          Q           Let's look at the last shut-in test.  
17 We'll mark that Exhibit Seventeen. I believe it's the one  
18 with four offsets.

19          A           Yes, this is Well 2033-161G. Again I've  
20 placed on this plat the shut-in pressure monitor well in the  
21 center and shown the straight line distances to the offset  
22 four producing wells.

23          Q           Are any of those offset wells within the  
24 640-acre circle?

25          A           No, sir.

1           Q           Are any of them within the 960-acre cir-  
2 cle?

3           A           No, sir.

4           Q           Are any of them within the 1280 circle?

5           A           No, sir, they're all outside the 1280  
6 circle.

7           Q           They're all even more remote than that.

8           A           Yes, sir.

9           Q           Did you see a pressure drop in the shut-  
10 in well?

11          A           Yes, sir, a 10 pound pressure drop.

12          Q           Do you believe that that -- well, do you  
13 reach a conclusion based on these things?

14          A           In this particular location we're drain-  
15 ing an area probably even larger than 640 acres.

16          Q           Anything else with respect to this exhi-  
17 bit, sir?

18          A           No, sir.

19          Q           Mr. Collier, in the data that you've  
20 looked at in the long term flow tests and the shut-in tests,  
21 I believe there were seven wells involved. I believe that  
22 in one of them you said the data was not subject to inter-  
23 pretation, and I believe you said the other six were.

24                    In the analysis of that data, have you a  
25 conclusion as to whether or not drainage, efficient drainage

1 is achieved on 640-acre spacing as demonstrated by these  
2 tests?

3 A Yes, sir, I believe 640 acres is demon-  
4 strated.

5 Q Okay. Do you have anything else, sir?

6 A No, sir.

7 Q Were Exhibits One through Seventeen, in-  
8 cluding all of their lettered parts, prepared by you or un-  
9 der your direction and supervision?

10 A Yes, they were.

11 MR. CURRENS: I'd offer Exhi-  
12 bits One through Seventeen and all their numbered parts.

13 MR. CATANACH: Exhibits One  
14 through Seventeen will be admitted into evidence.

15 MR. CURRENS: That's all I  
16 have.

17

18 CROSS EXAMINATION

19 BY MR. CATANACH:

20 Q Your performance curves, I was wondering  
21 what factors go into the construction of a model for the  
22 drainage areas, what type of information you used?

23 A Well, we input actual pay characteris-  
24 tics, porosity measured from a log, a density log. We input  
25 permeability measured from a bottom hole pressure build-up

1 or calculated from a bottom hole pressure build-up.

2 We then put, of course, pay height, water  
3 saturation, gas saturation, relative permeability data for  
4 two-phase flow, and we have predicted the performance of  
5 that well be giving it a no flow boundary at either 640 ac-  
6 res or 160 acres.

7 Q On your Exhibit Number Seven, I'm a  
8 little curious, on your flowing tubing pressure you get a  
9 substantial drop and at the same time you get a  
10 corresponding increase in producing rates. How does that --  
11 how do you explain that?

12 A I believe at that time that we performed  
13 a fracture stimulation on this well and actually improved  
14 its productivity. I believe that was a foam CO2 frac.

15 Q The actual production data on the lower  
16 third of that Exhibit Number Seven --

17 A Yes.

18 Q -- the first part of that, up to about  
19 400, or so, that's actual, and then does that go to what?

20 A Well, the entire blue curve is actual.

21 Q That's all actual.

22 A The only -- the reason it's different is  
23 the first 400 plus days is presented as daily, daily rates,  
24 and then the data from 400 to the end of the actual data is  
25 just smooth, but it's still reflective of actual measured

1 flowing rates. Just for ease of presentation and for ease  
2 of inputing into the model we smoothed the data, and that's  
3 what that represents.

4 Q Mr. Collier, how uniform are your  
5 reservoir characteristics in the area of all the test wells?  
6 Are they pretty uniform as far as --

7 A I can --

8 Q -- pay thickness, and porosity,  
9 permeability?

10 A They're -- I guess they're uniform.  
11 They're whatever we measured at that location. I think pay  
12 thickness is thicker from the two southern flow test wells  
13 and thinner for the northernmost well, but I know porosity  
14 is very comparable, within the range of 18 to 22 percent for  
15 the three flow test wells. There is some difference in pay  
16 thickness going from the northern wells to the southern  
17 wells.

18 Q But not exceedingly -- well, how  
19 substantial would the difference be?

20 A Well, if you look at Exhibit Seven, I've  
21 got the actual model parameters. Pay height there being 163  
22 feet. The pay height, if you look at Exhibit Five for the  
23 other southernmost flow test well was 104 feet, and the pay  
24 height for the northernmost well was in the order of 50 to  
25 60 feet.

1           Q           Mr. Collier, are there areas within the  
2 unit where the -- where these characteristics are substan-  
3 tially different from the ones in this area here?

4           A           Well, I've really only studied the area  
5 of production, which is the east central part of the unit.

6                   I personally have not done a geological  
7 study to determine any differences in pay heights or perme-  
8 ability. The area of my study has been confined just to  
9 where we have production and I can only speak to the numbers  
10 that I've just given you. I don't know how varied the pay  
11 is in the rest of the unit.

12           Q           So you can't really say for sure that  
13 this area is totally representative of the whole unit.

14           A           Well, I can say that it is representative  
15 of the area that is currently spaced on 640 acres. We, by  
16 necessity, had to limit our data collection to areas where  
17 we had production; where we had a collection system; where  
18 we had a way to measure it; and where we could produce the  
19 gas and collect it and measure those rates.

20                   So obviously, it had to be limited to  
21 that area in the east central part of the unit, but from  
22 that data I think there's enough of a widespread data in  
23 that area to make the conclusions that I've made; that the  
24 640-acre temporary spacing area is spaced correctly.

25           Q           Mr. Collier, how accurate are the bottom

1 hole pressure gauges? You've got some pretty small differ-  
2 ences in pressure, 10 pounds, are those gauges accurate  
3 enough to -- so that they're --

4 A Yes, the stated accuracy of those bombs  
5 is one-half of a psi per 1000 psi.

6 MR. CATANACH: Are there any  
7 other questions of Mr. Collier at this time?

8 If not, he may be excused.

9 MR. CARR: I'd like to close,  
10 if I may.

11 MR. CATANACH: Go ahead.

12 MR. CARR: May it please the  
13 Examiner, in 1984 Amoco came before the Commission request-  
14 ing 640-acre spacing for the Bravo Dome Area.

15 By Order R-7556 the Commission  
16 approved temporary 640-acre spacing for a portion of the  
17 Bravo Dome Unit Area, and this approval was given after an  
18 extensive, opposed hearing, in which Amoco presented a large  
19 volume of engineering and geological data.

20 The order didn't only create a  
21 640-acre area and provide for temporary spacing, but that  
22 order also required for Amoco to come back and submit a plan  
23 that was acceptable to the Director that would demonstrate  
24 the drainage efficiency of wells located on 640-acre spacing  
25 units, and it required that that plan should include exten-

1 sive shut-in periods for one or more wells within the unit  
2 area.

3 Amoco came forward with a plan.  
4 The plan was amended. The plan was approved by the Director  
5 and the data you have been given today is the result of the  
6 additional study and data collection that was performed by  
7 Amoco in response to the Commission's directive, and we be-  
8 lieve now that the record is complete in this case. The  
9 data that we developed during the last three years, not only  
10 the long term flow tests, but also the information we've ac-  
11 cumulated from pressure shut-in monitor wells, this data  
12 clearly and absolutely confirms with actual reservoir per-  
13 formance the calculations and modeling work we had done.

14 Now that the record is complete  
15 we think it is clear that the most efficient and effective  
16 way to produce the Bravo Dome 640-acre area is on 640-acre  
17 spacing.

18 The efficiencies that will re-  
19 sult are consistent with conservation principles. They will  
20 prevent waste. They will protect the correlative rights of  
21 all interest owners in this portion of the Bravo Dome and we  
22 therefore ask that the temporary rules be made permanent.

23 The order that created tempor-  
24 ary rules provided that they would be effective for a three  
25 year period of time from June 19, 1984; therefore, to avoid

1 any gap in the rules for the 640-acre spacing area, we re-  
2 quest that your order be expedited and request that an order  
3 be entered on or before June 15 making permanent 640-acre  
4 spacing for the Bravo Dome 640-acre spacing area as defined  
5 by Order R-7556.

6 MR. CATANACH: Anything else in  
7 this case?

8 If not, it will be taken under  
9 advisement.

10

11

(Hearing concluded.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

## C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY the foregoing Transcript of Hearing before the Oil Conservation Division (Commission) was reported by me; that the said transcript is a full, true, and correct record prepared by me to the best of my ability.

Sally W. Boyd CSR

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION COMMISSION  
STATE LAND OFFICE BUILDING  
SANTA FE, NEW MEXICO

14 July 1988

COMMISSION HEARING

IN THE MATTER OF:

In the matter of Case 9428 being                   CASE  
called by the Oil Conservation Div-                   9428  
ision on its own motion pursuant  
to the provisions of Division Order  
No.R-6446-B, as amended, which ap-  
proved the Bravo Dome Carbon Dioxide  
Gas Unit Agreement in Harding, Union,  
and Quay Counties, New Mexico.

BEFORE: William J. Lemay, Chairman  
Erling Brostuen, Commissioner  
William M. Humphries, Commissioner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:                   Robert G. Stovall  
  Attorney at Law  
  Legal Counsel to the Division  
  State Land Office Bldg.  
  Santa Fe, New Mexico

## A P P E A R A N C E S Cont'd

1

2

3

For Amoco:

William F. Carr

Attorney at Law

4

CAMPBELL and BLACK

5

P. O. Box 2208

Santa Fe, New Mexico 87501

6

and

Daniel R. Currens

7

Attorney at Law

Amoco Production Company

8

Post Office Box 3092

Houston, Texas 77253

9

For Norman W. Libby:

W. Perry Pearce

10

and

Sara M. Singleton

11

Attorneys at Law

MONTGOMERY &amp; ANDREWS

12

Post Office Box 2307

Santa Fe, New Mexico 87504

13

14

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N D E X

STATEMENT BY MR. CARR	8
JAMES C. WYLES	
Direct Examination by Mr Currens	14
Cross Examination by Mr. Pearce	32
Redirect Examination by Mr. Currens	34
JAMES W. COLLIER, JR.	
Direct Examination by Mr. Currens	35
Cross Examination by Mr. Pearce	65
Questions by Mr. Brostuen	74
J. DAVID McELHANEY	
Direct Examination by Mr. Currens	76
Cross Examination by Mr. Pearce	95
Questions by Mr. Brostuen	105
Questions by Mr. Lemay	106
STATEMENT BY MR. HOCKER	107
STATEMENT BY MR. PEARCE	108
STATEMENT BY MR. CARR	111

## E X H I B I T S

1		
2		
3		
4	Amoco Exhibit One, Map	16
5	Amoco Exhibit Two, Schematics	16
6	Amoco Exhibit Three, Logs	21
7	Amoco Exhibit Four, Seismic Map	24
8	Amoco Exhibit Five, Structure Map	26
9	Amoco Exhibit Six, Map	36
10	Amoco Exhibit Seven, Map with Overlays	41
11	Amoco Exhibit Eight, Bar Chart	49
12	Amoco Exhibit Nine, Diagram	50
13	Amoco Exhibit Ten, Photograph	52
14	Amoco Exhibit Eleven, Photograph	53
15	Amoco Exhibit Twelve, Diagrams	54
16	Amoco Exhibit Thirteen, Schematic	57
17	Amoco Exhibit Fourteen, Photograph	57
18	Amoco Exhibit Fifteen, Photograph	59
19	Amoco Exhibit Sixteen, Photograph	60
20	Amoco Exhibit Seventeen, Photograph	60
21	Amoco Exhibit Eighteen, Photograph	60
22	Amoco Exhibit Nineteen, Photograph	60
23	Amoco Exhibit Twenty, Schematic	60
24	Amoco Exhibit Twenty-one, Schematic	61
25	Amoco Exhibit Twenty-two, Photograph	62

## E X H I B I T S    C O N T ' D

1		
2		
3		
4	Amoco Exhibit Twenty-three, Curves	78
5	Amoco Exhibit Twenty-four, Graph	83
6	Amoco Exhibit Twenty-five, Graph	84
7	Amoco Exhibit Twenty-six, Graph	87
8	Amoco Exhibit Twenty-seven, Graph	88
9	Amoco Exhibit Twenty-eight, Table	89
10	Amoco Exhibit Twenty-nine, Table	91
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 MR. LEMAY: We'll now call  
2 Case Number 9428.

3 MR. STOVALL: In the matter of  
4 Case Number 9428 being called by the Oil Conservation Div-  
5 ision on its own motion pursuant to the provisions of Div-  
6 ision Order Number R-6446-B, as amended, which approved the  
7 Bravo Dome Carbon Dioxide Gas Unit Agreement in Harding,  
8 Union, and Quay Counties, New Mexico, to permit Amoco  
9 Production Company, the operator of said unit, to review  
10 operations and demonstrate to the Commission that its  
11 operations within the unit are resulting in the prevention  
12 of waste and the protection of correlative rights on a con-  
13 tinuing basis.

14 MR. LEMAY: Thank you, Mr.  
15 Stovall.

16 Appearances in Case Number  
17 9428.

18 MR. CARR: May it please the  
19 Commission, my name is William F. Carr, with the law firm  
20 of Campbell & Black, P. A., of Santa Fe.

21 We represent Amoco Production  
22 Company.

23 I'm appearing in association  
24 with Daniel R. Curren, Attorney for Amoco Production Com-  
25 pany from Houston, who will present our three witnesses.

1 MR. LEMAY: May I ask if Mr.  
2 Currens is appearing as an engineer or as a lawyer>

3 MR. CURRENS: As an attorney,  
4 Mr. Chairman.

5 MR. CARR: We will try to keep  
6 him on track and in that role. Remember that lawyers are  
7 incompetent. We're having a hard time forgetting that.

8 MR. PEARCE: May it please the  
9 Commission, I am W. Perry Pearce of the law firm of Mont-  
10 gomery and Andrews, P. A..

11 I'm appearing in this matter  
12 in association with Sara M. Singleton, who is also with our  
13 firm.

14 We are appearing representing  
15 Mr. Norman W. Libby, L-I-B-B-Y.

16 We do not expect to have a  
17 witness, Mr. Chairman.

18 MR. LEMAY: Thank you, Mr.  
19 Pearce.

20 Additional appearances in the  
21 case?

22 If not, we shall begin.

23 Yes, sir.

24 MR. HOCKER: May I make a  
25 statement at the end?

1 MR. LEMAY: Oh, yeah, I'm  
2 sorry.

3 MR. HOCKER: I just wanted to  
4 make sure that was clear.

5 MR. LEMAY: I'm sorry, I  
6 needed to say that.

7 Our general policy is to have  
8 the proponents in the case present their evidence first,  
9 and there's cross examination, and all that, and then we  
10 have the other side again with the same procedure, and then  
11 at the end we do accept statements, unless -- if any of you  
12 have any time constraints because you have to leave early,  
13 we can accept statements earlier.

14 Are you okay, there?

15 MR. HOCKER: Fine.

16 MR. LEMAY: Mr. Carr.

17 MR. CARR: May it please the  
18 Commission, I have a brief opening statement.

19 Amoco Production Company is  
20 before you here today to review its activities as operator  
21 of the Bravo Dome Carbon Dioxide Gas Unit as it is required  
22 to do by this Commission's order which originally approved  
23 the unit agreement.

24 There have been a number of  
25 hearings over the past ten years involving the Bravo Dome i

1 Unit, not only the approval hearings but hearings directed  
2 at appropriate spacing in the unit, testing procedures,  
3 things of that nature, and although we've been before the  
4 Commission on numerous occasions, none of you have been on  
5 the Commission at that time.

6 And so what we're intending to  
7 do is to provide you with a general overview of our opera-  
8 tions in the unit and tell you where we are today and what  
9 we are doing as unit operator.

10 I think it's fair to say that  
11 development of carbon dioxide in northeastern New Mexico  
12 has been an imaginative project. It's been a major under-  
13 taking even for companies the size of Amoco and the other  
14 companies involved in the development of this resource.

15 As perhaps you know, this is a  
16 unit that is the largest gas unit anywhere unit anywhere in  
17 the world. It's comprised of over a million acres. It's  
18 in a relatively remote area and as the resource was deve-  
19 loped and the early decisions were made, they were made  
20 really with relatively limited data for it was not known  
21 exactly how to produce carbon dioxide, what it would re-  
22 quire to treat it, how it could be transported; in fact, it  
23 wasn't even really known how it would work in a reservoir  
24 when injected for enhanced oil recovery purposes.

25 But it was apparent that there

1 was a potential for this resource in tertiary oil recovery.

2                   So, in the 1970's Amoco and  
3 others undertook an aggressive leasing program in north-  
4 eastern New Mexico. They drilled some wells, developed  
5 initial data, and then it was decided that because of all  
6 the uncertainties, because of the large area, because of  
7 the remoteness, unitized development of this resource was  
8 the appropriate way to go and in the late 1970's Amoco and  
9 the other working interest owners in the area met and they  
10 developed a unit agreement whereby they would share the  
11 burdens and the benefits that they hoped could be obtained  
12 from the development of carbon dioxide gas. This unit  
13 agreement is, and always has been voluntary in nature, and  
14 it contains some unique provisions. We won't go into all  
15 those today but one, I think, that is important at this  
16 point to note is that prior to this unit becoming effec-  
17 tive, we provided in that agreement that we would come to  
18 this Commission, seek and obtain its approval, and in 1980  
19 we appeared before you on two occasions, there were two  
20 hearings. Following both of those hearings the New Mexico  
21 Oil Commission approved the Bravo Dome Unit.

22                   We obtained approval from the  
23 Commissioner of Public Lands. We obtained approval from  
24 the Bureau of Land Management, and the unit was in effect.

25                   The unit -- the orders from

1 this Commission that approved the agreement gave you a  
2 continuing role. Various things apply to it, but one of  
3 the things, the reason we're here today, is that that order  
4 required that we would come back before you once every four  
5 years and tell you and show you that we were doing what we  
6 were at that time saying we were going to do; that is, de-  
7 velop this area in an efficient and effective manner.

8 And so for that reason we're  
9 here today before you to give you our progress report, and  
10 in doing this we're going to call three witnesses.

11 The first witness is a geolo-  
12 gist. His name is Jim Wyles, and we will start by giving  
13 you a brief, general background of the development of the  
14 Tubb formation from a geologic point of view.

15 We will start from that point  
16 and then we will show you what Amoco has done, particularly  
17 in the last four years, since the first four years will be  
18 apparent, what we have done to further define and under-  
19 stand this reservoir, and we will show you that our early  
20 impression has been confirmed, that the Tubb is present  
21 throughout the unit area, and we're going to also show you  
22 that we now have a much clearer picture of this formation  
23 and that we are, even though development is down because  
24 CO<sub>2</sub> is tied with oil prices, that has not slowed us down in  
25 terms of actively and aggressively trying to understand the

1 reservoir and develop the information that we need to carry  
2 out our duties as unit operator as we move toward full  
3 development of those areas which we determine to be capable  
4 of commercial carbon dioxide production.

5 We will then call an engine-  
6 ering witness, Mr. Jim Collier, and he is going to take you  
7 briefly through the history of the development of this unit  
8 and he's going to show you that we have explored and are  
9 developing this resource in an efficient, orderly, and  
10 economical fashion and that there have been economies  
11 achieved in drilling, gathering, treating, and producing  
12 this resource, and that these reduced costs are beneficial  
13 to all those who have an interest in the Bravo Dome Unit  
14 Area, including the State.

15 We then will call the Manager  
16 of CO<sub>2</sub> Sales and Supply, David McElhaney. He is going to  
17 review with you the volumes of production that have been  
18 obtained to date, the investments made, and the benefits  
19 that we see flowing from the Bravo Dome Unit in terms of  
20 royalty payments and taxes.

21 This is New Mexico's only CO<sub>2</sub>  
22 source at this time and the industry which it serves, the  
23 oil industry, as we all know, is down but we will show you  
24 that even with the industry down Amoco, through its efforts  
25 in Bravo Dome, is marketing and producing substantial

1 volumes of carbon dioxide gas.

2 This is, and has been, an  
3 ambitious project and we have felt from the beginning at  
4 our request this Commission became our partner in that  
5 endeavor. We've made huge capital investments. We've put  
6 \$150-million into the project before the first MCF of CO<sub>2</sub>  
7 was sold.

8 We have over \$280-million in  
9 the effort now. We are producing and we are marketing  
10 carbon dioxide. We are continuing to study the reservoir  
11 and we believe at the end of this hearing you will see that  
12 in all ways we are continuing to meet our duties as unit  
13 operator and we are achieving what we believe are our  
14 common goals, ours and yours, to develop this resource in  
15 an efficient manner, preventing waste of the resource, and  
16 protecting the interests of all interest owners in the  
17 Bravo Dome Area.

18 Thank you, Mr. Chairman.

19 MR. LEMAY: Mr. Pearce, did  
20 you have an opening statement?

21 MR. PEARCE: Nothing, thank,  
22 you, Mr. Chairman.

23 MR. LEMAY: Are there any  
24 other opening statements?

25 If not, I would like the wit-

1 nesses to stand now and be sworn in.

2

3

(Witnesses sworn.)

4

5

MR. LEMAY: Mr. Carr, you may

6

call your first witness.

7

MR. CARR: Mr. Currens will

8

present Amoco's witnesses.

9

MR. LEMAY: Mr. Currens?

10

11

MR. CURRENS: We have pre-

12

viously handed you Commissioners a booklet that contains

13

the exhibits that we will be going through here today.

14

Some of them, when our witnesses are talking from them and

15

testifying from them, we'll mount on some easels over here

16

so they can be more readily seen throughout the room and

17

we'll communicate a little better in that manner.

18

19

JAMES C. WYLES,

20

being called as a witness and being duly sworn upon his

21

oath, testified as follows, to-wit:

22

23

DIRECT EXAMINATION

24

BY MR. CURRENS:

25

Q

Will you state your name, please?

1 A My name is James C. Wyles.

2 Q By whom are you employed, Mr. Wyles?

3 A Amoco Production Company in Houston,  
4 Texas.

5 Q And in what capacity?

6 A I'm a geologist.

7 Q Mr. Wyles, have you ever testified be-  
8 fore this Commission before?

9 A No, sir.

10 Q Would you briefly give us some of your  
11 background? What's your educational background in geology?

12 A In 1981 I graduated from the University  
13 of Akron in Akron, Ohio, and received a Master's degree in  
14 geology.

15 Q And upon graduation with a Masters in  
16 geology, what did you do?

17 A I began employment in that same year  
18 with Amoco Production Company in Houston, Texas, working in  
19 the Exploitation Projects Group in west Texas, eastern New  
20 Mexico.

21 Q And very briefly, have your assignments  
22 in that area had to do with normal geological exploitation  
23 assignments a geologist would have?

24 A Yes, they have. My major responsibility  
25 was the evaluation and exploitation of certain existing

1 fields that Amoco operated in the Permian Basin.

2 Q Did that include the Bravo Dome Carbon  
3 Dioxide Gas Unit Area?

4 A Yes, it did. In 1984 I began my study  
5 of the Brave Dome Carbon Dioxide Gas Unit and since that  
6 time I've devoted approximately 50 percent of my time  
7 towards that effort.

8 Q In conjunction with this hearing today  
9 have you had occasion to take your knowledge, your studies,  
10 and prepare or have prepared certain exhibits that you will  
11 present?

12 A Yes, sir.

13 MR. CURRENS: I submit his  
14 qualifications as a geologist.

15 MR. LEMAY: His qualifications  
16 are acceptable.

17 Q Let me ask you to turn to Exhibit One.  
18 You have a set of exhibits there, Mr. Wyles?

19 A Yes, sir.

20 Q Exhibit One and tell us very briefly  
21 what's shown on that exhibit, please.

22 A This is a regional geographic location  
23 map of the Bravo Dome Carbon Dioxide Unit.

24 The Bravo Dome Unit is located in north-  
25 eastern New Mexico, near the Texas, Colorado, and Oklahoma

1 borders.

2 The inset map that you see there shows  
3 the unit boundary in the three counties which Bravo Dome  
4 covers, Union County, Harding County, and Quay County.

5 Q Okay, with that general location, and in  
6 that inset it also shows the outline of the unit, is that  
7 correct?

8 A That is correct.

9 Q Now this unit that we're talking about  
10 here is -- is it producing currently?

11 A Yes, it is.

12 Q And from what is it producing?

13 A It's producing from the Tubb formation.

14 Q And what substance is it producing?

15 A CO<sub>2</sub>.

16 Q Carbon dioxide --

17 A That's correct.

18 Q -- out of the Tubb formation.

19 A Yes, sir.

20 Q Mr. Wyles, perhaps it would be generally  
21 helpful to us if you could give us a little background  
22 knowledge on the Tubb formation in this area; perhaps as to  
23 how it came to be deposited.

24 A Okay, if you will look at Exhibits  
25 Two-A, Two-B, and Two-C, these are three exhibits which

1 show the schematic depositional models of the Bravo Dome  
2 Unit Area through geologic time.

3           You'll note in the lower righthand  
4 corner of each of these exhibits the name Bruce I. May  
5 appears. He was the previous geologist that had worked on  
6 Bravo Dome and developed these models and we still believe  
7 these models to hold true today.

8           Q           Why don't you start with the Two-A  
9 Exhibit, then, and discuss what that shows?

10          A           Okay. Just to orient you on each of  
11 these exhibits, what I'd like to do is say that underneath  
12 the writing of the Sierra Grande Uplift, that will be the  
13 Sierra Grande Area on the block diagram, and below the  
14 writing where it says the Bravo Dome Area, that will be the  
15 general area for the Bravo Dome Area, and then to the right  
16 will be the Palo Duro Basin Area, and keep in mind these  
17 are schematic.

18          Q           Okay, so this goes from the west on the  
19 left to the east on the right.

20          A           That is correct.

21          Q           Okay, go ahead with discussion of Two-A,  
22 please.

23          A           This model that you see in Two-A is of  
24 Middle Pennsylvanian time. At this time we had a basement  
25 reactivation of faulting in the Sierra Grande Area as well

1 as the Bravo Dome Area, and this is shown by the red area  
2 in the lower lefthand corner where you can see a fault  
3 drawn in with up and down arrows with it.

4 This caused uplifting in both the Bravo  
5 Dome Area as well as in the Sierra Grande Area. This  
6 created horst and graben areas within the Bravo Dome Unit.

7 At this time we had high relief in the  
8 area and we had erosion of this PreCambrian basement rock,  
9 which was mainly granite.

10 We had deposition mainly through alluv-  
11 ial sand which deposited Granite Wash in these lower lying  
12 graben areas. This Granite Wash is indicated in the sub-  
13 surface you'll see in the center of the photo, or diagram,  
14 by the orange area with the orange triangles.

15 Okay, going on to Exhibit Two-B, this is  
16 late Pennsylvanian time. As you can see in the Bravo Dome  
17 Area, we have lower relief as a result of the erosion that  
18 was going on.

19 Also you can see that the Granite Wash  
20 has begun to fill in the graben area. At this time you  
21 begin to have a reworking of the Granite Wash sediment by  
22 braided streams, but again, the main deposition at this  
23 time was the Granite Wash.

24 Moving to Exhibit Two-C --

25 Q Now that's a later time period.

1           A           That is correct.

2           Q           Okay.

3           A           This is early Permian in Exhibit Two-C  
4 and at this time the Basement rock was well eroded or  
5 covered by Granite Wash. Now we see the dominant environ-  
6 ment, an alluvial plain system, or reworking of Granite  
7 Wash by ephemeral streams. We've deposited fine grained  
8 sandstone, which is shown as the yellow area in the sub-  
9 surface with crescent-shaped symbols in them. This fine  
10 grained sand developed good porosity and permeability and  
11 became the major contributor to the Tubb formation which  
12 is the reservoir in the Bravo Dome Unit.

13                       Later in the Permian time we had a major  
14 transgression of the Palo Duro Basin Sea from the east and  
15 it transgressed up over the Bravo Dome Area. This was a  
16 very restricted shallow sea and deposited an evaporite of  
17 anhydrite, which is the Cimarron Anhydrite, which is shown  
18 as the gray area in the subsurface. This became the verti-  
19 seal for the Bravo Dome Unit in the Tubb formation.

20           Q           Okay. This series, then gives us some  
21 background and perhaps understanding as to how this Tubb,  
22 which we -- from which we produce came to be deposited, is  
23 that correct?

24           A           Yes, sir.

25           Q           Now, have <sup>you</sup> a type log of the kind that is

*JWB*

1 normally run in drilling operations that depicts this Tubb  
2 formation?

3 A Yes, I do, in Exhibit Three-A and Three-  
4 B.

5 Q Now, this is two parts of the exhibit, A  
6 and B, but is this just one log that we're looking at here?

7 A That is correct.

8 Q Our Xerox just couldn't handle the whole  
9 thing on one piece of paper?

10 A That's correct, sir.

11 Q Okay. All right, tell us what's on the  
12 Three-A part of this exhibit, then.

13 A Okay. This is a type log of a typical  
14 well within the Bravo Dome Carbon Dioxide Gas Unit. The  
15 information that is shown here on this is the header in-  
16 formation. On this particular header is the write-in com-  
17 pensated neutron formation density log, and that is the  
18 typical log that is run within the Bravo Dome Unit.

19 Q Okay, where -- where is this well lo-  
20 cated in the unit, just in general terms?

21 A In the west central portion of the unit.

22 Q All right. Anything else with respect  
23 to the header information?

24 A No, sir.

25 Q Let's move on down to the meat of the

1 log, the Three-B part of the exhibit.

2 A Okay. the curves that are shown on this  
3 exhibit are -- in the first track is the gamma ray curve,  
4 the track farthest to your left, and the other, the second  
5 track we have the porosity as determined by the compensated  
6 neutron density log.

7 The unitized interval of the Tubb forma-  
8 tion is defined at the base of the Cimarron anhydrite or  
9 the top of the Tubb formation to the top of the PreCambrian  
10 Basement rock. And the PreCambrian Basement rock is shown  
11 here in this exhibit by the reddish area.

12 Lying unconformably above the PreCamb-  
13 rian Basement rock is the Tubb formation and the first  
14 thing that you encounter in the basal portion of the sec-  
15 tion is the Granite Wash, as I explained to you in the  
16 earlier exhibit, and this whole interval of the Tubb forma-  
17 tion is colored in orange.

18 Within that Tubb formation, then, to-  
19 wards the top of the log, we have the fine grained sands  
20 which make up the major portion of the reservoir, the major  
21 contributor to the reservoir.

22 Above that, shaded in blue is the verti-  
23 cal seal, the Cimarron anhydrite.

24 Q Okay, is there any other particular that  
25 you care to point out with respect to Exhibit Three-A and

1 B?

2 Q No, sir.

3 Q Now, Mr. Wyles, I believe that you're  
4 familiar with or have read the transcript of the proceed-  
5 ings in the last of these hearings, the one we had four  
6 years ago reporting our progress at that time, is that  
7 correct?

8 A Yes, sir.

9 Q Do you recall whether or not we had ob-  
10 tained any seismic information at that time?

11 A Yes, sir. At that time we had shot 600  
12 miles of seismic but not -- had not processed it.

13 Q Okay. So we had acquired data but  
14 hadn't had a chance to process it four years ago.

15 A That is correct.

16 Q Now, in the intervening time have we  
17 gathered any more geophysical information?

18 A Yes, we have. We have shot and proces-  
19 sed another 800 miles of seismic, for a total of 1400 miles  
20 at a cost of approximately \$3.5-million.

21 Q Okay, so we've got the additional 800  
22 miles and we process the 600 we had before plus the 800  
23 since then.

24 A Yes, sir.

25 Q Now, very broadly, has this seismic

1 coverage been pretty well throughout the unit area?

2 A Yes, sir.

3 Q Let's look at Exhibit Four and I think  
4 that we'll best work from one here we can put up on the  
5 easel.

6 And let me just ask you to tell us  
7 what's shown on Exhibit Four.

8 A The bold line around the seismic is the  
9 seismic is the Bravo Dome Unit boundary.

10 The lines that you are seeing within  
11 that unit boundary, then, are the seismic lines that were  
12 shot and processed, and again there were 1400 miles of  
13 total seismic in this area.

14 You'll note that we have a slight hole  
15 here in the south central portion of the unit and that's  
16 where we have most of our well control.

17 Over to the west we have a little bit  
18 sparse control there and that was mainly due to budgetary  
19 constraints when we shot the seismic.

20 Q Okay. Now, anything in particular fur-  
21 ther that you want to point out with respect to this?

22 A Just that the type log that we found in  
23 the previous exhibit is located approximately here.

24 Q Okay. The "here" being in the --

25 A West central portion of the unit.

1           Q           Thank you, Mr. Wyles, as you well recog-  
2 nize, the record can't pick up your hand motion.

3                       Now, you've mentioned the type log and  
4 you've mentioned the area it was in, what value does the  
5 geophysical information have to you as a geologist? How do  
6 you use it?

7           A           Well, by working as a team, I get in-  
8 formation from him on the approximate or the best top that  
9 he can give me from the seismic data on the top of the Tubb  
10 formation.

11           Q           Is that coordinated with the results  
12 you've had from well logs and the drilling and samples and  
13 things of that nature?

14           A           That is correct.

15           Q           So in addition to the geophysical infor-  
16 mation, or the seismic information that you've gathered  
17 here, you've had other tools that you've been able to look  
18 at and study the geology and structure of this Bravo Dome.

19           A           Yes, sir.

20           Q           What would that be, primarily, wells?

21           A           Yes, wells, seismic data, and making a  
22 Tubb structure map from them.

23           Q           Okay, about how many wells have you  
24 looked at in conjunction with your work in this area?

25           A           There are approximately 400 wells.

1           Q           All right, and have you prepared a  
2 structure map?

3           A           Yes, sir, I have.

4           Q           Let's put that up as Exhibit Five.

5                       Now, we've put Exhibit -- a copy of ex-  
6 hibit Number Five up on that easel. I believe you said  
7 that was a structure map you had prepared.

8           A           Yes, sir. This is the Tubb structure  
9 map. The contour interval is 100 feet. The scale on the  
10 map is one inch equals 8000 feet. I'd like to point out to  
11 you that one of these square blocks is a township, we're  
12 dealing with 6 miles by 6 miles in this, so from the south-  
13 ern portion of the unit to the northern portion of the unit  
14 we're dealing with approximately 50 miles.

15          Q           And from east to west?

16          A           Is approximately 30 miles.

17          Q           All right, sir, and also on this map are  
18 shown wells that are within the unit area, is that right?

19          A           That's correct. Above the well symbols  
20 you will see the unit well number and below that symbol you  
21 will see the Tubb datum and you will note that that is a  
22 positive value; that is, the elevation is above sea level.

23          Q           Okay. Now, were all the wells in the  
24 unit area a part of your study?

25          A           No, sir. They are not shown on this

1 map. The only thing that is shown on this map are unit  
2 wells. To make this contour map I also did use wells that  
3 were outside the unit to the southwest, south, southeast,  
4 north, and northwest.

5 Q All right. Why don't you just give us a  
6 general rundown of what you've depicted by the structure  
7 map?

8 A Okay. There is a regional Tubb pinchout  
9 as we go towards the northwest. That is outside of the  
10 unit boundary.

11 Q Now, is that that wavy line in the upper  
12 left of this exhibit?

13 A Yes, sir. I've drawn a wavy line in  
14 this case because I'm indicating that the Tubb pinchout is  
15 somewhere in this band. The only thing I have to go by on  
16 that is three wells outside the unit that did not have Tubb  
17 present at all.

18 Q So you know there's no Tubb that far --

19 A That's correct.

20 Q -- to the northwest, but you don't know  
21 precisely where it pinches out.

22 A That is correct.

23 Q Okay, go ahead, don't let me interrupt  
24 so much.

25 A The regional dip of the Tubb formation

1 is towards the southeast. It is also towards the east to-  
2 ward the Palo Duro Basin. the Palo Duro Basin.

3 A You will notice that there is one major  
4 feature here. That's one major fault which cuts the top of  
5 the Tubb formation. The maximum displacement on this fault  
6 is approximately 300 feet. The "U" just above the fault  
7 line is an indication that that's the upthrown side, while  
8 the "D" is an indication that that is the downthrown side.

9 Now I will note, as we go down towards  
10 the southeast along this fault, we have a -- what I consi-  
11 der as a scissors fault, so now, this, the southern side is  
12 now the upthrown side and the northern side is the down-  
13 thrown side, and you can see that from the contours.

14 Q Now, you've seen prior maps and inter-  
15 pretations of the structure in this are, have you not?

16 A Yes, I have.

17 Q And my recollection from a number of  
18 those was that there were indications of many more and more  
19 complex faulting than is depicted on your map, is that  
20 right?

21 A Yes, sir.

22 Q And what -- what -- to what to you at-  
23 tribute the difference in your current interpretation and  
24 those earlier interpretations?

25 A Basically an evolution of the data that

1 we've been able to have. The earlier work in that Tubb  
2 pressure map you were referring to, we had many less wells  
3 than what we have now and we did not have the seismic con-  
4 trol that we have now, also.

5 Q In fact we didn't even have any seismic  
6 that had been processed four years ago, did we?

7 A That is correct.

8 Q Okay, now, I notice a few other little  
9 odd things on this structure map that you have. There  
10 appear to be some sort of egg-shaped areas that are stip-  
11 pled. What are those?

12 A There are three areas which you are re-  
13 ferring to. That is the Basement subcrop area; there are  
14 three of them, two in the south and one in the northwest.

15 What I believe these to be are insel-  
16 berg, or erosional remnants of that Basement rock. This  
17 were located by a drilling well. We have a P&A'd well,  
18 located here, which did not encounter any Tubb in the  
19 southernmost inselberg; however, we were able to produce in  
20 that same section to the southwest, to drill another well  
21 that did have Tubb present and was productive.

22 So we have wells all around this parti-  
23 cular inselberg that we can define as to areal extent.

24 Q So with respect to these little  
25 features, I have difficulty in pronouncing that word, with

1 respect to these, you have some idea of the areal extent of  
2 them by surrounding wells that did penetrate the Tubb, even  
3 though there would be a well that had no Tubb whatsoever in  
4 it?

5 A Yes, sir. The second one that we have  
6 up here only encountered 36 feet of Tubb and there was no  
7 porosity present in that wellbore, and from seismic we  
8 could also pick up this inselberg, or Basement subcrop, on  
9 the seismic.

10 Now, the well -- the inselberg up in the  
11 northwestern portion of the unit, we had a well drilled  
12 there that did not have Tubb present, so we do not have any  
13 immediate well control for the areal extent and that was  
14 based upon seismic.

15 Q All right. So you are discussing and  
16 illustrating the use of the wells actually drilled in the  
17 area and the geophysical, or seismic, information that  
18 you've obtained. Are there other tools that you geologists  
19 use in the study of the structure? Is there other inform-  
20 ation?

21 A Oh, yes, sir.

22 Q Is there other information such as data  
23 sources, such as --

24 A Oh, yes, sir, --

25 Q -- samples --

1           A           -- cores.

2           Q           -- cores?

3           A           Yes.

4           Q           Cores.

5           A           And we've had 44 cored wells in the unit  
6 and if you stacked all of the cores on top of each other,  
7 you'd have over a mile of core, approximately 5,840 feet of  
8 core.

9           Q           Do you have some particular familiarity  
10 with some of these cores?

11          A           Yes, I do. As a matter of fact I sat  
12 one of the cored wells in the western portion of the unit.

13          Q           You sat the coring of that particular  
14 well in the western part. You seem to have some particular  
15 reason that you have that one etched in your memory.

16          A           Yes, it's a very vivid memory. It was  
17 on December 24th, 1984, Christmas Eve.

18          Q           Not an unusual situation for geologists,  
19 is it?

20          A           No, but at 2:00 a.m., also.

21          Q           With respect to your Exhibit Five and  
22 your structure map, if I understand what you told me, this  
23 is your current interpretation of the structure, it being  
24 an evolutionary thing, and this is how far we've gotten at  
25 this time with the data that we have. Is that a fair sum

1 mary?

2 A Yes, sir, that's correct.

3 Q Is there anything else with respect to  
4 any of your exhibits that you'd care to cover, Mr. Wyles?

5 A Nothing.

6 MR. CURRENS: I would offer  
7 Exhibits One through Five and all of their parts, and Mr.  
8 Wyles for examination.

9 MR. LEMAY: Without objection,  
10 the exhibits will be entered in the record.

11 Anything further, Mr. Currens?

12 MR. CURRENS: No, I offered  
13 him for examination.

14 MR. LEMAY: Mr. Pearce?

15 MR. PEARCE: Thank you, Mr.  
16 Chairman.

17

18 CROSS EXAMINATION

19 BY MR. PEARCE:

20 Q Mr. Wyles, I'm Perry Pearce and I'm here  
21 representing Norman Libby and I've just got a couple of  
22 very quick ones, I think.

23 Do you -- well, first of all, which was  
24 the -- which well did you have the unfortunate experience  
25 of sitting?

1           A           I believe it was the 21, 29, the one in  
2 the north -- northern portion.

3           Q           The northwest of 21, 29?

4           A           I believe so.

5           Q           That well appears to have the number  
6 2853 below it, is that -- and unfortunately I've got a  
7 crease on the upper number so I can't --

8           A           Yes, that would be the sub-datum below  
9 that well.

10          Q           Do you have a list of all of the wells  
11 which have been cored in the Bravo Dome?

12          A           Yes, I do.

13          Q           Do you happen to have that with you,  
14 sir?

15          A           Yes, I do.

16                   MR. PEARCE: Mr. Currens, I'd  
17 like a copy of that. I do not have any questions for him  
18 on that list at this time, but if I could have a --

19                   MR. CURRENS: We'd be happy to  
20 furnish that to you in the next several days, Mr. Pearce.

21                   MR. PEARCE: Okay, fine.

22                   Nothing further, Mr. Chairman.

23                   MR. LEMAY: Are there  
24 additional questions of the witness?

25

1 QUESTIONS BY MR. LEMAY:

2 Q Only for the record's sake, I'd like to  
3 ask you, Mr. Wyles, on your Exhibit Number -- the cross  
4 section, Exhibit Two -- the type log.

5 MR. CURRENS: The type log is  
6 Exhibit Three-A and Three-B.

7 Q Exhibit Three-B, do you want to identify  
8 that formation above the Cimarron anahydrite? Is that  
9 Yeso?

10 A Yes, sir.

11 Q For the record, what kind of lithology,  
12 generally?

13 A Sand.

14 MR. CARR: I have no ques-  
15 tions.

16 MR. LEMAY: The witness may be  
17 excused.

18 MR. CURRENS: My next witness  
19 will be Mr. Collier.

20

21 JAMES W. (JIM) COLLIER, JR.,

22 being called as witness and being duly sworn upon his oath,  
23 testified as follows, to-wit:

24

25

## DIRECT EXAMINATION

BY MR. CURRENS:

Q Will you state your name, please?

A My name is James W. Collier.

Q By whom are you employed, Mr. Collier?

A I'm employed by Amoco Production Company  
in Houston, Texas.

Q And in what capacity?

A I'm employed as a Senior Petroleum En-  
gineering Associate in our Region Office.

Q Now, Mr. Collier, I know you've testi-  
fied before the Division before but have you ever testified  
before the Commissioners?

A No, sir, I have not.

Q Let's then briefly go through your back-  
ground, education and work experience.

What is your educational background, Mr.  
Collier?

A Okay, I graduated from Texas A & M  
University in May of 1972 with a Bachelor of Science degree  
in petroleum engineering.

Q And upon graduation what did you do?

A At that time I was employed by Amoco as  
a production engineer in west Texas, and for the next five  
years following that I was assigned various engineering

1 duties in operations and in the reservoir aspects of our  
2 industry.

3 Q And after that five year period?

4 A Following that I then served two years  
5 as an engineering supervisor at a district office, followed  
6 by a year in our Chicago general office, Planning and Econ-  
7 omics Department, assigned as the Coordinator of DOE regu-  
8 lations within our company.

9 Q All right, after your work with the DOE  
10 regulations in Chicago, what was your next assignment?

11 A Okay, following that, for a period of  
12 two years I was assigned as a Division Reservoir Engineer  
13 supervising a group of engineers handling joint geological  
14 engineering exploitation efforts of our reservoirs in west  
15 Texas and in eastern New Mexico.

16 Q And subsequent to that?

17 A That was followed by a four years as  
18 Division Reservoir Engineer supervising engineering duties  
19 over our west Texas secondary waterfloods and our enhanced  
20 recovery feasibility studies, as well as our west Texas,  
21 eastern New Mexico operations.

22 Q And subsequent to that assignment.

23 A Okay, for the past two years I've been  
24 assigned as a Senior Petroleum Engineering Associate in our  
25 Regulatory Affairs Group, handling regulatory affairs in

1 New Mexico and Texas.

2 Q Now, Mr. Collier, in conjunction with  
3 this hearing today have you had occasion to make a study  
4 looking at the activities that Amoco as unit operator of  
5 this unit had performed over the life of the unit?

6 A Yes, sir, I have.

7 Q And have you prepared or had prepared  
8 under your direction and supervision certain exhibits to be  
9 used in your testimony today?

10 A Yes, sir, I have.

11 MR. CURRENS: Mr. Chairman, I  
12 would submit his qualifications as an expert petroleum  
13 engineer.

14 MR. LEMAY: His qualifications  
15 are accepted.

16 Q Mr. Collier, let's turn our attention to  
17 Exhibit Number Six. I think we have a big copy of that,  
18 don't we?

19 A Yes, we do.

20 Q Tell us, please, what's shown on Exhibit  
21 Six.

22 A All right. Exhibit Six is a map that in  
23 this mapped area shows the current Bravo Dome Carbon Dio-  
24 xide Gas Unit. That is outlined with a heavy, solid bor-  
25 der.

1 Q And what else is shown there?

2 A Also shown by the cross hatched area is  
3 the area that was proposed back in 1980 to be in the origi-  
4 nal area but which did not qualify to be in the unit;  
5 therefore it is not in the unit.

6 Q Okay, as I understand it, the large  
7 outline, including all the cross hatched area, is the ini-  
8 tial unit proposal that was made for the formation of this  
9 voluntary unit back in 1980, is that right?

10 A That's right.

11 Q And that as a result of the approval of  
12 this unit those who committed their interest to it gave us  
13 the resulting unit of being the un-cross hatched area  
14 within that big outline.

15 A That's correct. The un-cross hatched  
16 area, which is the current unit, consists of the voluntary  
17 participants to the unit and the total commitment of  
18 acreage to that unit was approximately 1,035,000 acres.

19 Q So that's about 1,036,000-acre unit at  
20 this time and how large was the unit when it was originally  
21 proposed?

22 A Approximately 1,174,000 acres.

23 Q Now, why -- there seems to be a rather  
24 large area in the southwest portion that has been cross  
25 hatched there that's not part of the unit.



1           A           It's operated by OXY USA.

2           Q           And that would have been by some other  
3 name at the time it apparently --

4           A           I believe at the time it was Cities  
5 Service.

6           Q           All right. I have trouble getting name  
7 changes straight sometimes.

8           A           Now, are there some well symbols shown  
9 on that map?

10          A           Yes, sir, there are.

11          Q           And what are those?

12          A           Okay, we've shown three different  
13 symbols. First the conventional gas well symbol. There  
14 are symbols both inside the present unit and outside in the  
15 cross hatched area.

16          Q           Uh-huh.

17          Q           Secondly there's the conventional P&A  
18 well symbol. Again there are some of those inside the  
19 present unit and some outside the present unit.

20                       And thirdly, there's an open circle  
21 which indicates an incomplete well.

22          Q           Okay. Now, they're fairly widely  
23 scattered and not too many. What's the advantage of those  
24 wells?

25          A           All these wells were in existence as of

1 the effective date of the Bravo Dome, so these were all  
2 drilled prior to 1980.

3 Q Or prior to November 1, 1980, when the  
4 unit became --

5 A Prior to November 1st.

6 Q -- effective.

7 All right, anything else that you want  
8 to cover in this exhibit?

9 A No, sir, I don't believe so.

10 Q Okay, since that time have a large  
11 number of wells been drilled since the unit became effec-  
12 tive?

13 A Yes, they have.

14 Q Do we have exhibits that depict the  
15 development history of the unit to this point?

16 A Yes, sir, we do.

17 Q Well, let's look at Exhibit Seven,  
18 which is in five parts.

19 Let me refer you to Exhibit Seven-A and  
20 ask you the time frame depicted on that exhibit.

21 A Again, this time frame of this exhibit  
22 is the status as of November 1st of 1980.

23 Q Okay, and that shows the wells that are  
24 within the existing unit area that were there at that time.

25

1           A           Yes, sir, this shows the wells that  
2 had penetrated and had been completed in the Tubb forma-  
3 tion as of November 1st of 1980.

4           Q           All right, sir. When did the next  
5 drilling activity take place?

6           A           The next major drilling was at the tail  
7 end of 1980 and continued on through 1981.

8           Q           All right. Does Seven-B show that  
9 activity?

10          A           Yes, sir, it does.

11          Q           Okay, by -- on Exhibit Seven-B you show  
12 the wells that were drilled in '80 and '81. How are they  
13 depicted?

14          A           These are depicted on this overlay,  
15 which is Exhibit Seven-B as solid square symbols.

16          Q           And they seem to be widely spread  
17 throughout the unit area?

18          A           Yes, sir, that's correct, they are.

19          Q           How many were drilled in that drilling  
20 program, approximately.

21          A           Approximately 170 wells.

22          Q           Now, this is in the period immediately  
23 after the unit became effective that these wells were  
24 drilled?

25          A           Yes, sir, that's correct. This is late

1 1980 and going on in through 1981.

2 Q Were we in anticipation that production  
3 from this are would commence so soon after unitization?

4 A No, sir.

5 Q Why did we drill so many wells right  
6 after the unit was put together before it was ready to be  
7 produced?

8 A The majority of these 170 wells in this  
9 program were drilled to protect expiring leases.

10 Q Underlying lease obligations, then.

11 A That's correct.

12 Q All right, and that dictated where the  
13 wells were drilled.

14 A Yes, sir.

15 Q Underlying lease obligations.

16 A Almost exclusively that was the reason.

17 Q When was the next drilling program?

18 A The next drilling program was in 1982  
19 and the major part followed into 1983.

20 Q And that's Exhibit Seven-C?

21 A Yes, sir.

22 Q The Commissioners will note that we  
23 just put a piece of white paper behind this. We'll take it  
24 off in just a second, but with the cumulative nature of  
25 these exhibits it's a little easier to see what happened in

1 this program.

2 With respect to Exhibit Seven-C, about  
3 how many wells were drilled at that time?

4 A In the years '82 and '83 we drilled  
5 approximately 95 wells and these are shown by the diamond  
6 symbols on Exhibit Seven-C.

7 Q And at that time in '82 and '83 were we  
8 in contemplation of production beginning?

9 A Yes, sir, we were at that time.

10 Q And did that affect the reason for the  
11 drilling of these wells at these locations?

12 A Yes, sir, at that time, as I'll show  
13 you later, we had designed a gas processing facility and a  
14 gas gathering facility, so the location of these wells was  
15 (unclear) so as to feed that delivery system and supply  
16 that planned gas processing plant with CO<sub>2</sub> gas.

17 Q Yeah, Well, why don't we take the  
18 white sheet off the back there and we'll see how it all  
19 fits into the wells that already exist?

20 So that gives us a rather dense area  
21 sort of in the east central part of the unit --

22 A Correct.

23 Q -- of development, and is that where  
24 the plants were planned to be located initially?

25 A Yes, sir.

1 Q Okay. Anything else with respect to  
2 Seven-C?

3 A No, sir, I don't believe so.

4 Q Okay. Let's move on then to Exhibit  
5 Seven-D. That would be our next drilling program.

6 A That's correct.

7 Q Now when did the drilling in this pro-  
8 gram occur?

9 A This occurred in the year 1984.

10 Q It appears to me that there are a fair  
11 number of wells that will just sort of add on that plant  
12 area that we had awhile ago.

13 A That's correct. You'll notice that  
14 there is a concentration by the way the symbols here are  
15 solid circles for the 1984 wells drilled. Approximately 40  
16 wells were drilled into the program. The majority of them  
17 again were in this south central region, southeast central  
18 region, again in anticipation of production coming on  
19 stream in 1984. These wells were drilled to supply addi-  
20 tional gas to meet the design specifications of our proces-  
21 sing facilities.

22 Q Okay, so they were designed to feed  
23 into the plants that were either under construction or had  
24 been built already at that time.

25 A Correct.

1           Q           Now, I see scattered around, particu-  
2 larly to the north and south, sort of some stray dots.  
3 What are those?

4           A           Okay, in conjunction with this plan, or  
5 program in the productive area, or the connected area, we  
6 drilled wells that were remote to this connected area.

7           Q           Uh-huh.

8           A           And you notice those are generally in  
9 the northwest part of the unit and also down along the  
10 southern portion of the unit.

11          Q           Now, were those wells going to be  
12 connected to the plants, then?

13          A           Not in any near term time frame, no,  
14 sir.

15          Q           Well, why did we want to drill those  
16 wells?

17          A           For additional data. As we've already  
18 stated, this is a large unit. We had to get some sort of  
19 data to evaluated the reservoir to get the reservoir para-  
20 meters and to help us to plan future expansion programs  
21 when the time came to make that necessary.

22          Q           Okay. Why don't we take the white off  
23 there?

24                        So in addition to the immediate need or  
25 utility of wells to be drilled in the area and be connected

1 to the plants, Amoco and the other working interest owners  
2 in the unit made investments, drilled wells remote from  
3 that area, so that they could be in a position to expand,  
4 as necessary, is that right?

5 A That's correct.

6 Q All right. Was there another drilling  
7 program?

8 A Yes, sir, there was one major drilling  
9 program following this one.

10 Q Let's look at it. I believe that will  
11 Seven-E. How many wells in this program?

12 A Again, approximately 40 to 50 wells in  
13 this program.

14 Q Again do I see a dual purpose drilling  
15 activity here like we did on the last exhibit?

16 A Yes, sir. Again the well symbols in  
17 the 1985 drilling program are depicted as downward pointed  
18 triangles --

19 Q Okay.

20 A -- in that particular exhibit. Some  
21 wells were drilled around the outlying area of the connec-  
22 ted CO<sub>2</sub> area. In other words, the area connected to our  
23 gathering facilities.

24 Q And again I see apparently a scattering  
25 of wells north and west and south from there.

1           A           Yes.    Again those were drilled for the  
2 same purpose as the remote wells in 1984, that being to  
3 cover the unit as best we could to get additional reservoir  
4 data for future production planning purposes.

5           Q           Okay.   Why don't we take the white off  
6 there?

7                       Now, in those last two programs you had  
8 additional wells that were drilled to feed the two plants  
9 that were built in the area. Did we need those wells from  
10 the standpoint of deliverability at that time? Did we have  
11 to have it? Were we running short of gas or what?

12          A           Well, at the time we were selling all  
13 the gas that we could produce but the design conditions of  
14 the processing facilities were such that a range of suction  
15 pressures with about 100 pounds, 200 pounds, was the opti-  
16 mum range in which to operate that plant.

17                      But what we did by drilling these ex-  
18 pansion wells was to keep the conditions at that plant in-  
19 let more towards the higher range, thereby increasing the  
20 efficiency of that processing facility.

21          Q           So they were primarily drilled for  
22 increased plant efficiency.

23          A           That's correct.

24          Q           As opposed to their immediate need for  
25 deliverability.

1           A           Correct.

2           Q           Gave us another deliverability  
3 (unclear), didn't it?

4           A           Yes, sir, it did.

5           Q           Why would we want to make the invest-  
6 ment to drill things just to make -- to drill wells just to  
7 make the plant more efficient?

8           A           Well, the primary reason is with in-  
9 creased efficiency of the plant we, on a per unit basis,  
10 reduce operating costs, mainly in the form of reduced  
11 electrical power usage, and this results in a higher  
12 settlement price at the wellhead, which benefits both the  
13 royalty owners as well as the working interest owners in  
14 the unit.

15          Q           Okay. Anything else with respect to  
16 Seven-A through E?

17          A           No, sir.

18          Q           Okay, let's -- perhaps you might want  
19 to return to your seat up there, and let's look at Exhibit  
20 Eight, and tell me what you've shown on Exhibit Eight.

21          A           Exhibit Eight is a bar chart showing  
22 the cumulative number of wells existing in the Bravo Dome  
23 Unit by years with the time scale across the bottom and  
24 number of wells on the Y axis on the left.

25          Q           How many wells altogether have been

1 drilled in the unit area?

2 A 390.

3 Q Now how many wells are connected to  
4 those plants?

5 A At the present time 260 wells are  
6 connected.

7 Q And when did the first plant, first  
8 production start to operate out there?

9 A In April of 1984.

10 Q Okay, how many wells did we have at the  
11 end of 1983?

12 A Approximately 304.

13 Q Okay, so we have wells scattered  
14 throughout the unit that were not connected to the plant  
15 even at the time of first production.

16 A Correct.

17 Q Anything else with respect to Exhibit  
18 Eight?

19 A No, sir.

20 Q We've been talking about the wells. Is  
21 this a complex operation from the standpoint of the surface  
22 facilities involve at the individual wellsites?

23 A No, sir, in fact it's quite a simple,  
24 straightforward design.

25 Q I believe you prepared Exhibit Nine to

1 illustrate the fairly simple nature of that exhibit and  
2 I'll ask you to turn to it.

3 A Okay.

4 Q I'll further ask you not to talk about  
5 it in great detail since there's a legend there that labels  
6 the parts, but give us just a rough flow diagram here.

7 A Okay.

8 Q What happens?

9 A Well, this is just simply a schematic  
10 drawing of a typical wellhead, meter run, and flow line  
11 installation in Bravo Dome Unit. All of our producing  
12 wells connected to the system look like this.

13 On the lefthand side of the schematic,  
14 of course, is the wellhead coming off a tee. Just to the  
15 right there is a shut-off valve. That's labeled number 3  
16 in this schematic drawing. That is connected to our remote  
17 telemetry system and can be shut in through computer tele-  
18 metry.

19 Q Okay, and then the gas flows through  
20 that metering system and on into what, a gathering system?

21 A Yes. It goes through the meter run,  
22 which is the long horizontal section of pipe to a differen-  
23 tial pressure meter, then down through a flow line down  
24 underground into a trunk line system.

25 Q Now you mentioned a remote telemetry

1 arrangement. Explain that to us.

2 A Okay. If you notice in the upper  
3 righthand corner of the schematic drawing there is what  
4 appears to be an antenna. That's what it is, it's an  
5 antenna unit. This system is a solar -- well, it's run by  
6 batteries which are solar charged. Each well has one of  
7 these installations and this serves the purpose of data  
8 transmission as well -- to the central plant, as well as  
9 accepting commands and activation of various systems at the  
10 wellhead.

11 Q If we turn to Exhibit Ten will we get a  
12 little better visual image of what this looks like?

13 A Yes, sir, I believe so.

14 Q Let's turn to Exhibit Ten and tell me  
15 what that -- that's a photograph of.

16 A Yes. It's a photograph of a typical  
17 well installation in Bravo Dome. I might point out that  
18 the view of this is reversed from the schematic such that  
19 the wellhead is actually over on the righthand side of the  
20 location. You can see the wellhead coming up out of the  
21 ground and then the horizontal line, which is the meter  
22 run, and then further on the left going -- the flow line  
23 going down into the subsurface where it connects to the  
24 trunk line system.

25 Q Very compact and straightforward ar-

1 rangement, isn't it?

2 A Yes, sir, I believe so. Further, you  
3 can see the mast on the far left, which contains the  
4 antenna, the solar collectors, this is part of the auto-  
5 mation system which I described earlier.

6 Q Okay. Let's -- unless you have some-  
7 thing else on that one, let's flip over and look at Exhibit  
8 Eleven, and tell me what you're showing with that photo-  
9 graph.

10 A Okay, again this is another view of a  
11 typical installation, well installation. The only differ-  
12 ence here, the reasons we're showing this is to show that  
13 this particular well is equipped with an automatic chemical  
14 feed which is over on the righthand side of the location.  
15 The yellow drum contains corrosion inhibition chemicals,  
16 which again are introduced into the flow line system for  
17 protection of -- of the metal.

18 Q Okay. Anything else on Eleven?

19 A No, sir.

20 Q Now, we've drilled wells; we have well-  
21 heads; we have measuring systems; we've got to get this to  
22 a plant someday or another, so what's the next step in the  
23 sequence?

24 A Well, the next step is to gather the  
25 gas into some sort of system.

1           Q           Let's look at Exhibit Twelve-A, then,  
2 and see if we can learn a little bit more about that gath-  
3 ering system.

4                       Now again on Exhibit Twelve you've  
5 shown the -- outlined the exterior boundary of the unit  
6 and the wells that exist there and now we've added some-  
7 thing to it. Looks like a bunch of veins or something.

8           A           All right, this Exhibit Twelve-A shows  
9 our first -- what we call Phase One. The reason we call it  
10 Phase One is connected to the Phase One Plant. We have two  
11 plants, so each system that leads into a respective plant  
12 is referred to the Phase One Gathering System or the Phase  
13 Two Gathering System.

14           Q           Okay.

15           A           And this overlay depicts the Phase One  
16 system. This was the original delivery system in the field  
17 with the subsequent expansion that was made to it to gather  
18 gas from the drilling expansions that I've described  
19 earlier.

20           Q           Okay, so that the gathering system that  
21 you show here on this exhibit is as it exists today.

22           A           That's correct.

23           Q           How many wells are connected to that  
24 gathering system?

25           A           At the present time there are 68 wells

1 in the system.

2 Q And initially in 1984 when we first  
3 kicked off?

4 A Approximately 50 wells.

5 Q How long is that system?

6 A At the present time it's about 70 miles  
7 with buried pipelines, ranging in size from about 4 inches  
8 -- well, from 4 inches in diameter up to 28 inches in  
9 diameter, with the larger diameter pipes being closer to  
10 the central processing facility and then tapering out  
11 toward the ends to smaller diameter pipe.

12 Q Okay, now you said we have two plants  
13 out there so I take it -- and that we have two gathering  
14 systems.

15 A Correct.

16 Q Let's look at Twelve-B and tell me what  
17 you're showing with the material you've added in Twelve-B.

18 A All right, Twelve-B is -- the overlay  
19 shows the Phase Two gathering system which ties to the  
20 Phase Two Gas Processing System. This came on stream after  
21 the Phase One Processing System.

22 Q And both those plants then are located  
23 on the tract around where all of these legs come into a  
24 central point?

25 A Yes. You can see that the system is

1 formed by a series of measured components coming in in  
2 radial fashion to the central facility with spokes or  
3 laterals coming off of those to connect to individual  
4 wells.

5 So the gas processing plants are lo-  
6 cated centrally right here where the trunklines come in.

7 Q Okay, right there being the central  
8 point where all of those meet.

9 A That's correct. sir.

10 Q Now, does that depict the Phase Two  
11 system as it now exists?

12 A Yes, sir, it does.

13 Q And how many wells, about, are  
14 connected to that, just approximately?

15 A About 170 wells.

16 Q And about how many miles of pipe in  
17 there?

18 A Let me amend that answer. It's really  
19 closer to 200 wells; about 190 wells. There's roughly --

20 Q Okay.

21 A -- roughly 200 miles of pipe in the  
22 Phase Two system.

23 Q Starting out and building up through  
24 those --

25 A It started out around 150 or 152. It's

1 now up to about 200 wells, with the drilling expansions.

2 Q All right. That then depicts our two  
3 gathering systems feeding our two plants, if I understand  
4 it correctly.

5 A That's correct.

6 Q Okay, now we've got wells; we've got  
7 gathering systems; we've been talking about plants; let's  
8 look at Exhibit Thirteen.

9 What are we showing on Exhibit Thirteen?  
10 I'm sorry, you're not to it, yet.

11 A Exhibit Thirteen is a schematic plan --  
12 view of the Phase One facilities, the gas processing plant  
13 that we call the Phase One Plant.

14 Q Now this, too, is a rather simply and  
15 straightforward operation, is it not?

16 A Yes, sir, it is.

17 Q Just very briefly tell us the elements  
18 in it.

19 A Okay. in the upper lefthand corner of  
20 the schematic we have two plant inlet lines, or trunk  
21 lines, coming into the Phase One facility. The gas, which  
22 has entrained water in it must go through an inlet separa-  
23 tion process to remove the majority of that free water  
24 before it moves into the various stages of compression.

25 At the lower, in the lower third of the

1 schematic you see the word "compression". This is ac-  
2 tually a building housing three 6000 horsepower compres-  
3 sors, so there are three stages of compression and between  
4 each stage, or prior to and between each stage the gas must  
5 be additionally dehydrated and cooled before it goes to the  
6 next stage of compression.

7 Q Okay, and then when it's compressed and  
8 dry it leaves the plant and goes where?

9 A Okay, it goes, as shown here, through a  
10 metering station and then it's discharged to a transmission  
11 line.

12 Q Okay, so there's delivery to a line that  
13 takes the gas from this area.

14 A That is correct.

15 Q From this plant.

16 A Correct.

17 Q Now, is there more than one line that  
18 leaves the Bravo Dome Area going to alternate users of this  
19 gas?

20 A Yes, sir, there is.

21 Q Which of those transmission lines does  
22 this line connect to?

23 A Okay, this plant connects to the Rosebud  
24 Line, which is an east/west line roughly about 20 miles  
25 long, which ultimately connects to the Sheep Mountain CO<sub>2</sub>

1 line.

2 Q And that goes on down to the Permian  
3 Basin?

4 A Yes, sir, it does.

5 Q Generally what are the outlet conditions  
6 on this, just broadly?

7 A Roughly 2100 psi.

8 Q And the conditions that the plant condi-  
9 tions the gas to with respect to whatever the pipeline  
10 specifications are for gas for that particular pipeline, is  
11 that right?

12 A Yes. Specifications include both pres-  
13 sure as well as water content.

14 Q Okay. Mr. Collier, you have included,  
15 oh, roughly a half a dozen pictures in here as the next  
16 exhibits. Why don't you just identify them and very brief-  
17 ly tell the Commissioners what you're showing there?

18 A Okay. Exhibit Fourteen is a shot of  
19 construction operations. This is the Phase One Compressor  
20 Building.

21 Q Okay, what's Fifteen?

22 A Fifteen is a shot of a glycol reboiler  
23 skid mounted before it was installed in the Phase One  
24 plant back in 1984.

25 Q And the next one?

1           A           Exhibit Sixteen is inside the Phase One  
2 Compressor Building. This shows one of the -- one of the  
3 three 6000-horsepower compressors I mentioned earlier. The  
4 white cylinder on top is simply a second stage suction  
5 bottle.

6           Q           Okay, and what's the next one? That  
7 would be what, Seventeen?

8           A           Seventeen is a photograph showing a  
9 close-up view of a second stage scrubber. This is between  
10 the two stages of compression and this removes any addi-  
11 tional water that's not removed when the gas first comes  
12 into the plant initially.

13          Q           Okay, what's Exhibit Eighteen?

14          A           Exhibit Eighteen is a -- one member of a  
15 bank of ten fan coolers. The gas must be cooled between  
16 stages. This is simply a fan mechanism, gas-to-air heat  
17 exchanger, where the heat is dispersed out the top through  
18 a series of fans.

19          Q           And what's Exhibit Nineteen?

20          A           Exhibit Nineteen is elevation view of  
21 the Phase One Plant facility. You can see the compressor  
22 building in the background and the various dehydration  
23 vessels and storage vessels in the front.

24          Q           Okay, Now, let me ask you to turn to  
25 Exhibit Twenty and tell me what we're showing on Exhibit

1 Twenty, what you're showing there, please.

2 A Well, Exhibit Twenty is again a plant  
3 view schematic only this time it's the Phase Two gas pro-  
4 cessing facility.

5 Q Same nature as the Phase One Plant but  
6 just different equipment.

7 A That's correct.

8 Q Without going into great detail here, is  
9 the principal difference just the size?

10 A That is the only difference. Say we  
11 have six 8000 horsepower compressors in the Phase Two  
12 facility as compared to the three 6000 horsepower compres-  
13 sors in Phase One. There are five plant inlet lines in  
14 this facility as compared to two in the Phase One facility.  
15 Of course this reflects the nature of the -- just a bigger  
16 delivery system connected to Phase Two as compared to Phase  
17 One.

18 Q Now, where does the gas that leaves this  
19 plant principally go? To whom is it delivered?

20 A Okay, this gas is delivered to the Bravo  
21 pipeline system.

22 Q Let's look at Exhibit Twenty-one and  
23 tell me what you're showing there.

24 A This again is a planned view schematic  
25 simply -- very simply showing the relative location of the

1 two plants. They are on the same 80-acre tract. You can  
2 see an east/west highway -- state highway, I think it's  
3 labeled 65 on this exhibit, and the Phase One Plant is  
4 closer to the highway; the Phase Two Plant is behind the  
5 Phase One Plant.

6 Q So it's just kind of a general layout.

7 A That's correct.

8 Q Would Exhibit Twenty-two give us a  
9 better picture of that?

10 A Yes. Exhibit Twenty-two again is a  
11 photograph, this time taken from the aerial vantage point.

12 You can see the state highway running at  
13 an angle across the -- about the top third of the photo-  
14 graph. Again this is an east/west highway. And then  
15 coming down from that towards the left, or in this case  
16 towards the the south, you can see the Phase One facility  
17 with the compressor building, and then you can see a road  
18 with a -- looks like a turn-around or a cul-de-sac, and  
19 then on the other side of that is the Phase Two compressor  
20 building and then the associated dehydrating and cooling  
21 equipment behind that.

22 Q This is our field operations headquar-  
23 ters as well as the plant location, is it not?

24 A That's correct.

25 Q And the computer information all comes

1 in here and work is directed from this location, and so on.

2 A Yes, sir.

3 Q What are -- what are these big white  
4 things down in the foreground of this picture?

5 A Well, these are caliche-covered staging  
6 areas and our pipe storage yards which at the present time  
7 this picture was taken, it doesn't look like they were  
8 being used except for future activity.

9 Q So that is during the period of con-  
10 struction and building the, oh, 250 or 300 miles of  
11 gathering system that we have out there and all of the  
12 activity in the plant construction, this is the area where  
13 the material, supplies, are kept.

14 A That's correct.

15 Q What are these little boxy things down  
16 here in the most -- the lower foreground of one of these  
17 pads?

18 A Well, those appear to me to be trash  
19 receptacles which to my understanding, these are stored  
20 there and then during periods of active drilling and/or  
21 construction activity, these are transported to the remote  
22 sites for refuse disposal.

23 Q Okay, so we don't throw trash on the  
24 ground.

25 A That's correct.

1           Q           All right. Mr. Collier, in your  
2 background and experience and your study of the activities  
3 that have been conducted in the Bravo Dome Carbon Dioxide  
4 Gas Unit, is it your opinion that the activities in which  
5 we've engaged and the things that we have done and the  
6 things that we are doing are of the nature that they have  
7 and will continue to result in the prevention of waste and  
8 the protection of correlative rights?

9           A           Yes, sir, in my opinion they have done  
10 that.

11          Q           Do you have anything further with res-  
12 spect to your testimony?

13          A           No, sir, I do not.

14                   MR. CURRENS: I would offer  
15 Exhibits Six through Twenty-two and all of their parts.

16                   MR. LEMAY: Without objection  
17 those exhibits will be entered into evidence.

18                   MR. CURRENS: And I would  
19 offer Mr. Collier for any questions you may have.

20                   MR. LEMAY: Fine. Mr. Pearce,  
21 any questions for Mr. Collier?

22                   MR. PEARCE: Yes, just a few.

23                   Mr. Currens, could we pull  
24 Exhibit Six back out, please?

25                   That's the big one, isn't it?

## CROSS EXAMINATION

1  
2 BY MR. PEARCE:

3 Q Mr. Collier, looking at Exhibit Six,  
4 when you discussed that earlier you indicated that the area  
5 to the southwest of the Bravo Dome Area was not included  
6 because it was not contiguous with the other acreage, is  
7 that correct?

8 A That's correct.

9 Q What that means is there are leases all  
10 along the this boundary which prevent that connection.

11 A That's correct.

12 Q I also notice there are some hachured  
13 areas throughout the unit which show as not being part of  
14 the unit.

15 What's the situation with regard to  
16 that acreage?

17 A Those acres or tracts also did not  
18 qualify for a different reason.

19 Q And what is that reason, if you know?

20 A Lack of sufficient committals of that  
21 -- those tracts to the unit agreement.

22 Q Does the unit agreement provide for a  
23 specific percentage of interest to commit?

24 A I'm sure it does. I do not know that  
25 number.

1 Q If acreage within the present Bravo  
2 Dome Unit boundary is leased to Amoco but the royalty  
3 owner has not agreed to have his acreage unitized, do you  
4 know how that acreage is reflected on this exhibit? Is  
5 that acreage hachured or do you know?

6 A It's in the unit.

7 Q So it is not hachured.

8 A That's correct.

9 Q Mr. Collier, are you the gentleman  
10 who's familiar with the producing ability of the unit at  
11 this time?

12 A I guess you'll have to define the term  
13 "ability".

14 Q Well, how much gas is being produced on  
15 an average daily basis now?

16 A I can answer that question or we'll  
17 have another witness that will go through that.

18 MR. CURRENS: We are going to  
19 cover that with our next witness, Mr. Pearce.

20 MR. PEARCE: And in the sum-  
21 mary of the next witness marketing was discussed and I  
22 assume if I ask him any questions with regard to that he  
23 will defer to that next witness?

24 A Yes, sir, I would.

25 Q I'd like for you, if you would, please,

1 sir, to refer to what we marked -- you marked as Exhibit  
2 Number Eight, which is the bar graph of cumulative well  
3 development. Just to make sure I understand, that shows no  
4 additional wells added to the unit since 1985, is that  
5 correct?

6 A That's correct.

7 Q Are you familiar with Amoco's future  
8 development plans for the unit?

9 MR. CURRENS: I believe those  
10 are going to be covered by our next witness.

11 MR. PEARCE: Fine.

12 MR. CURRENS: If you want to  
13 answer, you may, of course.

14 A I'll defer to the next witness.

15 MR. CURRENS: Okay.

16 Q At the conclusion of your testimony,  
17 Mr. Collier, you expressed your professional opinion that  
18 unit operations had been and were currently operating in  
19 the best interest of the prevention of waste and the pro-  
20 tection of correlative rights, is that correct?

21 A Yes, sir, that is my opinion.

22 Q I'd like to get a little more deeply  
23 into that opinion and try to determine exactly what you  
24 mean by that.

25 When you say that the unit has in the

1 past and is presently operating to prevent waste, what do  
2 you mean by the terms?

3 A Simply that this unit coming together  
4 has upgraded the vehicle for gas to be developed, to be  
5 gathered, to be processed, and to be delivered to a gather-  
6 ing system. I feel that in the absence of such a unit  
7 those processes would not have taken place.

8 Q What effect -- in the regard to the  
9 prevention of waste, what effect have those operations had  
10 on the areas which are not now connected to the Phase One  
11 or Two -- or Phase Two system?

12 A Well our operations to date, as Mr.  
13 Currens, or Mr. Carr, I believe, said, we've been before  
14 the Commission many times in the last ten years to talk  
15 about different phases of this unit. Among those are  
16 spacing.

17 We have come before this Commission on  
18 several occasions to show that we feel that one well in  
19 this unit will drain a specified amount of acreage and we  
20 feel that that's about 640 acres.

21 So in the process of developing the  
22 unit, producing in the last four years, we have gathered  
23 the needed information to be able to plan additional ex-  
24 pansions in the unit.

25 So it's been an evolutionary process

1 over the last, well, I guess, 7-1/2 years since the unit  
2 was formed and the last four years since production com-  
3 menced.

4 We are producing gas economically,  
5 efficiently, and we continue to do that.

6 Q My question was going more toward the  
7 area from which you are not producing gas and how the  
8 operations of Amoco in the Bravo Dome Unit over the last  
9 7-1/2 years or so have acted to prevent waste in those  
10 areas if there has been an effect.

11 A As I showed you before, we have covered  
12 the unit with a very dense coverage of seismic information.  
13 We have been able to tie in that seismic by drilling addi-  
14 tional wells, even in areas that are not connected to the  
15 gathering system, so we have made the financial commitment  
16 to drill wells, even though we knew for the time being  
17 there would be no financial advantage to do so.

18 We have processed the geophysical and  
19 geological data. We have reconciled it with additional  
20 well control information and as we expand, as the market,  
21 hopefully, continues to develop, we'll be able with a  
22 minimum, you know, delay to expand into those areas,  
23 because we do have that information.

24 Q All right, sir, let's turn our atten-  
25 tion now, if you would, please, to the portion of the opin

1 ion you expressed relating to the protection of correlative  
2 rights. Could you describe for me what you mean by that?

3 A Simply that this is a voluntary unit,  
4 that the participants in this agreement took the burden of  
5 commitment to commit their acreage to this unit for the  
6 purpose of giving them the opportunity to have those re-  
7 serves produced, to have their fair share produced.

8 And that's strictly what I mean.

9 Q Does the -- do the operations of the  
10 unit in the past and at the present, in your opinion, have  
11 any impact upon the correlative rights of individuals who  
12 have not agreed to participate in the unit?

13 A Yes, they could.

14 Q Would you explain to me how they could  
15 have an impact on those?

16 A Now, are you talking about royalty  
17 owners who have not committed to the unit? Is that what  
18 you're saying?

19 Q All right, sir, let's start with that.  
20 You described that there -- I think I understood you to  
21 describe that there are areas which are not hachured on  
22 Exhibit Number Six, tracts in which the lessee has agreed  
23 to participate in the unit and the lessor has not agreed.  
24 Is that what you were describing to me?

25 A Yes, sir.

1           Q           All right, let's discuss the protection  
2 of correlative rights with regard to interest owners in  
3 those tracts.

4           A           Okay, and what -- what is your specific  
5 --

6           Q           My question is how have unit operations  
7 in the past and how do they at the present operate to  
8 protect the correlative rights of those interest owners who  
9 did not agree to participate?

10          A           Simply that the commitment of that ac-  
11 reage again goes towards a group of operators or a group of  
12 companies willing to take the financial burden to drill  
13 vast numbers of wells, to invest multi-million of dollars  
14 to develop this resource, to gather it, to process it, and  
15 to deliver it to a collection system, to give everybody in  
16 this unit the opportunity to have their fair share of CO<sub>2</sub>  
17 produced.

18          Q           As I understand it, the individuals who  
19 are not participating in the unit have not participated in  
20 funding those operations, nor do they participate in the  
21 proceeds of those operations, is that correct?

22          A           That's not correct. They are paid on  
23 -- rather than on a unit basis, they are paid on a tract or  
24 a lease basis.

25          Q           And if their acreage is not developed

1 or produced?

2 A Then they'll be paid reflective of how  
3 much production, if any, is coming from that tract.

4 Q And if no production is coming from  
5 that tract.

6 A Well, then there's no revenue.

7 Q Mr. Collier, if I may, let me go back  
8 briefly, you indicated when we were discussing Exhibit  
9 Number Thirteen, which is a Phase One facility layout, that  
10 the outlet of that plant was connected to the Sheep Moun-  
11 tain Line through the Rosebud lateral, is that correct?

12 A Yes, that's correct.

13 Q And what is the ultimate destination of  
14 that gas?

15 A That gas, in my understanding, is de-  
16 livered to the Permian Basin of west Texas, about 200+  
17 miles away from here.

18 Q You indicated that the gas flowing into  
19 the Rosebud lateral and then the Sheep Mountain Line had to  
20 meet those pipeline specifications, is that correct?

21 A That's correct.

22 Q Are those pipeline specifications dif-  
23 ferent than the pipeline specifications on what I believe  
24 you referred to out of the Phase Two facility as the Bravo  
25 pipeline?

1           A           Yes, sir, they are different, slightly  
2 different.

3           Q           Do you -- can you describe for me how  
4 those pipeline specs differ?

5           A           I can't speak to the pressure require-  
6 ment, although I think it's on the order of 200 and 300 psi  
7 difference. The --

8           Q           With Sheep -- I'm sorry for interrupt-  
9 ing, but with Sheep Mountain being higher or lower than  
10 Bravo?

11          A           I can't -- I don't know.

12                    The other specification is the water  
13 content. There is a specification in the Rosebud line into  
14 the Sheep Mountain line of a maximum water content of 15  
15 pounds of water per million cubic feet of gas.

16                    The specification for the Bravo pipe-  
17 line is 25 pounds of water per million cubic feet of gas.

18          Q           Mr. Collier, I believe you were not at  
19 least a witness and probably not present at the 1984 review  
20 hearing of that matter, is that correct?

21          A           That's correct, I was not.

22          Q           Have you reviewed the order which the  
23 Commission entered as a result of that hearing?

24          A           Yes, sir, I have.

25                    MR. PEARCE: Nothing further,

1 Mr. Chairman. Thank you.

2 Q Thank you, Mr. Collier.

3 MR. LEMAY; Are there addi-  
4 tional questions of the witness?

5 MR. BROSTUEN: I have a  
6 question.

7 MR. LEMAY: Mr. Brostuen.

8

9 QUESTIONS BY MR. BROSTUEN:

10 Q Just for clarification, referring back  
11 to your Exhibit Number Six, I'm not sure if I understood  
12 correctly a question you were asked by Mr. Pearce.

13 In regards to royalty owners, or  
14 working interest owners as well, to wells which are not  
15 connected to either Phase One or Phase Two plant, are they  
16 receiving revenue during the -- as CO<sub>2</sub> is being produced  
17 from the unit?

18 A Yes, sir, they are.

19 Q The -- the tract that are within the  
20 unit boundary but are hachured and not participating in the  
21 unit, are they a part of the West Bravo Dome Unit? You  
22 referred to the wells in -- in the hachured portion of the  
23 map in the southwestern portion of the map, lower right --  
24 lower lefthand corner as being a part, I believe, of the  
25 West Bravo Dome Unit.

1           A           That's correct.

2           Q           Are there other tracts also included in  
3 the unit, the ones that are within the boundary of the --  
4 of the Bravo Dome Unit?

5           A           No, sir, the West Bravo Dome Unit is  
6 all contained within the large cross hatched area in the  
7 southwest part of this map.

8           Q           Is there any royalty paid from produc-  
9 tion within the unit to those working interest owners or  
10 royalty interest owners within the hachured zones, areas  
11 within the outline of the Bravo Dome Unit?

12          A           No, sir. Those -- those hachured areas  
13 do not participate in the unit at all. They're not in the  
14 unit.

15          Q           Thank you very much.

16                   MR. LEMAY: If there are no  
17 additional questions, the witness will be excused and we'll  
18 take a fifteen minute break.

19

20                   (Thereupon a recess was taken.)

21

22                   MR. LEMAY: Reconvene. Third  
23 witness, Mr. Currens?

24                   MR. CURRENS: Thank you, Mr.  
25 Chairman.

1 JAMES DAVID McELHANEY,  
2 being called as a witness and being duly sworn upon his  
3 oath, testified as follows, to-wit:

4

5

## DIRECT EXAMINATION

6

BY MR. CURRENS:

7

Q Will you state your name, please?

8

A James David McElhaney.

9

Q By whom are you employed, Mr. McElhaney?

10

A Amoco Production Company.

11

Q And in what capacity?

12

A As the Manager of Carbon Dioxide Sales

13

and Supply.

14

Q Mr. McElhaney, have you ever testified

15

before this Commission before?

16

A No, I have not.

17

Q Would you briefly tell us your educa-

18

tional background?

19

A I received a Bachelor of Science in

20

petroleum engineering from the University of Oklahoma in

21

May of 1975.

22

Q And upon graduation what did you do?

23

A I was employed by Amoco Production Com-

24

pany in Oklahoma City.

25

Q And what was the nature of your duties

1 at that time?

2 A During the first six to seven years with  
3 Amoco I worked at a number of assignments involving produc-  
4 tion, operations and reservoir engineering in a number of  
5 locations, including Oklahoma, Alaska, Colorado and Wyom-  
6 ing.

7 At that time, it was about the end of  
8 1981, I was transferred to our Houston general office in  
9 the position of Enhanced Oil Recovery Coordinator for our  
10 general office.

11 Q And that's for all of Amoco Production's  
12 operations?

13 A Yes, sir, it is.

14 Q All right, sir, and after that assign-  
15 ment what did you do?

16 A In March of 1983 I was transferred to  
17 the Houston Region and was assigned as the Division Reser-  
18 voir Engineer over a reservoir engineering group that had  
19 responsibilities for southeastern New Mexico and the Bravo  
20 Dome Unit.

21 Q And how long did you occupy that?

22 A I had that assignment for a little over  
23 two years.

24 Q And what happened next?

25 A In August of 1986 I was named the

1 Manager of Carbon Dioxide Sales and Supply.

2 Q With respect to this hearing here today,  
3 have you had occasion to prepare certain exhibits either by  
4 yourself or under your direction and supervision for  
5 presentation here?

6 A Yes, I have.

7 MR. CURRENS: I'll submit his  
8 qualifications as an expert on Bravo Dome.

9 MR. LEMAY: His qualifications  
10 are acceptable.

11 Q Let's look at Exhibit Number Number  
12 Twenty-three, Mr. McElhaney, and please tell us what's  
13 depicted on that exhibit.

14 A This is a production history curve for  
15 the Bravo Dome Carbon Dioxide Gas Unit, with a number of  
16 curves here reflecting different production components in  
17 the unit.

18 Q Okay, let's just start with the bottom  
19 curve and identify what the various data shown here are.  
20 The lowermost one is green. What is that?

21 A That is green and that reflects unit  
22 water production. It's scale is on the righthand side of  
23 the curve in 1000 barrels of water per day. You can see  
24 that the current rate in 1988 is approximately 450 barrels  
25 of water per day in the unit.

1 Q What's the next curve above that?

2 A That's the purple curve. That is the  
3 sales production figures for the Phase One facility. Its  
4 scale is the inner left scale at gross CO<sub>2</sub> rate in million  
5 cubic feet per day at 14.65 atmospheric pressure.

6 Q And what's a recent value appropriate to  
7 that curve?

8 A Recently that facility has averaged  
9 106-million cubic feet per day.

10 Q Now, that's 106-million cubic feet a day  
11 at 14.65 or --

12 A No, sir, it's not. I have to apologize  
13 to the Commission. The engineer that prepared this exhibit  
14 for me prepared the numbers from our pipelines, who measure  
15 at a 14.65 pressure base. State of New Mexico, of course,  
16 is at 15025, and the numbers I'm quoting are the New Mexico  
17 numbers and are those that are recorded with the state.

18 Q All right. There are a pair of curves  
19 that pretty well parallel each other in blue above that  
20 purple curve. What do they depict?

21 A Yes, those are the suction pressures for  
22 the two facilities. Their scale is to the far left in the  
23 pounds per square inch gauge.

24 You can see that the Phase One facil-  
25 ity's blue curve is denoted with asterisks, and the Phase

1 Two facility suction pressure curve is denoted with  
2 squares.

3 Q And approximately what are those suction  
4 pressures now?

5 A They are both at approximately 150  
6 pounds right now.

7 Q Now, what's the lower design limit on  
8 our plants with respect to suction?

9 A The design, lower design limit is 100  
10 pounds suction.

11 Q So these are operating at a suction  
12 pressure above the lower design limits.

13 A Yes, they are.

14 Q Does that have some benefit?

15 A It certainly does; from an engineering  
16 standpoint at higher suction pressures you are able to get  
17 out more gas or even the same amount of gas with less work.  
18 So that means that your compressors are not having to work  
19 as hard, you're not using as much horsepower. This trans-  
20 lates to direct reduction in electrical usage.

21 Q And I guess that has some attendant  
22 money savings with it.

23 A It certainly does.

24 Q Okay. The next curve above that one is  
25 red.

1           A           Yes. These are the sales production  
2 figures for the Phase Two facility. Similarly reflected at  
3 the gross rate of a million cubic feet per day at 14.65.

4                    The average rate in 1988 in New Mexico  
5 standards is 262-million cubic feet per day for the Phase  
6 Two facility.

7           Q           You told me that the topmost curve was  
8 colored pink, so that does the pink curve show?

9           A           Yes, the pink curve is the summation of  
10 the red and purple curves and is the total sales production  
11 rate for the unit.

12                    In 1988 the total sales have averaged  
13 368-million cubic feet per day.

14           Q           Now, now that we know what the curves  
15 mean, let's look at this on a time basis. Does this show  
16 when production began?

17           A           Yes. You'll see that the first  
18 production recorded is in April of 1984, and that was from  
19 the Phase One facility, which was the first one to come on  
20 line.

21                    You'll see that the pink and purple  
22 curves override each other here in that time frame.

23                    Then in 19 -- December of 1984, the  
24 Phase Two facility began production. You can see the jump  
25 in the red curve at that point, as well as the jump in the

1 total production curve.

2 With the Phase Two facility coming on in  
3 1985, we first jumped to a total of around 250-million  
4 cubic feet a day and then eventually up to 340-million  
5 cubic feet a day by the end of that year.

6 Since that time we have continued to  
7 increase production sales from the unit in '86 and '87 to  
8 the present rate of 368-million cubic feet per day.

9 Q All right, any general comments that you  
10 care to make before we leave this curve?

11 A Yeah, there is one particular comment  
12 that we have been very encouraged with and in the light of  
13 the falling oil prices in 1986 and '87, you asked me the  
14 questions about what I thought would happen in 1985, I  
15 would have been concerned about a fall in our production,  
16 but we've been very pleased that the production has in-  
17 creased in both '86 and '87 despite that fall in oil  
18 prices.

19 Q So there's still been strong sales, even  
20 though what one would expect to be -- in the face of what  
21 one would expect to be a weak marketplace.

22 A Yes, sir, there have been.

23 Q Okay, anything else that you have on  
24 Exhibit Twenty-three?

25 A No, sir.

1 Q I'll ask you to turn to Exhibit Twenty-  
2 four and tell us what's shown on that exhibit.

3 A Yes. This is an annual spending profile  
4 bar chart for the Bravo Dome Carbon Dioxide Gas Unit. This  
5 reflects the spending of the working interest owners in  
6 various categories as the unit has evolved.

7 Q Okay, let's kind of go through that  
8 evolution. It seems to start out mostly purple. What's  
9 that?

10 A Yes. The purple depicts the drilling in  
11 the unit and as Mr. Collier presented to you earlier, the  
12 program was fairly aggressive at the beginning and somewhat  
13 continuous through the years 1985 (sic) and you can see  
14 that high level of expenditures from 1980 through 1985.

15 Q Okay. The next big blob is a yellow  
16 blob.

17 A Yes. The yellow depicts the  
18 expenditures for the plant gathering facilities and as I  
19 said, the first thing you would do in a unit would be to  
20 drill the wells and then install those necessary plant  
21 gathering facilities to initiate sales. You can see that  
22 those plant gathering expenditures occur over roughly a  
23 2-1/2 year period, '83 and '84 and then some in 1985 as  
24 sales were initiated.

25 Q Okay, so we've evolved the drilling of

1 wells, building of gathering and plant facilities. After  
2 that comes what?

3 A The next large wedge you see would be in  
4 red and that reflects the operating costs associated with  
5 producing the CO<sub>2</sub>, and (not understood) a natural evolution  
6 of the field after you've made the expenditures, invest-  
7 ments to get sales on. Operating costs then dominate to-  
8 wards getting those -- that CO<sub>2</sub> into the market.

9 Q What's the green that's shown on this?

10 A The green is the maintenance wedge.  
11 It's more or less a continuous type of dollars that are put  
12 into maintaining your facilities; your operating centers,  
13 the offices, the computer, and so forth. This wedge has  
14 been rather continuous since 1982.

15 Q It's just something that's part of con-  
16 tinued operations.

17 A Yes, sir, it is.

18 Q Now I notice in 1988 you have depicted  
19 the full year in -- in that column.

20 A Yes, sir, I have. We only have the  
21 first quarter performance so far for 1988 and I have  
22 estimated that by multiplying by four.

23 Q Okay. Anything else on this exhibit?

24 A No.

25 Q Let's turn to Exhibit Twenty-five then

1 and tell me what's shown here.

2 A This is the same data that was presented  
3 in the last exhibit only in a cumulative nature, and the  
4 wedges are stacked on top of each other so you can identify  
5 the spending of individual components.

6 Q Now, you said production and you showed  
7 on your Exhibit Twenty-three that production began in early  
8 '84 and then really came on stream strongly at the end of  
9 '84, or 1-1-85, is that right?

10 A Yes, sir, that's correct.

11 Q What was the investment that we had made  
12 prior to the time that we actually had any significant  
13 production from the unit?

14 A The working interest owners in the unit  
15 had actually spent roughly \$130-to-150-million before any  
16 sales had occurred in the unit.

17 Q And that's out of a total of how much  
18 shown on this --

19 A Total spent through the first quarter of  
20 1988 has been \$282-million.

21 Q Let me ask you about the operating ex-  
22 pense portion of this. What's the expense, the red portion  
23 of this (unclear)?

24 A Total operating costs here include the  
25 actual direct cost of operating the plant, for field facil-

1 ity people that are there, the road work, and what well  
2 work that's done in the unit. It totals a total of \$111-  
3 million roughly by the first quarter of 1988.

4 Q Let me similarly ask you what it doesn't  
5 include that's ongoing in nature?

6 A These expenditures here do not include  
7 any of the monies paid to, say, surface owners for  
8 damages, or leasehold costs that are paid to the individual  
9 lease owners, nor does it include any costs for the royal-  
10 ties or taxes paid to the State.

11 Q Now when you've talked about the bene-  
12 fits of the efficiency by keeping higher suction pressures,  
13 is it this red wedge that that affects?

14 A Yes, sir, it is.

15 Q And you said that it's cut our electri-  
16 cal costs.

17 A Yes, sir.

18 Q Electrical costs make up approximately  
19 80 percent of our operating costs; essentially all the work  
20 that is done is to take the gas from low pressure in the  
21 field, dehydrate it, and compress it up. So most of our  
22 operating costs can be directly related to that horsepower  
23 required to boost up the pressure.

24 Q Now, a reduction in this operating cost  
25 benefits the working interest owners, doesn't it? It

1 doesn't cost them as much money to operate the unit?

2 A There's no doubt.

3 Q I guess that would ultimately translate  
4 into anticipated additional recovery.

5 A Yes, sir, it would.

6 Q Are there other benefits that accrue  
7 besides those to the working interest owners and the  
8 potential increase in ultimate recovery?

9 A Actually, all parties will benefit from  
10 this because the compression costs are, of course, a re-  
11 duction into the wellhead price which is the basis for  
12 royalty and taxes, and if those operating costs are down,  
13 those are passed on to all the unit members, as well as all  
14 royalty interest owners.

15 And so they're seeing the benefits as  
16 well.

17 Q All right. Anything else on  
18 Twenty-five?

19 A No, sir.

20 Q Let's go to Number Twenty-six. You said  
21 that royalty was not included in your prior charts. This  
22 one seems to deal with royalty, is that right?

23 A Yes, sir, this is to depict on an annual  
24 basis the estimated annual royalty payments made to all  
25 parties in the Bravo Dome Unit. We have also individual

1 ized and pointed out the royalties paid to the State as  
2 well as royalties paid to other parties.

3 Q What are those royalties to the State  
4 currently? Approximately?

5 A Approximately 2.4-million in 1987.

6 Q And the total royalty '87?

7 A Total is roughly around 9.4-million.

8 Q You have a purple line on here. What's  
9 that?

10 A Yes, that is the cumulative royalties  
11 paid since the start of sales from the unit and by the end  
12 of 1987 those totaled roughly \$26-million.

13 Q Anything else on Exhibit Twenty-six?

14 A There is one point I would like to make.  
15 I, recently, in looking over these figures, looked over the  
16 information from the New Mexico Oil and Gas Association for  
17 1987; indicated the total State royalties collected in that  
18 year were around \$104.7-million from oil and gas opera-  
19 tions. You can see, then, that the 2.4 from Bravo Dome is  
20 roughly a little over 2 percent of that total.

21 Q That's impressive. Anything else from  
22 Twenty-six?

23 A No, sir.

24 Q Let's move on to Twenty-seven. What's  
25 that?

1           A           This depicts the annual direct taxes  
2 paid to the State in blue and there is a yellow curve that  
3 depicts similar information related to the information from  
4 the (unclear) on the percentage of total taxes collected by  
5 the State.

6           Q           All right, now what taxes are we  
7 talking about?

8           A           These taxes are the production sever-  
9 ance taxes which include the severance tax, actual sever-  
10 ance, the emergency school taxes, the conservation taxes  
11 and the ad vaped taxes.

12          Q           All right, what did that total in 1987?

13          A           That was roughly \$5-million in 1987.

14          Q           And about what share of those type  
15 taxes from the oil industry did this amount to?

16          A           That is also roughly about 2 percent.

17          Q           Anything else with Exhibit Twenty-  
18 seven?

19          A           No, sir.

20          Q           Let's move on then, and look at Exhibit  
21 Twenty-eight, which seems to be a summary table. Tell me  
22 what's on it.

23          A           Yes, sir. This summarizes both the  
24 production data and some of the information previously  
25 presented by Mr. Collier and Mr. Wyles on the wells and the

1 activity in the unit.

2 Q Why don't you just go through that and  
3 point out the pertinent things?

4 A Okay. We reflect the first number  
5 there is the total cumulative production to date from the  
6 unit, which totals 427 BCF, or roughly a half trillion  
7 cubic feet.

8 Q And that's to what date?

9 A That is through May of 1988.

10 We also show the average producing rate  
11 for 1988 at 368-million cubic feet per day; and also, then,  
12 we reflect the peak producing rate we've experienced out  
13 there, which was 381-million cubic feet per day in February  
14 of 1987.

15 Q Okay, that's the production data,  
16 almost half a trillion cumulative.

17 A Yes, sir.

18 Q Let's move into the area of the wells.

19 A Yes. On the well summary there's been  
20 a total of 390 wells drilled in the unit. 260 of those are  
21 now currently producing. We have another 111 wells that  
22 have been drilled in the unit that will be available to us  
23 at which time that we can expand outward.

24 There have been 17 plugged and abandon-  
25 ed wells and 2 salt water disposal wells.

1           Q           And what's in the bottom third of this  
2 exhibit?

3           A           The bottom denotes the seismic that Mr.  
4 Wyles previously pointed out, the 1400 miles that have been  
5 run in the unit.

6                       We also reflect something that we have  
7 not touched on and that's the roads that have either been  
8 built or improved in the unit. There are a total of 751  
9 miles of roads that have either been actually built or  
10 taking old cattle roads and improved.

11                      375 miles of those area actual lease  
12 roads and 376 are county roads.

13           Q           About half of the roadwork out there  
14 has been a direct benefit of county roads, and about half  
15 individuals.

16           A           Yes, sir, it is.

17           Q           Anything else on Twenty-Seven?

18           A           No, sir.

19           Q           Turn to Exhibit Twenty-eight then,  
20 please, and tell us what's shown on that exhibit.

21           A           This somewhat summarizes the physical  
22 summary of the unit, both in expenditures and in direct  
23 taxes and royalties paid out.

24                      As I mentioned previously, through  
25 March of 1988 the working interest owners in the Bravo Dome

1 Unit had spent a total of \$282-million on direct expendi-  
2 tures. That involves roughly \$97-million on drilling,  
3 \$58.8-million on plant gathering facilities; \$15.3-million  
4 on maintenance expenditures for just to run our offices and  
5 to initially install our computer telemetry system, and  
6 another \$110.8-million in operating expenses.

7 On the other hand, some of the other  
8 expenditures that the working centers have incurred have  
9 been direct taxes and royalties and through March of 1988  
10 the total direct tax bill has totaled \$15.2-million.

11 On royalties we have paid roughly  
12 \$7.6-million to the State; an additional \$20-million to  
13 individual owners in the unit, for a total of \$26 --  
14 \$27.6-million.

15 Q All right, anything else on Exhibit  
16 Twenty-nine?

17 A No, sir.

18 Q Mr. McElhaney, with your familiarity  
19 with our operations in the unit, is it your opinion that  
20 the activities that we have conducted in the past and are  
21 conducting now and prepared to conduct, such that they will  
22 result in the prevention of waste in the past and on an on-  
23 going basis, and then the protection of correlative rights?

24 A Yes, we have. In addition, I would say  
25

1 we've spent a considerable amount of money to insure that  
2 they will in the future.

3 Q Okay, Mr. McElhaney, up to this point  
4 we're pretty well walked the paths in fulfilling our obli-  
5 gation of showing the Commission the activity that we've  
6 had since this unit has been effective.

7 You stated your position was Manager of  
8 CO<sub>2</sub> Sales and Supply. Let me ask you in broad terms what  
9 you see for the future.

10 A We are very encouraged at the outlook  
11 for Bravo Dome based on a number of items.

12 The first is one I mentioned earlier,  
13 it's the fact that even during the oil price slide of the  
14 last two years, that our sales have actually increased each  
15 year, meaning that the demand has stayed up, not fallen  
16 during the time the oil prices have dropped.

17 I've also been very encouraged by my  
18 talks with other operators in the Permian Basin, who seem  
19 to be re-looking at CO<sub>2</sub> projects and there seems to be a  
20 renewed interest in that area.

21 I recently attended the SPE DOE Terti-  
22 ary EUR Symposium in Tulsa and a number of operators pre-  
23 sented their projects there and showed some very signifi-  
24 cant results and it was very encouraging to all.

25 In addition to that, in talking with

1 the other working interest owners in Bravo Dome, we have  
2 also heard that they may be interested in expanding their  
3 operations and also requesting more CO<sub>2</sub>, and even though  
4 those demands are not firm right now, it's definitely left  
5 a very encouraging note for the future.

6 Q Okay, so you don't have a firm increase  
7 in demand at this moment, but you are optimistic that it  
8 will occur in the near term?

9 A Yes, sir, I am.

10 Q Well, what have you done, what are you  
11 doing to be in a position to respond if additional demand  
12 does develop, as you expect that it will?

13 A At Amoco we have evaluated a number of  
14 alternatives for additional development in the Dome; not  
15 necessarily tied to specific demand but to see what can be  
16 done by expanding outward.

17 Those have included some additional  
18 out- field drilling as we've done in the past to load the  
19 Phase One and Phase Two facilities; to continue to expand  
20 and maintain those facilities and also cut costs.

21 We've also looked at additional plants  
22 in other areas of the unit, and have evaluated what costs  
23 will be required to put those in place.

24 In a nutshell, I would say that Bravo  
25 Dome has established itself as a very competitive, stable,

1 reliable source of CO<sub>2</sub> in the industry today, and we are in  
2 a very good position to be able to react to when that de-  
3 mand occurs.

4 Q Thank you, Mr McElhaney.

5 MR. CURRENS: I would offer  
6 Exhibits Twenty-three through Twenty-nine.

7 MR. LEMAY: Without object-  
8 tion those exhibits will be entered into the record.

9 MR. CURRENS: And I would  
10 offer Mr. McElhaney for your questions.

11 MR. PEARCE: Thank you, Mr.  
12 Chairman.

13

14 CROSS EXAMINATION

15 BY MR. PEARCE:

16 Q Mr. McElhaney, just a few. I believe  
17 you were in the room when I broached a subject to Mr. Col-  
18 lier which he deferred to you.

19 (Not clearly understood) -- Phase One  
20 and Phase Two facilities?

21 A If we talk about design capacity, the  
22 current production rate represents roughly 110 percent of  
23 design capacity.

24 Q That's an interesting design. How much  
25 above 110 percent do you think you could go?

1           A           I think we are very, very close to our  
2 limits. Different days you might be able to do a little  
3 better than that, but as I said, we've been able to  
4 primarily get there by operating above the, you know, we're  
5 basically above the mid-range of the design plan.

6           Q           And your exhibit showed that your peak  
7 day so far was 381-million?

8           A           Yes, sir.

9           Q           You believed that was threatening your  
10 facilities?

11          A           I believe that we were able to meet the  
12 demand that was called upon that day and we were basically  
13 about as far as we could go.

14          Q           Okay. You indicated that in terms of  
15 planning for the future and meeting future increased de-  
16 mand, you had several scenarios. One of those was  
17 additional I believe you referred to it as out drilling to  
18 further load Phase One and Phase Two facilities. Could you  
19 explain how you're going to do that after the discussion we  
20 just had?

21          A           Yes, I can. I think you can see back  
22 on the production curve, I believe that's Exhibit Twenty-  
23 three, that there has been a little decline in the suction  
24 pressure in the past two years as we've increased rates.

25                   I would anticipate that we could get

1 these -- maintain these facilities at at least this level,  
2 and maybe increase them slightly by continuing to drill  
3 wells on the outer edges of development and to put  
4 additional gas into the facility. Now that does not mean I  
5 think I could increase the rate much more today, but for  
6 future planning and, say, we would like to have a market  
7 that says we need 368-million for the next three years,  
8 then that would be a way we would try to meet that.

9 Q I'm sorry, I didn't understand that.

10 If we -- if we have a current average rate of 368, which is  
11 110 percent of design, a former peak day of 381, my ques-  
12 tion involves what happens if the market goes to 400 or  
13 425?

14 A Okay, I guess the way I can try to  
15 clarify this is facilities -- the 381 is probably the best  
16 you're ever going to do for those compressors. That was at  
17 a point when we had them stacked, I think you can look back  
18 and we had pressures in the neighborhood of 180 pound  
19 suction at that point, and to build up that kind of well  
20 volume to deliver that suction pressure, that's about the  
21 best you're going to do.

22 If you're going to need more than 400  
23 -- 420-million cubic feet a day, you're probably talking  
24 about new compressors and new additional development.

25 Does that clarify it?

1           A           It would take additional compression  
2 either in Phase One, Phase Two, or some Phase Three.

3           A           Or a new plant, yes, sir.

4           Q           You indicated that additional plants  
5 had been discussed and that you had looked at the cost of  
6 those facilities, let's hypothesize a market which jumps to  
7 425. How -- how would you expect what you know now to meet  
8 that additional demand?

9           A           You're asking a very tough question.  
10 Timing is important. Can you be more specific?

11          Q           Well, let's -- let's say you get a call  
12 and somebody says that they want to purchase CO<sub>2</sub> which  
13 would raise the requirements on the Bravo Dome Unit to  
14 425-million a day six months from today.

15                    Would you -- would you accept that  
16 offer or purchase?

17          A           We would most likely have to qualify  
18 it. Six months is a very short time frame. We do more in  
19 planning for a year from now and two years from now.

20          Q           Okay, if -- if the demand went to 425,  
21 would you expect to ultimately meet that by increasing the  
22 compression in Phase One and Phase Two or by building a  
23 third facility, and I'm trying to judge at what point of  
24 demand --

25          A           What point a new facility?

1 Q -- you've got to have a new facility.

2 A 425-million a day would probably --  
3 probably be tied more into this facility at Phase One and  
4 Phase Two with additional compression there.

5 Q Can you give me some idea of what range  
6 of demand would require an additional facility?

7 A When you look in terms of, say, maybe  
8 another additional 100-million cubic feet a day, that is at  
9 the point that additional facilities begin to look more and  
10 more attractive.

11 Q In terms of planning for Bravo Dome  
12 operations, let's continue to hypothesize an increase in  
13 market.

14 A I'd like to do that a lot.

15 Q I was sure you did. What sort of de-  
16 velopment plans do you have to meet an increase in demand?

17 A We have no specific development plans  
18 at this point.

19 Q The wells that are currently connected  
20 to Phase One and Phase Two, I assume those wells are exper-  
21 iencing some natural decline as reserves are produced?

22 A Yes, they are.

23 Q Could you give me some indication of,  
24 for instance, percentage decline as results of producing  
25 those wells?

1           A           You're going to get a -- I'll have to  
2 give you something on the average rate because obviously  
3 the wells closer to the plant are being -- will decline  
4 faster than the ones out far away, but it's been roughly on  
5 the average of around 7 to 10 percent.

6           Q           7 to 10?

7           A           7 to 10, yes.

8           Q           Do you have an estimate of what the  
9 current producing capacity of the wells connected is now?  
10 Your average production is 368, as I understand it.

11          A           Yes.

12          Q           If those wells could -- could flow at  
13 maximum capacity, how much would they produce?

14          A           I haven't seen a number on that in,  
15 say, the last two years, but it's obviously much higher  
16 than 368-million.

17          Q           Well, last time you looked at that two  
18 years ago, or so, how much higher than --

19          A           It was in the 400 - 420 range.

20          Q           That was the same set of wells that are  
21 presently connected, is that right?

22          A           We actually have tied in some expansion  
23 wells since that point in time and I'm afraid I've not seen  
24 numbers since that time.

25          Q           You indicated, Mr. McElhaney, that you

1 and Amoco were encouraged looking at the broad view of the  
2 future of CO<sub>2</sub> production and utilization.

3 Have you used your intuition to try to  
4 predict what the market is likely to be two years from now?

5 A We have made numerous projections both  
6 from the down side situation and an up side situation. You  
7 naturally cannot look at or focus in on one particular sit-  
8 uation.

9 We think that the markets two years  
10 from now will lie in the neighborhood of staying flat where  
11 they are to possibly as much as 150 to 200-million more.

12 Now that is industry-wide. That may  
13 not necessarily be the Bravo Dome's share.

14 Q What's Bravo Dome's current share of  
15 the market?

16 A At the present time we are supplying,  
17 based on what I've seen in industry-type of reports, a  
18 little over a third of the CO<sub>2</sub> that's being supplied in the  
19 Permian Basin.

20 Q Okay. Without careful thought I asked  
21 that question based on a 2-year period and that seems to  
22 coincide with something that you had looked at. Do you  
23 have other projections of what the market might be further  
24 into the future than 2 years?

25 A Primarily we look at 2 years. That is

1 the one that you can perhaps impact or should be shooting  
2 for.

3                   Basically, yes, we carry those on out  
4 beyond the two years from what those things, you know, what  
5 the peaks we look for, and what those are going to do. The  
6 market, you have to understand, is very, very dependent on  
7 oil price, and I only would like to stick my neck out as  
8 far as -- I won't even stick my neck out on oil price.

9                   Q            Okay, you -- you've indicated that in  
10 your 2-year look, I think what you're telling me was that  
11 an optimistic projection might be 150 to 200-million MCF a  
12 day increase industrywide.

13                   Assuming Amoco's one-third share would  
14 hold through that time period, and Amoco therefore --

15                   A            That's not Amoco's share, that's the  
16 Bravo Dome Unit's share.

17                   Q            I apologize then. That was not inten-  
18 tional. Bravo Dome's share of that market, Bravo Dome,  
19 then, if the average today is 368, with 50 or 60 additional  
20 two years from now, we're looking in the 420-million cubic  
21 feet a day range. Do you suspect that could be serviced  
22 through the present Phase One and Phase Two facilities?

23                   A            No, you will have to add compression to  
24 get that amount out.

25                   Q            And you suspect that in time --

1 A We will --

2 Q -- that you would add compression to  
3 Phase One and Phase Two to meet that market rather than  
4 going with a third plant.

5 A I suspect at this time.

6 Q Do you know whether or not that hypo-  
7 thesized 420 - 430-million cubic feet a day market could be  
8 met through wells currently connected to Phase One and  
9 Phase Two?

10 A Meaning can I install compression with  
11 the wells that are there?

12 Q Do you have to connect more wells to  
13 meet that market?

14 A We'll most likely connect more wells.

15 Q Do you have wells drilled and waiting  
16 connection now or would you be faced with drilling addi-  
17 tional wells?

18 A More than likely it would involve some  
19 drilling and connection of existing wells, the combination.

20 Q However, as I understand -- understood  
21 an answer earlier to one of my questions, you don't have a  
22 development plan to meet that hypothesized market, is that  
23 --

24 A The specifically 425? Not specifically  
25 425-million a day.

1 Q Okay, I may have missed --

2 A I think what I said was that we have a  
3 plan to react to whatever the market may do. I think that  
4 we can modify many of our plans we have looking at moderate  
5 expansions to big expansion to meet a 425 for two years  
6 down the road.

7 Q Did I understand you to testify that  
8 you did not currently have a future development plan for  
9 the Bravo Dome Unit?

10 A We do not have a specific plan for  
11 development of the unit.

12 Q Looking, Mr. McElhaney, at your Exhibit  
13 Number Twenty-four, the yellow area plant and gas gathering  
14 facilities, that is only the cost of installing the gather-  
15 ing system as opposed to any cost associated with operating  
16 it, is that --

17 A It's the cost of the pipe and installa-  
18 tion of the gathering system.

19 Q And the day-to-day operational expense  
20 of that gathering system is shown in the red --

21 A Yes, sir.

22 Q -- red area as operating expense.

23 A Yes.

24 Q Okay. Looking Mr. McElhaney, again at  
25 Exhibit Number Twenty-four, it appears from that graphic

1 display as if the green area, Maintenance Investments, is  
2 expected to be smaller in 1988 than 1987.

3 A Yes, sir, it is.

4 A Can you explain what's having a differ-  
5 ence in the maintenance area?

6 A Both from a standpoint of -- of con-  
7 trolling operating costs and trying minimize those expend-  
8 itures that don't have to be made in this particular year,  
9 and as of the standpoint that, obviously, in the set-up of  
10 the office and set-up the computer system, you have a lot  
11 more expenditures earlier and those would tend to taper off  
12 as you tend to get more and more in your operating phase.  
13 We anticipate those to be down in 1988.

14 MR. PEARCE: One moment,  
15 please, Mr. Chairman.

16 Nothing further, Mr. Chair-  
17 man. Thank you. Thank you, Mr. McElhaney.

18 MR. LEMAY: Additional ques-  
19 tions of the witness?

20 Mr. Brostuen.

21

22 QUESTIONS BY MR. BROSTUEN:

23 Q Mr. McElhaney, unless I've misunder-  
24 stood Mr. Collier, I believe that he stated that there have  
25 been no new wells drilled since 1985, in referring to

1 Exhibit Number Seven, I believe.

2                   And your Exhibit Number Twenty-four  
3 does show a small amount of expenditure for -- for drilling  
4 costs.

5                   Could you explain as to what costs of  
6 going into (not clearly understood)?

7                   A           Yes, I can. What's involved in a  
8 drilling cost, both starts from the day that you set the  
9 location, make the location, drill the well, and then as  
10 you complete the well you have expenditures all the way up  
11 to that point.

12                   Mr. Collier reflected the actual  
13 drilling and the wells getting to TD and the last well  
14 reached the TD in 1985; however, in 1986 we did do some  
15 additional work on some of those wells in the completion  
16 phase to test additional horizons, to frac, so on and so  
17 forth, and that's where those expenditures came from .

18                   Q           Thank you, very much.

19

20 QUESTIONS BY MR. LEMAY:

21                   Q           Mr. McElhaney, are you familiar with  
22 the nature of the water in the area, produced water?

23                   A           Somewhat familiar with it, yes, sir.

24                   Q           Are you familiar with any corrosion  
25 problems you might have out there in terms of your casing,

1 tubing?

2           A           I'm not familiar with corrosion in the  
3 casing and tubing.

4           Q           In the realm of waste, we understand  
5 that there is some problem because of the corrosive nature  
6 of carbon dioxide and water, protecting fresh waters, that  
7 there's -- I guess what I'm trying to get at, do you have  
8 program out there to insure the fresh water is protected  
9 in the area?

10          A           I can comment on the program both that  
11 was reviewed in the casing programs, reviewed with the  
12 State, to put in out there, which is basically to cement to  
13 surface, or to the surface casing, and in all wells tubing  
14 is run with a packer with inhibited fluid on the annulus  
15 side to protect against any leaks that come back through  
16 that area.

17                       We have an alarm system in the tele-  
18 metry system to measure casing pressures and if we do have  
19 a leak or indication of pressure on the casing, we can  
20 detect it. Those can come and stem from packer leaks,  
21 tubing leaks, as well as casing leaks.

22                       I'm not -- I'm not familiar that we've  
23 had a lot of casing leaks or casing problems out there.

24                       We have had some tubing problems and  
25 packer problems.

1 Q But you do have a system that monitors  
2 that type of corrosion if it does occur?

3 A Yes, sir, we do.

4 Q Thank you.

5 MR. LEMAY: Any additional  
6 questions?

7 MR. CURRENS: No additional  
8 direct or redirect.

9 MR. LEMAY: The witness may be  
10 excused.

11 Is that all you have, Mr.  
12 Currens?

13 MR. CURRENS: That's all I  
14 have in the way of a direct case.

15 MR. LEMAY: I've forgotten,  
16 Mr. Pearce, do you have any witnesses or were you just --

17 MR. PEARCE: I do not, Mr.  
18 Chairman.

19 MR. LEMAY: That's fine.  
20 Let's wind this up with anything additional from you in the  
21 way of --

22 MR. CARR: I have a very brief  
23 statement.

24 MR. LEMAY: We'll take some  
25 statements, I think, in the case now and then we'll close

1 with that.

2 For Occidental and Cities  
3 Service?

4 MR. HOCKER: May it please the  
5 Commission, I'm Richard L. Hocker, representing OXY USA,  
6 formerly Cities Service Oil and Gas Corporation.

7 OXY has an interest in the  
8 Bravo Dome Unit operating plan. OXY recommends the Commis-  
9 sion approve continued operations of the unit. We believe  
10 that the unit operations have continued to prevent waste  
11 and protect correlative rights, and that in our understand-  
12 ing of the order is a necessary finding.

13 Well, we concur, really, in  
14 Amoco's application.

15 MR. LEMAY: Thank you, Mr.  
16 Hocker.

17 Additional statements in the  
18 case?

19 If not, we shall take -- I'm  
20 sorry, we will have a brief closing statement by Mr. Carr,  
21 and Mr. Pearce, if he so desires.

22 MR. PEARCE: Thank you, Mr.  
23 Chairman, I will be very brief.

24 As I said when we started,  
25 I'm appearing in this matter on behalf of Normal W. Libby.

1 Mr. Libby owns some of that area, as you may have guessed,  
2 which is leased to Amoco under the terms of a lease which  
3 does not provide for unitization.

4 My client is not participating  
5 in royalty from unit operations.

6 We've had a discussion of what  
7 Amoco has done in the past; what they're doing presently;  
8 and we've been told that they do not have specific future  
9 development plans for the Bravo Dome Carbon Dioxide Gas  
10 Unit.

11 I would like to point out to  
12 the Commission that when this matter was heard previously  
13 in 1984 for a review, the Commission at that time specifi-  
14 cally made a finding and it is Finding Number Eleven, and  
15 that finding says that for the interest owners in the unit  
16 area, not the unit, the unit area, to derive the benefits  
17 of unitization and for their correlative rights to be pro-  
18 tected, Amoco, as unit operator, must develop the carbon  
19 dioxide throughout the unit area in a prudent and expedi-  
20 tious manner. Prudent and expeditious.

21 We are concerned that there is  
22 not a development plan. We are concerned when projections  
23 of future market can be met with modifications to current  
24 facilities when our acreage is not connected to any faci-  
25 lity.

1 Thank you, Mr. Chairman.

2 MR. LEMAY: Thank you, Mr.  
3 Pearce.

4 Mr. Carr?

5 MR. CARR: May it please the  
6 Commission, you have now received our 4-year review of the  
7 Bravo Dome Unit. You've received our progress report.

8 For eight years we have been  
9 working in close association with this Commission as we've  
10 developed the carbon dioxide in this area and we hope to  
11 continue to do that with your support and in cooperation  
12 with you, meeting your concerns and desires as we move  
13 forward.

14 We believe today we can tell  
15 you that the benefits of unitization are being attained;  
16 that while the industry is down, while smaller units are  
17 not producing, Bravo Dome is producing and selling carbon  
18 dioxide gas in substantial quantities, and these sales are  
19 being affected in an efficient and we believe effective  
20 manner; that drilling is being done in an efficient way;  
21 that the resource is being processed and treated and mar-  
22 keted with state of the art equipment; and that we're doing  
23 what we purported we could do in 1980. We're maximizing  
24 the benefits of this production for all interest owners in  
25 the unit, and I think the best example given today,

1 perhaps, of what unit development means is, you saw it when  
2 Mr. Collier showed you that in 1985 there was a drilling  
3 program and it really wasn't designed for the current  
4 market but it was designed to enable Amoco to operate their  
5 plant most efficiently, reduce costs, and those costs then  
6 result in benefits to all interest owners in the unit.

7                   We have an effective unit  
8 operation here and what it really boils down to is simply  
9 we're producing this resource and we're producing it with-  
10 out waste.

11                   Now as to correlative rights,  
12 and as to the comments made by Mr. Pearce, I think it's  
13 important for you to remember this is a voluntary unit. We  
14 have had over 1500 interest owners in this area voluntarily  
15 commit their lands to this unit and Mr. Pearce's client did  
16 not. He could have but he did not, and he shares none of  
17 the risks or burdens of unit operation and he doesn't get  
18 the benefit of royalty from unit production. He could, but  
19 he elected not to.

20                   Mr. Pearce talks to you about  
21 the unit area, well, I will tell you that the unit area is  
22 defined in the unit agreement and if you're not in, you're  
23 not in. In a voluntary agreement, if you elect to stay  
24 out, that's where you are, and your acreage is developed  
25 under your lease; it is not part of the unit operation.



1 market for CO<sub>2</sub> permits, and that's what we're doing. We  
2 believe we have presented to you today evidence of a pro-  
3 ject that's working; a project where our mutual goals of  
4 developing a resource efficiently, with concerns for the  
5 rights of all the interest owners, for that's being accom-  
6 plished, we're now before you asking for your continued  
7 approval so we can go forward with these efforts that are,  
8 yes, in fact part drilling, others part research and study-  
9 ing the reservoir, but efforts which we believe are direct-  
10 ed at the most efficient and effective production of this  
11 resource.

12 MR. LEMAY: Thank you, Mr.  
13 Carr.

14 Is there anything further in  
15 Case 9428?

16 If not, we shall take that  
17 case under advisement.

18  
19 (Hearing concluded.)

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T E

I, SALLY W. BOYD, C. S. R. DO HEREBY  
CERTIFY that the foregoing Transcript of Hearing before the  
Oil Conservation Division (Commission) was reported by me;  
that the said transcript is a full, true and correct record  
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

NEW MEXICO OIL CONSERVATION COMMISSION

COMMISSION HEARING

SANTA FE, NEW MEXICO

Hearing Date AUGUST 3, 1984 Time: 9:00 A.M.

NAME	REPRESENTING	LOCATION
William J. Tom	Campbell & Back	Santa Fe
Bruce S. May	Amoco	Houston
C. A. Mate	Amoco	Houston
Jamal Allen	Amoco	Houston
Andon Ruzess	AZAZ	HOAQUIN, TX
Marguerite Poling		Clayton
W. Polimboev F	AZAZ	Joa. TX
D. Knipel	AmeriGas	Philadelphia
Tom Bailey	AMERICAS	DALLAS
Vernis Hugart	Rancher	Armitad N.M.
Johnny Lee	Rancher	Armitad, N.M.
Spent Jones	Ranch	Logansport, IN
James Jones	Ranch	Novato, N Mex.
Ann Holmby	Harold	Midland TX
JAMES F. FOLBERT	R. N. ENFIELD	MIDLAND, TX
Vern E. Hull	MARATHON OIL	MIDLAND TX
Edith Hill	R N Enfield	Roswell, NM

NEW MEXICO OIL CONSERVATION COMMISSION

COMMISSION HEARING

SANTA FE, NEW MEXICO

Hearing Date AUGUST 3, 1984 Time: 9:00 A.M.

NAME	REPRESENTING	LOCATION
R. M. Grobe	Self	Clayton n.m.
F. B. Mapes	Self	" "
B. P. Navajar	Anoco	Clayton, N.M.
W. T. Kellohim	Kellohim & Kellohim	Santa Fe
Bob Hill	Byram	Santa Fe
A. W. Hoff	Hutchins & Fran	Santa Fe
A. M. Oller	Cities Service	Midland
Roy E. Johnson	OCD	Santa Fe
Robert G. ...	Self	Santa Fe

1 STATE OF NEW MEXICO  
2 ENERGY AND MINERALS DEPARTMENT  
3 OIL CONSERVATION DIVISION  
4 STATE LAND OFFICE BLDG.  
5 SANTA FE, NEW MEXICO

6 3 August 1984

7 COMMISSION HEARING

8 IN THE MATTER OF:

9 Case 8289 being called by the Oil Con- CASE  
10 servation Division on it own motion 8289  
11 pursuant to the provisions of Division  
12 Order No. R-6446-B, regarding the Bravo  
13 Dome Carbon Dioxide Unit Agreement,  
14 Harding, Union and Quay Counties, New  
15 Mexico.

16 BEFORE: Commissioner Joe Ramey, Chairman  
17 Commissioner Ed Kelley

18 TRANSCRIPT OF HEARING

19 A P P E A R A N C E S

20 For the Oil Conservation Division: W. Perry Pearce  
21 Attorney at Law  
22 Oil Conservation Commission  
23 State Land Office Bldg.  
24 Santa Fe, New Mexico 87501

25 For the Applicant: Clyde A. Mote  
Attorney at Law  
Amoco Production Company (USA)  
Post Office Box 3092  
Houston, Texas 77253

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A P P E A R A N C E S

William F. Carr  
Attorney at Law  
CAMPBELL & BLACK P.A.  
P. O. Box 2208  
Santa Fe, New Mexico 87501

I N D E X

BRUCE I. MAY  
Direct Examination by Mr. Mote 7

JAMES ALLEN  
Direct Examination by Mr. Mote 16

BALDEMAR P. NAVEJAR  
Direct Examination by Mr. Mote 34

1		3
2		
3	STATEMENT BY MR. CARR	51

4  
5

6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

E X H I B I T S

8	Amoco Exhibit One, Map	8
9	Amoco Exhibit Two, Type Log	8
10	Amoco Exhibit Three, Structure Map	9
11	Amoco Exhibit Four, Map	17
12	Amoco Exhibit Five, Map	20
13	Amoco Exhibit Six, Base Map	22
14	Amoco Exhibit Seven, Base Map	27
15	Amoco Exhibit Eight, Tabulation	29
16	Amoco Exhibit Nine, Base Map	30
17	Amoco Exhibit Ten, Photograph	35
18	Amoco Exhibit Eleven, Photograph	36
19	Amoco Exhibit Twelve, Layout	37
20	Amoco Exhibit Thirteen, Photograph	37
21	Amoco Exhibit Fourteen, Layout	38
22	Amoco Exhibit Fifteen, Photograph	39
23	Amoco Exhibit Sixteen, Photograph	40
24	Amoco Exhibit Seventeen, Photograph	
25	Amoco Exhibit Eighteen, Photograph	41
	Amoco Exhibit Nineteen, Photograph	41
	Amoco Exhibit Twenty, Photograph	42
	Amoco Exhibit Twenty-One, Photograph	42

1		4
2		
3	Amoco Exhibit Twenty-Two, Diagram	43
4	Amoco Exhibit Twenty-Three, Photograph	45
5	Amoco Exhibit Twenty-Four, Photograph	46
6	Amoco Exhibit Twenty-Five, Photograph	46
7	Amoco Exhibit Twenty-Six, Photograph	47
8	Amoco Exhibit Twenty-Seven, Photograph	48
9	Amoco Exhibit Twenty-Eight, Facility Layout	48
10	Amoco Exhibit Twenty-Nine, Photograph	49
11	Amoco Exhibit Thirty, Photograph	50
12	Amoco Exhibit Thirty-One, Photograph	50
13	Amoco Exhibit Thirty-Two, Photograph	50
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1  
2  
3 MR. RAMEY: The hearing will  
4 come to order, please.

5 We'll call first Case 8289.

6 MR. PEARCE: That case is in  
7 the matter of Case 8289 being called by the Oil Conservation  
8 Division on its own motion pursuant to the provisions of Di-  
9 vision Order No. R-6446-B, which approved the Bravo Dome  
10 Carbon Dioxide Unit Agreement in Harding, Union and Quay  
11 Counties, New Mexico, to permit Amoco Production Company,  
12 the operator of said unit, to review operations and demon-  
13 strate to the Commission that its operations within the unit  
14 are resulting in the prevention of waste and the protection  
15 of correlative rights on a continuing basis.

16 I would call for appearances at  
17 this time.

18 MR. CARR: May it please the  
19 Commission, my name is William F. Carr with the law firm  
20 Campbell and Black, P. A. of Santa Fe, appearing on behalf  
21 of Amoco Production Company.

22 I'm appearing in association  
23 with Clyde Mote, a member of the Texas Bar and attorney for  
24 Amoco Production Company, Houston, Texas.

25 MR. RAMEY: Are there any other  
appearances?

Do you have any witnesses, Mr.  
Mote.

1  
2 MR. MOTE: Yes, we will have  
3 three witnesses.

4 MR. PEARCE: Could I ask all  
5 three prospective witnesses to rise at this time, please?

6 (Witnesses sworn.)  
7

8 Thank you, gentlemen.

9 MR. RAMEY: You may proceed,  
10 Mr. Mote.

11 MR. MOTE: Mr. Chairman, as  
12 stated by Mr. Pearce, this is a Commission-called hearing to  
13 permit Amoco, as operator, to review our operations and to  
14 demonstrate that operations within the unit are continuing  
15 to result in the prevention of waste and the protection of  
16 correlative rights.

17 We'll have three witnesses. Mr.  
18 Bruce May is going to be our geological witness. He'll be  
19 the first witness that you hear from.

20 He's going to give you some in-  
21 formation about the unit history, its location, its composi-  
22 tion. He'll tell you about the structure and the facilities  
23 that are present from a geological standpoint.

24 Next we'll hear from Mr. Jim  
25 Allen, our engineering witness. He'll give you the en-  
gineering aspects of it.

We then have a third witness,

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Mr. Baldy Navejar, who will make a presentation, a pictorial presentation, and a walk-through of the facilities on the Bravo Dome site.

We'll call as our first witness Mr. Bruce May.

BRUCE I. MAY,

being called as a witness and being duly sworn upon his oath, testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. MOTE:

Q Would you please state your name, by whom employed, and in what capacity and location?

A My name is Bruce May. I work for Amoco Production Company in Houston, Texas, as a geologist.

Q Have you previously testified before the Division and are your credentials as an expert in the field of geology a matter of public record here?

A Yes, they are.

Q Have you either prepared or had prepared under your supervision and direction all the exhibits which -- concerning which you'll be asked to testify in this hearing?

A Yes.

MR. MOTE: Is there any question concerning Mr. May's qualifications?

MR. RAMEY: No, Mr. Mote.

Q If you would, turn to your first exhibit, Mr. May.

Mr. May, with regard to the first exhibit, would you please explain what's shown here?

A Yes. This is a geographic map showing the location of the Bravo Dome Carbon Dioxide Unit. It is located in northeastern New Mexico. It contains parts of Union, Harding and Quay Counties, New Mexico.

The unit became effective on November 1st, 1980 under the Commission Order R-6446-B.

The unit itself is 1,036,000 acres. Approximately 28 percent of the unit acreage is State lands and surface usage is primarily ranchland with some farming.

The unit itself is also located geologically on the southeast flank of the Sierra Grande Arch.

Q All right, go to your next exhibit, Mr. May. What's shown by this Exhibit Number Two?

A The next exhibit is a type log from the Bravo Dome Carbon Dioxide Gas Unit. This particular well is the Amoco No. 1 State "FD", located in Township 20 North, 31 East, Section 23.

What this particular log shows is the unitized interval, which is defined from the top base of the Cimarron anhydrite, top of Tubb to the top of the Basement.

The unitized substance here is carbon dioxide. It also includes noncommercial quantities of hy-

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

drocarbons.

The average depth to the top of the Tubb is approximately 2200 feet; average depth of most wells is on the order of 2300 feet.

The reservoir itself is a very fine-grained sandstone deposited by fluvial processes and the average porosity for the reservoir, based on core analysis, is about 20 percent. The average permeability, 42 millidarcies.

Q Go to your Exhibit Number Three, Mr. May, and tell us about this exhibit.

A Exhibit Number Three is a structure map on top of the Tubb, or top of the unitized interval.

To get you oriented, the orange outline is the unit boundary.

This slide also illustrates some of the trapping mechanisms for the accumulation of carbon dioxide within the unit, that being the dip towards the southeast, the general pinchout towards the northwest, and the series of northwest/southeast trending fault systems, and in addition to those, the overlying impermeable Cimarron anhydrite which was shown on the previous slide.

Q Have you found an error on this exhibit you'd like to correct before we go any further?

A Yes, there is a well in Township 20 North, 32 East, Section 33, Well 1-D, which should be in 10 North, 32 East, Section 4, 1-D.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

This is --

Q Point out that on this exhibit. Can you show it?

A Approximately in this location and it should be moved south. By moving that particular well south the daum corresponds correctly with the contours on the map. This is a drafting error that occurred and we just noticed it going over these exhibits.

Q Would just a drafting error in any way affect your interpretation or change what's shown on this exhibit?

A No, it would not.

Q All right. Do you have some nonproductive wells in this area? Has Amoco drilled any?

A Yes. We have fourteen unproductive wells within the unit boundary.

Q All right, starting over on the lefthand side, let's just take it by range.

How about Range 29, have you got any dry holes in Range 29?

A Yes. We have one dry hole in Range 29, Township 21, Section 9.

This particular well we perforated, acidized and swabbed, and we recovered primarily water but we did not see any CO2 in that particular well. As a result it was plugged and abandoned.

Q How about Range 30?

1  
2           A           Range 30, there are no dry holes within  
3 the unit.

4           Q           Thirty-one?

5           A           Thirty-one, yes, we have three dry holes  
6 within Range 31.

7                        In Township 23 North, Section 20, there  
8 is a dry hole there where we perforated, acidized, we fraced  
9 and recovered primarily water with no CO2 and as a result  
10 the well was plugged and abandoned.

11                       The next dry hole occurs in Township 22  
12 North, Section 16. We drilled this particular well and  
13 found that there was no Tubb present in that -- that well.

14                       The last dry hole in that particular  
15 range is in Township 20, Section 13. In this particular  
16 well we perforated, acidized, and recovered, again, primar-  
17 ily water with no CO2. As a result the well was plugged and  
18 abandoned.

19           Q           How about in Range 33?

20           A           Range 33, we do have four dry holes in  
21 that particular range.

22                        Township 24 North, Section 30, on that  
23 particular well we perforated, acidized, and recovered pri-  
24 marily water.

25                        We move further south in Township 23  
North, Section 2, we have a dry hole but this was not drill-  
led by Amoco. This particular well, the Dillard No. 1  
State, was drilled in the 1950's primarily looking for

1  
2 hydrocarbons and they drilled that particular well, did not  
3 find any hydrocarbons and as a result they plugged and aban-  
4 doned the well.

5 Finally, in Township 22 North, Range --  
6 again Range 33 East, Section 36, we have an unproductive  
7 well. This particular well was plugged and abandoned based  
8 on log calculations.

9 And then finally in Township 19 North,  
10 Section 7, we have an unproductive well that we perforated,  
11 acidized. We fraced with CO2, recovered 16 Mcf of CO2, and  
12 after that we swabbed primarily water with some show of CO2  
13 but no CO2 flowed to the surface and as a result the well  
14 was plugged and abandoned.

15 Q Any more in Range 33?

16 A No, that's --

17 Q How about Range 34?

18 A Range 34, yes, we have a couple dry holes  
19 in Range 34, Township 23 North, this region, Section 21,  
20 this well again we perforated, acidized, and recovered pri-  
21 marily water, no CO2, and as a result was plugged and aban-  
22 doned.

23 In Township 22 North, Section 1, there  
24 was a well that was drilled in the early evaluation of this  
25 area for carbon dioxide. It was plugged and abandoned based  
on log calculations and no tests were run in that particular  
well.

In Township 21 North, again Range 34, we

1  
2 have three dry holes in that particular township. Section  
3 4, which we perforated, acidized, and recovered primarily  
4 water, again no CO2, and it was plugged and abandoned.

5 And then again in Section 21 we again  
6 perforated, acidized, and recovered primarily water.

7 There is one dry hole within that sec-  
8 tion, the Quaker No. 1 Zurich was drilled in the 1930's  
9 looking for hydrocarbons. It was drilled down to the Base-  
10 ment and they did not see any hydrocarbons and as a result  
11 the well was plugged and abandoned.

12 I'd also like to note in that same sec-  
13 tion there is a productive well of CO2.

14 Q Is that the one that was -- they decided  
15 not to complete it on the log analysis?

16 A The one in Township 22 North, Section 1,  
17 was the one that they decided to not complete on -- based on  
18 log analysis.

19 Q Do you consider that a viable method of  
20 determining whether or not CO2 is present?

21 A No, I don't. I feel that -- that really  
22 the only way you can evaluate this reservoir is to test it,  
23 perforate and acidize and test the well.

24 Q All right, going on over to Range 35, are  
25 there any dry holes in that range?

A Yes, there is one dry hole in Range 35,  
located in this position. It would be Township 20 North,  
Section 15. This particular well we drilled, perforated,

1  
2 acidized, and swabbed the well dry, and since we didn't re-  
3 cover any CO2, the well was plugged and abandoned.

4 Q How about Range 36?

5 A Range 36, we do not have any dry holes in  
6 Range 36.

7 Q All right, now based on your evaluation  
8 and study of these wells which are not productive, does this  
9 provide you with sufficient information to draw a zero Iso-  
10 pach map showing the productive limits of the Bravo Dome  
11 Unit?

12 A No, I believe it does not.

13 Q Do you change your interpretation from  
14 time to time in this reservoir or have you started out with  
15 one interpretation and continued all along?

16 A Our interpretation of this reservoir, the  
17 structure is constantly changing. Every time we drill a new  
18 well we learn something different about the reservoir, the  
19 structure map is adjusted, so we are continuously changing  
20 our description of this reservoir.

21 I might also point out that we've shot  
22 some 600 miles of seismic. It's still being processed but I  
23 imagine the reservoir description will again change once  
24 that seismic has been processed and integrated with the well  
25 control.

26 Q Has there been any production of CO2 out-  
27 side the Bravo Dome Unit?

28 A Yes, towards the southeast there is one

1  
2 productive well that's in Texas, the CO2-in-Action No. 1  
3 Coots, which flowed 900 Mcf from an equivalent interval to  
4 our unitized interval.

5 Also, towards the southwest there are  
6 several productive wells of CO2, again from an equivalent  
7 interval to our unitized interval. The production of some  
8 of these wells reached a maximum of approximately 2-million  
9 cubic feet per day.

10 Q What are your -- what are Amoco's future  
11 geologic plans for this reservoir?

12 A Our future geologic plans are to process  
13 the seismic and integrate the well control and hopefully  
14 come up with a better structural interpretation of the unit  
15 itself.

16 In addition to that there will be wells  
17 that will be drilled within the unit and as a result we'll  
18 integrate that well control into our structure maps.

19 We're also planning on obtaining addi-  
20 tional rock data so we can improve our understanding of the  
21 reservoir characteristics and properties and then we'll also  
22 be attempting to improve our completion techniques as we un-  
23 derstand this reservoir better.

24 MR. MOTE: Mr. Chairman, that  
25 concludes the testimony of this witness.

We offer Exhibits One through  
Three into evidence and tender the witness for cross examin-  
ation.

1  
2 MR. RAMEY: Exhibits One, Two,  
3 Three will be admitted.

4 Are there any questions of Mr.  
5 May?

6 He may be excused.

7 MR. MOTE: Call as our next  
8 witness Mr. Jim Allen.

9 JAMES C. ALLEN,  
10 being called as a witness and being duly sworn upon his  
11 oath, testified as follows, to-wit:

12 DIRECT EXAMINATION

13 BY MR. MOTE:

14 Q Will you please state your name and by  
15 whom employed and in what capacity and location?

16 A My name is James Allen. I'm employed by  
17 Amoco Production Company in Houston, Texas as a Regional En-  
18 gineering Supervisor for the Regulatory Affairs Group.

19 Q Have you previously testified before this  
20 Division and are your credentials as an expert in the field  
21 of petroleum engineering a matter of public record?

22 A Yes, sir.

23 Q And are you familiar with the Bravo Dome  
24 Unit Area?

25 A Yes, sir.

Q How many years have you been familiar

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

with Bravo Dome and been working on it?

A Mr. Mote, at least for four years.

Q All right, and the exhibits that you'll be asked to testify concerning in this hearing, were they prepared by you or under your supervision and direction?

A Yes, sir.

Q All right, if you would, go to your first exhibit, which I believe is Exhibit Number Four, and explain, first of all, the incorrect spelling on it, and the rest of the exhibit.

A I think on the copy, the hard copy of the exhibits, that the word "competitive" has been spelled correctly. We did not get it corrected, however, on the slide for presentation today.

This map is -- shows both the major sources and market for carbon dioxide for enhanced oil recovery projects.

If you will note, in southwestern Colorado there is a McElmo Dome, which I believe is operated by Shell.

In southeastern Colorado, or south central is Sheep Mountain, operated by ARCO.

You'll note in west Texas the Val Verde Basin. I might point out that the CO2 source in Val Verde Basin is different than the other three sources which I will mention in that the CO2 here is primarily a waste product from hydrocarbon gas, or that it's taken from gas sweetening

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

plants.

The fourth major source of CO<sub>2</sub>, of course, is Bravo Dome in northeastern New Mexico.

Q So Bravo Dome has three separate competitive sources of gas for the use of enhanced oil recovery in the Permian Basin, is that correct?

A Yes, it is competing with the other three sources and, as shown on this map, it is the only major source of CO<sub>2</sub> in the State of New Mexico.

Q All right, how are you going to get the CO<sub>2</sub> from these various reservoirs, these various sources, to the Permian Basin for use in enhanced recovery?

A All right, sir, it's my understanding that from McElmo Dome, that the Cortez Pipeline is either already completed or shortly is to be completed, transporting CO<sub>2</sub> from the McElmo Dome to west Texas.

The Sheep Mountain project is already completed and I failed to mention that in the McElmo Dome that pipeline has a published capacity of 650-million cubic feet a day with, I understand, the ability increase that capacity up to a billion cubic feet a day.

In the Sheep Mountain, that line is completed. It has a stated capacity ranging from 330-million to 500-million cubic feet a day.

The Val Verde Basin Pipeline, which is operated, I believe, by Chevron and supplies primarily the SACROC Unit, there may be several others --

1  
2 Q So you have three different pipelines  
3 that are going to be taking gas from various areas to the  
4 same similar source in Texas to use in enhanced oil recovery  
5 in the Permian Basin, is that correct?

6 A That is correct. Now the pipeline from  
7 McElmo Dome, Sheep Mountain, and the recently announced  
8 pipeline from Bravo Dome, will all three terminate in the  
9 Denver City, Texas area in west Texas.

10 Q Okay, is the Bravo Dome Carbon Dioxide  
11 Unit the only -- or that area, is that the only area of car-  
12 bon dioxide that's known within the State of New Mexico, as  
13 far as you know?

14 A Yes, sir.

15 Q Is Bravo Dome currently producing any  
16 amount of CO2 to market?

17 A Yes, sir, at the current time CO2 is  
18 being produced from the Bravo Dome Carbon Dioxide Gas Unit.  
19 It's being delivered through Amerada Hess' sixteen mile,  
20 what is commonly referred to, I think, as a Rosebud lateral.  
21 It ties into the Sheep Mountain Pipeline and terminates in  
22 west Texas.

23 The --

24 Q Is that where the CO2 that's now being  
25 produced from Bravo Dome is being delivered in the vicinity  
of Denver City?

A Yes, sir.

Q All right, let's go to the method by

1  
2 which Bravo Dome CO2 is being delivered into the Permian  
3 Basin.

4 Now tell us about the Bravo Pipeline, as  
5 much as you know about it.

6 A I believe that on July the 3rd that it  
7 was announced that the Bravo Pipeline would commence con-  
8 struction. It would be taking gas from the tailgate of our  
9 existing conditioning plant in the southeastern quadrant of  
10 the Bravo Dome Unit, and again will terminate in the vici-  
11 nity of Denver City, Texas.

12 Q Is it a common carrier pipeline?

13 A It's my understanding it is, yes, sir.

14 Q All right, continue.

15 A I understand that the project construction  
16 commenced on July the 9th, 1984; projected completion date  
17 is November the 1st of 1984.

18 When completed, the pipeline will be some  
19 210 to 220 miles in length, with approximately 20-inch -- I  
20 guess it is 20-inch pipe. The initial capacity is 400-mil-  
21 lion cubic feet a day with the ability to increase that ca-  
22 pacity to 700.

23 Q When is the first time gas through this  
24 pipeline is slated to be used in the Permian Basin?

25 A In the fourth quarter of 1984.

Q All right, let's go to your Exhibit Num-  
ber Five. Tell us about this exhibit, Mr. Allen.

A Exhibit Number Five is a map of the Bravo

1  
2 Dome Carbon Dioxide Unit. It is the same base map that Mr.  
3 May used, although the unit outline, or the outer boundary  
4 of the unit outline is not highlighted on this map.

5 This is the status of development within  
6 the unit boundary at the date of unitization, being November  
7 the 1st, 1980.

8 Q How many wells are completed in there, do  
9 you know?

10 A The red dots indicate the wells that were  
11 completed as of that date on this map. There are 35 such  
12 wells.

13 There are two that I would like to -- two  
14 areas which really stand out. They look like almost a big  
15 blob right in here. The reason for this is there's actually  
16 three wells in those locations.

17 Q What were those three wells used for?

18 A Those wells were used to run some flow  
19 tests, primarily, to help us gain reservoir engineering pro-  
20 perties, parameters.

21 Q Now, are those shown by arrows on the  
22 hard copy in the brochure that's been handed out?

23 A Yes, sir, I can identify the wells which  
24 were used in these flow tests.

25 One is in Township 20 North, Range 31  
East, Section 23. I believe it's located here on the map.

The other two wells were located in Range  
-- Township 19 North, Range 33 East, Section 3, which is one

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

of the larger areas, here.

And the third location where the flow tests were run, of course, is in Township 20 North, Range 34 East, Section 36.

Q How many of the wells that were drilled as of the effective date of the unit have turned out to be dry holes?

A Excuse me, you say -- would you repeat that question?

Q How many nonproductive wells had been drilled as of the date of the unit?

A As of the date of the unit?

Q Yes.

A There were three.

Q What was the purpose for the flow tests from these three areas that you've just discussed?

A Well, the main purpose was to develop, primarily to develop and obtain geological and engineering data which will better help us define the optimum reservoir development pattern within the unit on a unit-wide basis.

Q Okay, let's go to Exhibit Number Six. Tell us about this exhibit, Mr. Allen.

A Exhibit Six is the same base map as the other maps of the Bravo Dome Carbon Dioxide Unit we have shown on previous exhibits. This is the status, or well status, within the Bravo Dome Carbon Dioxide Unit as of July the 15th, 1984.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Q How many wells does this show completed, Mr. Allen?

A There have been 304 wells that have been completed since the unit -- since -- well, there have been 269 additional wells drilled since unitization. There's a total of 304 wells have been completed.

Q And how many -- do you show plugged and abandoned wells on this exhibit?

A I believe they are highlighted. They would be hard to -- to pull out of this exhibit, Mr. Mote.

I've noticed they've used three different color codes. The red dots shown on this map indicate the wells that were completed as of the effective date of the unit. They are the same wells that were located on the previous exhibit.

The green dots, and unfortunately the green and blue don't stand out very well on this slide, are the wells which are completed as of this date or as of July the 15th.

The blue, or the wells indicated with the blue dots, are the wells that will be drilled in 1984.

Q How many of those have been authorized by Amoco but are not yet drilled?

A Thirty-one wells.

Q That's in addition to 304 that's already completed.

A Yes, sir. No, I believe that includes

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

the -- that is correct.

Q All right, I believe you've already said there were fourteen plugged and abandoned wells shown on this exhibit, did you not, or did you get that number?

A Yes, sir.

Q How about salt water disposal wells? How many salt water disposal wells are shown in the exhibit?

A There are two salt water disposal wells within the Bravo Dome Carbon Dioxide Unit.

Q Locate those for us on the map.

A All right, sir. One is -- is located in Township 20 North, Range 31 -- 34 East in Section 36, and I believe it's located in this area. This well was previously used as a monitor well during an interference testing.

The second salt water disposal well is located at the conditioning plant. It's in Township 19 North, Range 34 East, in Section 26.

Q You've already talked about the three wells that were used for short term flow tests. Does this also show the wells that were used in connection with long term flow tests?

A The hardbound copy of exhibits do indicate those wells that were used in the flow tests. They were not put on the slides since they would have covered up so many of the other -- the other wells.

They're highlighted by red arrows on the hardback copy of the exhibit.

1  
2 Q All right, tell us where those wells that  
3 were used for long term flow tests are on this map.

4 A All right. One of the -- of course, as I  
5 noted earlier, there were three that were conducted prior to  
6 unitization in these three locations.

7 The location in Section 31 -- excuse me,  
8 in Section 3, which I believe is this location, was used in  
9 the long term flow test which was conducted after the date  
10 of unitization.

11 I'll just read the locations into the re-  
12 cord of the four wells which were utilized. They're rather  
13 hard to spot from this distance.

14 One is in Township 19 North, Range 33  
15 East, Section 3; and Township 19 North, Range 34 East, Sec-  
16 tion 11; Township 19 North, Range 34 East, Section 20;  
17 Township 19 North, Range 35 East, Section 22.

18 Q What was the purpose for long term flow  
19 tests, Mr. Allen?

20 A The primary purpose of conducting these  
21 flow tests was to determine what long term deliverability  
22 could be anticipated from the wells in the unit.

23 In addition, we hoped to evaluate what  
24 kind of corrosion problems we would encounter when the unit  
25 was on full production.

Q All right. Were the results of these  
long term flow tests discussed at length during the May  
16th, 1984 640-acre spacing hearing?

1  
2           A           Yes, sir, the results were. That was  
3 Case Number 8190.

4                       I might also note that the results of the  
5 earlier three flow tests were presented in Case Number 6823.

6           Q           Okay, how about seismic? Mr. May men-  
7 tioned the seismic. Would you tell us how much seismic has  
8 been run and what the status of that seismic is?

9           A           To date some 600 miles of seismic have  
10 been shot within the Bravo Dome Unit. It is currently being  
11 processed.

12                      In addition, Amoco management has author-  
13 ized an additional 500 miles of seismic lines.

14           Q           Have you made some calculations to deter-  
15 mine if there's any increase in the drilling of the number  
16 of wells since the effectiveness of the unit as compared to  
17 the number of wells that were drilled prior to the unit?

18           A           Yes, sir, it comes out to be about 768  
19 percent increase.

20           Q           What will dictate further development in  
21 this unit?

22           A           Primarily further development within the  
23 Bravo Dome Unit is going to be dictated on the market demand  
24 and it would best be made, I believe, in stages as the mar-  
25 ket develops.

26           Q           Are you also going to drill some wells  
27 for planning purposes or continued evaluation of this reser-  
28 voir?

1  
2           A           Yes, sir. In the near term future I  
3 think that we will see additional drilling, not only probab-  
4 ly in the area which has been developed, but we will see  
5 drilling in the north and western portions of the unit, and  
6 this drilling will be done for planning and development pur-  
7 poses.

8           Q           All right, let's go to your next exhibit,  
9 Mr. Allen, Exhibit Number Seven.

10                    Tell us about this exhibit.

11           A           All right, sir. This is the same base  
12 map as we've been using on the previous exhibits. We have  
13 shown here the gathering systems from the producing wells to  
14 the conditioning plant site.

15                    We've highlighted the two systems using  
16 two different colors.

17                    The system in the northeast section,  
18 colored in red, is what we refer to as the Phase I, or the  
19 -- and the system which has been completed to date.

20                    In green is the Phase II development  
21 area, which is currently under construction.

22           Q           When was this gathering system initiated?

23           A           I might, well, I note on the Phase I, or  
24 the red system, that construction commenced in June of 1983  
25 and was completed in December. It consists of some 50 miles  
of pipeline and gathering system.

                  The objective of the Phase I development  
was to develop and deliver 86-million cubic feet a day to

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

the Sheep Mountain Pipeline via the Rosebud lateral.

Q How many miles of pipeline are in Phase, the first phase of the gathering system?

A In the first phase there are fifty miles.

Q And 50 wells in that Phase I are connected up now?

A That is correct.

Q How many of those 50 wells are now producing, as far as your information, into the system going to the Denver City area?

A There are 26 wells active.

Q What is the average daily production rate of that existing production?

A At the current time the average daily production from that area is 26-million cubic feet a day.

Q All right, you also talked about Phase II. I believe that's the green color?

A Yes, sir, it is.

Q How much is that designed to gather?

A The objective of Phase II is to develop an additional 250-million cubic feet of gas a day to be delivered to the Bravo Pipeline.

Q When was that gathering system commenced?

A It was commenced, I believe, in March of 1984. We anticipate completion by November and when that Phase II is completed, there will be some 180 miles of gathering system of which 60 has -- 60 miles has already

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

been completed.

Q All right, give us a total amount of Phase I and II. How many total miles are included in the exhibit showing gathering lines?

A When Phase I and -- well, when Phase I and II both are completed, the gathering system will consist of some 230 miles of pipeline, sizes ranging from 4-inch up to 28-inch. There will be 228 wells connected to the system.

Q All right, what will be the total cost of capital expenditures that has been spent upon the completion of Phase II?

A That cost, as close as we can figure at this time, will be \$150,000,000.

Q And that's capital expenditures going into that --

A That is capital expenditures only, yes, sir.

Q All right, let's turn to your Exhibit Number Eight.

Explain this exhibit to the Commission.

A Exhibit Number Eight is a tabulation intended to show the drilling activity and production activity within the Bravo Dome Unit.

We have shown this by years, 1980 being the year that the unit became effective.

The first column, the Annual Well Count,

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

is the number of wells which were drilled and completed during that particular year.

The next column, the Cumulative Well Count, indicates the number of wells which existed and were completed at year end.

The following column, and I'll note that Sales, the word "sales", should be replaced by Production on this exhibit.

Q The hard copy has been changed.

A The hard copy has been changed to show that this is CO2 production.

If you will note here, production commenced in March of 1984 with 31-million cubic feet. This represents the volume of gas necessary to pack the Rosebud lateral.

Actual sales from the unit itself commenced on April the 2nd of 1984.

I would also like to note that the numbers shown as production were taken from the Commission Form C-115.

Q And you show some 2.7 Bcf actually having been sold as of June, 1984, correct?

A That is correct.

Q All right, let's go to your Exhibit Number Nine.

What's this exhibit, Mr. Allen?

A Exhibit Number Nine, we have taken the

1  
2 base map of the Bravo Dome Carbon Dioxide Unit and we have  
3 indicated, using the heavy green and orange outlines, the  
4 spacing patterns that were adopted by Commission Order R-  
5 7556.

6 It is noticed the majority of the unit in  
7 the dark green is on 640-acre spacing pattern. The area in  
8 the southwest quadrant, 160 -- is on statewide 160-acre  
9 spacing pattern.

10 Q That looks like 60 but it's really 160.  
11 It's almost got the number one hid on that.

12 A Yes, sir, on the slide it's very diffi-  
13 cult to see the 1, but that is 160 and not 60.

14 Q What are the advantages of 640-acre spac-  
15 ing, Mr. Allen?

16 A One of the biggest advantages of 640-acre  
17 spacing is that it allows Amoco to continue to develop on a  
18 640-acre basis within the unit area. It provides for an or-  
19 derly and efficient development in this manner, and at the  
20 same time it provides a mechanism whereby we can protect  
21 correlative rights of both committed and noncommitted royal-  
22 ty interest within the Bravo Dome Unit Area.

23 The adoption of the 640-acre spacing has  
24 eliminated the need to drill a lot of unnecessary wells for  
25 the sole purpose of protection of correlative rights when  
they do not develop any additional reserves.

At the same time it has eliminated the  
concentrated use of surface acreage. It will continue to

1  
2 encourage a wider development of drilling within the unit  
3 area, which helps us prove up the entire unit at an earlier  
4 date.

5 Q All right, now with regards to 160-acre  
6 area, what's Amoco's plans for that area?

7 A We will continue to evaluate that area as  
8 additional drilling and geological data becomes available  
9 and some production data becomes available.

10 Q Is there some possibility that we may  
11 still need 640-acre spacing in that area?

12 A Yes, sir, there is.

13 Q And as your studies continue and your en-  
14 gineering and production data is accumulated is it possible  
15 you may come back to this Commission and ask for 640-acre  
16 spacing for that area, as well?

17 A That is possible, yes, sir.

18 Q All right. Now with regard to operations  
19 or plans by Amoco from the unit standpoint, what are the ad-  
20 vantages of unit operation, Mr. Allen?

21 A There's numerous advantages of unit oper-  
22 ations. I'll just point out a few.

23 One of the more obvious, I think, is that  
24 under a unit operation it does allow for central facility  
25 design capability and thereby it eliminates the need for a  
large number of individual lease surface facilities being  
constructed. Operating under a unit basis with less facili-  
ties like this will reduce operating expenses. That in turn

1  
2 will result in a longer economic well life and it will maxi-  
3 mize carbon dioxide recovery.

4 In addition, by operating on a unit basis  
5 the gathering systems will us to bring any water produced to  
6 a central point where it can be disposed of. This elimin-  
7 ates a large number of salt water or produced water holding  
8 tanks throughout the unit area. It permits us to use under-  
ground disposal as opposed to hauling it out by tank truck.

9 Q In your opinion does unit operation allow  
10 the more expedient and efficient development of CO2 reserves  
11 in this area?

12 A Yes, sir.

13 Q All right, in your opinion, Mr. Allen, do  
14 operations in the Bravo Dome Unit result in the prevention  
15 of waste and the protection of correlative rights on a unit  
basis?

16 A In my opinion, yes, sir.

17 MR. MOTE: That concludes our  
18 testimony from this witness and we offer Exhibits Four  
19 through Nine, inclusive, into evidence and tender the wit-  
20 ness for cross examination.

21 MR. RAMEY: Exhibits Four  
22 through Nine will be admitted.

23 Are there any questions of Mr.  
24 Allen?

25 He may be excused.

MR. MOTE: We call as our next

1  
2 witness Mr. Navejar.

3  
4 BALDEMAR P. NAVEJAR,  
5 being called as a witness and being duly sworn upon his  
6 oath, testified as follows, to-wit:

7 DIRECT EXAMINATION

8 BY MR. MOTE:

9 Q Would you please state your name, by whom  
10 employed, in what capacity and location?

11 A My name is Baldemar P. Navejar and I'm  
12 employed by Amoco Production Company, currently assigned in  
13 our Bravo Dome Clayton operations.

14 Q And would you please relate your educa-  
15 tional experience to the Commission?

16 A I received a Bachelor of Science in  
17 natural gas engineering from Texas A & I University in May,  
18 1976.

19 Later, in October, 1981 I obtained regis-  
20 tration as a professional engineer in the State of Texas.

21 Q And what work experience have you had  
22 since graduation and before graduation?

23 A Prior to graduation I spent a number of  
24 years working in the oil and gas fields of south Texas as a  
25 roughneck and roustabout.

Later, then, after graduation I spent a  
little over eight years with Amoco Production Company as a

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

petroleum engineer.

Q What are your current duties, Mr. Navejar?

A I am currently the District Foreman of our Bravo Dome Operations Center, which primarily consists of the operations inclusive of the Bravo Dome Unit.

Q And how long have you been actively working with the Bravo Dome Unit Area?

A Since October of 1980.

Q And now your sole employment with Amoco deals with Bravo Dome Unit, is that correct?

A That is correct.

MR. MOTE: Are there any questions concerning this witness to testify as a professional engineer?

MR. RAMEY: No, he is qualified, Mr. Mote.

Q You'll be asked to testify concerning certain schematics and pictures. As far as schematics are concerned, were these prepared by you or under your supervision and direction?

A They were.

Q You'll also be asked to testify concerning certain pictures. Were these -- do these pictures correctly and accurately portray the scene depicted thereon?

A They do.

Q All right, if you would, turn to your Ex-

1  
2 exhibit Number Ten and explain to us what's shown by this ex-  
3 hibit.

4 A This is an aerial photo of a typical  
5 drilling rig used in our 1981 drilling program.

6 The key to the successful development in  
7 any project is the actual drilling. Our Bravo Dome drilling  
8 program consists of setting casing, or surface casing,  
9 rather, at 700 feet. We use a 6 percent mud system, drill-  
ing on down to TD, where we set 7-inch casing.

10 Q All right, go on to your next exhibit,  
11 Exhibit Number Eleven. What -- what's shown here?

12 A This is a slide illustrating construction  
13 of our gathering lines during Phase I. Here we see a 6-inch  
14 line being prepared to be lowered into the ditch to be  
15 backfilled later.

16 To expand on our collection gathering  
17 system, all inclusive of Phase I and Phase II, I would like  
18 to point out that the sizes of our gathering line ranges  
19 from 4-inch to 28-inch; that we provide for a 42-inch cover  
of all our lines.

20 As far as corrosion management, we see  
21 that our pipe has an external coating on it. It is  
22 basically a coal tar coating and as far as the internal  
23 integrity of our pipe, we do provide for injection of  
corrosion inhibitors.

24 All total, we have 50 miles of gathering  
25 lines under Phase I and 180 miles under Phase II.

1  
2 I will point out also that additionally  
3 on our corrosion management we do have sacrificial anodes  
4 stratigically located in the lower areas to minimize exter-  
5 nal corrosion.

6 Q All right, let's go to your next exhibit,  
7 Exhibit Number Twelve. Tell us what we have here, Mr. Nave-  
8 jar.

9 A This slide basically graphically illus-  
10 trates the layout for our Bravo Dome Unit Facility.

11 I'll start from the left and move to the  
12 right. We see our electrical substation area. Immediately  
13 north of that we have our salt water disposal well. Moving  
14 right we see the area designated as our Phase I Facility De-  
15 velopment Area. Immediately below that we see the desig-  
16 nated area in a dashed line for Phase II Facility develop-  
17 ment, which is currently under construction.

18 Above that we see a smaller square kind  
19 of in the center of the slide which is our control building.  
20 North of that we have our field office and coming back down  
21 to the center of the slide we see that we do have two fresh  
22 water wells serving the facility here, and this is directly  
23 offsetting State Highway 65.

24 Q All right, go on to your next exhibit.  
25 What do we see in Exhibit Thirteen, Mr. Navejar?

A Basically a pictorial representation of  
the layout we previously discussed.

Starting in the center of the slide on

1  
2 the left side you see the on-going construction of the Phase  
3 II Compression Dehydration Facilities.

4           Moving toward the center, right here, is  
5 the compressor building.

6           Moving forward you see the vessels for  
7 cooling and dehydration of our CO2 gas.

8           Moving over we see our field office and  
9 just west of that is our microwave tower.

10           This is a picture taken right off State  
11 Highway 65.

12           Q           All right, let's go on to your next exhi-  
13 bit. I believe this is Exhibit Number Fourteen. Tell us  
14 what you show by this exhibit.

15           A           A graphical representation of our Phase I  
16 Facility layout.

17           We have two major trunk lines coming into  
18 our facility. We call them Leg One and Leg Two, bringing in  
19 the gas from 50 wells. We basically extract the water  
20 through our scrubbers and we go into three phases of com-  
21 pression in bringing the field pressure from 150 pounds up  
22 to what is currently running 1800 pounds.

23           The gas is also conditioned by three  
24 stages of cooling and dehydration and three stages of separ-  
25 ation, as I previously mentioned.

          After the gas is -- has seen its third  
stage of compression it's ready for metering. We then send  
it down the Rosebud lateral and on to the ARCO Sheep Moun-

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

tain line.

Q When was construction started on this Phase I?

A March of 1983.

Q And is it now completed and on line and producing gas?

A Yes, sir, it is completed and operational. We have 26 wells active at this time.

Q When did the gas sales commence, Mr. Navejar?

A April 2nd, 1984.

Q And what is the average daily volume that can be driven through that facility?

A The total capacity of the facility is 86-million cubic feet per day. We are currently averaging 23 to 26-million cubic feet per day.

Q It's really just a function of demand, is that correct?

A That is correct.

Q All right, let's go to your next exhibit, Exhibit Fifteen. What do we have here, Mr. Navejar?

A This is a front view of our Phase I Compression Dehydration Facilities. The subsequent slides will give you a little bit better view of the actual facilities themselves, but I do want to draw some attention to this flag here. You cannot really distinguish what it has on there, but that is a "3" and that represents our safety record.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

We've actually earned a record of three years, no lost time, no accidents, no first aid.

Q Okay. Go on to Exhibit Number Sixteen. What does this show?

A This is a close-up view of our Phase I facilities.

I will start in the center of the slide and move from left to right and I'll basically describe some of the vessels we use for cooling and dehydration of our CO2 gas.

Here we have our second stage cooler. As we come up here we have our first stage, or inlet scrubber, where we drop out our water.

We have our third stage cooler here.

This silver tower here is our glycol contactor.

Our second stage scrubber, as well. I might note that after the second stage of compression everything goes to stainless steel and this cylinder tank here is 1000-barrel water storage tank.

Down over here we see our electrical substation.

Q All right, go on to your Exhibit Seventeen. What do have here, Mr. Navejar?

By the way, is this picture reversed from what's in the book?

A The slide is correct but the prints in

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

the book will be reversed.

Q Okay. Tell us what you show with this.

A We are now actually in the compressor building. Here is our control panel. Here is the inlet to our second stage pulsation bottle.

These pulsation bottles help keep the noise level down in our compressor building. The noise level, I will add, in the building is roughly 85 decibels.

This is our second stage compression cylinder.

We move on to our third stage pulsation bottle; third stage compression cylinder.

Q All right, go to Exhibit Eighteen. What do we have here?

A I wanted to point out the electric motors we need to drive these large compressors. We have three 6000 horsepower motors which drive these compressors. It requires 13.8 KV's to run these motors. When you start them up they draw roughly 900 amps. When they're fully loaded they run or require about 150 amps and when they're idling, about 50 amps.

Q All right, go on to your Exhibit Nineteen. What do we have here?

A This is now in our control building. This is our annunciater (sic) panel and control panel. This lighted panel basically shows the various points we're monitoring in the plant, our compressors to our coolers, to

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

the temperatures, also to the scrubbers, and the glycol.

As we move on down this little red button there is a kill switch for the plant. If we ever have an upset we go ahead and shut it down there.

Moving down we have some pressure monitors here for our compressors, basically.

Moving further down here we've got our CO2 monitors. In the event we ever had a leak these monitors will alert us to that.

Further down on this control panel we see our moisture analyzer. I might add that the specifications for our CO2 for market require no more than 12 pounds per million water content and we're actually running 5 to 6 pounds.

Q All right, let's go on to your Exhibit Number Twenty. What do we have here?

A This slide illustrates some of the breakers we have in our electrical substation. Basically, we bring in 115 KV power into this station, transform it down at 13.8 and then we bring it on down to 480 volts for our auxiliary power needs.

Q All right, Exhibit Twenty-one, what is it?

A This building here is our sales meter shed. We've got our conditioned gas coming into a sales meter here and after it's metered it is going on down to the Rosebud lateral and on to the ARCO Sheep Mountain line.

1  
2 We do have two microprocessors in there  
3 and we do have temperature control in here.

4 Q What are those things sticking up on top  
5 of the shed, Mr. Navejar?

6 A These are solar panels. The microproces-  
7 sors we have in there are run by DC current through our bat-  
8 teries and the batteries are basically kept charged up with  
9 our solar panels.

10 Q Okay, go to your Exhibit Number Twenty-  
11 two. What do we have here?

12 A This is a graphical representation of the  
13 typical well configuration. I will not elaborate on all the  
14 points illustrated on this graph, but I will touch on some  
15 of the points that we do monitor through our automation tel-  
16 emetry system.

17 I will start at the well here. We do  
18 monitor our casing. Any time we see a pressure indicated  
19 here in excess of 30 pounds, that will give us an alarm sta-  
20 tus and we check for a tubing leak or a packer leak.

21 Moving on, this transmitter here is our  
22 pressure transmitter indicating our tubing pressure.

23 This item number three here is a Janes-  
24 berry (sic) three inch actuated valve.

25 We have direct control on our wells on  
demand to open or close, the well status.

As we run along here, this is our meter  
run. Here we measure the upstream and downstream pressure.

1  
2 We call it our differential pressure. That is one of the  
3 points that we would need for our calculating of gas vol-  
4 umes. We also monitor our static pressure leaving the ori-  
5 fice plate at that point and our temperature transmitter  
6 here.

7           These two valves here allow for hookup  
8 for individual well tests to allow us to get a good measure-  
9 ment on water volumes.

10           Toward the upper portion of the slide we  
11 see our RTU. That stands for Remote Terminal Unit and its  
12 antenna. We basically scan these points, draw the data,  
13 convert it into radio waves. The radio tower will then com-  
14 municate with our microwave system, which will then be able  
15 to communicate with our field computer and run the calcula-  
16 tions.

17           Q           So what you've shown here shows that you  
18 can control most of these things from your control panel at  
19 your central facility, is that correct?

20           A           All these points are monitored and/or  
21 controlled through our automation system on a demand basis.

22           Q           Okay. Would you consider this a state of  
23 the art measurement communication system?

24           A           Without any question. If I may, I'd like  
25 to point out some of the advantages of our automation tele-  
metry system.

          From an accuracy standpoint we will be  
scanning and running calculations on the volume of CO2 being

1  
2 processed through each one of our individual wells on a five  
3 minute interval and we can also draw information on the sta-  
4 tuses of any well on a demand basis. The reliability is al-  
5 so an advantage from the standpoint that it is not as ad-  
6 versely impacted by weather conditions.

7 As we've talked about, we do have imme-  
8 diate access both to well, individual wells, and gathering  
9 system.

10 Q So if something happens out there, you'd  
11 know about it almost instantaneously.

12 A Yes, sir. One last advantage would be,  
13 of course, the immense storage capacity of our computer for  
14 historical production data.

15 Q Okay. Go on to your Exhibit Number  
16 Twenty-three. What do we have here?

17 A A pictorial -- this slide is a pictorial  
18 representation of our typical wellsite. Again, this is our  
19 mast, we've got our antenna and our solar panel, which again  
20 powers or maintains the charge in our batteries in our RTU  
21 Unit located right here.

22 Here are the valves to hook up when we  
23 take our individual test. These blue points here are the  
24 scanning points in our transmitters. Down toward the very  
25 bottom here we've got our Murphy switch where we monitor our  
casing pressure.

26 We do have the well enclosed with this  
27 steel pipe panels and as you can see, we've got good growth

1  
2 of the native grasslands here reestablished, and really you  
3 can see minimal damage left after we've fully completed the  
4 well.

5 Q I notice cows right around that. Is that  
6 unusual or is that the usual situation?

7 A No, sir, we, well, we could see that  
8 they're grazing very pleasantly around our well.

9 Q Doesn't seem to bother them very much,  
10 does it?

11 A It doesn't appear to.

12 Q All right. Let's go to your Exhibit Num-  
13 ber Twenty-four. What's this?

14 A Again, another typical wellsite. We see  
15 good regrowth of the native grasses around here. It does  
16 look quite parched there, though. They're not as green as  
17 we'd like to have them out there.

18 Q But I would like to note in the back-  
19 ground we do have the Southwest Electric Co-op line coming  
20 into and feeding and serving the plant.

21 Q All right, go to your Exhibit Twenty-  
22 five. What's this, Mr. Navejar?

23 A This is actual reseeding operations that  
24 were initiated in May of 1984. We initiated a program which  
25 provided for the re-establishing of the native grasses on  
our right-of-ways and individual locations for Phase I and  
we primarily chose the time where we have the best rainfall  
in the year, which is between late May and early July, as I

1  
2 understand.

3                   To give you some statistics, we reseeded  
4 a total of 196 acres. The hydromulch process, the -- con-  
5 sisted of a grass mixture of 50 percent blue grama, 20 per-  
6 cent buffalo grass, and 30 percent side oats grama, and we  
7 basically end up spraying a ton of mulch per acre, and this  
8 is the actual process where they're spraying it on the  
right-of-ways.

9                   Q           What is the composition of the mulch?

10                  A           Could you rephrase the question?

11                  Q           What is it you're spraying here on the  
12 right-on-way?

13                  A           What we do is mix our seed with water and  
14 a tackifier (sic). that tackifier gives it more or less a  
15 cohesive property so it will stay on any surface that you  
spray it on.

16                  Q           And what's the composition of grasses  
17 that you put in, or do you know?

18                  A           The actual grass mixture are native gras-  
19 ses and we use 50 percent blue grama, 20 percent buffalo  
20 grass, 30 percent side oats grama.

21                  Q           All right, go to your next exhibit. Is  
22 this a picture after you've reseeded it?

23                  A           Yes. It may be a little bit hard to dis-  
24 tinguish but you can depict that this is an area that is un-  
25 seeded right inside the wellsite and you can see more or  
less where the right-of-way for the gathering line came in

1  
2 and what it looks like after we've reseeded.

3 Now, this is when we finished spraying  
4 this area with our hydromulch process, or reseeded it.

5 Q All right, now go on to your Exhibit  
6 Twenty-seven. What do we have here, Mr. Navejar?

7 A The heart of our automation system lies  
8 with this computer here. This a Perkin Elmers 816 Series  
9 Computer Processor. It basically has two Diablo disc drives  
10 with 64K storage capacity. It is powered through our UPS  
11 system, which stands for Uninterrupted Power Source, through  
12 direct current.

13 That also provides for control on any  
14 fluctuation or surges in power.

15 Q All right, go on to your Exhibit Twenty-  
16 eight. What do we have here?

17 A Exhibit Twenty-eight is a graphical re-  
18 presentation of the Phase II Compression Dehydration Facil-  
19 ity layout.

20 Toward the lower portion of this slide we  
21 have three lines coming from the westerly direction and two  
22 additional lines coming in from the southerly direction of  
23 this slide.

24 We have a total of five major gathering  
25 legs, or lines, if you would have it, coming in for and col-  
lecting the gas into the Phase II plant.

Here again we will condition the gas and  
make it ready for market.

1  
2 We have six 8000 horsepower compressors.  
3 We will compress our gas in three stages. We will bring in  
4 the gas from the field at 150 pounds and compress it to 2400  
5 pounds. That is the design capacity as far as the discharge  
6 of our gas.

7 At early start up we feel that we will be  
8 discharging our gas at roughly 1800 pounds.

9 We also have the same three stages of  
10 cooling and we also will require dehydration of our gas.  
11 Once the gas is conditioned it will be ready for metering  
12 and then discharged to the Bravo Pipeline.

13 Q When was work commenced on this facility?

14 A Work was initiated in March of 1984.

15 Q When do you expect it to be completed and  
16 on line?

17 A November of 1984.

18 Q What's supposed to be the total capacity  
19 of Phase I and Phase II simply considering the gas proces-  
20 sing after they're completed?

21 A Phase II itself will have a capacity of  
22 250-million cubic feet per day, so when you combine Phase I  
23 and Phase II we will actually have 836-million cubic feet of  
24 gas capacity per day.

25 Q All right, let's go to your Exhibit  
Twenty-nine. What's this, Mr. Navejar?

A This is a slide depicting early construc-  
tion of our Phase II pressure dehydration facilities.

1  
2                   What you see in the background here is  
3 the ironworkers preparing for the pouring of our concrete  
4 blocks for our compressors.

5                   In the background here you see our Phase  
6 I compressor building and our utility building here.

7                   Q           All right. Go to your next exhibit. I  
8 believe that's Exhibit Number Thirty. What do we have here?

9                   A           We wanted to give you an overview of the  
10 status of ongoing construction on Phase II conditioning fa-  
11 cilities.

12                   Here we see our coolers. We move to the  
13 center of the slide we see our glycol contactors, a scrubber  
14 here, and we've got our compressors mounted on the concrete  
15 foundations.

16                   Q           All right, how about Exhibit Thirty-one?

17                   A           A closer view of the ongoing construc-  
18 tion. Here again the cooler. We've got a scrubber here,  
19 our glycol contactors, and the additional scrubbers here.

20                   Q           All right, Exhibit Number Thirty-two?

21                   A           Another close up. We primarily wanted to  
22 illustrate here the compressor again and you can almost de-  
23 pict the motors being mounted on these compressors. Again,  
24 these will be six 8000 horsepower compressors.

25                   MR. MOTE: Mr. Chairman, this  
26 completes the testimony of this witness and we offer Exhi-  
27 bits Ten to Thirty-two into evidence, and tender the witness  
28 for cross examination.

1  
2 MR. RAMEY: The Exhibits Ten  
3 through Thirty-two will be admitted.

4 Are there any questions of the  
5 witness?

6 Mr. Navejar may be excused.

7 Anything further, Mr. Mote?

8 MR. MOTE: This completes our  
9 case, Mr. Ramey.

10 MR. CARR: May it please the  
11 Commission, we have a brief closing statement.

12 MR. RAMEY: Does anyone else  
13 have anything to present in Case 8289?

14 All right, Mr. Carr.

15 MR. CARR: May it please the  
16 Commission, as you are aware, in 1980 and '81 you approved  
17 the unit agreement for the Bravo Dome Carbon Dioxide Gas  
18 Unit.

19 Under your continuing jurisdic-  
20 tion over this unit you entered Order R-6446-B, which con-  
21 tained findings that the unit operator should periodically  
22 be required at a public hearing to demonstrate to the Com-  
23 mission that it's operations within the unit are resulting  
24 in prevention of waste and the protection of correlative  
25 rights on a continuing basis.

We are here today to comply  
with that provision of Order R-6446-B.

This is an appropriate time for

1  
2 Amoco to come in and review its activities. Phase I gather-  
3 ing systems have been completed. Phase II are under con-  
4 struction. The compression and dehydration facilities are  
5 complete for Phase I and sales from the unit have recently  
6 commenced.

7 Amoco has presented here today certain  
8 geological testimony which shows the structure as we under-  
9 stand it to be in the Bravo Dome, depicting the faults as we  
10 understand them to be, and also shows the wells in the unit.  
11 We've noted those wells that are for various reasons noncom-  
12 mercial.

13 We've also reviewed what on-going efforts  
14 are being made by Amoco to establish reservoir limits.  
15 We've emphasized the seismic work that is on-going at this  
16 time; noted the additional core data which we are reviewing  
17 and referenced the continuing efforts we are making to im-  
18 prove completion techniques.

19 Our geological presentation simply shows  
20 that it's too soon to redetermine the outer boundaries.

21 We've presented engineering testimony.  
22 Mr. Allen came before you and presented the general --  
23 general background information on CO2 development in the  
24 area, noting other sources of CO2, existing transportation  
25 facilities, and the market conditions.

He then reviewed what has been done by  
Amoco during the first four years under unit development.

On November 1, 1980 there were 35 wells

1  
2 in the unit area. Today there are 304. This is an increase  
3 of 768 percent.

4 We have constructed processing facilities  
5 to dehydrate and compress the CO2. We have drilled and com-  
6 pleted salt water disposal wells; completed over 600 miles  
7 of seismic work; authorized now and undertaking 500 addi-  
8 tional miles of seismic work and have conducted flow tests  
9 within the unit area.

10 We continue to develop this unit. Our  
11 plans for 1984 include the drilling of an additional 31  
12 wells and, as Mr. Allen testified, our drilling will include  
13 additional wells in the north and western portions of the  
14 unit for planning and development purposes.

15 We also noted that capital expenditures  
16 through Phase I will total in excess of \$150,000,000.

17 He then referred -- reviewed the benefits  
18 which come from development under a plan of unitization,  
19 noting that Amoco has been able to develop the area with  
20 central facilities; has been able to reduce its operating  
21 costs and there has been reduced opportunity for surface  
22 waste.

23 We submit that unit operation as shown by  
24 the presentation here today has resulted in a expedient and  
25 efficient development of CO2 in the Bravo Dome.

Mr. Navejar took us on a tour of the  
unit. He showed you current facilities, which we submit are  
truly state of the art.

1  
2 He reviewed the construction that is un-  
3 derway and you showed you individual wellsites and reviewed  
4 the efforts made by Amoco to maintain and restore the sur-  
5 face.

6 He also showed you what is being done in  
7 Phase II to meet future demands for CO2.

8 We are here today pursuant to the call of  
9 this case to show that we have operated this unit so as to  
10 prevent waste and protect correlative rights.

11 We have reported to you on the current  
12 status of the unit and submit we have shown we are meeting  
13 our duty to all interest owners in the unit and diligently  
14 develop the unit area throughout the unit, to market the  
15 gas, and protect the surface estate.

16 We submit that correlative rights are  
17 being protected. Correlative rights is defined as the op-  
18 portunity provided to each owner in a pool to produce so far  
19 as is practicable to do so without waste his just and fair  
20 share of those reserves.

21 It talks in terms, the statute talks in  
22 terms, however, of affording each interest owner the oppor-  
23 tunity to produce his just and fair share of those reserves.  
24 Interest owners in the Bravo Dome area voluntarily committed  
25 their lands to a unit to avail themselves of this opportun-  
ity and through unitization are producing and receiving pro-  
ceeds from CO2 development. They're receiving these pro-  
ceeds because of the good faith activity of Amoco Production

1  
2 Company as unit operator to explore, develop and sell carbon  
3 dioxide.

4 We submit the record shows that correla-  
5 tive rights are being protected.

6 The record also shows waste is being pre-  
7 vented. Waste is being prevented because through unitiza-  
8 tion we are able to develop this area in a more efficient  
9 manner; that we are developing in the most efficient pos-  
10 sible spacing pattern, thereby preventing underground waste  
11 and economic waste which is the result of the drilling of  
12 unnecessary wells; and we have been able to develop with a  
13 reduced number of surface facilities, thereby preventing  
14 damage and waste to the surface estate.

15 We submit we're meeting our duties to all  
16 owners in the area and are acting as a prudent and respons-  
17 ible operator.

18 We now have reviewed our activities and  
19 submit that the evidence shown entitles us to an order find-  
20 ing that operations within the unit by Amoco Production Com-  
21 pany are resulting in prevention of waste and protection of  
22 correlative rights on a continuing basis.

23 MR. RAMEY: Thank you, Mr.  
24 Carr.

25 Does anyone have anything fur-  
ther in Case 8289?

If not, we'll take the case un-  
der advisement, and I would request a suggested order from

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

you, Mr. Carr, and Mr. Mote.

MR. MOTE: Thank you.

(Hearing concluded.)

## C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY  
that the foregoing Transcript of Hearing before the Oil Con-  
servation Division was reported by me; that the said tran-  
script is a full, true, and correct record of the hearing,  
prepared by me to the best of my ability.

Sally W. Boyd CSR