

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

CASE 10,618, 10,619

EXAMINER HEARING

IN THE MATTER OF:


Application of Siete Oil and Gas Company for  
statutory unitization, Eddy County, New Mexico

Application of Siete Oil and Gas Company for  
approval of a waterflood project, Eddy County, New  
Mexico

TRANSCRIPT OF PROCEEDINGS

**ORIGINAL**

BEFORE: DAVID R. CATANACH, EXAMINER



STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

December 3rd, 1992

A P P E A R A N C E S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

FOR THE DIVISION:

ROBERT G. STOVALL  
Attorney at Law  
Legal Counsel to the Division  
State Land Office Building  
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

PADILLA & SNYDER  
Attorneys at Law  
By: ERNEST L. PADILLA  
200 West Marcy, Suite 216  
P.O. Box 2523  
Santa Fe, New Mexico 87504-2523

FOR SANTA FE ENERGY OPERATING PARTNERS, L.P.  
(Appearance entered - not present herein):

HINKLE, COX, EATON, COFFIELD & HENSLEY  
Attorneys at Law  
By: JAMES G. BRUCE  
218 Montezuma  
P.O. Box 2068  
Santa Fe, New Mexico 87504-2068

\* \* \*

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N D E X

Page Number

Appearances	2
Exhibits	4
GENE SHUMATE	
Direct Examination by Mr. Padilla	7
Examination by Mr. Stovall	24
Examination by Examiner Catanach	25
Further Examination by Mr. Stovall	26
BRUCE USZYNSKI	
Direct Examination by Mr. Padilla	27
Examination by Examiner Catanach	42
ROBERT LEE	
Direct Examination by Mr. Padilla	46
Examination by Examiner Catanach	78
Examination by Mr. Stovall	85
Certificate of Reporter	104

\* \* \*

## E X H I B I T S

1		
2	APPLICANT'S EXHIBITS:	
3	Exhibit 1	8
4	Exhibit 2	15
5	Exhibit 3	15
6	Exhibit 4	15
7	Exhibit 5	20
8	Exhibit 6	21
9	Exhibit 7	22
10	Exhibit 8	22
11	Exhibit 9	23
12	Exhibit 10	23
13	Exhibit 11	23
14	Exhibit 12	17

\* \* \*

15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1           WHEREUPON, the following proceedings were had  
2           at 1:20 p.m.

3  
4           EXAMINER CATANACH: At this time we'll call  
5           Case 10,618.

6           MR. STOVALL: Application of Siete Oil and  
7           Gas Company for statutory unitization, Eddy County, New  
8           Mexico.

9           EXAMINER CATANACH: Are there appearances in  
10          this case?

11          MR. PADILLA: Mr. Examiner, my name is Ernest  
12          L. Padilla, Padilla & Snyder, Santa Fe, for the  
13          Applicant in this case.

14          And I also request that the case for  
15          waterflood, Case 10,619, also be called at this time.

16          EXAMINER CATANACH: At this time we'll call  
17          Case 10,619.

18          MR. STOVALL: Application of Siete Oil and  
19          Gas Company for approval of a waterflood project, Eddy  
20          County, New Mexico.

21          MR. PADILLA: Mr. Examiner, we move that both  
22          of these cases be consolidated for hearing and separate  
23          orders be issued.

24          EXAMINER CATANACH: Okay, Mr. Padilla.

25          Are there any additional appearances in

1 either of these cases at this time?

2 Okay.

3 MR. PADILLA: Mr. Examiner, I believe Jim  
4 Bruce filed an entry of appearance yesterday in this  
5 case. He said he would not be here today but he did  
6 file an entry of appearance.

7 MR. STOVALL: He did not file a pre-hearing  
8 statement. That would have been -- It was just a  
9 written --

10 EXAMINER CATANACH: Yeah, and I saw it --

11 MR. STOVALL: Probably in the case file.

12 EXAMINER CATANACH: Maybe, maybe not.

13 MR. PADILLA: I have a copy of it if you'd  
14 like to see it.

15 EXAMINER CATANACH: Let the record reflect  
16 that Mr. Jim Bruce of the Hinkle firm has entered an  
17 appearance in this case on behalf of Santa Fe Energy  
18 Operating Partners, L.P.

19 MR. PADILLA: Mr. Examiner, I have three  
20 witnesses.

21 EXAMINER CATANACH: Will the three witnesses  
22 please stand and be sworn in?

23 (Thereupon, the witnesses were sworn.)

24 MR. PADILLA: We'll call Gene Shumate at this  
25 time.

GENE SHUMATE,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. PADILLA:

Q. Mr. Shumate, for the record please state your name.

A. Gene Shumate.

Q. Mr. Shumate, are you a petroleum landman?

A. Yes, sir.

Q. And have you previously testified before the New Mexico Oil Conservation Division and had your credentials accepted as a matter of record as a petroleum landman?

A. Yes, sir.

Q. Have you prepared or had compiled under your supervision certain land exhibits for introduction at this hearing today?

A. Yes, I have.

Q. Would you first tell the Examiner briefly what is it that you have compiled in terms of land exhibits?

A. For land exhibits today, we have put together the unit -- proposed unit agreement, proposed unit operating agreement, and various other documents as far

1 as mailings, et cetera.

2 MR. PADILLA: Mr. Examiner, we tender Mr.  
3 Shumate as an expert petroleum landman.

4 EXAMINER CATANACH: Mr. Shumate is so  
5 qualified.

6 Q. (By Mr. Padilla) Mr. Shumate, would you  
7 briefly describe what Siete is seeking by its  
8 Applications here today?

9 A. We're seeking approval for the Parkway-  
10 Delaware waterflood located in Eddy County, New Mexico,  
11 covering approximately 920 acres in portions of Section  
12 26, 35 and 36, Township 19 South, Range 29 East, and  
13 Section 2 of Township 20 South, Range 29 East, Eddy  
14 County, New Mexico.

15 Q. Mr. Shumate, let's get right into the  
16 exhibits and go into Exhibit Number 1 that has been  
17 marked as an exhibit for Siete and have you tell the  
18 Examiner what that is.

19 A. Exhibit 1 is our proposed unit agreement, the  
20 unit operating agreement for the Parkway-Delaware  
21 flood.

22 Q. Now, at the very top of that is a map. Is  
23 that the map of the proposed unit?

24 A. Yes, sir.

25 Q. Is that also the map of the proposed



1 waterflood project?

2 A. Yes, sir, it is.

3 Q. And both have identical descriptions?

4 A. Yes.

5 Q. What follows that map?

6 A. Following it, the map, is a table that lists  
7 each of the tracts, the legal descriptions for those  
8 tracts, the federal or state lease number, record title  
9 holder, the breakdown of the overriding royalty  
10 interest and working interest by tract.

11 Q. Now, the map and this second series of pages  
12 that are labeled Exhibit B, those are really Exhibit A  
13 and Exhibit B to the unit agreement; is that correct?

14 A. Yes, sir.

15 Q. And that lists all the interest owners for  
16 the working or royalty interests --

17 A. Yes, sir.

18 Q. -- and overrides?

19 A. Yes, sir.

20 Q. Okay. Let's go on to the third item in that  
21 exhibit, and tell us what it contains.

22 A. The third item is the unit operating  
23 agreement for the proposed Parkway-Delaware. It  
24 provides for how operations and -- names the operator,  
25 provides for the operations of the unit.

1 Q. Does that define the rights and duties of the  
2 working interest owners in the proposed unit?

3 A. Yes, it does.

4 Q. Does that also identify how costs and  
5 expenses are going to be shared amongst the working-  
6 interest owners?

7 A. Yes.

8 Q. And does that have a procedure for voting in  
9 terms of how -- what is going to be done as far as  
10 operating the unit?

11 A. Yes, sir.

12 Q. Tell us how that currently is going to be  
13 done in terms of voting and that sort of thing and  
14 carrying out certain aspects of the unit and its  
15 operations.

16 A. The unit agreement, as it stands right now,  
17 as proposed, provides for 85-percent approval of the  
18 parties for a new project.

19 That will be amended by the parties. We've  
20 verbally agreed with the major working interest owners  
21 to amend that portion of the agreement.

22 Q. The exhibit here calls for 85 percent?

23 A. Yes, sir.

24 Q. And you've agreed with everyone else to  
25 change that to 65 percent?

1 A. To 65 percent.

2 Q. Does the unit operating agreement also  
3 contain the customary COPAS that is contained in most  
4 operating agreements?

5 A. Yes, sir, it does.

6 Q. And that's the standard COPAS that is used by  
7 the oil and gas industry?

8 A. Yes, sir.

9 Q. What else does that -- the unit operating  
10 agreement have in terms of attachments to it?

11 A. You've got your Exhibit A, which once again  
12 is a breakdown of the working interest owners.

13 Exhibit A-1, which is tract descriptions.

14 Your Exhibit B is an outline of the unit  
15 area.

16 Q. And that's the same thing as the first map;  
17 is that correct?

18 A. Yes, sir, it is.

19 Q. And --

20 A. Your accounting procedures we've previously  
21 discussed, and then your insurance provisions.

22 Q. Does this unit operating agreement contain a  
23 provision for nonconsenting working interest owners?

24 A. Yes, it does.

25 Q. And what -- where is that provision

1 contained?

2 A. That would be Article 11.5.

3 Q. And what does that say?

4 A. It provides for a 200-percent penalty.

5 Q. And is that the maximum allowed by law?

6 A. Yes, sir.

7 Q. And when you say 200-percent penalty, you're  
8 saying proportionate oil costs plus 200 percent?

9 A. Yes.

10 Q. Now, do you have anything further to add to  
11 your testimony concerning the unit operating agreement?

12 A. No, sir.

13 Q. Let's go on now to the final portion of  
14 Exhibit Number 1, which is the unit agreement, and have  
15 you identify for the Examiner the various aspects of  
16 that.

17 And in particular I'd like for you to tell  
18 the Examiner where is contained the vertical limits of  
19 the pool or of the unit. In other words, what  
20 intervals are you going to unitize?

21 A. The unit agreement provides in Article 2 the  
22 depth limitations for the proposed unit, identified on  
23 the electric log of the Osage Federal Number 1, being  
24 50 feet above 3914 feet and 50 feet below 4288 feet.

25 Q. Mr. Shumate, is that generally 50 feet above

1 the Parkway-Delaware Pool and 50 feet below the pool,  
2 as far as you know?

3 A. Yes.

4 Q. Okay. Your geologic witness is going to  
5 testify more concerning the type log and that sort of  
6 thing; is that correct?

7 A. Yes, he will.

8 Q. Where is the tract participation for the unit  
9 agreement or for operation of the unit found in this  
10 unit agreement?

11 A. That would be covered under Article 6, 6.1 in  
12 particular.

13 Q. Can you briefly tell the Examiner how tract  
14 participation will occur, even though your engineer is  
15 going to be more elaborate on that?

16 A. Tract participation, it was jointly done,  
17 Meridian, Santa Fe, Siete, through Platt, Sparks, went  
18 in and picked the different zones, came up with  
19 parameters which each party could agree to, and that  
20 basically was breaking out producing sands to come up  
21 with the participation factors.

22 MR. STOVALL: Mr. Padilla, would you hold on  
23 for a minute here? My exhibit seems to be somewhat out  
24 of -- Do you have all your parts, Mr. Examiner?

25 EXAMINER CATANACH: I'm not sure.

1 MR. STOVALL: Because as I go through my  
2 exhibit, I'm on -- I've got the unit agreement, I've  
3 got the cover sheet --

4 THE WITNESS: Are you missing 3?

5 MR. STOVALL: Article 2, I've got the start  
6 of Article 3, references exhibits, my next page, first  
7 full -- first article that starts the last page is  
8 Article 8.

9 MR. PADILLA: Mine is the same way. is  
10 that --

11 THE WITNESS: Yeah, that's a good copy there.

12 MR. STOVALL: Maybe what we can do is  
13 substitute, make sure we take these out and get them  
14 out of the case file, and we'll use the accurate one  
15 to --

16 Q. (By Mr. Padilla) So there are a number --

17 A. Excuse me.

18 Q. So there are a number of parameters that go  
19 into tract participation; is that right?

20 A. Yes, there are.

21 Q. And that relates to geology and cumulative  
22 production or that sort of thing in terms of how you  
23 ultimately arrived at that, correct?

24 A. Yes, sir.

25 Q. Mr. Shumate, have you had any meetings with

1 the Bureau of Land Management and the New Mexico  
2 Commissioner of Public Lands in terms of getting  
3 approval for this unit agreement?

4 A. Yes, sir, we have.

5 Q. And what has been the result of those  
6 meetings?

7 A. We have received preliminary approval from  
8 both Bureau of Land Management and the State.

9 Q. And that's in the form of Exhibits 3 and 4;  
10 is that correct?

11 A. Yes, sir.

12 Q. I've skipped 2 momentarily, Mr. Shumate.

13 At this time I'd like for you to tell the  
14 Examiner what efforts you have made to obtain voluntary  
15 approval of this unit.

16 A. We have sent out the proposed unit agreement  
17 to all the royalty interest owners and working interest  
18 owners within the proposed unit.

19 Q. And when did you start doing that in writing?

20 A. July of 1992.

21 Q. In July of 1992, did you send to all of the  
22 working interest owners and royalty owners what has  
23 been marked as Exhibit Number 2?

24 A. Yes, sir, we did.

25 Q. And can you tell the Examiner what type of

1 joinder in terms of voluntary joinder you've obtained  
2 since that time, both the working interests and royalty  
3 interests?

4 A. To date we've received 61-percent approval of  
5 the working interest owners.

6 We have approval for the project of 83  
7 percent.

8 Santa Fe has yet to sign the agreement.  
9 We're still negotiating on some major -- minor items,  
10 and we anticipate being able to obtain that approval.

11 Q. Is a representative of Santa Fe present here  
12 today?

13 A. Yes, sir.

14 Q. And you've continued to speak with Santa Fe  
15 in terms of working out the minor problems that you  
16 speak of?

17 A. Yes, we do.

18 Q. Do you anticipate that within six months of  
19 an order by the Oil Conservation Division, that you  
20 will have at least 75 percent of the working interest  
21 owners approve?

22 A. Yes, sir. I really feel like we'll be at  
23 probably be at 95 percent approved.

24 Q. Within six months?

25 A. Within the six months.



1 Q. Are there going to be some other five percent  
2 or so that are not going to approve? Is that what  
3 you're essentially saying?

4 A. We anticipate that probably four or five  
5 percent will not approve the project, for whatever  
6 reason.

7 Q. How about the royalty owners?

8 A. To date we've received 85 percent approval of  
9 the royalty owners within the proposed unit.

10 Q. Is there anywhere where you have a listing of  
11 those who have approved and those who have not approved  
12 the unit in terms of both royalty and working interest  
13 owners?

14 A. Yes, sir, within the brochure here --

15 Q. Exhibit -- ?

16 A. Exhibit 22.

17 Q. Exhibit 12, right?

18 A. Exhibit 12.

19 Q. Okay.

20 A. Yes, sir.

21 Q. Would you point to the Examiner where in  
22 Exhibit 12 you have that list?

23 A. It would be under the section of figures,  
24 Figure Number 22.

25 Q. And what is that Figure 22?

1           A.    It's an exhibit that lists all the working  
2 interest owners within our proposed unit, a breakdown  
3 by tract of their working interest.

4                    On the right-hand side you'll see their total  
5 percentage within the unit, and under the "Approved"  
6 column where there are numbers indicated, those are the  
7 parties that have approved to date.

8           Q.    And if you add that column up, you come up to  
9 61 percent?

10          A.    Sixty-one percent.

11          Q.    And if you threw in the Santa Fe Energy --

12          A.    -- you get 83 percent.

13          Q.    -- you'd be at 83 percent.

14                    Is there a list for royalty owners?

15          A.    Yes, the following page is a two-page  
16 summary, identical as far as tract breakdown, which  
17 lists the royalty owners within our proposed unit.

18          Q.    And that also shows the royalty owners who  
19 have approved and not approved the unit?

20          A.    Yes, sir, it does.

21          Q.    Okay. Can you tell the Examiner what type of  
22 meetings you have had with -- or whether you've had any  
23 meetings with the working interest owners for the  
24 waterflood and for statutory unitization?

25          A.    We have had meetings probably over the last

1 two years. Initial meetings were started in summer of  
2 1990. Initially, they were geological meetings to  
3 determine how they were going to come up with the  
4 parameters to try to work on the unitization.

5 At a later date it was more of an engineering  
6 type, along with geology.

7 Several meetings, until the final agreement  
8 was put together to form the unit earlier this year,  
9 and then the proposed agreements went out in July of  
10 this year.

11 Q. Who have been the major players, as far as  
12 working-interest owners are concerned?

13 A. The major participants in the unitization  
14 meetings were Siete, Santa Fe and Meridian.

15 Other operators in the unit were invited to  
16 participate. Due to their smaller interest, they  
17 elected not to take a hands-on approach to the deal.  
18 But they have been kept informed all along.

19 Q. Okay. Let me go back to Exhibit Number 2,  
20 and I'd like for you to briefly tell the Examiner what  
21 that exhibit contains.

22 A. Exhibit 2 is our Parkway-Delaware waterflood  
23 proposal. It was sent to all the working interest  
24 owners, and an identical copy was sent to all the  
25 royalty owners, the only difference being that a

1 ratification was attached for them as to the unit.

2 It lists our proposed AFE, waterflood unit  
3 parameters, phase 1 and phase 2 AFE proposals for the  
4 unit.

5 Q. That also contains a tract participation  
6 formula in Attachment Number 4; is that correct?

7 A. Yes, sir.

8 Q. And your engineer will speak to that in more  
9 detail?

10 A. Yes, sir.

11 Q. Okay. What else is in there? Obviously the  
12 AFE that's in here does not apply to royalty owners,  
13 does it?

14 A. No, sir, it does not.

15 Q. Anything further on that exhibit?

16 A. No, sir.

17 Q. All right. Let's go to what we have marked  
18 as Exhibit Number 5 and have you identify that, please.

19 A. Exhibit 5 is a letter from Meridian Oil  
20 concerning our proposed Parkway-Delaware unit.

21 Q. What's the essence of that letter?

22 A. Essentially Meridian is approving our  
23 proposed project, subject to minor modifications to the  
24 unit operating agreement, unit agreement.

25 Q. And do you anticipate that those minor

1 changes will get worked out?

2 A. Yes, sir, we verbally have agreed to all of  
3 their changes they've requested.

4 Q. Okay. How about Santa Fe Energy?

5 A. Santa Fe Energy has requested some items. I  
6 would say that 90 percent of them we're in agreement  
7 with.

8 There's a few small items we have yet to work  
9 out. From my experience in working with Santa Fe in  
10 the past, I feel like we'll come to an agreement.

11 Q. Okay. Let's move on to Exhibit Number 6 and  
12 have you tell the Examiner what that is.

13 A. Exhibit Number 6 is a purchase and sale  
14 agreement between Strata Production Company and Siete  
15 to acquire their interests within the proposed unit,  
16 which would be Tract 1.

17 Q. Tract 1 is right at the top of the map,  
18 right?

19 A. Yes, sir.

20 Essentially, the agreement provides that all  
21 working interest owners will be given the opportunity  
22 to sell, and those who elect not to sell will ratify  
23 the unit agreement.

24 There are two or three working interest  
25 owners in the Strata well that are also partners in the

1 Siete wells, and we anticipate they'll ratify the unit  
2 rather than selling.

3 Q. This exhibit is labeled "Draft" at the top.  
4 Can you explain that?

5 A. Essentially, this was a proposal that we had  
6 worked on, and it essentially outlined our agreement,  
7 and so therefore we just executed it, and it became our  
8 agreement.

9 Q. Okay. So you're in effect buying out Strata;  
10 is that --

11 A. Yes, sir, we are.

12 Q. And how many interest owners does that  
13 affect, approximately?

14 A. Approximately, I would say, 20 to 30 working  
15 interest owners.

16 Q. Let's go on to Exhibit Number 7 and Exhibit  
17 Number 8, and identify those for the Examiner, please.

18 A. Exhibit Number 7 is the application -- It's  
19 the notification to all the working interest owners and  
20 royalty owners of the Application for statutory  
21 unitization.

22 Q. And those were sent out of my office; is that  
23 correct?

24 A. Yes, sir, they were.

25 Q. And attached to that are the return receipts

1 of all those people that were sent this mailing, right?

2 A. Yes, sir.

3 Q. Both of the waterflood and the statutory  
4 unitization, correct?

5 A. Yes, sir.

6 Q. Okay. Let's go to Exhibit Number 9 and have  
7 you identify that, please.

8 A. Exhibit Number 9 is a list of the parties  
9 where their return receipts -- where they're mailed as  
10 not received. There's approximately seven parties  
11 within the unit.

12 Q. What efforts are you trying to -- or what  
13 efforts are you making to make sure that these people  
14 are ultimately contacted?

15 A. We'll attempt to locate them, and also get  
16 them a copy of the unit agreement.

17 Q. Do you think you may have a problem with  
18 addresses or something of that nature?

19 A. Something like that, yes, sir.

20 Q. What are Exhibits 10 and 11?

21 A. Exhibit 10 is an affidavit prepared by your  
22 office, or prepared by you, which states that all the  
23 parties on the attached list were sent copies of the  
24 proposed application for statutory unitization.

25 Q. And waterflood?

1 A. And waterflood, yes, sir.

2 Q. All right. Mr. Shumate, do you have anything  
3 further to add to your testimony?

4 A. No, sir.

5 MR. PADILLA: Mr. Examiner, we tender  
6 Exhibits 1 through 11 and tender Mr. Shumate.

7 EXAMINER CATANACH: Exhibits 1 through 11  
8 will be admitted as evidence.

9 MR. STOVALL: Mr. Padilla, could we get  
10 another copy of Exhibit 1 --

11 MR. PADILLA: Oh, certainly.

12 MR. STOVALL: -- that's been corrected?

13 MR. PADILLA: What we have are all bad  
14 copies, so we'll prepare a good one for you.

15 MR. STOVALL: Okay.

16 MR. PADILLA: But you do have one with you.

17 MR. STOVALL: We do have the one, yeah.

18 Mr. Shumate, we're not through with you yet.

19 THE WITNESS: I'm sorry.

20 MR. STOVALL: I do have one question while  
21 the Examiner is looking.

22 EXAMINATION

23 BY MR. STOVALL:

24 Q. Back on your Figure 22 -- Is it 22? Is that  
25 correct?



1 A. Yes, sir.

2 Q. The royalty -- Now, it appears that the  
3 working interest list is based upon 100-percent working  
4 interest; is that correct?

5 A. Yes, sir.

6 Q. Now, it would appear to me that the royalty  
7 tabulation is based upon the total -- upon the --  
8 they're essentially really a net revenue, non-cost; is  
9 that correct?

10 A. True.

11 Q. So to figure out that calculation, I'd have  
12 to divide the 16.16 by the .19 to see where we --

13 A. Yes, sir.

14 Q. Okay, as long as I know how to do it.

15 EXAMINATION

16 BY EXAMINER CATANACH:

17 Q. Mr. Shumate, has the allocation formula been  
18 agreed to by Siete, Santa Fe and Meridian?

19 A. Yes, sir.

20 Q. That's not one of the sticking points with  
21 Santa Fe?

22 A. No, sir. Strictly provisions of the unit  
23 operating agreement.

24 Q. Is there a reason for requesting unitization  
25 outside of the pool boundaries? You said generally 50

1 feet below the pool.

2 MR. STOVALL: Vertically, beyond the pool  
3 boundaries.

4 Q. (By Examiner Catanach) Yeah, vertically,  
5 above and below the Parkway-Delaware Pool.

6 A. That covers the entire productive interval of  
7 our Parkway-Delaware.

8 There are four other wells in the Parkway-  
9 Delaware Pool. They're east.

10 One is operated by Santa Fe, being the  
11 Parkway 36 Number 9, produces from the zone above what  
12 we're unitizing, although it's still within the  
13 Parkway-Delaware pool. It's about probably a half a  
14 mile east of our boundary.

15 And there's an Eastland well in Section 31 of  
16 19-30, and a Fortson well in Section 6 of Township 20  
17 South, Range 30 East. But they produce from a Cherry  
18 Canyon zone above our proposed unitized zone.

19 MR. PADILLA: Mr. Examiner, our geologist  
20 will go into more detail on that.

21 EXAMINER CATANACH: Okay.

22 FURTHER EXAMINATION

23 BY MR. STOVALL:

24 Q. From a landman's perspective, would it be  
25 safe to say your answer is that you want to make sure

1 that you get all the interval, and it's not uncommon to  
2 go 50 feet or a hundred feet on either side of an  
3 interval when you're dealing with something like this?

4 A. No, sir, I think we feel like by adding that  
5 50 feet in, we have the total productive portion of the  
6 field covered.

7 Q. Okay. But it's a geological consideration?

8 A. Yes, sir.

9 MR. STOVALL: Okay.

10 EXAMINER CATANACH: I don't have anything  
11 further at this time.

12 Anything else?

13 MR. PADILLA: I have nothing else, Mr.  
14 Examiner.

15 We'll call our next witness at this time,  
16 Bruce Uszynski.

17 BRUCE USZYNSKI,  
18 the witness herein, after having been first duly sworn  
19 upon his oath, was examined and testified as follows:

20 DIRECT EXAMINATION

21 BY MR. PADILLA:

22 Q. Mr. Uszynski, would you please state your  
23 name, please?

24 A. My name is Bruce J. Uszynski.

25 Q. Would you spell your last name, please?

1           A.    U-s-z-y-n-s-k-i.

2           Q.    Mr. Uszynski, have you previously testified  
3 before the Oil Conservation Division and had your  
4 credentials accepted as a matter of record?

5           A.    No, I have not.

6           Q.    Would you tell the Examiner what your  
7 educational background in geology is?

8           A.    I have a bachelor's degree in geology from  
9 Rutgers University and a master's degree in geology  
10 from the University of Arkansas.

11          Q.    Mr. Uszynski, what is your experience in the  
12 oil and gas industry?

13          A.    I have a total of 13 years experience, nine  
14 and a half years with Tenneco Oil and the remainder of  
15 that has been with Siete Oil and Gas.

16          Q.    Where has your experience been with Tenneco?

17          A.    I spent all my time as a geologist working in  
18 west Texas and southeast New Mexico, Permian Basin, and  
19 San Antonio.

20          Q.    And how long have you been working for Siete?

21          A.    Since February of 1989.

22          Q.    And where has your experience taken you with  
23 regard to these applications today?

24          A.    Primarily working for Siete, I've been  
25 involved in working in the Delaware, in both Texas and

1 southeast New Mexico.

2 Q. Tell us, Mr. Uszynski, what studies you have  
3 made in connection with preparation for this hearing  
4 today.

5 A. In my capacity as a district geologist with  
6 Siete, I've been involved with supervising the geologic  
7 interpretation that was completed by Mr. Mike Clemenson  
8 on behalf of Platt, Sparks Engineering Consultants.

9 Additionally, I've conducted many field  
10 studies in southeast New Mexico throughout the entire  
11 Delaware sand section.

12 Q. Have you prepared certain portions of Exhibit  
13 12?

14 A. Yes, I have. I've prepared six exhibits,  
15 including a type log, three cross-sections, two  
16 structural maps.

17 MR. PADILLA: We tender Mr. Uszynski as an  
18 expert petroleum geologist.

19 EXAMINER CATANACH: He is so qualified.

20 Q. (By Mr. Padilla) Mr. Uszynski, would you  
21 briefly tell us where in this Exhibit Number 12 is  
22 contained a geologic discussion or description of the  
23 area of the waterflood?

24 A. Under the tab listed as "Discussion" there's  
25 a brief history of the Delaware field, followed by a

1 geologic summary.

2 Q. Now, before that, you have a certain portion,  
3 conclusions and recommendations.

4 A. Right, under the --

5 Q. Is that your portion, or is that -- Well, let  
6 me ask you -- Let me go back to the summary.

7 In the summary portion of that are certain  
8 geologic conclusions; is that correct?

9 A. Yes, sir.

10 Q. Would you tell us which of those summary  
11 items are geologic type of summaries?

12 A. Numbers 1 and 2.

13 Q. And essentially what are they?

14 A. Basically, it summarizes the fact that the  
15 proposed Parkway (Delaware) flood, discovered in 1988,  
16 currently includes 22 producers and one shut-in well.  
17 The limits of the field have been currently defined by  
18 drilling.

19 It also gives a brief summary of the  
20 description of the reservoir, that being that the  
21 reservoir is found at an average depth of 4100 feet,  
22 consists of fine-grained sandstone and shale, average  
23 net pay thicknesses are 133 feet, average porosities  
24 are 17 percent, productive limits of the trip are  
25 controlled by porosity distribution and downdip water,

1 and the trap is a combination structural and  
2 stratigraphic trap.

3 Q. In terms of your testimony, you're  
4 essentially testifying concerning the waterflood aspect  
5 of the --

6 A. Yes, sir, that's correct.

7 Q. -- the waterflood application, correct?

8 A. Yes.

9 Q. Now, earlier you had started telling the  
10 Examiner about the portion -- the geologic description  
11 found in the "Discussion" portion or under the  
12 "Discussion" tab. Would you go into that, please?

13 A. Okay. First, let me give a brief summary of  
14 the history of the field.

15 The Parkway field was found or discovered by  
16 Santa Fe Energy with the drilling of their Number 1  
17 Parkway 36 well in 1987.

18 In 1988, Siete Oil and Gas drilled the Osage  
19 Federal Number 1 well and discovered the reservoirs  
20 that we're currently considering to put under flood.

21 In addition to Siete, the field was developed  
22 by Meridian, Santa Fe and Strata Production.

23 The field has cum'd 1.2 million barrels of  
24 oil on primary. The remaining primary of 2.8 million  
25 would make 2.4 BCF of gas and a little over 800,000

1 barrels of water.

2 Q. What kind of a recovery mechanism -- Or under  
3 what kind of a recovery mechanism are you recovering  
4 oil now?

5 A. The reservoir is a solution gas drive  
6 reservoir.

7 Q. Okay. No gas cap?

8 A. No.

9 Q. This "Discussion" portion also has a  
10 description of the geology --

11 A. Right.

12 Q. -- starting at the bottom of the second page.  
13 I don't want you to read that, but simply brief it for  
14 the Examiner, please.

15 A. The Delaware -- the reservoirs in question  
16 are part of a sequence of Delaware sands. The sands  
17 are generally fine-grained in nature, average  
18 porosities again are 17 percent, average permeabilities  
19 through the field are 3.2 millidarcies.

20 Q. Okay. Would it help at this time to jump  
21 into your type log and cross-sections and have you  
22 discuss --

23 A. I certainly think that would help.

24 Q. -- explain it --

25 A. Yeah.



1 Q. -- the geology, through explanation of those  
2 exhibits?

3 A. Yes.

4 Q. Where do you want to start?

5 A. Let's begin with Exhibit 1.

6 Q. Which is Exhibit 1 of Exhibit 12; is that  
7 correct?

8 A. Correct.

9 Q. These are the -- They're found in the  
10 Examiner's packet?

11 A. That's right, at the end there's three clear  
12 plastic folders containing the maps, and I've got them  
13 in order.

14 Q. Okay. Let's go to Exhibit Number 1 of  
15 Exhibit 12.

16 A. Okay. Exhibit Number 1 is a type log. It's  
17 a log segment from the Osage Federal Number 1, drilled  
18 by Siete Oil and Gas.

19 Within the reservoirs that we're proposing  
20 for the flood we've subdivided the sand into three  
21 distinct sands, the C, the B and the A sand.

22 It is primarily -- our initial waterflood  
23 proposal is to begin flooding in the C sand, which is  
24 the lower of the three sands that we've defined.

25 Q. Mr. Uszynski, how are the sands separated?

1 Is there a vertical separation between the sands?

2 A. There is. The sands are separated by shaly  
3 dolomites ranging in thickness from 10 to 15 feet in  
4 thickness, so --

5 Q. Would -- Okay, go ahead.

6 A. -- we feel that these act as barriers to  
7 vertical migrations from one sand to the next.

8 Q. So when you say you're going to flood the C  
9 sand first, that means that you can contain that flood  
10 within the C sand, and I assume at a later time you're  
11 going to flood the other two sands, correct?

12 A. That's correct.

13 Q. Are you done with Exhibit Number 1?

14 A. Yes, I am.

15 Q. Okay, let's go on to what we have marked as  
16 -- Well, there's a C-C' cross-section. Is that Exhibit  
17 Number 2?

18 A. This is Exhibit Number 2, yes.

19 Q. And you also have an Exhibit Number 3, which  
20 is an F-F' cross-section; is that right?

21 A. Yes, sir.

22 Q. What type of cross-sections are these two  
23 cross-sections?

24 A. These are structural cross-sections. Exhibit  
25 2 is an east-west cross-section through the Parkway-

1 Delaware field.

2 The intent of these cross-sections is to,  
3 number one, define more clearly the structural element  
4 in the trap, that being an anticlinal feature.  
5 Secondly is to show the continuity laterally of these  
6 three sand zones from well to well.

7 Q. Do these cross-sections show that the  
8 reservoir is homogeneous in nature?

9 A. They certainly do. As you go from well to  
10 well, you can correlate the individual sands across the  
11 field.

12 Referring to Exhibit 3, which is a north-  
13 south field, you can correlate those sands in a north-  
14 south direction as well.

15 Q. Mr. Uszynski, do you have other cross-  
16 sections -- Well, let me ask the question this way:  
17 These cross-sections, one is a C-C', the other one is  
18 F-F'.

19 A. Yes.

20 Q. Do you have other cross-sections that are  
21 part of your study?

22 A. Yes, we have six additional cross-sections  
23 that comprise a north-south and east-west grid that  
24 were compiled by Platt, Sparks Engineering.

25 We chose these two and excluded the others

1 because we felt it would be redundant to show all eight  
2 of the cross-sections.

3 Q. Would the other cross-sections essentially  
4 show the same thing?

5 A. Yes, they certainly will. Because of the  
6 nature of the grid, all the wells tie together and  
7 correlate in all directions.

8 Q. When you say "the grid", you're pointing over  
9 on the left-hand side --

10 A. Right.

11 Q. -- of these cross-sections, correct?

12 A. Right. There's four north-south cross-  
13 sections and four east-west cross-sections tying all  
14 the wells that are within the proposed unit.

15 Q. Now, you've highlighted on that grid the unit  
16 area in yellow; is that correct?

17 A. That's correct.

18 Q. Okay. Anything further on Exhibits 2 and 3  
19 of Exhibit 12?

20 A. No.

21 Q. What do you want to go to now?

22 A. Let's go on to Exhibit 4 and 5.

23 Q. What are they?

24 A. Exhibit 4 -- These will be found in the  
25 packet. Exhibit 4 is a structural cross-section

1       contoured on top of the C sand. And --

2             Q.    Do you want us to hang these up, Mr. --

3             A.    Yeah, I think that would be helpful.

4             Q.    Okay. Mr. Uszynski, you've put up Exhibits 4  
5       and 5 of Exhibit 12, up on the wall?

6             A.    Right.

7             Q.    Start out with Exhibit Number 4 and tell the  
8       Examiner what that is.

9             A.    Exhibit 4 is a structural contour map,  
10       contoured on the top of the C sand. It further  
11       displays the structural component of the trap, having  
12       four-way dip closure in all directions.

13            Q.    In terms of the contour lines, does that show  
14       any permeability problems or barriers and that sort of  
15       thing?

16            A.    On the structure map that would not show any  
17       permeability problems or barriers. All it shows you is  
18       that your peripheral wells in the unit are downdip  
19       structurally.

20            Q.    In terms of water flooding, what does that  
21       show?

22            A.    In terms of water flooding, it would show  
23       that your better production, because it is in part a  
24       structural trap, your better flood capability will  
25       probably be in the crest of the structure, highest part

1 of the structure.

2 Q. Now, does the Examiner's Exhibit 4 have the  
3 unit boundary outlined?

4 A. It certainly does.

5 Q. Okay, move on to Exhibit Number 5 and tell  
6 the Examiner what that is.

7 A. Exhibit 5 is a net pay isopach map of the  
8 Delaware C sand.

9 Q. How is that relevant to today's hearing?

10 A. The parameters that were used to develop this  
11 map, 14 percent porosity, water saturations of 55  
12 percent, shale volume of 50 percent, contouring those  
13 values, again as you approach the peripheral areas of  
14 the field, your net pay volume on the edges of the  
15 field is decreased, as indicated by the contour values  
16 of the contours themselves.

17 Q. So actually, this exhibit goes more to tract  
18 participation; is that correct?

19 A. That's correct.

20 Q. Okay, not so much waterflooding, but --

21 A. Right.

22 Q. -- tract participation?

23 A. Right, you're looking at -- This gives you a  
24 better feel for reservoir quality in the wells within  
25 the unit.

1 Q. Okay. Anything further on Exhibits 4 and 5?

2 A. No.

3 Q. You have already put Exhibit 6 up there, and  
4 I'd like for you to tell the Examiner what that is.

5 A. Okay. Earlier Mr. Shumate had referred to  
6 the Eastland wells to the east of our proposed unit.

7 I included this cross-section just to verify  
8 the fact that we are in a separate reservoir than the  
9 Eastland producing wells are. They're in a zone that  
10 is stratigraphically higher in the section than what  
11 we're proposing to flood here.

12 Q. Did this cross-section have anything to do  
13 with determining the eastern boundary of the pool?

14 A. It certainly did. This is -- Based on these  
15 correlations, and again the correlations included on  
16 the other eight cross-sections, we found that the  
17 limits of the pool that we're referring to went no  
18 further than this easternmost boundary here.

19 Q. So essentially what you've done in defining  
20 the limits of the pool is, you have found a portion of  
21 the reservoirs -- of the pool --

22 A. Right.

23 Q. -- not so much of the reservoir, that is  
24 susceptible of flooding; is that right?

25 A. That's correct.

1 Q. And the Eastland well would not be  
2 susceptible --

3 A. That would not be susceptible to flooding,  
4 no. It's a separate sand reservoir.

5 Q. Okay. Are there any other exceptions that  
6 you know of with respect to the pool or surrounding  
7 wells that would have -- that would show a difference  
8 between what you're proposing to waterflood and -- that  
9 may also -- and other lands that may also be in the  
10 pool themselves?

11 A. The Santa Fe -- the discovery well for the  
12 pool, the Santa Fe Parkway 36 Number 1, produces from a  
13 zone stratigraphically higher than the A sand, and  
14 therefore would not be included in the flood  
15 boundaries, or within the flooding -- floodable  
16 reservoir.

17 Q. And where is that well located?

18 A. That well is located right here in Section  
19 36, 1980 from the north, 1980 from the west.

20 Q. Now, in terms of -- Have you included any  
21 lands in the unit or in the waterflood project that are  
22 not in the Parkway-Delaware pool?

23 A. No, sir.

24 Q. All of the lands that you've included are  
25 within the current limits of -- horizontal limits of



1 the Parkway Delaware Pool?

2 A. To my knowledge, yes, they are.

3 Q. Do you have anything further to add to any of  
4 the exhibits that you have spoken about?

5 A. No.

6 Q. Is there anything else in Exhibit Number 12  
7 that you need to call to the Examiner's attention at  
8 this time?

9 A. No, there is not.

10 MR. PADILLA: Mr. Examiner, we tender the  
11 geologic portions of Exhibit Number 12, and we pass the  
12 witness for cross-examination.

13 EXAMINER CATANACH: Okay.

14 Q. (By Mr. Padilla) Oh, before I go and do  
15 that, I should ask him if in his opinion approval of  
16 the waterflood project and the statutory unitization  
17 would be in the best interests of conservation of oil  
18 and gas and protection of correlative rights?

19 A. I think that's -- Yes.

20 Q. Can you tell the Examiner why that is true,  
21 or why you make that opinion?

22 A. Based on our well-to-well correlation through  
23 the field, we believe that everyone's rights as a  
24 working interest partner will be protected because of  
25 the continuity of these sands.

1 As far as the peripheral operators such as  
2 Eastland, I think we've demonstrated that they are a  
3 separate reservoir and will be unaffected by the flood.

4 In terms of protecting against waste, it is  
5 our opinion that instituting a flood this early on in  
6 the primary history of the field, we'll stand to  
7 recover more oil than if we waited for a period of time  
8 down the road.

9 Our engineer, Mr. Lee, will elaborate on that  
10 further in his testimony.

11 MR. PADILLA: We have nothing further, Mr.  
12 Examiner.

13 EXAMINATION

14 BY EXAMINER CATANACH:

15 Q. Mr. Uszynski, the Delaware C sand is the main  
16 producing interval in the field?

17 A. Yes, it is. There are 17 wells producing  
18 from the C sand, of the 22.

19 Q. The B and the A sands are being produced in  
20 some of the wells?

21 A. Right, nine wells are productive in the B  
22 sand, eight wells are productive in the A sand.

23 Q. And you stated that the C sand was initially  
24 going to be the one to be flooded?

25 A. Yes.

1 Q. Your average permeabilities and porosities,  
2 is that across all three zones?

3 A. Yes, those are field-wide -- across all three  
4 zones, yes, that's just an average number.

5 Permeability values in the C sand tend to be  
6 better than they are in the B, at least in the B.

7 Q. Okay. You mentioned something about a Santa  
8 Fe well that was producing outside of the Parkway-  
9 Delaware Pool?

10 A. There is a Santa Fe well producing within the  
11 pool which is the Number 1-36, the discovery well for  
12 the pool, but it is producing from a different sand,  
13 not one of the three sands that we're proposing to  
14 flood here.

15 Q. Is that sand non-continuous over the unit?

16 A. We did not find it to be productive in any of  
17 the other wells, and it doesn't appear to be as  
18 continuous as these three sands.

19 Q. It is present, though?

20 A. It is present in some of the wells, but it is  
21 tighter.

22 Q. I see. Tell me -- You explained pretty much  
23 how you defined the eastern boundary of the unit.  
24 Could you explain how you determined the rest of the  
25 boundaries?

1           A.    The western boundary was defined basically  
2   the same way.   Siete operates the wells to the west of  
3   the proposed unit, and those are Bone Spring producers.  
4   The sands in question are thinner and of poorer  
5   reservoir quality to the east, and also -- excuse me,  
6   to the west, and also structurally lower.

7                    In terms of the northern boundary, if you'll  
8   refer to Exhibit 3, the Strata Production well, as you  
9   go to the north you are getting structurally lower.  As  
10  you can see, the C sand thins to the north, the A sand  
11  is present but it is structurally lower, and the B sand  
12  as well is present but looks to be tighter and more  
13  poorly developed.

14                   That defines our northern boundary of the  
15  unit.  Those sands were not developed of sufficient  
16  reservoir quality in either the 3 or the 1 well here to  
17  warrant inclusion in the unit.

18                   In a sense, the porosity and permeability in  
19  those two wells to provide proper reservoir-quality  
20  rock were not present.

21           Q.    Are those two wells that you've just  
22  mentioned the only two wells that are -- that have been  
23  excluded from the unit, that are producing from the  
24  Parkway Delaware Pool?

25           A.    To my knowledge they are.

1 Q. Do you feel like the boundaries of the pool  
2 have adequately been defined by development?

3 A. Yes, I do.

4 Q. You don't think any additional drilling will  
5 be undertaken outside the unit?

6 A. Not by any of the three partners here. And  
7 based on, again, the structural component, I think any  
8 additional drilling that would find these sands would  
9 find them in a downdip and wet position, especially to  
10 the south and to the east.

11 Q. What information have you utilized to come up  
12 with the conclusion that these sands are vertically  
13 isolated from one another?

14 A. During the initial development of the field  
15 we found -- when the field was initially being  
16 developed, we found that there were differences in the  
17 pressures between the C's and B and A zone. That is  
18 probably one of the things that led us to that  
19 conclusion.

20 Secondly, again, we have found no reason  
21 during the completion phase of these wells to suspect  
22 that we've gone through these barriers during our  
23 completions.

24 The barriers are laterally continuous, and  
25 nowhere do we see within the boundaries of the pool

1 those barriers being absent.

2 EXAMINER CATANACH: I think that's all I have  
3 of the witness at this time.

4 (Off the record)

5 MR. PADILLA: Nothing further.

6 EXAMINER CATANACH: The witness may be  
7 excused.

8 ROBERT LEE,  
9 the witness herein, after having been first duly sworn  
10 upon his oath, was examined and testified as follows:

11 DIRECT EXAMINATION

12 BY MR. PADILLA:

13 Q. Mr. Lee, would you state your full name,  
14 please?

15 A. Robert Lee.

16 Q. Are you a petroleum engineer?

17 A. Yes, I am.

18 Q. Have you previously testified before the Oil  
19 Conservation Division and had your credentials accepted  
20 as a matter of record as a petroleum engineer?

21 A. Yes, I have.

22 Q. Have you compiled a portion of Exhibit 12 as  
23 part of your testimony at this hearing today?

24 A. Yes, I have. I've either compiled it myself  
25 or supervised the compilation of the data presented

1 here.

2 MR. PADILLA: Mr. Examiner, we tender Mr. Lee  
3 as an expert petroleum engineer.

4 EXAMINER CATANACH: Mr. Lee is so qualified.

5 Q. (By Mr. Padilla) Mr. Lee, tell me what have  
6 been your efforts with respect to the waterflood  
7 project and statutory unitization?

8 A. Pretty much from the ground floor, whenever  
9 Meridian, Santa Fe and Siete started to look at  
10 unitizing and waterflooding the Parkway field, about  
11 two years ago, we had several technical committee  
12 meetings, decided upon what the tops of the different  
13 sands would be for use of -- as far as like the  
14 exhibits presented here today.

15 And we contracted a consulting firm in Austin  
16 -- Platt, Sparks & Associates -- to do the bulk of the  
17 analysis of the reservoir, of the three sands, and to  
18 perform a reservoir simulation of the waterflood.

19 Q. And what was your role in all of this?

20 A. Well, I selected -- We as a committee  
21 selected the consulting firm, quality control on the  
22 data, supervised the consulting firm, checking up on,  
23 at different phases of their analysis, what they had  
24 done at that time, offering suggestions, criticisms,  
25 getting the study to reflect what had actually gone on

1 in the field, as much as possible.

2 Q. In effect, you were supervising the --

3 A. Right.

4 Q. -- this consultant; is that correct, sir?

5 A. That's correct, we were supervising the  
6 activity of the consultants.

7 Q. Where do you want to start in this Exhibit  
8 12?

9 A. We can start here with the summary and just  
10 work our way down through that.

11 Q. Okay, what portion of the summary relates to  
12 your testimony here?

13 A. Probably picking up on about item 4. The  
14 summary is just a brief statement of some of the items  
15 covered in the discussion and throughout this exhibit.

16 Number 4 basically says that based upon the  
17 waterflood model, we feel like we'll have a secondary/  
18 primary ratio of 1.55 to 1. We anticipate the  
19 secondary reserves to be about 6.4 million barrels or  
20 about nine percent of the original oil in place.

21 And then Figure 26 in the very back -- it's  
22 the last figure right in front of the plastic folders  
23 -- shows you the production curve with the historical  
24 primary production, the anticipated primary production,  
25 and the incremental reserves that we anticipate from



1 waterflooding the C zone, and then later the A and the  
2 B zone.

3           You'll notice two vertical lines there, one  
4 in 1993 and one in about 1995. Those indicate that we  
5 anticipate starting the waterflood in the C zone in  
6 1993, and you can see the subsequent projected increase  
7 in production reserves.

8           Then later -- we're anticipating about two  
9 years, but we're going to be real flexible on that --  
10 we will go in and open up the A and the B sands and  
11 flood those zones also.

12           And this graph shows that the incremental  
13 reserves we anticipate from the C zone is about -- a  
14 little over 4.5 million barrels. The reserves from the  
15 A and the B zone together will be about 1.8 million  
16 barrels.

17           Basically, we feel like the C zone will have  
18 the bulk of the waterflood reserves.

19           Q.   Earlier, Mr. Uszynski indicated something  
20 about commencing the project at this time and in this  
21 stage of the primary production.

22           Does this Figure 26 tell you anything with  
23 regard to timing in terms of starting the waterflood or  
24 -- as opposed to, say, starting it in 1998?

25           A.   There are several reasons to initiate the

1 waterflood now. Even though our primary rates are  
2 still fairly high and we have not gotten down to that  
3 very low producing rates, we feel that for several  
4 reasons it's important to initiate the flood now.

5 One reason -- If you'll look at Figure 2,  
6 which contains some fluid properties of the reservoir  
7 crude, you can see there at the top we have a listing  
8 of the oil properties. On the left-hand side we have  
9 pressure, and then oil formation volume factor,  
10 solution GOR, and viscosity.

11 If you look at the viscosities, as you reduce  
12 the reservoir pressure, you're going to evolve more  
13 free gas out of the crude, and the viscosity is going  
14 to increase.

15 When that occurs, and then you come in and  
16 put your waterflood in, with a higher viscosity you're  
17 going to have a more unfavorable mobility ratio. The  
18 water is going to tend to finger through the more  
19 viscous oil than it would a lower-viscosity crude.

20 So if we were to wait until we were at the  
21 very end of primary depletion, we would not recover as  
22 much oil as we would if we start the flood now, and we  
23 would be wasting oil.

24 Q. Are all your working interest partners in  
25 concurrence with you on this aspect?

1           A.    Yes, they are.  Yes, they are.

2                    Another reason to put the flood in now is  
3   that if I can get these incremental barrels, you know,  
4   today or in the next few years, they're worth a lot  
5   more to me from a present-value standpoint than they  
6   would be if I recover those reserves 10 or 15 years  
7   down the road at the end of primary production.

8           Q.    That's an economic aspect --

9                    (Off the record)

10          MR. STOVALL:  You may proceed.

11          Q.    (By Mr. Padilla)  That latter reason was an  
12   economic aspect, correct?

13          A.    That's correct.

14          Q.    And the former reasoning has to do with  
15   essentially waste?

16          A.    That's right, and trying not to waste oil in  
17   the reservoir, to maximize the production that we can  
18   get out of it.

19          Q.    Okay.  Are you done with the summary section  
20   here?

21          A.    That pretty much wraps it up.  The next page  
22   just shows that the cost to implement this flood will  
23   be about \$3.4 million.

24                    And there's a slight correction in Number 6,  
25   in the Summary.  We anticipate this waterflood to

1 generate undiscounted net cash of a little over \$85  
2 million, not \$85,000. There's three zeroes have been  
3 left off of that figure.

4 And the discounted value is almost \$17  
5 million, discounted at 15 percent, not the -- \$17  
6 million, not the \$17,000 that's shown here on the  
7 Exhibit. And there's a summary of the economics on  
8 that.

9 Q. Let me see that. I -- The first correction  
10 you want to make is, the number \$85,329 should have  
11 three zeroes so that it would be \$85,329,000?

12 A. That's correct.

13 Q. And which is the second correction?

14 A. The second correction is the number  
15 immediately following that, which is \$16,912. There  
16 needs to be three zeroes after that, indicating nearly  
17 \$17 million, not \$17,000.

18 MR. STOVALL: I assume your banker likes the  
19 zeroes.

20 THE WITNESS: Our banker likes the zeroes  
21 very much, although they're not worth anything by  
22 themselves.

23 Q. (By Mr. Padilla) Okay, how about the  
24 "Conclusions", the next tab?

25 A. Right, this is a list of our conclusions and

1 recommendations. These are based upon the Platt,  
2 Sparks study that was performed.

3 We feel that there's going to be an increase  
4 if the -- in reserves, if the field is waterflooded.  
5 The estimated primary recovery is 4.1 million barrels,  
6 which was shown on the Figure 26. A five-spot pattern  
7 will be the most efficient and effective to maximize  
8 our ultimate recovery here with this project.

9 Q. Do you have a map showing your injection  
10 pattern?

11 A. Yes, we do.

12 Q. Where is that?

13 A. It's figure 17.

14 Q. Would you explain Figure 17 to the Examiner?

15 A. This is a map of the proposed unit  
16 boundaries, the proposed wells that we are going to be  
17 converting to injection and wells that we're going to  
18 be drilling as new injection wells.

19 The wells that has the dot inside the  
20 triangle, these indicate the conversions.

21 The solid black triangles indicate the new  
22 injection wells to be drilled.

23 And it's basically going to give us -- We'll  
24 be downspacing to 20 acres and be flooding with a 40-  
25 acre pattern.

1 Q. How does someone receive -- Say a working  
2 interest owner who currently owns a well here, how does  
3 that person receive credit for a wellbore and that sort  
4 of thing?

5 A. Okay, we --

6 Q. And how are you going to determine whether  
7 that person gets credit or not?

8 A. Okay, the major working interest owners in  
9 the field, which was Meridian, Santa Fe and Siete,  
10 decided that -- we decided upon the unit parameters  
11 that needed to be chosen and what percentage each one  
12 of those parameters would carry weightwise in the unit.

13 And we will discuss that further back in the  
14 unitization part or unit parameters part of this  
15 exhibit.

16 Q. Okay, so I'm jumping ahead of you; is that --

17 A. A little bit.

18 Q. Okay. Anything else on the "Conclusion"  
19 portion of this exhibit?

20 A. No, it's all pretty cut and dried and, you  
21 know, has the -- It shows the original oil in place of  
22 the C sand to be about 31 million barrels and the  
23 original oil in place of the A and the B sand to be a  
24 little over 11 million barrels and 28 million barrels,  
25 respectively.

1           And as previously stated we should recover an  
2 additional 1.8 million barrels from the A and B sand  
3 when we get it under flood and that the solution gas --  
4 It's a solution gas drive reservoir. That's the drive  
5 mechanism for the reservoir.

6           Q.   Where do you want to go next?

7           A.   We can go on and hit the -- Bruce has pretty  
8 much covered the "Discussion".

9                   We can go into the "Reservoir Simulation"  
10 now.

11          Q.   Okay.

12          A.   The -- Platt, Sparks took the log data that  
13 we provided them and did a very in-depth study of the A  
14 sand, the B sand and the C sand. We supervised that  
15 work and, you know, checked up on it from time to time,  
16 made sure that it was what we wanted.

17                   When it came time to do the actual waterflood  
18 simulation, we decided to only do a simulation model on  
19 the C sand, and that's what is presented here in this  
20 discussion. There was several reasons to do that.

21                   One, the C sand was -- is the predominant  
22 productive sand in the field. We were going to  
23 waterflood it first to see how the project was going to  
24 work, how successful it's really going to be.

25                   And also to keep our costs down. If we would

1 have turned them loose on the A and B sand both, why,  
2 the cost of the project would have, you know, gotten  
3 pretty high.

4 So in order to keep our costs down a little  
5 bit and to get the main part of the reservoir analyzed,  
6 we only simulated the C sand.

7 And what we did was to --

8 Q. Let me ask you, do you anticipate that the  
9 reservoir simulation for the A and B sands would be  
10 similar to the C sand?

11 A. Right, based upon the well data they had  
12 done, the in-depth log analysis, we felt like the A and  
13 the B sand and the C sand were all similar enough that  
14 the results from the simulation could be applied to the  
15 A and the B, right.

16 Q. In terms of flooding the C sand first, will  
17 that give you some insight as to what to expect in the  
18 A and B sands when you ultimately flood those sands?

19 A. That's correct.

20 Q. So you'll be gaining actual experience for  
21 the A and B sands from the C sand flood?

22 A. That's correct.

23 Q. Okay. What else is in here that you'd like  
24 to point out to the Examiner?

25 A. This is basically a discussion of the -- how



1 the model was put together, how the grid pattern was  
2 chosen. I have a map back here in the figures, showing  
3 what grid was used, the wells -- you know, where the  
4 wells were located within the grid, the parameters that  
5 went into the initialization of the model, you know,  
6 basically that in the C sand that had an original  
7 pressure of 1858 p.s.i., had about 31 million barrels  
8 of oil in place.

9 Then based upon the relative perm and  
10 capillary pressure curves that we created, those were  
11 plugged into the model and a history matching process  
12 was began, trying to have the simulator match the  
13 historical production of the field.

14 It goes through the discussion that we had to  
15 play with our relative perm curves a little bit in  
16 order to get the actual history match to line up with  
17 actual production. It's typically normal on any type  
18 of simulation you have to do.

19 But we got a very good history match, so then  
20 we feel very good about the future predictive cases  
21 that were ran. And Platt, Sparks ran several different  
22 scenarios. The two that I talk about in here is the  
23 history match, the primary production, and the case  
24 which most closely reflects what our final pattern is  
25 going to be.

1           The other models checked, you know,  
2 peripheral waterflood, line drives with various  
3 orientations, things of that nature, and the five-spot  
4 infill drilling pattern proved to be the most  
5 economically effective.

6           Q.    Why?

7           A.    Because with the five-spot infill drilling  
8 pattern there, we recovered the maximum amount of oil,  
9 more oil than compared to the peripheral flood or a  
10 line drive, and -- you know, with 40-acre spacing.

11          Q.    You were comparing different kinds of floods,  
12 in other words?

13          A.    Right, we were comparing different flood  
14 scenarios, different patterns, and --

15          Q.    And you got more bang for your money using  
16 the five-spot pattern?

17          A.    That's right, the 20-acre infill five-spot  
18 flood pattern.

19          Q.    Okay. Where do we go next?

20          A.    We can go through the "Plan of Operation".

21          Q.    Okay.

22          A.    This is -- In this next section we're  
23 basically saying that we intend to waterflood the  
24 Delaware formation here in the Parkway field.

25                We're going to be getting our supply of water

1 from three different sources.

2 We're going to be using produced brine from  
3 the Delaware formation there, actual wells within the  
4 unit.

5 We have a salt-water disposal well within the  
6 area called the Tuesday Federal where the brine water  
7 is currently being disposed into. We're going to  
8 basically turn that around, put a pump on that well,  
9 and use the water that was put away, use that as the  
10 source water.

11 And there are some shut-in wells in the area  
12 that we anticipate going back into and recompleting in  
13 some wet zones in order to use them as source wells,  
14 use them as make-up water.

15 And we have done compatibility studies on all  
16 of these waters. That was done by Martin Water Labs.  
17 It's in the "C-108" discussion.

18 Q. Are you using any fresh water?

19 A. No, we are not.

20 Q. Why not?

21 A. The Delaware formation, we tend to believe,  
22 has a problem with clays. They tend to be swelling  
23 clays. If you put fresh water in there, you can swell  
24 them shut and, you know, shut down your injectivity or  
25 productivity of your wells.

1           You know, you could take the fresh water and  
2           make it up with some brine and probably get it salty  
3           enough, but we would rather not take that chance of not  
4           getting it salty enough and messing up our formation.

5           Q.    You have a discussion in here about the costs  
6           of converting the wells and drilling new injection  
7           wells and all that sort of thing that --

8           A.    Right.

9           Q.    -- are part of the project.

10          A.    Uh-huh. That's going to be Figure 17 -- one  
11          of our figures back here.

12                Okay, Figure 18 and 19 go over the  
13          anticipated cost to convert our producing wells to  
14          injection wells. There's going to be five producing  
15          wells converted to injectors. We anticipate it's going  
16          to cost \$30,000 each to do. That's detailed on Figure  
17          18.

18                Figure 19 is sort of a full-blown cost  
19          estimate, includes the facilities. We anticipate the  
20          facilities to cost about \$230,000.

21                We're going to be drilling nine new injection  
22          wells. That's where the bulk of the cost comes from in  
23          the project. That accounts for about \$2.8 million our  
24          total anticipated expenditures.

25                Like I said, the \$150,000 to convert the

1 wells.

2           And we've got three recompletions in there.  
3 What those are, are wells that are currently, say,  
4 producing out of the B zone or the A zone, which will  
5 be -- those zones will be squeezed with cement, and  
6 we'll perforate the C zone and inject in through the C  
7 zone in those wells.

8           And then an additional \$120,000 for  
9 waterflood and legal expenses.

10           Q. In terms of obtaining revenues or deducting  
11 this figure, \$3.4 million, from the total revenues to  
12 get at a profit picture, what number would you use to  
13 subtract this \$3.4 million?

14           A. Well, let's see, the Figure 25 is an economic  
15 analysis of the project, and rather than worrying about  
16 what to subtract it from, I'll just probably refer you  
17 to that.

18           Q. Okay.

19           A. This shows that the primary depletion of the  
20 reservoir has a value discounted at 10 percent of about  
21 \$27.5 million. And of course, you know, we have a line  
22 here that shows total investment. There's no remaining  
23 investment from a primary completion.

24           In the C zone what I'm showing here are  
25 incremental reserves for those -- or incremental

1 economics for those waterflood reserves. It shows the  
2 investment of about \$3.4 million, the additional  
3 reserves. And it shows that the C zone has an  
4 additional value discounted at ten percent of almost  
5 \$19 million. So I'm spending a little over three and  
6 getting nineteen back.

7 And then I also show the A and B zone  
8 incremental waterflood reserves. That has an  
9 additional cost of \$455,000. That's going to be just  
10 recompleting the existing wells, maybe a little  
11 facilities upgrade, no additional drilling.

12 Q. But that's not going to be part of the \$3.4  
13 million?

14 A. That's right, that's not part of the \$3.4  
15 million. That's an additional expense to be incurred  
16 in 1995 or 1996, whenever we go to the A and B sands.

17 Q. The sum of this whole thing is that you're  
18 going to make a profit; is that right?

19 A. That's correct.

20 Q. And where is that indicated on this Figure  
21 25? You have profitability indicators, but where do I  
22 see profit, or --

23 A. Probably the third one down, your before-tax  
24 rate of return for the project will be 47 percent for  
25 the C zone flood.

1           The total incremental for the C, A and B zone  
2 will be about a 51-percent rate of return.

3           Q.    Forty-seven is the rate-of-return figure?

4           A.    Yes, it is, for the C zone.

5           Q.    So what you're saying is that you're going to  
6 receive 47 times your expenditure?

7           A.    No.

8           Q.    No?

9           A.    No, what this is, it's a sort of a -- it's a  
10 pseudo -- It's like an interest rate.  If I -- It's  
11 like putting \$3.4 million in the bank and getting a 47-  
12 percent interest on the money.

13          Q.    So you're going to make a profit, is the  
14 bottom line?

15          A.    That's correct.

16          Q.    Okay.  I think before we go on, I'd like for  
17 you to go through this series of figures and make sure  
18 that we've discussed each one of those in terms of...

19                Will you tell me if I'm getting ahead of you  
20 at this point, before we get into the C-108?

21          A.    Just a little bit.  We went over the  
22 unitization unit parameters discussion.  That will  
23 include --

24          Q.    -- some --

25          A.    -- a few more of the figures here.

1 Q. Okay, why don't you do that at this time?

2 A. Okay. The unit parameters section is  
3 basically a discussion on the unit area and the  
4 parameters that went into the waterflood.

5 There's going to be 11 different tracts in  
6 the waterflood, and that was shown on the Exhibit A  
7 that Mr. Shoemaker [sic] discussed earlier. These 11  
8 tracts were broken out due to common working and  
9 royalty interest owners.

10 There's a figure here, Exhibit B, in the  
11 current exhibit we're looking at, that Gene has already  
12 gone over. It's basically, you know, going over each  
13 tract and who owns what, where it is.

14 The five parameters that Meridian, Santa Fe  
15 and Siete agreed upon was recoverable oil reserves,  
16 remaining oil reserves, usable wellbores, recoverable  
17 gas reserves, and remaining gas reserves.

18 And once we kind of came up with -- these are  
19 the five parameters that we're going to use, we felt  
20 that it would be fair to weight those parameters  
21 differently. In other words, oil has a heavier weight  
22 than usable wellbores.

23 And the percentages that we attached to each  
24 and agreed upon was that recoverable oil reserves would  
25 comprise 40 percent of the unit or carry that much



1 weight.

2 Remaining oil reserves would comprise 35  
3 percent of the tract participation formula.

4 Usable wellbores would be five percent,  
5 And recoverable gas reserves and remaining  
6 gas reserves would be ten percent each.

7 Since we were looking at unitizing three  
8 different sands, we felt that it was also fair that  
9 each sand should carry a different weight in the unit.  
10 In other words, the C sand has much more recoverable  
11 oil than the B sand or the A sand, and so people with a  
12 lot of C sand on their acreage should -- are at a  
13 higher percentage of the unit than the people that  
14 maybe didn't have too much C sand.

15 We decided to allocate weighting factors to  
16 the different sands, based upon the recoverable oil  
17 reserves.

18 That's shown on the next page, showing that  
19 the A sand carries 25.66 percent of the unit. The B  
20 sand is 3.37 percent, and the C sand is 70.97 percent  
21 of the unit.

22 And that was what went into the tract  
23 participation factor formula. That is detailed in the  
24 unit agreement. I believe it's figure 6. But it's  
25 just the equation written all out with the different

1 sands and the percent of the recoverable sand times 40  
2 percent for the A, B and the C sand, and all those  
3 added up to derive the interest of the working interest  
4 owners and royalty interest owners in each tract.

5 And the rest of the exhibit here -- or part  
6 on the unit parameters is a discussion of how we  
7 derived the recoverable oil reserves for each well and  
8 each sand.

9 Q. Mr. Lee, in your opinion, is this a fair and  
10 equitable method of --

11 A. Yes, it is.

12 Q. -- apportioning the oil and gas reserves to  
13 each of the tracts?

14 A. Yes, it is.

15 Q. Are you done with the unitization portion of  
16 this exhibit?

17 A. Yes, we are.

18 Q. Let's go now to the figures again --

19 A. Okay.

20 Q. -- and see if there's anything in here that  
21 we have missed and that we have not discussed.

22 A. All right. Figure 1 is a kind of a big  
23 cartoon map of the area to roughly acquaint you with  
24 where it is, see where -- You know, just out east of  
25 Carlsbad.

1           Figure 2 shows some --

2           Q.    You've talked about this already?

3           A.    We've talked about Figure 2.

4           Figure 3 is just a graphical presentation.

5           Figure 3 and 4 both are graphical presentations of the  
6           data on Figure 2.

7           Figure 5 and 6 show the relative permeability  
8           and capillary pressure data which went into the water  
9           data model that was performed by Platt, Sparks.

10          Figure 7 shows some pressure data over time  
11          that we had performed to come up with some of the  
12          pressure history matching in the model.

13          Q.    And this is what you talked about -- In other  
14          words, matching the model with actual performance?

15          A.    That's correct.

16          Q.    Okay.

17          A.    And Figure 8 is the same thing, only in the A  
18          sand.

19          Figures 9 through 12 show the volumetric  
20          reserves for each sand, which was calculated by Platt,  
21          Sparks off of the well data that we had provided them.

22          Figure 13 is a grid that was used in the  
23          model, shows the various cells and the location of the  
24          wells within the cells.

25          Figure 14 is just more waterflood simulation,

1 input data. These are the input parameters that went  
2 into the C sand.

3 Figure 15 shows a matched -- shows the match  
4 that they were able to attain with the pressure data  
5 that we showed -- that we actually measured, and then  
6 what they camp up with in their simulation, comparing  
7 actual pressures to simulated pressures.

8 Figure 16 shows the projected water injection  
9 needs, showing by year the annual water and daily water  
10 injection needs.

11 Figure 17 we have discussed.

12 Eighteen and 19 are costs.

13 Figure 20 is just a map that shows the  
14 injection lines, where they're going to run. Threw  
15 that in.

16 Figure 21 shows the five different parameters  
17 that went into the tract participation formula for each  
18 tract by each sand.

19 And then Figure 22 and Figure 23, which does  
20 not have a number on it, was the working royalty  
21 interest owners.

22 Figure 24 was a data sheet that we put  
23 together sort of to help the Examiner get acquainted  
24 with some of the parameters of the reservoir.

25 Figure 25 was the economics we discussed.

1                   Figure 26 is a -- the graph of the  
2 anticipated production with the waterflood.

3           Q.    Do you want to get into the C-108 at this  
4 time?

5           A.    Yes.

6           Q.    Some of this is going to be repetitive, Mr.  
7 Lee, so --

8           A.    Uh-huh.

9           Q.    -- let's get -- Probably Roman numeral III of  
10 the C-108 would be not repetitive, so let's be a little  
11 bit more definitive in that respect in discussing the  
12 well data.

13          Q.    All right.

14          Q.    Where is that well data contained?

15          A.    The well data asked for in Number 3 starts on  
16 the third page. What Number 3 asks for is a diagram  
17 showing the current status and proposed status for the  
18 injection wells with some tabular data for each well.  
19 We have --

20          Q.    So the first well is the Apache A-3, right?

21          A.    That's correct, showing the current  
22 configuration.

23          Q.    And that's the first page, right?

24          A.    That's correct.

25          Q.    And the second page is the proposed

1 configuration?

2 A. That's correct.

3 Q. And the third page is the written --

4 A. Yeah, the tabular data.

5 Q. Tabular data.

6 A. Requested in number III.

7 Q. And that is contained in this thing for all  
8 of the wells?

9 A. That's correct, for all of the five proposed  
10 conversions.

11 And we also have at the very end of that  
12 series a typical configuration for the nine wells to be  
13 drilled, basically detailing where the packers will be  
14 set, that we're going to use plastic-lined tubing, the  
15 casing strings and cementing requirements, and once  
16 again the tabular data.

17 Q. Okay.

18 A. Behind that we have the -- as required by  
19 Roman numeral V, the map of the area with the half-  
20 mile-radius circles drawn around the proposed injection  
21 wells, showing area within two miles around the  
22 proposed unit.

23 And the next page is just the unit boundaries  
24 outlined on that.

25 After that, we get into the -- all the wells

1 that are within the area of review, showing their  
2 status, names, the operators, where they're located,  
3 what type of well they are, completion data, depth and  
4 the casing programs that were used in drilling these  
5 wells.

6 Q. Mr. Lee, do any of these wells shown on this  
7 tabulation indicate that there may be some problems  
8 with it from a standpoint of migration through the  
9 wellbore of the injected water?

10 A. No.

11 Q. How about up or down, either way?

12 A. No, not up or down, either way.

13 Q. And you identified all these wells, and you  
14 see no problem with any of them?

15 A. That's correct.

16 Q. They're properly cemented, in your opinion --

17 A. Yes.

18 Q. -- to prevent any type of migration?

19 A. Based on the data available, from what we've  
20 looked at, why, everything does look like it's been  
21 cemented correctly.

22 Q. Okay. Following that tabulation, you have  
23 what looks like a schematic of the Petco State Com  
24 Number 2. What is that?

25 A. As required on the C-108, any P-and-A'd wells

1 within the area of review need to have a diagram  
2 showing where the plugs are set. That's what this is  
3 for the Petco State Number 2, showing where all the  
4 plugs are set, what the TD was.

5 Behind that we have the plugging report for  
6 that well. There were three wells in that area that  
7 were P-and-A'd. The next well was the 1-35 Federal  
8 Walter well. Once again, a diagram with the plugs.

9 Q. In terms of the plugs themselves, say in the  
10 1-35 Federal Walter, does that show where the injection  
11 interval of your waterflood is going to occur?

12 A. Not per se.

13 Q. You just have to compare the depth? Is  
14 that --

15 A. Right, right. For instance, you know, the  
16 bottom plug is set at 4455. That probably would be  
17 below our injected interval. The top -- or the plug  
18 immediately above that is from 3223 to -93. That will  
19 be above our injected interval. The casing was shot  
20 off at 3293, so the interval that we'd be injecting  
21 into is actually below where they shot the casing off.

22 Q. How about the well in front of that, the  
23 Petco?

24 A. Well, the casing was shot off below the zone  
25 we'll be injecting into. There's a plug set there.



1 Then there's a plug set at 3850 to 3750. That would be  
2 above the zone we would be injecting into, and that  
3 would isolate the zone.

4 Q. In your opinion, are these plugs sufficient  
5 to isolate the zones from --

6 A. -- communication up and down that wellbore.

7 Q. -- communication, yes?

8 A. Yes, that's correct.

9 Q. Okay. How about the next well? You have a  
10 third well in that series, right?

11 A. That's correct, the Lambie well.

12 You know, we have a plug set at 4200 to 4300.  
13 That would probably be -- probably within the zone or  
14 maybe a little bit below it.

15 But then we have another plug set at 3090 to  
16 3190, which would be above the interval that we'd be  
17 injecting into. So that should be sufficient and, you  
18 know, between that and the surface, why, there's other  
19 multiple plugs up and down the wellbore.

20 And then we have a plugging report for that  
21 well also.

22 We have a scout ticket in here, Mr. Examiner,  
23 for the Agave "IK" Number 2. If you'll notice, it says  
24 it's an abandoned location. The reason we put that in  
25 was that on the map showing our area of review in unit

1 letter A of Section 2 in 20-29, it looks like there's a  
2 producing well there. That's an error on the map.  
3 There's no well there.

4 I've been out and physically examined the  
5 area. It's just a misprint on the map. They haven't  
6 spotted that abandoned location.

7 Q. You're saying there's no well out there?

8 A. At that location, that's correct, on the --  
9 the 2 IK in unit letter A in Section 2, there's no well  
10 there.

11 And that's why in the tabular data, the  
12 construction data, that well doesn't show up.

13 So if you would go -- look at that map and go  
14 through that data it would look like I missed a well,  
15 but I didn't.

16 Article VII is just on the injection data,  
17 saying that we anticipate injecting at a rate of 500  
18 barrels a day. Proposed pressures are going to be 700  
19 p.s.i. The maximum injection pressure will be 800  
20 p.s.i., and this abides by the .2-p.s.i.-per-foot  
21 maximum injection pressure required by the OCD.

22 And if we need subsequent increases in  
23 injection pressures, what we plan to do is to perform  
24 step-rate tests and submit those to the Commission for  
25 increase in injection pressures.

1 Q. Would you like to have administrative  
2 authority or some kind of procedure by which you would  
3 seek authority administratively without having to come  
4 to a hearing in order to increase injection pressures?

5 A. Yes, we would.

6 Q. If your step-rate tests would indicate  
7 that --

8 A. Bear it out, that's correct.

9 Q. You could make that increase?

10 A. That would be a good thing to have.

11 Q. Okay.

12 A. Also included in the C-108, Section VII, we  
13 have performed chemical analysis of the injection  
14 waters and the formation waters. That is attached as,  
15 you know, the Martin Water Lab discussion. It  
16 indicates the waters are compatible, there's no scaling  
17 tendencies, no problems there.

18 The geologic data, you know, we can probably  
19 skip through. Bruce has covered that in detail.

20 Item IX just -- is just saying that any wells  
21 that we're going to drill will be stimulated similar to  
22 the wells that have already been completed, probably  
23 frac'd with about 40,000 gallons and 100,000 pounds of  
24 sand. Nothing unique or different there. And that  
25 we've also already filed all of the well logs

1 previously.

2 Q. Who is the surface owner for this area?

3 A. It is the State of New Mexico and the BLM.

4 Q. Earlier Mr. Shumate indicated that all the  
5 operators within a half-mile radius of each of the  
6 wells within the waterflood zone had been sent a  
7 notice, as well as the surface owners, correct?

8 A. That's correct.

9 Q. And the surface owner, in this case being the  
10 USGS -- or the BLM, I should say, and the Commissioner  
11 of Public Lands, have already given preliminary  
12 approval to this whole --

13 A. That's correct.

14 Q. What else is in this exhibit, C-109 -- 108, I  
15 should say?

16 A. Item 10 also goes into what the production is  
17 from the wells that will be converted. That's listed  
18 there as a table.

19 Article XI, there's a question asked, is  
20 there any fresh water in the area?

21 There is. A water analysis of that water is  
22 included in the Martin Water Labs report. It's a  
23 shallow zone about 150, 200 feet deep.

24 Q. Can you identify that well in the map?

25 A. That well -- okay, it's -- Let's see, yeah.

1 If you look at the map with the circles shown in the  
2 area, showing the area of review, this well is just off  
3 the location off the pad on the Osage 8 Bone Spring  
4 well. It's located in Section 34. It would basically  
5 be the well spotted here in the southwest quarter of  
6 the northeast quarter on that map.

7 That's our Osage 8, and it was just a shallow  
8 well that will be drilled to use as drilling -- get  
9 some water for when we're drilling these wells out  
10 there.

11 It's not really shown on the map per se by  
12 itself. It's just at that Osage 8 location.

13 Q. Is there anything that you have examined that  
14 would indicate that any of this fresh water would be  
15 contaminated by your injection operations?

16 A. No, there's not.

17 Q. Why is that?

18 A. Because there's sufficient cement between the  
19 zones that we're going to be injecting into and the  
20 well at that depth.

21 In this area we are required to set four  
22 strings of casing here, specifically to protect the  
23 Capitan reef and fresh water in the area, so this is  
24 well protected.

25 Q. And you're talking about the Rustler

1 formation water, essentially?

2 A. The Rustler formation and actually the four  
3 strings program was instituted more to protect the  
4 Capitan reef water there in the area.

5 Q. What else haven't we talked about on the 108  
6 portion of your discussion?

7 A. That pretty much wraps it up.

8 Q. Mr. Lee, do you have anything further to add  
9 to your testimony in terms of things that you may have  
10 omitted from the Exhibit 108 or otherwise?

11 A. No, sir.

12 Q. Mr. Lee, in your opinion would approval of  
13 this Application be in the best interests of  
14 conservation of oil and gas and the prevention of --  
15 protection of correlative rights, I should say?

16 A. Yes, it would.

17 MR. PADILLA: Mr. Examiner, we tender Exhibit  
18 12 in its entirety at this time and pass Mr. Lee for  
19 cross-examination.

20 EXAMINER CATANACH: Exhibit 12 will be  
21 admitted as evidence.

22 EXAMINATION

23 BY EXAMINER CATANACH:

24 Q. Mr. Lee, let me make sure I understand the  
25 procedure as you have it outlined. Is it your

1 intention to flood just the C zone at this time?

2 A. Yes, it is.

3 Q. And what will happen to the wells that are  
4 producing from the A and the B zones?

5 A. We'll, you know, continue to produce them.  
6 If they're not completed in the C zone, you know, we  
7 will open the C zone up in those wells.

8 They're -- I have no, you know, concern of  
9 cross-flow or anything like that. These wells are  
10 predominantly on a -- being pumping units, you know,  
11 you keep the C zone -- keep it pumped off, don't let  
12 your fluid levels get high, and there's no way that  
13 your C-zone oil will cross into your A or B zones. I  
14 don't see an operational problem here by doing the C  
15 zone by itself.

16 Q. So the producing wells will be essentially  
17 commingled in all three zones?

18 A. That's correct.

19 Q. Some of them will?

20 A. Yes.

21 Q. The allocation formula that you have agreed  
22 to will be utilized as soon as the flood initiates?

23 A. That's correct, as soon as we get approval  
24 from you all and get the unit agreement signed and as  
25 soon as they go into effect, the tract participation

1 formulas will allocate production based on those  
2 parameters we discussed earlier.

3 Q. Will all of the producing wells in the unit  
4 be opened up in the C zone?

5 A. Yes.

6 Q. And you mentioned something about squeezing  
7 off the A and the B intervals. Is that planned in any  
8 of the wells?

9 A. We have three -- not in any of the producing  
10 wells. That's going to be done in three injection  
11 wells that we're going to be converting. Currently  
12 they're in either the A or the B sands. We're going to  
13 squeeze those zones off and perforate the C sand and  
14 flood only the C sand. Mainly doing that, you know,  
15 keeps it cleaner.

16 If we want to go -- when we go back to the A  
17 and the B sand, we'll just go back and re-frac those  
18 zones. That way I don't have perforations open on the  
19 back side of my packer.

20 Q. When will it be determined to initiate the  
21 flood in the A and the B zones?

22 A. Once we see adequate response out of the C  
23 zone to convince us that it's going to be a viable  
24 project and that we have enough water to inject, make  
25 sure all of our operational considerations are lined



1 up, taken care of and everything is running good, we'll  
2 go ahead and open up the A and the B.

3 Right now we're anticipating that about two  
4 years down the road, two or three.

5 Q. Once the A and the B zone flood is initiated,  
6 do you have any proposal to regulate the volumes that  
7 go into each of the zones through the injection wells?

8 A. No, and that's really kind of one of the  
9 considerations, to hit the C zone first.

10 That will -- That could possibly get to be a  
11 problem down the road, as to keep the water equally  
12 distributed amongst the three zones.

13 But we don't plan to run two strings of  
14 injection tubing or inject down the back side or  
15 anything like that at this time.

16 Q. Do you know what the current average  
17 production is in each of the zones, fieldwide?

18 A. Not right off the top of my head. That was  
19 estimated in the Platt, Sparks report.

20 Of course, there's several -- Some of these  
21 wells now that are opened in all three zones, you know,  
22 it's commingled. So it's very difficult to really  
23 assign, you know, this reserves come out of the A, the  
24 B and the C.

25 Platt, Sparks attempted to do that, based

1 upon the well log parameters, what the porosity,  
2 permeability looked like in each zone, and they went  
3 back and sort of allocated out production and current  
4 rates.

5 But no, right off the top of my head I don't  
6 know what the production is from each zone.

7 Q. Would you say that production from each zone  
8 is above marginal production or --

9 A. Yes.

10 Q. In all three zones?

11 A. Yeah.

12 Q. Your estimated ultimate recovery of 6.7  
13 million barrels -- is that right?

14 A. Waterflood reserves, yes.

15 Q. Right, secondary reserves.

16 A. Uh-huh.

17 Q. 6.3. That includes all three zones?

18 A. That's correct. The table on Figure 26 shows  
19 that the C zone incremental reserves is 4.5 million  
20 barrels, and the incremental A and B zone reserves is a  
21 little over 1.8 million barrels.

22 Q. Okay, was the ratio the same ratio used for  
23 all three zones?

24 A. That's correct. What we did was look at the  
25 C zone recoverable reserves, primary reserves, which

1 were calculated by Platt, Sparks.

2 Then we took the incremental waterflood  
3 reserves as calculated by Platt, Sparks' model and got  
4 a ratio, secondary/primary ratio, the 1.55.

5 Then we applied that to the recoverable  
6 reserves from the A and the B zone, and that's where I  
7 come up with the 1.8 million barrels to be recovered  
8 from the A and B zones.

9 Q. Do you have an opinion as to whether  
10 initiating the flood at this point in time, in the life  
11 of the field, is beneficial in terms of increasing the  
12 ultimate recovery?

13 A. Yes, I do. Yes, I believe that it will. And  
14 as we addressed earlier, if you wait until your field  
15 has just totally depleted down to virtually nothing --  
16 you know, all your free gas is coming out, your  
17 viscosity of your oil has increased. It's sort of like  
18 -- It becomes much thicker and the water will have a  
19 tendency to finger through it more.

20 Q. Is there a method by which you could quantify  
21 the benefit?

22 A. We haven't done it here, but you can  
23 calculate what the mobility ratio would be now,  
24 compared to what the mobility ratio would be at  
25 depletion, and what it would show is that your mobility

1 ratio now will be better, closer to one, and you'll get  
2 a much better areal sweep.

3 Q. Referring to your figure 17, injection  
4 pattern --

5 A. Yeah.

6 Q. -- is there a reason why the eastern portion  
7 of the unit does not contain injection wells between  
8 the producing wells?

9 A. Yeah, as Bruce showed on the structure map,  
10 as you tend to get downstructure, the wells become much  
11 poorer in quality. Eventually there may be some  
12 injection wells put on the east side of the unit.

13 Once we determine, say, exactly how good  
14 these zones will flood up here in the better part of  
15 the reservoir, once that's ascertained, looking at the  
16 production on these wells, we'll be able to get a  
17 better handle on whether it will be economically  
18 feasible to go in and waterflood that portion of the  
19 field.

20 Q. At this point in time, without the addition  
21 of injection wells, do you think the well numbers 1 and  
22 4 would receive any benefit from injection?

23 A. No. But we're including them in the unit  
24 because they do have, you know, C-zone, A-zone, B-zone  
25 reserves there, and so that at a later time we don't

1 have to go in and expand the unit. We tried to wrap  
2 everything up that we deemed to be productive or to  
3 have some recoverable reserves now, and throw them all  
4 in now, rather than expand the unit at a later date.

5 Q. Mr. Lee, you said -- You mentioned something  
6 briefly about the Capitan reef. Where does that occur  
7 in this area, at what depth?

8 A. I'm not sure exactly. I think it's 1500 to  
9 3000, somewhere in that range. I think it's around  
10 1500 feet.

11 Q. And that generally -- The reef is generally  
12 behind pipe in all these wells?

13 A. Right. Not generally, it is.

14 Q. It is?

15 A. Yeah.

16 Q. Does that string of casing, does that require  
17 to be circulated?

18 A. Uh-huh.

19 MR. PADILLA: Yes.

20 THE WITNESS: Yes. Good kick, Ernie.

21 EXAMINER CATANACH: Why don't you go ahead  
22 and I'll work on this.

23 EXAMINATION

24 BY MR. STOVALL:

25 Q. I assume, Mr. Lee -- Your stating of the case

1 says you're looking for the EOR tax credits, you don't  
2 mind taking advantage of a 50-percent tax-rate  
3 reduction; is that right?

4 A. No, sir. We don't mind that at all.

5 Q. You're not looking for it, or you're -- or  
6 no, don't mind?

7 A. No, we don't mind. Yes, we want it.

8 Q. Okay. Would have simplified my job if you  
9 had said no, you don't want it.

10 Now, you understand, I assume, that as far as  
11 the approval of a project, it's the normal approval  
12 which you've already gone through requesting the  
13 approval for the waterflood?

14 A. Uh-huh.

15 Q. But there are some additional things that  
16 we're going to have to do as far as administration of  
17 those things that are necessary for you to obtain the  
18 credit.

19 A. Okay.

20 MR. STOVALL: Kick him, Ernie, and get a  
21 "yes".

22 THE WITNESS: Yes, yes.

23 MR. STOVALL: Actually, I think Steve can  
24 take an "uh-huh" down, but...

25 Q. (By Mr. Stovall) First is the definition of

1 the project area. And you've kind of presented a  
2 unique situation.

3 Let's start first with the horizontal extent  
4 of the area.

5 A. Okay.

6 Q. And Figure 20 looks like the easiest thing to  
7 work from for me.

8 Is it safe to assume that you are proposing  
9 as the qualifying area for the EOR tax credit that it  
10 be the entire waterflood project area horizontally?

11 A. Yes, that is correct.

12 Q. Including those wells 1 and 4 which you say  
13 are not going to get any benefit?

14 A. That is correct. Under the current pattern,  
15 they will not get any benefit.

16 Later on, once, you know, when we get, say,  
17 good response up here, the flood would be expanded from  
18 injection wells drilled down there. At that time they  
19 would see some waterflood benefit.

20 Q. Well, you've kind of used a buzz word there  
21 that says, gee, maybe they're not in the project now  
22 for the tax credit purposes, because you've talked  
23 about expanding the project, if you will, into those --  
24 into that pattern.

25 I guess the converse side is, you understand

1 that when we go to approve -- before you can actually  
2 get the benefit of the credit, you've got to get a  
3 positive production response.

4 Are you familiar with the Enhanced Oil  
5 Recovery Tax Bill?

6 A. I'm familiar with -- Yes, in Texas. I'm  
7 assuming that what we see in New Mexico is the same as  
8 what we have --

9 Q. No, it is not --

10 A. Okay.

11 Q. -- and I will tell you why it is not, is  
12 because in Texas, as I understand the Texas  
13 legislation, you get the tax credit on -- or the tax  
14 rate reduction, whatever it is -- on the incremental  
15 recovery. I believe that is correct.

16 A. That's correct.

17 Q. In New Mexico, you will get the reduced tax  
18 rate on all of the production from the project area,  
19 after there is a positive production response.

20 Do you understand the distinction?

21 A. Yes, I do.

22 Q. Okay. And this is getting into the other  
23 area that I need to get into. Let's start out -- In  
24 fact, let me go straight to that line of questioning,  
25 is -- See, I told you I've studied some engineering



1 stuff.

2 A. Yes, you have.

3 Q. There are several steps in the process, and  
4 let's go through those.

5 The first step, of course, is this one and  
6 that is getting the project approved. And assuming we  
7 approve the project as a waterflood project, that is  
8 the initial threshold qualification.

9 A. Okay.

10 Q. In order to actually receive the tax credits  
11 you will have to obtain a positive production response  
12 within five years of the date we certify the project to  
13 Taxation and Revenue as being qualified for the  
14 project.

15 A. Okay.

16 MR. STOVALL: And I assume Mr. -- I'm sorry,  
17 I've forgotten your name, but you're --

18 MR. SHUMATE: Shumate.

19 MR. STOVALL: You're the number-one man at  
20 Siete, right? Did I see your name as president of  
21 Siete?

22 MR. SHUMATE: Yes.

23 MR. STOVALL: So you're listening to this  
24 too, I assume --

25 MR. SHUMATE: Oh, yes.

1 MR. STOVALL: -- with great interest.

2 Q. (By Mr. Stovall) The process which we are  
3 proposing, and using in a couple of cases, is, we  
4 assume you do not want to certify the project as of the  
5 time of the approval, because from the time you approve  
6 it there's a time lag to install the facilities and  
7 complete the conversions and drill the injectors.

8 A. What's that time lag?

9 Q. Whatever it takes you to do it.

10 A. Okay.

11 Q. I mean, there's a physical time that --

12 A. Right.

13 Q. -- you're required to take to -- The five-  
14 year time to get a positive production response is  
15 dated not from the date of approval of the project but  
16 rather from the date of our certification to Taxation  
17 and Revenue, and for your benefit we are assuming that  
18 you would not want to certification to occur until all  
19 construction and preliminary work has been done, but  
20 before injection of any water has commenced.

21 Do you follow me?

22 A. Yes, I do. So I can build my facilities, but  
23 I can't inject water until you give me approval of the  
24 certification?

25 Q. Well, it's kind of backwards, you've got it

1 kind of backwards.

2 If you want certification now, we'll give it  
3 to you. But what that does is, it takes you away from  
4 you the time to get a positive production response that  
5 you require to build your facilities.

6 Let me ask you, how long do you think it will  
7 take from the time you get this Order approved and your  
8 unit approved and effective until you would actually be  
9 ready to start injection?

10 A. Three to six months.

11 Q. Okay. Well, that would be three to six  
12 months that would be, in effect, lost in an attempt to  
13 get that production response.

14 So we would assume --

15 A. Five years.

16 Q. -- that you would not want to ask for that  
17 certification until your facilities are in place and  
18 you are actually physically ready to begin injection --

19 A. Okay.

20 Q. -- so that you obtain the maximum benefit of  
21 the five-year period.

22 A. Right, I agree with that, okay.

23 Q. Okay. So at such time after approval and  
24 after you have completed construction and got your unit  
25 all in place, but before such time as you are ready --

1 and you make the determination when you're ready to  
2 inject water -- you need to contact the Division and  
3 request that we certify the project to Taxation and  
4 Revenue.

5 A. Okay.

6 Q. Now, the next step, what we'll need to do --  
7 and this is where we get back more into the engineering  
8 side of it -- is, at that time we'll need to determine  
9 a baseline production level for your project area,  
10 because in order to receive the tax credit, you are  
11 within that five-year period that I talked about going  
12 to have to show a positive production response, which  
13 means you've got to know how to -- against what do you  
14 need to measure that --

15 A. Uh-huh.

16 Q. -- in order to determine your positive  
17 production response?

18 A. Okay.

19 Q. Your Figure -- What is it? Your last figure,  
20 I think?

21 A. Twenty-six, I believe.

22 Q. Yeah. In other words, you appear to be  
23 showing, if I'm looking at this correctly, your  
24 bottom --

25 A. Yeah, the --

1 Q. The first curve on the left is your C zone;  
2 is that correct? Is that your C zone primary reserves,  
3 or is that...

4 A. Yeah, it's basically the field reserves, the  
5 field production --

6 Q. Okay.

7 A. -- coming down, and then the C zone kicks in,  
8 and it has some additional incremental production, say  
9 in 1993, is the first year in which we see a production  
10 increase from the flood.

11 Q. As a result of the flood, right. That would  
12 be the time at which your tax credit would become  
13 effective.

14 A. Okay.

15 Q. But now, the question I'm asking you now is,  
16 in order to establish that baseline response, is this a  
17 number that we should use? Is this the line we should  
18 use for your...

19 I mean, it's going to have to be a field-wide  
20 baseline -- I'm referring to baseline, initial, you  
21 know, decline curve, established decline curve for the  
22 field, prior to secondary recovery.

23 And I guess the question is, we may or may  
24 not accept this as that number. We may ask you to  
25 provide additional information.

1           A.    I'd rather provide additional information  
2 later, and at that time we can get together with our  
3 engineering committee and, you know, agree upon,  
4 amongst the three major working interest owners, what  
5 that baseline should be, or what we extrapolate the  
6 future production to be.

7           Q.    Yeah. Well, it's a historical baseline,  
8 really, is what it is. And then, yes, of course your  
9 extrapolation. And it is a project-area-wide --  
10 Whatever project we certify to Taxation and Revenue --

11          A.    Uh-huh.

12          Q.    -- is -- you've got to include all the  
13 historical production and the --

14          A.    Okay.

15          Q.    -- established decline curve for that entire  
16 project area.

17          A.    Okay.

18          Q.    Which now leads us back to your project area.  
19 Go back to Figure 20.

20          A.    Uh-huh, okay.

21          Q.    That would mean your baseline -- Your  
22 baseline production would be based upon every producing  
23 well included within the project area --

24          A.    That's correct.

25          Q.    -- prior to conversion and injection --

1 A. Correct.

2 Q. -- which would include wells 1 and 4.

3 A. That's correct.

4 Q. So that would be the number then established.

5 So then if they're included and they don't  
6 receive a response, there is some potential that could  
7 adversely affect your positive production response,  
8 because you are having to, if you will, carry some  
9 wells that aren't receiving it.

10 And it may not be a factor in this case.

11 A. It's probably not. The production from those  
12 two wells are fairly nominal anyhow.

13 Q. Okay. So you understand what we're going to  
14 have to do at that point.

15 Again, after you have established your  
16 positive production response, once you get your curve  
17 up, moving up again, you're going to have to come back  
18 to us and request that we certify to Taxation and  
19 Revenue a positive production response.

20 A. I understand, okay.

21 Q. So we have to notify Taxation and Revenue  
22 twice: once, to certify the approval of the project --  
23 that's when you're ready to start flooding --

24 A. Uh-huh.

25 Q. -- and the second time, to certify a positive

1 production response, and that will probably require a  
2 hearing --

3 A. Okay.

4 Q. -- at that time. Okay?

5 MR. PADILLA: To certify and to establish a  
6 baseline production level --

7 MR. STOVALL: But that shouldn't require a  
8 hearing unless there are some questions.

9 MR. PADILLA: Let me ask, what would require  
10 a hearing now?

11 MR. STOVALL: The positive production  
12 response certification.

13 MR. PADILLA: Okay.

14 MR. STOVALL: I think we are taking the  
15 position at this time, particularly until we have some  
16 history on this, that we're going to ask you to come in  
17 and demonstrate at hearing that there has truly been a  
18 positive production response and not just, say, a burp  
19 in production caused by the better maintenance that  
20 establishing waterflood does.

21 You know, there's some prudent operation  
22 things that you go out and do before you do a  
23 waterflood that --

24 THE WITNESS: Right.

25 MR. STOVALL: -- will sometimes burp the



1 production up a little bit, but not be a true response.

2 THE WITNESS: Uh-huh.

3 EXAMINER CATANACH: What makes this even more  
4 complicated is the fact that it's phased program,  
5 vertically phased --

6 MR. STOVALL: I was just about to get at that  
7 part too.

8 EXAMINER CATANACH: -- which we haven't run  
9 across before, and I'm a little concerned that you're  
10 going to initiate flooding operations in the A and B  
11 after you have a response in the C.

12 THE WITNESS: Yes.

13 EXAMINER CATANACH: Theoretically, after you  
14 get your response in the C, you will qualify for the  
15 tax rate, but you will be getting the benefit in all  
16 three zones, even though you have not flooded the A and  
17 the B.

18 I'm a little bit concerned as to how we're  
19 going to handle that.

20 MR. STOVALL: The converse of that is that if  
21 we use the total production from the field, which  
22 includes the A, B and C, and you flood the C, you may  
23 get a response in the C, but not a total response for  
24 the field.

25 So I think when the -- because you have

1 created a unique situation because you are phasing  
2 vertically rather than horizontally -- and I wouldn't  
3 discourage -- I still want to encourage you to use  
4 sound engineering to accomplish the result.

5 But the question we may want to look at is,  
6 do we approve a zone C waterflood and then come back  
7 and approve -- and use the zone C production if you can  
8 adequately establish the zone C baseline production and  
9 the zone C response? But you're going to have to --  
10 There's going to have to be some isolation of the --

11 MR. PADILLA: -- A and B.

12 MR. STOVALL: -- of the production so that  
13 you now what's C and what's A and B.

14 So by approving this waterflood at this time,  
15 we are not precluded from dealing with that, by  
16 approving it under the rules of the Division with  
17 respect to the waterflood project.

18 But in terms of the certification and  
19 establishment of your baselines and qualifying for the  
20 credits, you're going to have to want to look at it  
21 from that standpoint.

22 It may be that you can get enough production  
23 response out of the C that even though you're not yet  
24 injecting into the A and B, you've got a positive  
25 production response for the field, which would justify

1 the qualification --

2 THE WITNESS: Uh-huh.

3 MR. STOVALL: -- still. I mean, that's --

4 THE WITNESS: Okay.

5 MR. STOVALL: And we'll have to have some  
6 internal discussions because Dave looked at it from one  
7 way and I've looked at it from the other.

8 He's looking at it from the Division  
9 standpoint: If you're not injecting in the A and B,  
10 should you get credit for it?

11 I'm saying if you're not injecting in the A  
12 and B, is that going to handicap you? Or if you're  
13 successful in boosting production sufficiently from the  
14 C, does that mean that you ought to get credit even for  
15 A and B oil?

16 So I think that's --

17 MR. PADILLA: It seems like, to me, like you  
18 probably should get credit for it, based on what you're  
19 saying, if you get that boost.

20 MR. STOVALL: I think we need to have some  
21 discussion internally about that. But I think you are  
22 going to have to have some discussion with us at a  
23 future time, and we can do it informally.

24 THE WITNESS: Okay, that would be good.

25 MR. STOVALL: It does not have to be in a

1 hearing context.

2 THE WITNESS: And at that time I can get with  
3 my esteemed colleagues from Meridian and Santa Fe and  
4 see if they've run into anything like this, and --

5 MR. STOVALL: Well, they haven't, because  
6 yours is the first case that's --

7 THE WITNESS: Oh.

8 MR. STOVALL: -- I guess, that's come before  
9 us.

10 THE WITNESS: Well --

11 MR. STOVALL: You've got more experience than  
12 they do already.

13 And I think that addresses some of the issues  
14 that somehow we knew that the earlier ones were going  
15 to be the tough ones.

16 And somehow industry has worked to make the  
17 early tough ones tougher, coming up with interesting  
18 situations.

19 EXAMINER CATANACH: And appear on my docket.

20 MR. STOVALL: And they appear on your docket.  
21 That's because you're the waterflood expert, Mr.  
22 Catanach.

23 So far you've gotten them all, haven't you?

24 EXAMINER CATANACH: Yeah.

25 MR. STOVALL: Well, think about that and come

1 back --

2 THE WITNESS: Okay, we will.

3 MR. STOVALL: -- because we're going to have  
4 to deal with it. And familiarize yourself with the New  
5 Mexico Act because it is different from the Texas Act.

6 THE WITNESS: All right.

7 MR. STOVALL: There is some initial modeling.  
8 But, as I say, it's -- We are more critical of it,  
9 because it's not just giving you credit on incremental  
10 production.

11 Qualifying for the tax credit gives you  
12 your -- The tax reduced rate qualifies all production  
13 from the project for the reduced rate, so we are taking  
14 a more critical eye as to obtaining that positive  
15 production response.

16 THE WITNESS: I understand, okay.

17 MR. STOVALL: And I think that's the extent  
18 of the engineering preparation I've conducted, so...

19 THE WITNESS: A fine job.

20 MR. STOVALL: I have no further questions or  
21 comments, as the case may be.

22 EXAMINER CATANACH: I have nothing further of  
23 the witness.

24 MR. PADILLA: We have nothing further, and  
25 I'm sure we'll be back to have some discussions with

1 you concerning the EOR aspect of this.

2 MR. STOVALL: That is going to be primarily  
3 an engineering discussion with probably yourself coming  
4 in, and Mr. Van Ryan and Catanach and myself, so...

5 EXAMINER CATANACH: There being nothing  
6 further, Case 10,618 and 10,619 will be taken under  
7 advisement.

8 MR. PADILLA: Mr. Catanach, I have a third  
9 one of these booklets for you, and I'm not sure that  
10 you want it.

11 MR. STOVALL: Steve, would you like it?

12 COURT REPORTER: I could sure use it.

13 MR. STOVALL: Why don't you give it to him?

14 EXAMINER CATANACH: Yeah.

15 MR. STOVALL: All right?

16 COURT REPORTER: Would you like me to give it  
17 back to you?

18 MR. PADILLA: No, I have an extra copy for  
19 you, not of this one, but you can have that.

20 I have nothing further.

21 MR. STOVALL: Okay, you're going to submit  
22 the -- another copy of the --

23 MR. PADILLA: Correct, the --

24 MR. STOVALL: Make sure you get Steve one  
25 too.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. PADILLA: -- Exhibit Number 1.

EXAMINER CATANACH: Okay. This hearing is  
adjourned.

(Thereupon, these proceedings were concluded  
at 3:43 p.m.)

\* \* \*

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 10618/10619  
heard by me on December 3, 1992.  
David R. Catanach, Examiner  
Oil Conservation Division

1 CERTIFICATE OF REPORTER

2


3 STATE OF NEW MEXICO )  
 4 COUNTY OF SANTA FE ) ss.

5

6 I, Steven T. Brenner, Certified Court  
 7 Reporter and Notary Public, HEREBY CERTIFY that the  
 8 foregoing transcript of proceedings before the Oil  
 9 Conservation Division was reported by me; that I  
 10 transcribed my notes; and that the foregoing is a true  
 11 and accurate record of the proceedings.

12 I FURTHER CERTIFY that I am not a relative or  
 13 employee of any of the parties or attorneys involved in  
 14 this matter and that I have no personal interest in the  
 15 final disposition of this matter.

16 WITNESS MY HAND AND SEAL December 29th, 1992.

17 

18 STEVEN T. BRENNER  
 19 CCR No. 7

20 My commission expires: October 14, 1994

21

22

23

24

25