

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

NEW MEXICO OIL CONSERVATION COMMISSION  
STATE LAND OFFICE BUILDING  
STATE OF NEW MEXICO  
CASE NO. 10771

IN THE MATTER OF:

The Application of OXY USA, Inc., to  
Authorize the Expansion of a Portion  
of its Skelly Penrose "B" Unit  
Waterflood Project and Qualify Said  
Expansion for the Recovered Oil Tax  
Rate Pursuant to the "New Mexico  
Enhanced Oil Recovery Act," Lea  
County, New Mexico.

BEFORE:

CHAIRMAN WILLIAM DEMAY  
COMMISSIONER BILL WEISS  
COMMISSIONER GARY CARLSON  
State Land Office Building  
Morgan Hall  
February 10, 1994

REPORTED BY:

CARLA DIANE RODRIGUEZ  
Certified Shorthand Reporter  
for the State of New Mexico

MAR 3 1994

ORIGINAL

## A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION COMMISSION:

**ROBERT G. STOVALL, ESQ.**

General Counsel  
State Land Office Building  
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

KELLAHIN & KELLAHIN  
Post Office Box 2265  
Santa Fe, New Mexico 87504-2265  
BY: **W. THOMAS KELLAHIN, ESQ.**

## I N D E X

## Page Number

Appearances

2

WITNESSES FOR THE APPLICANT:

1. **SCOTT GENGLER**

Examination by Mr. Kellahin	9
Examination by Comm. Carlson	34, 42
Examination by Comm. Weiss	34, 41, 46
Examination by Chairman LeMay	37, 47

2. **RICK FOPPIANO**

Examination by Mr. Kellahin	50
Examination by Comm. Carlson	67, 91
Examination by Comm. Weiss	71, 90
Examination by Chairman LeMay	74, 85, 93
Examination by Mr. Stovall	82

3. **WILLIAM F. CARR, ESQ.**

Examination by Mr. Kellahin	96
Examination by Comm. Carlson	110
Examination by Chairman LeMay	110
Examination by Mr. Stovall	114

Certificate of Reporter

126

E X H I B I T S

Page Marked

Exhibit No. 1	11
Exhibit No. 2	15
Exhibit No. 3	16
Exhibit No. 4	17
Exhibit No. 5	19
Exhibit No. 6	19
Exhibit No. 7	22
Exhibit No. 8	25
Exhibit No. 9	27
Exhibit No. 10	29
Exhibit No. 11	30
Exhibit No. 12	56
Exhibit No. 13	58
Exhibit No. 14	61
Exhibit No. 15	62
Exhibit No. 16	64
Exhibit No. 17	66
Exhibit No. 18	66
Exhibit No. 19	66
Exhibit No. 20	101

1 CHAIRMAN LEMAY: At this time we'll  
2 call Case 10771.

3 MR. STOVALL: This is the application  
4 of OXY USA, Inc., to authorize the expansion of a  
5 portion of its Skelly Penrose "B" Unit waterflood  
6 project, and qualify said expansion for the  
7 recovered oil tax rate, pursuant to the New  
8 Mexico Enhanced Oil Recovery Act, Lea County, New  
9 Mexico.

10 CHAIRMAN LEMAY: Appearances in the  
11 case.

12 MR. KELLAHIN: May it please the  
13 Commission, I'm Tom Kellahin, of the Santa Fe law  
14 firm Kellahin & Kellahin, appearing on behalf of  
15 the Applicant, and I have three witnesses to be  
16 sworn.

17 CHAIRMAN LEMAY: Thank you, Mr.  
18 Kellahin. Additional appearances in the case?

19 Those witnesses who will be giving  
20 testimony, please stand and raise your right  
21 hands to be sworn in.

22 [And the witnesses were duly sworn.]

23 CHAIRMAN LEMAY: Mr. Kellahin, you may  
24 proceed.

25 MR. KELLAHIN: My first witness today

1 is Scott Gengler, and while Mr. Gengler finds his  
2 way to the witness stand, I'll pass out the  
3 exhibit package.

4 We're before you today to request that  
5 the Commission modify the Division order that was  
6 entered approving Oxy's waterflood project and  
7 providing an enhanced oil recovery tax credit for  
8 what they've identified as their Skelly Penrose  
9 "B" Unit waterflood project.

10 I have three witnesses for you today.  
11 Mr. Gengler is the project reservoir engineer,  
12 and he is going to describe for you what, in his  
13 engineering opinion, is a significant change in  
14 process. That process involves taking an old  
15 waterflood project that was developed and  
16 depleted on an 80-acre inverted five-spot  
17 pattern. His change in process involves reducing  
18 that pattern to a 40-acre pattern.

19 That is a process that Mr. Gengler has  
20 concluded is a significant change which would  
21 qualify this project for the enhanced oil  
22 recovery tax credit.

23 The Division Examiner, Mr. Catanach,  
24 has agreed with Mr. Gengler, and so the reduction  
25 in pattern for Oxy, as well as other projects

1 approved after this one, has been recognized by  
2 the Division as a significant change.

3 The issue of concern for us is that  
4 Examiner Catanach provided a limitation in our  
5 approval that is unique unto this order, and has  
6 not been applied to any other projects like this  
7 since our order.

8 Briefly, the project area involves some  
9 existing producing wells. The change of pattern  
10 was such that there are five existing infill  
11 producers, and there are five more yet to be  
12 drilled.

13 Mr. Catanach has excluded from the  
14 credit the producing wells that were already  
15 drilled, allowing the project area to contain  
16 only those five producing wells that had not yet  
17 been drilled. That order, we contend, provides a  
18 test for qualification that is neither in the  
19 Division rule nor in the Enhanced Oil Recovery  
20 Act.

21 So, first of all, Mr. Gengler is here  
22 to tell you what his project is about. The  
23 second witness is Mr. Foppiano, who is also a  
24 reservoir engineer but, more important to this  
25 case, is a regulatory expert for his company.

1           From his engineering perspective, then,  
2 we have provided him copies of all similar  
3 transcripts, exhibits, and orders for cases like  
4 this processed by the Division, and he will  
5 demonstrate for you that other projects, with the  
6 exception of ours, that have been approved since  
7 the Oxy application, have not contained this type  
8 of limitation.

9           And then finally, Mr. Carr is our legal  
10 expert, who we have asked to testify with regards  
11 to the legislative history, the purpose of the  
12 EOR Act, and to render his legal opinions  
13 concerning certain topics of concern with regards  
14 to the specifics of this case.

15           The package of documents before you  
16 contain the prehearing statement. I have written  
17 out for you the statement of the case that I've  
18 just described. There is a second page that says  
19 the relief requested, and I have identified for  
20 you the three specific issues we're asking you to  
21 deal with this morning, and then a list of the  
22 witnesses and a quick summary of what we think  
23 they will testify to.

24           After the prehearing statement, there  
25 is contained in the package, for your reference,

1 the Oxy order that is in question this morning.  
2 Followed after that is a copy of Division Order  
3 R-9708, and those are the rules and regulations  
4 adopted by the Commission with regards to the  
5 enhanced oil recovery procedure, and qualifying a  
6 project for approval, and then the subsequent  
7 provisions with regard to certification of those  
8 projects.

9 To point you in the right direction, if  
10 you'll take Commission Order R-9708, turn to page  
11 2 of Exhibit A, Exhibit A is the actual rules,  
12 turn to page 2 of the rules and look up at the  
13 top and find numbered paragraph 4. It says,  
14 "Expansion or Expanded Use." It is that  
15 paragraph that we are dealing with.

16 And then, after that, we have included  
17 the rest of the hearing exhibits for the various  
18 witnesses. Included in the package are going to  
19 be copies of other similar action taken by the  
20 Division, where we will point out to you what we  
21 consider to be the inconsistent treatment of this  
22 particular case by the Division.

23 We are not here in a matter of dispute  
24 or contention with the Hearing Examiner. Quite  
25 frankly, he has encouraged us to come before you



1 to provide him with direction and guidance on how  
2 to interpret the Act. This is incredibly  
3 complicated and a tedious process, and I have met  
4 with Mr. Catanach so that I understood what it is  
5 that he was trying to write in the orders.

6 So, we're not here to criticize his  
7 work. We believe this is a difficult process.  
8 What we're here to tell you is that, since the  
9 Oxy case, I think the Division has come to a  
10 different understanding and conclusion about how  
11 to handle drilled wells within a project area,  
12 and has subsequently not made this requirement on  
13 others, and we believe it's necessary to change  
14 this order so that we receive consistent  
15 treatment.

16 Having said that, we're ready to  
17 present Mr. Gengler.

18 **SCOTT GENGLER**

19 Having been first duly sworn upon his oath, was  
20 examined and testified as follows:

21 **EXAMINATION**

22 **BY MR. KELLAHIN:**

23 Q. Mr. Gengler, for the record, would you  
24 please state your name and occupation, sir?

25 A. My name is Scott Gengler. That's

1 spelled G-E-N-G-L-E-R, and I'm a petroleum  
2 engineer.

3 Q. Mr. Gengler, the microphone in this  
4 hearing room does not amplify your voice. It's  
5 just for the court reporter's recording  
6 equipment. You have to speak up so we can all  
7 hear you.

8 A. All right.

9 Q. Describe for us, sir, what has been  
10 your involvement in what has been identified as  
11 the Skelly Penrose "B" Unit waterflood project  
12 that is currently operated by your company?

13 A. My involvement was to undertake a study  
14 to look at the feasibility of converting this old  
15 80-acre five-spot waterflood into a 40-acre  
16 five-spot waterflood to increase the recovery out  
17 of this unit.

18 Q. Did you undertake that study?

19 A. Yes, I did.

20 Q. Did you have sufficient engineering  
21 data and information by which to make that study?

22 A. Yes, I did.

23 Q. Based upon that information, were you  
24 able to reach conclusions, as a reservoir  
25 engineer, with regards to the feasibility of

1 establishing a waterflood project for this area  
2 on 40-acre inverted pattern?

3 A. Yes, I did.

4 MR. KELLAHIN: We tender Mr. Gengler as  
5 an expert reservoir engineer.

6 CHAIRMAN LEMAY: His qualifications are  
7 acceptable.

8 Q. Mr. Gengler, I think it will help us,  
9 sir, if you turn in the package of exhibits to  
10 what has been marked as Oxy Exhibit No. 1 to this  
11 hearing. There's also a larger copy of this  
12 plat. On the display board, it is the first  
13 display on the left, as the Commission looks at  
14 the display board.

15 First of all, describe for us what  
16 we're looking at in Exhibit No. 1.

17 A. This is the Skelly Penrose "B" Unit,  
18 which is located six miles south of Eunice. It  
19 contains approximately 2,600 acres, and this map  
20 depicts the 80-acre five-spot waterflood pattern  
21 that was in existence when we took over  
22 operations of this unit.

23 Q. Describe for us what has been the  
24 history of the initial primary development, and  
25 then the first waterflood attempt in this unit.

1           A.       The first well in this unit was drilled  
2           in 1933, with subsequent wells drilled  
3           thereafter. The unit was unitized in 1965, with  
4           waterflood operations beginning in 1966.

5                   Oil production was realized in 1971 at  
6           500 barrels a day, and began declining from  
7           there. By the 1980s, the waterflood was becoming  
8           depleted, had a high water cut. Makeup water was  
9           ceased in 1984 and, after 1984, basically, the  
10          project had become a disposal project.

11          Q.       Who was the original unit operator?

12          A.       The original unit operator was Getty  
13          Oil.

14          Q.       Were there any other intermediate  
15          operators, between Getty's operation and the  
16          point in time when Oxy purchased the unit?

17          A.       Yes. Texaco bought Getty Oil out in  
18          1984 and became the operator in 1985. In 1987,  
19          they sold the unit to Sirgo Operating, and in  
20          1993, Oxy bought the unit from Sirgo Operating.

21          Q.       At the time Oxy acquired the unit,  
22          summarize for us the status of the property.

23          A.       The property was pretty much depleted.  
24          Oil production was 22 barrels a day. We had one  
25          active injection well. The waterflood facilities

1 and equipment were pretty well gone. Most of it  
2 was either in disrepair or had been robbed or  
3 taken away to some other place. Basically, it  
4 was on its last legs.

5 Q. What's the date of acquisition by Oxy?

6 A. February 1st of 93.

7 Q. The topic of the hearing today is the  
8 certain infill wells that were drilled as  
9 producing wells, within what we've identified as  
10 the project area?

11 A. That's correct.

12 Q. Were there any of the project producing  
13 wells, that we sought to include in our project  
14 area, that had been drilled prior to the time of  
15 Oxy's acquisition of the property?

16 A. Yes, there were five wells within the  
17 project area that had been drilled in 1988.

18 Q. Based upon your study of the history of  
19 the project, what was the purpose of that  
20 operator, in drilling those wells?

21 A. The purpose of drilling those wells by  
22 that operator, which I obtained from visits and  
23 talks with him, basically was that they were  
24 looking for some mobile oil saturations within  
25 the waterflood pattern that had kind of banked up

1 and not been recovered.

2 They had undertaken this in another  
3 Queen waterflood, the West Dollar Hyde Queen Unit  
4 that they operated, and had found several areas  
5 where they had banked up oil, getting upwards of  
6 200, 250 barrels a day initially out of these  
7 wells.

8 They were trying to locate those in  
9 this unit, drill these five wells, weren't  
10 satisfied with the results, and basically left it  
11 at that.

12 Q. Describe for me what Oxy undertook,  
13 then, when it acquired the property, to make a  
14 decision on what to do with this property?

15 A. The previous operator had commissioned  
16 a consulting reservoir engineer in Midland,  
17 Texas, T. Scott Hickman, to do a study on this  
18 project, prior to the drilling of these 1988  
19 wells.

20 Based on his study, and a study that we  
21 conducted on our own, we felt like there was  
22 opportunity to reduce the spacing on this  
23 particular unit due to four vertical and aerial  
24 sweep efficiencies found in the waterflood. This  
25 is basically due to a reservoir that was slightly

1 discontinuous, with some permeability and  
2 porosity pinchouts, and felt like that there was  
3 inadequate sweep that was going on on the 80-acre  
4 five-spot.

5 Q. Let's turn to Exhibit No. 2 now, Mr.  
6 Gengler. Identify and describe for us the  
7 production plot we're looking at here.

8 A. This is a production plot of the Skelly  
9 Penrose "B" Unit. As you can see, in 1966, water  
10 injection began. It started getting a small  
11 response in 1967, and peaked about 1971 at 500  
12 barrels a day.

13 It was on a steady decline until 1984,  
14 when the operator at that time decided that the  
15 economics of the project were no longer there,  
16 and decided to cut the makeup water.

17 Q. When we look at the point in time  
18 between 84 and 85, and you're looking at the  
19 water injection rate, it looks like water  
20 injection significantly is reduced about that  
21 time frame?

22 A. That is correct.

23 Q. The operator, then, is no longer  
24 injecting, into the flood, makeup water?

25 A. That is correct.

1 Q. What are they injecting?

2 A. They are just injecting the produced  
3 water that they're producing from their wells.

4 Q. And it continues in that form of  
5 operation until when?

6 A. Until the present time. And that's  
7 depicted by the fact that the water injection  
8 curve and the water produced curve are basically  
9 sitting on top of each other.

10 Q. Okay. Let's turn now to Exhibit No.  
11 3. You made reference to a previous engineering  
12 report. What is Exhibit No. 3?

13 A. Exhibit No. 3 is the reservoir study  
14 done by T. Scott Hickman, or consulting reservoir  
15 engineer, for the previous operator, done in  
16 1987.

17 Q. What were the Hickman engineers'  
18 conclusions, with regards to this particular  
19 project?

20 A. If you turn in the report to the sixth  
21 page back, into the conclusions, No. 3, "Under  
22 current mode of operations, the Penrose "B" Unit  
23 is in the latter stages of depletion," No. 6,  
24 "Oil recovery has varied greatly across the  
25 field due to variations in completion techniques,



1 reservoir heterogeneity, and water injections  
2 inefficiencies."

3 And he basically concluded that the  
4 feasibility of the 40-acre five-spot waterflood  
5 project had a high probability of being  
6 successful, that there was mobile oil saturation  
7 there, and because of the heterogeneity in the  
8 reservoir and the poor sweep efficiencies, that  
9 there was additional oil that could be recovered  
10 from the project area.

11 Q. Having reviewed that report and  
12 analyzed it, in terms of the other information  
13 you have about this project, do you agree or  
14 disagree with that conclusion?

15 A. I agree with that conclusion.

16 Q. Let's turn now to the specific five  
17 wells that were--the five or six wells that were  
18 drilled in 88. Five of those six are within what  
19 we proposed to be our project area when we filed  
20 this application before the Division?

21 A. That is correct.

22 Q. Let's turn now to Exhibit No. 4 and  
23 have you identify and describe that.

24 A. No. 4 is a decline curve of the five  
25 infill wells that were drilled in 1988 in the

1 project area.

2 As can be seen by the decline curve,  
3 initially they came in approximately 15 to 25  
4 barrels a day each, but they dropped off very  
5 quickly. We believe this is due to lack of  
6 reservoir pressure in the reservoir, and some  
7 banked up oil from the 80-acre five-spot  
8 waterflood was banked up in this area, and this  
9 is the flush production you're seeing from it.

10 The flood leveled out, economics  
11 started getting bad for the unit, and in 1992,  
12 Sirgo shut in three of the wells and removed the  
13 equipment from them.

14 In 1993, Oxy came in, did a lot of work  
15 on the unit, including reactivating the three  
16 wells that were temporarily abandoned, and saw  
17 some increase back to approximately the level  
18 they were when they were shut in.

19 In addition, they worked over one  
20 additional well late in 1993 that was successful,  
21 which increased production to the 35 barrel  
22 range, but it quickly dropped off, also, as there  
23 was some flush production in there.

24 Q. Have you made engineering estimates of  
25 what, in your opinion, is the estimated reserves

1 that these five infill wells will ultimately  
2 produce?

3 A. Yes, I have.

4 Q. Let's turn to Exhibit No. 5 and have  
5 you identify and describe that.

6 A. This is a decline curve analysis on the  
7 five infill wells and reserve estimates for these  
8 wells in the project area.

9 Currently, the five wells are making  
10 29-1/2 barrels of oil per day. Using an economic  
11 limit of two barrels of oil per day per well, we  
12 determined that the remaining reserves from  
13 decline curve analysis are 42,000 barrels.

14 Q. Do you have a tabulation of what the  
15 current rates are on those wells?

16 A. Yes, I do.

17 Q. Is that shown on Exhibit 6?

18 A. Yes, it is.

19 Q. Let's look at that now.

20 A. The five wells are listed there. Most  
21 of them are making between four and six barrels a  
22 day. Well No. 66 is currently producing 11  
23 barrels per day, and that was the well that we  
24 worked over. We tried the same workover  
25 techniques on two of the other wells, but were

1       unsuccessful.

2           Q.       Having examined the information about  
3       those five infill wells, and the relationship of  
4       those to the old 80-acre five-spot waterflood  
5       pattern, do you have an opinion as to whether or  
6       not any of those five wells ever saw a positive  
7       production response as a result of the 80-acre  
8       flood?

9           A.       No, I don't think that they really  
10       have.   Based upon the decline curve analysis in  
11       Exhibit 5, we concluded that ultimate reserves  
12       for the five wells were approximately 99,000  
13       barrels of oil or approximately 20,000 barrels  
14       per well, which is slightly below the average  
15       primary production for each of the wells in the  
16       unit, prior to unitization.

17          Q.       Having undertaken the study of the  
18       project as you required it, what have you  
19       determined is the appropriate means for  
20       establishing a secondary recovery project to go  
21       get the secondary oil potential out of the  
22       property?

23          A.       We feel like that going to a 40-acre  
24       five-spot will increase our sweep efficiencies.  
25       This is mainly due to how the reservoir is laid

1 out with the permeability variations and  
2 discontinuous portions of the individual sands.  
3 The Penrose in this area contains 11 different  
4 sands, and the permeability variations and  
5 porosity variations differ quite readily in  
6 between wells.

7 So, we feel like by down-spacing into a  
8 smaller pattern, on a five-spot, we will contact  
9 additional areas that have not been swept.

10 Q. Do you have an opinion as to whether or  
11 not this change in process represents a  
12 significant change in process, or technology,  
13 that will result in the more efficient sweep of  
14 this area of the unit?

15 A. Yes, I do.

16 Q. What is that opinion?

17 A. I believe that it is a significant  
18 change in process because areas that were not  
19 swept before, which is evident by the five infill  
20 wells that were drilled in 1988, have not been  
21 swept, there is no pressure in the reservoir at  
22 that point, and we feel like by decreasing it,  
23 we're changing the process and contacting new  
24 area that had not been contacted by the 80-acre  
25 flood.

1           Q.       Is this simply a logical continuation  
2 of an existing waterflood project?

3           A.       No, it's not. The infill wells were  
4 not really a continuation of a waterflood  
5 project. An 80-acre project was really a  
6 separate deal, it was not really flooding all the  
7 area of the unit, so we feel like it's not a  
8 continuation, it's a new waterflood; especially  
9 when you consider the status of the unit, with  
10 one injection well active and the unit making 22  
11 barrels a day.

12          Q.       Have you made a literature search to  
13 see if there's other technical references that  
14 support your conclusions about the feasibility of  
15 taking an old waterflood project and reducing the  
16 pattern?

17          A.       Yes, I have.

18          Q.       Do you have an example of that type of  
19 reference material for us to look at today?

20          A.       Yes, sir, it's Exhibit No. 7.

21          Q.       What are we looking at?

22          A.       This is a Society of Petroleum  
23 Engineers paper written by T. Scott Hickman and  
24 C. D. Hunter of the T. Scott Hickman & Associates  
25 consulting firm, the title of which is the

1 redevelopment of depleted Queen waterflood  
2 projects in the Permian Basin.

3 This paper looks at several Queen  
4 waterflood projects in the Permian Basin, and the  
5 feasibility of going to a 40-acre five-spot  
6 waterflood, basically due to the same principles  
7 that we're talking about here in the Penrose  
8 "B".

9 Mr. Hickman did a study of which the  
10 Penrose "B" was one of the units that he looked  
11 at and determined that, by improved oil recovery  
12 techniques, that additional oil could be  
13 recovered. These improved oil recovery  
14 techniques were the down-spacing of the  
15 waterflood project from an 80-acre five-spot to a  
16 40-acre five-spot, to greatly enhance the sweep  
17 efficiencies in the reservoir.

18 In his study, on page No. 2, he states,  
19 "The authors have evaluated over a dozen of  
20 these depleted Queen waterfloods for improved oil  
21 recovery potential in recent years. The term  
22 redevelopment has been applied to the process of  
23 exploiting the potential of these depleted floods  
24 since both infill drilling and the  
25 reestablishment of full scale water injection is

1 involved."

2 On the next page, at the bottom of the  
3 left-hand side he states, "The primary and  
4 secondary development techniques utilized in the  
5 Queen reflected prevailing concepts which have  
6 since been rendered obsolete by engineering and  
7 geological advances."

8 Q. And the primary and secondary  
9 development techniques he's talking about in the  
10 Queen, have been the old technique of an 80-acre  
11 pattern?

12 A. Right. The prevailing concept back in  
13 the 60s and 70s was that you basically had a  
14 homogeneous reservoir that was very continuous.  
15 They had old logs with no cores available to  
16 them, and they felt like all these sands were  
17 continuous across the unit.

18 And they used the prevailing knowledge  
19 that every waterflood, for every primary barrel  
20 you produce, you can produce a secondary barrel  
21 in addition. This unit was performing right on  
22 that schedule, so they basically felt like this  
23 was adequate waterflood.

24 But, due to advances in engineering and  
25 geological studies and the infill drilling of



1 these wells, we found that this sweep efficiency  
2 wasn't nearly as good as what they had  
3 anticipated.

4 Q. Does the infill drilling of these prior  
5 producers in and of itself constitute the  
6 execution of a plan that would be a significant  
7 change in process to get the additional secondary  
8 oil?

9 A. No, it does not. As I read on page 2,  
10 where he said that these depleted floods both  
11 need infill drilling and the reestablishment of  
12 full scale water injection, really states the  
13 obvious in this fact that the water injection is  
14 really the key to this development of this sweep  
15 efficiency without any water injection.

16 As you can see, we're not going to get  
17 anywhere near, you know, recoveries of oil that  
18 would be needed to have a project, just by infill  
19 drilling.

20 Q. Let's turn now, Mr. Gengler to Exhibit  
21 8, and have you identify and describe for us how  
22 you're going to institute this plan to reduce the  
23 pattern to a 40-acre inverted five spot.

24 There's a larger copy of this same  
25 display on the display board. It's the exhibit

1 on the right.

2 A. This is, again, an outline of the unit,  
3 and the shaded areas are the project area. The  
4 black triangle wells are current injection wells  
5 under the 80-acre five-spot; the inverted blue  
6 triangles are the wells that we're producing that  
7 we're going to convert to injection; the wells in  
8 green are the ones that were drilled in 1988; and  
9 the red wells were the ones that we were  
10 proposing to drill to fill out the patterns.

11 Q. The order, as issued by the Division in  
12 your case, approved the project area that's  
13 described on this display in the yellow shading,  
14 is it not?

15 A. That's correct.

16 Q. And then, in a subsequent sentence,  
17 identified only five wells as being wells that  
18 would qualify eventually for having their  
19 production eligible for the reduced severance tax  
20 credit?

21 A. That is correct.

22 Q. Which of the five wells on this display  
23 are those wells for which the Division has  
24 authorized the credit?

25 A. The five wells in red, the ones that we

1 had proposed to drill.

2 Q. The other five wells are the ones that  
3 are shown in the green dots?

4 A. That is correct.

5 Q. Those are the ones that would be the  
6 producing wells, when you reduce the pattern to a  
7 40-acre inverted five-spot?

8 A. Correct.

9 Q. Let's talk about sweep efficiencies.  
10 Let's turn to your display marked Exhibit 9. If  
11 you'll take the overlay and fold it back and look  
12 at the white page, describe for us what you're  
13 trying to illustrate with the pattern identified  
14 as the 80-acre five-spot waterflood pattern.

15 A. Basically, what we're showing are the  
16 flow paths of the water as it leaves the  
17 injection wells to the producing wells, in a very  
18 simplified manner. What we're showing are the  
19 channels as it goes from the injection wells to  
20 the producers, and what kind of sweep that we're  
21 anticipating out of the 80-acre five-spot.

22 Q. If you take the overlay and put it over  
23 the 80-acre pattern now, what are you  
24 illustrating with the red lines?

25 A. We're illustrating going to a 40-acre

1 five-spot pattern, where we drill an infill well  
2 in between four wells, convert the two old  
3 producers to injection, and establish new  
4 injection lines in between the injectors and the  
5 producers.

6 Q. Does that change in process allow you  
7 to contact reservoir and to sweep that reservoir  
8 that had not previously been contacted with the  
9 80-acre flood pattern?

10 A. Yes, it does. As you can see, we feel  
11 like we're not overlapping our injection between  
12 our injection wells, and that there's areas in  
13 the middle that have not been contacted.

14 This was backed up by the infill  
15 drilling of the five wells, which showed no  
16 pressure response or secondary response to the  
17 80-acre five-spot.

18 Q. Will that sweep efficiency, resulting  
19 from the change of pattern, apply to those  
20 patterns contained within the area shown for the  
21 new producers?

22 A. Yes.

23 Q. Will it also apply to the changes of  
24 sweep efficiency for those patterns that contain  
25 oil wells that are already drilled?

1           A.       Yes, it will.

2           Q.       Is there any difference between the  
3 two?

4           A.       No, other than the fact that the wells  
5 drilled in 1988 have depleted the bulk of the  
6 residual oil around the wellbore.

7           Q.       Have you made a determination whether  
8 the change in process is going to result in the  
9 opportunity to recover significant additional oil  
10 from the project area?

11          A.       Yes, I have.

12          Q.       Have you reduced that information to a  
13 display?

14          A.       Yes, I have.

15          Q.       Is that Exhibit 10?

16          A.       Yes, it is.

17          Q.       Describe that for us.

18          A.       Exhibit No. 10 is our reserve estimates  
19 based on volumetrics. And, based on our  
20 volumetric estimations for the reservoir, we feel  
21 like with a sweep efficiency of 65 percent, which  
22 is basically what we feel like a 40-acre  
23 five-spot pattern would recover, there are  
24 approximately 972,000 barrels of recoverable oil  
25 in a 40-acre five-spot waterflood pattern in the

1 project area.

2 Q. Let's turn now to Exhibit 11 and have  
3 you identify for us the development costs that  
4 are assigned to the project in order to have the  
5 opportunity to recover that additional oil.

6 A. Exhibit 11 is an illustration of the  
7 costs that we have incurred to date on our  
8 project. The project has pretty much been  
9 finished, and these are the latest estimates.

10 To put in this waterflood on a 40-acre  
11 pattern, we spent approximately 2.7 million  
12 dollars on the project area.

13 Q. In addition to the expenditure of these  
14 resources, were there other moneys spent on the  
15 property in order to put it back in operational  
16 function?

17 A. Yes. We spent \$2 million to go in  
18 there and, what we considered, clean up the  
19 unit. There were a lot of temporarily abandoned  
20 injection wells that had tubing that was  
21 leaking. Some of them had casing leaks. We went  
22 in to every wellbore on the unit, including those  
23 outside the project area, pulled all the wells,  
24 set cast-iron bridge plugs, tested the casing,  
25 and run a mechanical integrity test on every

1 well.

2 Q. What does the tax credit do, as an  
3 incentive for you and your company with regards  
4 to this project?

5 A. What the tax incentive does, it helps  
6 the economics of this project out. Although the  
7 project is an economic project, just like any  
8 other company, it is put into a battle with any  
9 other project for funds. What this tax incentive  
10 does, it would allow us to higher prioritize this  
11 project, compared to other projects that we have  
12 available to us, for the competition for funds.

13 Q. Summarize for us your conclusions about  
14 the project, Mr. Gengler.

15 A. In conclusion, I feel like the 80-acre  
16 five-spot waterflood pattern was inefficient, due  
17 to poor vertical and aerial sweep efficiencies,  
18 that there is approximately a million barrels of  
19 oil to be recovered out of the project area by  
20 going to a 40-acre five-spot.

21 I feel like that even though the infill  
22 wells were drilled in 1988, that really no  
23 waterflood response or recoveries were associated  
24 with these wells. The conversion of the wells to  
25 injection and commencement of injection into all

1 the wells in the project area, is really the  
2 driving mechanism behind the recovery of this  
3 million barrels of oil. And we feel like the  
4 40-acre five-spot will increase the sweep  
5 efficiencies, and allow us to recover this  
6 million barrels of oil.

7 Q. When we look at the display that shows  
8 the property after the change in operation,  
9 Exhibit No. 8, describe for us your basis for  
10 identifying that as your project area.

11 A. We looked at, on a reservoir study, the  
12 entire unit, based on structure and isopach maps  
13 and geological parameters, and we decided that  
14 the best place to start would be the best part of  
15 the unit. The project area that we chose had the  
16 best quality of pay, it had the best primary  
17 response, and the best secondary response under  
18 the 80-acre five spot.

19 This area, with slight modifications,  
20 was the same area that Mr. Hickman recommended in  
21 his study.

22 Q. In your opinion, is that project area  
23 the area that should qualify for the enhanced oil  
24 recovery severance tax reduction?

25 A. Yes, it is.



1 Q. Will the reduction that is attained  
2 from that area be in response to a reduction in  
3 the pattern?

4 A. Yes, it is.

5 Q. Is there additional remaining primarily  
6 production yet to be achieved in that project  
7 area?

8 A. There is a small amount of primary  
9 and/or secondary under an 80-acre that could be  
10 recovered. The five wells we estimated at 42,000  
11 barrels. The other wells wells had probably  
12 another 20-, 25,000 that they might recover. It  
13 was a small amount. The bulk of our reserves at  
14 972,000 barrels, is going to be due to the  
15 injection on the 40-acre five-spot.

16 Q. Is that secondary oil production, could  
17 that be recovered if you simply reinstituted  
18 water injection on the 80-acre pattern?

19 A. No.

20 MR. KELLAHIN: That concludes my  
21 examination of Mr. Gengler. We would move the  
22 introduction of his Exhibits 1 through 11.

23 CHAIRMAN LEMAY: Without objection,  
24 Exhibits 1 through 11 will be admitted into the  
25 record.

1 Questions of the witness? Commissioner  
2 Carlson.

3 EXAMINATION

4 BY COMMISSIONER CARLSON:

5 Q. You said that the first wells in the  
6 unit were drilled in 1933?

7 A. That is correct.

8 Q. And you acquired it in 1933?

9 A. That is correct.

10 Q. And at that time it was producing 22  
11 barrels a day?

12 A. That is correct.

13 COMMISSIONER CARLSON: Why don't you  
14 all go on.

15 CHAIRMAN LEMAY: Commissioner Weiss?

16 EXAMINATION

17 BY COMMISSIONER WEISS:

18 Q. Was the full expansion in yellow there  
19 presented to the Examiner?

20 A. Yes, it was.

21 Q. At that time, did you request the  
22 entire area be subject to the reduction in the  
23 tax?

24 A. Yes, I did.

25 Q. What does today's price do to this

1 project?

2 A. It makes it very marginal.

3 Q. Have you already done the work?

4 A. Yes, we have done the work since the  
5 order was written.

6 Q. So you don't have more money to spend,  
7 you've already spent it, is that the point?

8 A. That's correct.

9 Q. Might not get it back, huh?

10 A. Well, it depends on what oil prices do.

11 Q. Then, on your rate graphs, any of them  
12 there, just a question of clarification. What  
13 does "CD" mean?

14 A. Calendar day. That's oil rate per  
15 calendar day.

16 Q. Okay. I didn't know what "CD" was. On  
17 "Exhibit 7" in Exhibit 3, you've got the history  
18 of the unit, of the area.

19 A. Okay.

20 Q. What was waterflood fill-up there as a  
21 percent of primary? Did you figure that out, in  
22 your investigation?

23 A. No, I didn't.

24 Q. And then, on one of the other exhibits,  
25 you had a volume factor on Exhibit No. 10,

1 reserve estimates?

2 A. Correct.

3 Q. Is that a measured number, or is that  
4 an estimate?

5 A. That is an estimate.

6 Q. And then what's the average injection  
7 rate per day per well?

8 A. Under the 40-acre five-spot or the  
9 80-acre?

10 Q. The 80 or 40, either one. What does a  
11 well take out there?

12 A. Well, they all vary. An average well  
13 we're trying to keep between 200, 250 barrels of  
14 water per day. Some wells will take more than  
15 that, others will take less, but we're trying to  
16 balance injection.

17 Q. Is there a limit on wellhead pressure  
18 out there?

19 A. Yes, there is.

20 Q. What is that limit?

21 A. It varies from well to well, based on  
22 step-rate tests.

23 Q. What is the maximum that you're  
24 permitted?

25 A. I would have to go back and look. I

1 don't know, off the top of my head. I believe  
2 it's 1,500 or 1,600 pounds, but I would have to  
3 look.

4 Q. That's fine. That estimate, 1,500  
5 pounds will probably catch it. That's about  
6 right, huh?

7 A. Uh-huh.

8 COMMISSIONER WEISS: No more  
9 questions. Thank you.

10 CHAIRMAN LEMAY: I have one or two  
11 here.

12 EXAMINATION

13 BY CHAIRMAN LEMAY:

14 Q. You mentioned the reservoir pressure is  
15 pretty well depleted. Do you know what it was  
16 when those five wells were drilled in 88?

17 A. No, we don't. We weren't the operator  
18 at that point in time, so--

19 Q. How about when you took over the  
20 operation in 1993?

21 A. We didn't actually measure the  
22 bottomhole pressure, but we feel like that it was  
23 very minimal; basically, the fact that they're  
24 not putting any water in the ground except for in  
25 one well.

1           Q.       The fact that they drilled the five  
2 wells and the sands were discontinuous, would not  
3 one expect some sands that might be encountered  
4 on a 40-acre five-spot, where you had some oil  
5 that was just left there under primary means, or  
6 are all these sands somehow, at least, in  
7 pressure communication, so that even those new  
8 sands that were penetrated were drained by  
9 primary or by the previous waterflood?

10          A.       Based on the five wells that were  
11 drilled and then the subsequent five wells that  
12 we have drilled now, we're finding some of the  
13 sands totally pinchout on porosity and  
14 permeability. So it is highly likely that some  
15 of those sands was all primary production that  
16 had not been contacted by any waterflood at all.

17          Q.       How were they drained under primary, if  
18 they weren't contacted under-- You said they  
19 were drained in primary. As part of the sweep,  
20 you mean, or just not in communication at all  
21 with the operation?

22          A.       Well, the wells that were drilled  
23 primary, produced the oil from the sands that  
24 were penetrated. And these wells, then, were  
25 converted to injection, every other well. And

1 the water that was injected in the sands that  
2 were continuous, between an injection well and a  
3 producer, probably, were swept fairly well.

4 The wells that had this porosity or  
5 permeability pinchout, there probably was no  
6 pressure communication in between the wells and,  
7 therefore, you saw no secondary response in that  
8 particular sand, because there was no way of  
9 communicating.

10 Q. Were there any sands you encountered  
11 that weren't drained in the primary? Sands that  
12 were just isolated in there that you penetrated  
13 that maybe had some virgin pressure close to it?

14 A. That's possible, but there's no way of  
15 isolating those sands individually. There's very  
16 little pay, or nonpay in between the two, that  
17 you could actually isolate those sands and test  
18 each individual sand. So there was no way of  
19 telling, you know, what kind of pressure or what  
20 sand was producing what oil, because you couldn't  
21 isolate them.

22 Q. I'm trying to visualize the  
23 discontinuous sands. Would a 20-acre spot, in  
24 other words, possibly get you more oil because it  
25 would communicate with sands there again that

1 wouldn't be covered under the 40-acre five-spot?

2       A.       I would say yes, but the economics,  
3 you've got to look at that end of it, too. And,  
4 based on our sweep efficiency factors, based on  
5 reservoir engineering principles, basically would  
6 say the amount of oil you would recover, from a  
7 40 down to a 20, would be such that the economics  
8 of drilling the additional wells and associated  
9 facilities would not allow you, probably, to  
10 economically recover those reserves.

11       Q.       You didn't have a reservoir pressure  
12 for me did you, early on, once you took it over?  
13 Any feel from that? Have you got some fill-up,  
14 in other words, that you're going to have to go  
15 through, before you get a response?

16       A.       That is correct.

17       Q.       About how long do you expect to be  
18 filling up before you reach a significant  
19 response?

20       A.       We're looking at nine months to a year,  
21 to see initial response.

22       Q.       Initial response. And, you say 20,000  
23 barrels of oil per well was a estimate of  
24 primarily recovery on the Queen-Penrose?

25       A.       Based on this decline curve analysis,



1 which is Exhibit No. 5, total reserves at the  
2 bottom was estimated at 99,000 barrels for the  
3 five infill wells, of which 56,800 was produced  
4 prior to today.

5 Q. So you're talking about those five  
6 infill wells, nothing on a cumulative basis per  
7 well initially for primary? This is just the  
8 five infills at 20,000 a well?

9 A. Yeah, on an average.

10 Q. You didn't give a figure on what the  
11 average well made primary, did you?

12 A. Average primary well, based on our  
13 study, averaged 27-, 28,000 barrels.

14 CHAIRMAN LEMAY: That's all the  
15 questions I have.

16 COMMISSIONER WEISS: I have one more.

17 CHAIRMAN LEMAY: Okay. Commissioner  
18 Weiss?

19 FURTHER EXAMINATION

20 BY COMMISSIONER WEISS:

21 Q. On this business about bottom hole  
22 pressure, on the new wells you drilled, did any  
23 of them flow?

24 A. No.

25 Q. Did wells flow in 1933?

1           A.       Yes.

2           Q.       I would say the pressure is less than  
3 it was virgin, then.

4                   COMMISSIONER WEISS:    Okay.  No further  
5 questions.

6                   CHAIRMAN LEMAY:  Commissioner Carlson?

7                   COMMISSIONER CARLSON:  Okay, I'll try.

8                               FURTHER EXAMINATION

9 BY COMMISSIONER CARLSON:

10          Q.       On your Exhibit No. 10, where you show  
11 an estimated project recovery of 971,000 barrels,  
12 what would be your initial production rate, would  
13 you estimate?

14          A.       Our initial production rate, as far as  
15 right after we drilled, or after.

16          Q.       After you get the response.

17          A.       We anticipated peak production around  
18 200 to 250 barrels a day from the 10 wells.

19          Q.       And how long do you estimate these  
20 wells will produce to get to their economic  
21 limit, or until they produce their 971,000  
22 barrels?

23          A.       We're looking at, probably, 15 years.

24          Q.       The money on Exhibit 11 is already  
25 spent, is that right, the 2.7 million?

1 A. That's correct.

2 Q. You spent that after you got the  
3 Examiner's Order?

4 A. That is correct.

5 Q. You spent another two million, before  
6 that period, on the unit after you acquired it?

7 A. Right. We spent approximately two  
8 million between February 1 and the hearing date,  
9 just on getting the unit back into shape to where  
10 you could operate on an efficient basis.

11 Q. You don't have a response yet to the  
12 new injection?

13 A. We started injection on all the wells  
14 on the 15th of December of 1993.

15 Q. When do you anticipate your first  
16 production response?

17 A. We're looking at somewhere between  
18 October and December of 94, seeing the first  
19 response.

20 Q. Getting to the economics for a minute,  
21 if we estimate this is going to produce an  
22 additional million barrels of oil, and that's  
23 over 15 years, and if we assume a \$15 barrel  
24 price, we're talking about an additional \$15  
25 million worth of oil, is that correct, over 15

1 years?

2 A. That's before royalty and expenses.

3 Q. Right. And, If this tax break saves  
4 your company, I think it's 1-7/8 percent, is that  
5 correct?

6 A. I believe that's correct.

7 Q. So you're looking at a savings of  
8 approximately \$300,000 over 15 years? If I use  
9 two percent times 15 million, that's \$300,000.

10 A. Okay.

11 Q. You say that's enough to influence your  
12 company to decide whether to enter a project like  
13 this?

14 A. I'm not saying whether or not it  
15 influences whether or not we enter into this  
16 project, I'm talking about, we have more projects  
17 than we have capital. And the priority of the  
18 projects is effected by the slight change.

19 We rank our projects by rate of return  
20 on our capital. Some projects are going to have  
21 to be cut and, by the tax rate incentive that is  
22 included in this, it would allow us to rank this  
23 project higher than what it would normally be,  
24 and allow us to not only continue with this phase  
25 of the project but, if it's successful, continue

1 with other phases.

2 Q. What is your expected rate of return on  
3 this project?

4 A. Approximately 30 percent. That was  
5 based on the original economics done with the  
6 higher oil price. I have not rerun the economics  
7 with the new price.

8 Q. Did you work your rate of return what  
9 it would be without the tax credit?

10 A. No, I did not.

11 Q. It probably wouldn't change it a lot,  
12 would it?

13 A. I'm not sure. I can't say.

14 Q. Well, if we're talking about \$300,000  
15 over 15 years, I would guess that it would very  
16 marginally change your rate of return. Do you  
17 agree with that?

18 A. If you're looking at undiscounted  
19 dollars. But, if you look at discounted dollars,  
20 the bulk of that production is early in the life  
21 of the project, so it would have a significant  
22 change on the economics. The farther out you  
23 receive this money on a discounted basis, your  
24 dollar has less effect.

25 COMMISSIONER CARLSON: That's all the

1 questions I have.

2 CHAIRMAN LEMAY: Commissioner Weiss.

3 FURTHER EXAMINATION

4 BY COMMISSIONER WEISS:

5 Q. I'm mixed up now on recoveries. Now I  
6 hear 100,000 barrels per well. Is what you  
7 expect?

8 A. Well, I was at 99,000 ultimate barrels  
9 for the five wells that were drilled in 1988.

10 Q. This million barrels on reserve  
11 estimates on Exhibit 10, where is that going to  
12 come from?

13 A. That's going to come from the injection  
14 of the water on the 40-acre five-spot recovered  
15 in the 10 wells.

16 Q. 10 into that is about a hundred  
17 thousand a well, isn't it?

18 A. Correct.

19 Q. What was the average waterflood  
20 recovery on 80-acres per well?

21 A. Approximately--can you restate your  
22 question?

23 Q. You said primary is about 27,000  
24 barrels per well. I thought secondary would be  
25 about the same on 80 acres, which is another

1 27,000 barrels per well?

2 A. On the average across the entire unit.  
3 We're talking about, in this project area, the  
4 best part of the unit and the best reservoir,  
5 and, when you take an average over the entire  
6 unit, you're averaging not only the best part but  
7 the areas that aren't as good.

8 Q. So, the secondary recovery and primary,  
9 recovery from the wells, was also about a hundred  
10 thousand, is that correct?

11 A. Correct.

12 FURTHER EXAMINATION

13 BY CHAIRMAN LEMAY:

14 Q. Let's talk about the million barrels.  
15 You divide it by the 10 producing wells you've  
16 got a hundred thousand; but if you include the  
17 injectors in what's included on a 40-acre basis,  
18 you end up with 50,000, isn't that correct, for  
19 40 acres, roughly? I just roughly counted 19  
20 40-acre tracts in there.

21 A. Yeah, approximately.

22 Q. And does waterflood economics normally  
23 include injectors, as far as recovery goes? Let  
24 me state it a different way. If you're stating  
25 the average recovery is like one-to-one, the

1 average Queen well makes 50,000 barrels, you  
2 would anticipate another 50,000 barrels.

3 But, when you're working your  
4 economics, you're not figuring an additional  
5 50,000 barrels only on your producing wells?  
6 Aren't you also figuring your injection wells in  
7 there, so your total recovery, as you estimate,  
8 like a one-to-one, would be on each 40 acres in  
9 the flood?

10 A. Let me backtrack for a minute. The old  
11 adage of one-to-one was on the 80-acre  
12 five-spot. Based on the work that Mr. Hickman  
13 did in his study, and his subsequent work in his  
14 SPE paper, he determined, by going to a 40-acre  
15 five-spot, that upwards of two to three more of  
16 secondary oil from both the 80 and the 40, to  
17 primary, would be anticipated from a 40-acre  
18 flood.

19 So, we're dealing with a little bit  
20 different numbers. When you say one-to-one,  
21 that's on an 80-acre five-spot, and he's looking  
22 at two- to three-to-one if you go down to 40-acre  
23 spacing.

24 Q. To clarify the terminology, even on an  
25 80-acre flood, are you including injections on a



1 one-to-one, or are you only calculating your  
2 producing wells?

3 A. You calculate all your primary  
4 production from both current injectors and  
5 producers for your primary production. Of  
6 course, on secondary production, all you have is  
7 from producers.

8 Q. Well, without the injectors you  
9 wouldn't get it, so if you're going--

10 A. Exactly.

11 Q. --if you're looking at the flood  
12 proper--

13 A. No. What I'm saying is, on one-to-one,  
14 in that terminology, you add up all your  
15 production from every well in the unit, under  
16 primary, and extrapolate that out to an ultimate  
17 primary number. And then you take your producers  
18 under the 80-acre five-spot, estimate the  
19 ultimate recovery secondary from those, and  
20 that's where you come up with one-to-one.

21 So, just because a primary well made  
22 28,000 barrels, doesn't mean that you expect  
23 28,000 barrels from that well, also. You're also  
24 taking primary reserves from the injection well.

25 CHAIRMAN LEMAY: That was my point, I

1 guess. Thank you. I was trying to clarify that  
2 for the record.

3 Additional questions of the witness?  
4 If not, he may be excused.

5 Mr. Kellahin, you may call your next  
6 witness.

7 MR. KELLAHIN: Mr. Chairman, at this  
8 time, I would call Mr. Rick Foppiano.

9 **RICK FOPPIANO**

10 Having been first duly sworn upon his oath, was  
11 examined and testified as follows:

12 EXAMINATION

13 BY MR. KELLAHIN:

14 Q. Mr. Foppiano, for the record, would you  
15 please state your full name and occupation,  
16 please.

17 A. My name is Rick Foppiano. That's  
18 spelled F-O-P-P-I-A-N-O, and my occupation is a  
19 regulatory adviser for Oxy's operations that are  
20 handled out of our Midland office.

21 Q. On prior occasions, Mr. Foppiano, have  
22 you testified before this Division not only as a  
23 petroleum engineer but as an engineer involved  
24 with the conservation rules and regulations of  
25 the Oil Conservation Division of New Mexico?

1 A. Yes, I have.

2 Q. Pursuant to your employment, have you  
3 been the regulatory coordinator for this  
4 particular waterflood project?

5 A. Yes, I have.

6 Q. Were you present and did you attend the  
7 Examiner hearing of this case?

8 A. Yes, I did.

9 Q. In addition, have you undertaken  
10 examination of all of the Division-approved EOR  
11 projects, to identify those projects which the  
12 Division has approved that have similarities to  
13 your project?

14 A. Yes, sir, I have.

15 Q. Based upon that entire study, do you  
16 now have certain conclusions and opinions with  
17 regards to this order?

18 A. I do.

19 MR. KELLAHIN: We tender as an expert  
20 engineer, with special expertise in conservation  
21 rules and regulations.

22 CHAIRMAN LEMAY: His qualifications are  
23 acceptable.

24 Q. Before we look at your spreadsheet  
25 summarizing your work, let me have you, sir,

1 restate your concerns, on behalf of your company,  
2 with the particular limitations that the Division  
3 has placed in its approval of your project  
4 insofar as it covers the enhanced oil recovery  
5 portion.

6 A. My concerns stem from the Examiner's  
7 focus on previously drilled wells in our  
8 project. It seems to me that, in reading the  
9 rules, that the rules focus on a displacement  
10 process, and that exclusion of those previously  
11 drilled wells, because it doesn't materially  
12 impact the displacement process of a 40-acre  
13 waterflood, five-spot pattern, they should not  
14 have been excluded.

15 So, my concerns there are, one, this is  
16 a marginal project, it needs all the help it can  
17 get, particularly with the oil prices as they are  
18 today. And, so, we are here today trying to  
19 establish a precedent, if you will, or at least  
20 some policy, as opposed to these previously  
21 drilled wells in a project where an operator  
22 comes in and asks for a certification when  
23 they're going to change their patterns in a  
24 project.

25 Q. In examining the Division's handling of

1 other EOR projects, can you separate out their  
2 processing of new waterflood projects from how  
3 they have handled existing projects?

4 A. I'm not sure I understand the question,  
5 Tom.

6 Q. There's a whole list of EOR projects  
7 that have been processed by the Division?

8 A. Yes.

9 Q. Some of those apply to new waterfloods?

10 A. Yes.

11 Q. And others apply to what we would  
12 characterize as expansions of old projects?

13 A. Yes.

14 Q. All right. To understand the  
15 definition, what is your understanding of how the  
16 Division has defined new waterflood projects?  
17 What does that mean?

18 A. Primarily on the basis of injection.  
19 If there was not injection in the project before,  
20 on the particular reservoir that was going to be  
21 flooded, then I think that's pretty much a new  
22 project and fairly easy to handle.

23 Where there has been prior injection,  
24 like on one pattern, and there's going to be a  
25 change of a pattern, or if there has been prior

1 injection in one zone and the operator wants to  
2 start in a new zone or they want to expand  
3 aerially into a different part of the unit that  
4 hadn't seen waterflood injection before, then I  
5 think those are pretty much handled as expansions  
6 of existing waterflood projects.

7 Q. When we look at those categories of  
8 applications that deal with new waterflood  
9 projects, are there any limitations placed upon  
10 those operators to disqualify, from the EOR  
11 credit, existing producing wells that are within  
12 those new waterflood projects?

13 A. None that I'm aware of.

14 Q. All right. When we look at the  
15 expansions of old projects, describe for us what  
16 we're talking about as the kinds of ways you can  
17 expand an existing project.

18 A. As I mentioned previously, a project,  
19 for severance tax purposes--and this is based on  
20 my interpretation of the rules, and my  
21 experience--a project could be expanded by  
22 including a new portion of the reservoir that had  
23 not previously seen waterflood, or it could be  
24 expanded geographically, into another horizon.  
25 It's within the same defined interval as, say, a

1 Queen or another type pool.

2           There might be another zone that's  
3 continuous and has not seen any water injection,  
4 and the operator wants to expand his waterflood  
5 into that new zone, or, as in our case, he wants  
6 to change his pattern and contact new areas of  
7 the reservoir with water injection as a result of  
8 that change in pattern.

9           Q.     Are you familiar with the  
10 Commission-issued Order R-9708, that establishes  
11 the definition of terms, the procedure, and the  
12 rules for qualifying a project for the EOR tax  
13 reduction?

14          A.     Yes, I am.

15          Q.     When we look at the definition of  
16 expansion or expanded use, meaning a significant  
17 change or modification in process or technology,  
18 has the Division, in other cases, approved an  
19 80-acre waterflood reduction to 40, as a  
20 significant change in process or technology, that  
21 allowed other operators to have a project area  
22 qualify for the tax reduction?

23          A.     Yes, they have.

24          Q.     Did those other approved project areas  
25 already contain producing oil wells?

1           A.       Yes, they did.

2           Q.       Did the only change in process that  
3 occurred was for that operator to take those  
4 existing wellbores, reconfigure them for  
5 injection purposes, and thereby reduce the  
6 pattern to 40 acres?

7           A.       He reconfigured some wells in the  
8 project area for injection and, on the basis of  
9 testimony and evidence that existing, producing  
10 wells should see a response from this change,  
11 they were made a part of the application and were  
12 approved as producing wells eligible for the  
13 credit.

14          Q.       Do you see any requirement or basis,  
15 either in the regulations of the Division or in  
16 the EOR Act, to put this type of limitation on  
17 qualifying a project area, by excluding those oil  
18 wells that are already producing?

19          A.       No, I do not.

20          Q.       Let's turn to your spread sheet, Mr.  
21 Foppiano, if you'll look at what is marked  
22 Exhibit No. 12. Before we discuss it, describe  
23 what you searched for.

24          A.       What I did is look at the cases that  
25 were very similar to ours; in other words, change



1 of injection patterns, where the operators had  
2 come in and told the Commission, "I'm going to  
3 change the injection pattern in my waterflood,  
4 and I wish to qualify this process under the  
5 severance tax incentive rule."

6 And this exhibit, more or less,  
7 summarizes some pertinent aspects from each of  
8 those applications, and it also puts ours on  
9 there for comparison.

10 Q. Let's turn to the first one on your  
11 spread sheet, which is the Texaco case. It's  
12 Case No. 10798, heard by the Examiner on August  
13 12th of 93. It was heard approximately, I  
14 believe, a month after your case was heard.  
15 Yours was heard in July of 93, and Texaco's was  
16 heard in August of 93.

17 What did you find when you examined the  
18 definition of the project area?

19 A. Well, they were applying to have, just  
20 exactly like us, to change their pattern from  
21 80-acre five-spots to 40-acre five-spots, exactly  
22 what you see here, which was the subject of our  
23 application.

24 In the project area that they  
25 described, and which was approved, they had 33

1 wells that were already producing. And the  
2 testimony was that those 33 wells should see an  
3 increase in production, like our five wells that  
4 were excluded should see an increase in  
5 production, and then they were also going to add  
6 18 new wells, either conversions of injection  
7 wells to producers, or drill new wells. So, they  
8 were going to add 18 producing wells.

9           So, as a percent of the total number of  
10 producing wells that were approved in their  
11 order, 65 percent of them were already producing  
12 at the time the application was made.

13           Q.     If you'll keep handy Exhibit 12, but  
14 turn to Exhibit 13, what does Exhibit 13 show?

15           A.     Exhibit 13 is a reproduction of the  
16 exhibit that was used in the Texaco hearing. As  
17 I mentioned before, their application was on the  
18 basis of changing patterns from 80-acre five-spot  
19 to 40-acre five-spot. They had two pools,  
20 actually, the Jalmat and the Langlie-Mattix, so  
21 it's hard to see the patterns in this picture  
22 here because they're offsetting patterns,  
23 different for each pool.

24           The testimony in the record was that  
25 they were 80-acre five-spots and they were

1       redeveloping on 40-acre five spots. Their  
2       testimony also was that it should improve the  
3       production on 33 existing producing wells within  
4       this gray-shaded area that you see on this  
5       exhibit.

6           Q.       In the Texaco case, did it matter how  
7       much money Texaco was spending?

8           A.       I didn't see that it mattered, no.

9           Q.       Did it matter how much secondary oil  
10      they were going to recover?

11          A.       I did not see that it mattered.

12          Q.       Did it matter if they had drilled their  
13      injection wells and/or their producing wells  
14      prior to the hearing?

15          A.       It didn't appear to matter, no.

16          Q.       Did it matter as to how much an  
17      economic incentive it was to have the project  
18      approved for EOR purposes?

19          A.       I believe there were some questions by  
20      the Examiner to that effect, which were addressed  
21      very similar to the way our witness addressed  
22      them.

23          Q.       The element of enhancement or incentive  
24      is not an issue in either order, is it?

25          A.       No, it is not.

1 Q. Is it a test, for the Texaco project,  
2 that producing wells had already been drilled?

3 A. Apparently not. It was approved

4 Q. Let's turn now to the Phillips case.  
5 The Phillips case deals with, the East Vacuum  
6 Grayburg/San Andres Unit, which is a pressure  
7 maintenance project, right?

8 A. Yes.

9 Q. This pressure maintenance project  
10 qualified for the EOR credit?

11 A. Yes. This change of pattern in these  
12 project areas did qualify.

13 MR. KELLAHIN: The hearing in this  
14 case, Mr. Chairman, was in Case 10779. It was  
15 heard on July 29, 1993. It was the hearing after  
16 the Oxy hearing was presented to the Division.

17 Q. Now, Phillips had a rather complicated  
18 process, did it not? They had five areas within  
19 the unit?

20 A. Yes. This was a CO-2 water  
21 injection-type project, a tertiary-type project.  
22 What the next four exhibits show, are  
23 reproductions of the various project areas that  
24 they applied for in that one application. They  
25 called them Area 2, Area 3, Area 4 and Area 5.

1 And Area 1 is not included because there had not  
2 been any prior injection in Area 1, so it was  
3 handled, more or less, as a new type project.  
4 And Areas 2 through 5, there had been injection  
5 going on prior, and there was a change of  
6 pattern, and that is what they were asking for  
7 the Examiner to qualify as a significant change  
8 or modification in the displacement.

9 Q. Let's take Area 2 and look at the map  
10 for a minute.

11 A. Okay.

12 Q. The area approved, is that area  
13 described by the blue line?

14 A. Yes.

15 Q. Within that area, what was Phillips  
16 proposing to do?

17 A. What Phillips was proposing to do was  
18 to add three new infill producers. There was  
19 already one injection well being used, Well #8  
20 there. It's rather difficult to see, but it's  
21 the black circle with the black triangle around  
22 it, kind of in the center of Area 2. That was  
23 being utilized as a CO-2 water injection well.

24 They were going to add three new infill  
25 producing wells, #20, #13 and #21, and add

1 another injection well, which was Well #1 there.  
2 And, pretty much what they were describing this  
3 change was, was to go from just a change in  
4 pattern. It was kind of an irregular pattern,  
5 but it was to improve the sweep efficiency inside  
6 this little project area, just like an 80-acre to  
7 a 40-acre would do.

8 Q. They're going to have a total of 10  
9 producing wells within the approved project area?

10 A. That is correct, and seven of them were  
11 already producing at the time the application was  
12 made.

13 Q. Did the Examiner exclude those seven  
14 producing wells?

15 A. No, they were approved in the order.

16 Q. All right. Let's turn to Area 3.  
17 That's Exhibit No. 15. Describe what the plan  
18 was here.

19 A. In Area 3, the Applicant testified that  
20 they were going to change the pattern from two  
21 80-acre nine-spots in this blue outline area, to  
22 a 160-acre line drive-type pattern. There again,  
23 another change of pattern, change of displacement  
24 type of application.

25 And their activity that they said they

1 were going to undertake was, they were going to  
2 add another injection well and three new  
3 producers in this project area. There were  
4 currently two active CO-2 water injectors, Wells  
5 #5 and #2. As you can see, Well #002 is the new  
6 injector that they're going to add there.

7 So they were going to have three new  
8 injection wells there, and three new producers,  
9 for a total of--they had nine existing producing  
10 wells when they filed the application, and  
11 they're going to add three, so they had a total  
12 of 12 producing wells described and approved in  
13 this project area.

14 Q. As the project was approved, there were  
15 five wells producing or will be producing within  
16 the approved project area?

17 A. Seven.

18 Q. Area 3?

19 A. Area 3.

20 Q. We've got--

21 A. There's a total of 12 producing wells,  
22 seven of which were already there when the  
23 application was filed.

24 Q. I'm reading on your spread sheet, the  
25 next line down. It says nine.

1 A. Nine, that's correct.

2 Q. Nine. Three new, total of 12. All 12  
3 get approved?

4 A. That's correct.

5 Q. Let's go to Area 4. Again, what's the  
6 plan?

7 A. The plan at that point was basically to  
8 change the pattern from one 80-acre nine-spot, to  
9 one 70-acre nine-spot in a 150-acre line drive.  
10 And, in the process of doing that, they were  
11 going to utilize two existing CO-2 and water  
12 injection wells, Wells #6 and #8, and they were  
13 going to add one new injection well, Well #1  
14 there, and one new producer.

15 In that area, nine wells were already  
16 producing and approved as part of the order, and  
17 they were going to add one producing well, so  
18 they had a total of 10 producing wells that were  
19 approved in the project area.

20 Q. Is the Phillips order that approved  
21 Area 4, limited only to the one new producing oil  
22 well within the project area?

23 A. No, it's not.

24 Q. It approves all 10 wells that will  
25 produce oil in the project area?



1           A.       And the basis of that was that those  
2 wells would see increased production, they would  
3 see response from this proposed change, just like  
4 our five wells that had already been drilled  
5 would see some response from the 40-acre  
6 redevelopment that we were proposing.

7           Q.       Isn't that the plan of the Act and of  
8 the order?

9           A.       That's my interpretation, yes.

10          Q.       To approve a project area?

11          A.       Yes.

12          Q.       And to get the reservoir engineers to  
13 look at that area, and to see if there's going to  
14 be some response? And it's not measured by  
15 individual wells, is it?

16          A.       No. It appears the Act and the rule  
17 both describe the project in terms of area, such  
18 like we have. Once you define this is what  
19 you're going to do, and it's approved, it would  
20 seem that that's the best way to describe it  
21 aerially, as opposed to well by well.

22          Q.       There's nothing wrong with any of these  
23 Phillips areas, is there? If that is the area  
24 that's effected, that the engineers can determine  
25 is going to be impacted by the flood, then that's

1 what the project area ought to be, right?

2 A. If those wells are truly going to see  
3 an increase in their production, which should  
4 result from a change in displacement that's going  
5 on down in the reservoir, then, yes, I think they  
6 should be qualified under the rule.

7 Q. Let's look at the last area, Area 5, in  
8 the Phillips order. What was the plan?

9 A. Pretty much the same as the previous  
10 ones. Their plan here was to change the pattern  
11 from an 80-acre inverted nine-spot, to an 80-acre  
12 line drive, and in order to do that, they were  
13 going to add one injection well to the existing  
14 injection well they already had out there, and  
15 drill no new producers; just utilize the seven  
16 existing producing wells that were already there  
17 when the application was filed.

18 Q. Again, the same type of thing that the  
19 others had?

20 A. Same type of thing.

21 Q. All right.

22 MR. KELLAHIN: Mr. Chairman, Exhibits  
23 18 and 19, Exhibit 18 is the actual Texaco order,  
24 if you want to look at the exact language. The  
25 Phillips order is Exhibit 19, and again, it has

1 the specific details of that order.

2 Q. In conclusion, Mr. Foppiano, summarize  
3 for us what it is that you're asking the  
4 Commission to do.

5 A. We're asking the Commission to amend  
6 the Examiner's Order so it applies to the five  
7 previously-drilled wells that were in existence  
8 at the time we filed our application, which is in  
9 line with what is apparently existing policy now,  
10 as evidenced by the Texaco and Phillips cases  
11 that were approved subsequent to ours.

12 MR. KELLAHIN: That concludes my  
13 examination of Mr. Foppiano. We move the  
14 admission of his Exhibits 12 through 19.

15 CHAIRMAN LEMAY: Without objection,  
16 Exhibits 12 through 19 will be admitted into the  
17 record.

18 CHAIRMAN LEMAY: Commissioner Carlson.

19 EXAMINATION

20 BY COMMISSIONER CARLSON:

21 Q. Were there any cases, prior to your  
22 case, before a Hearing Examiner? The Texaco and  
23 Phillips case were subsequent to your hearing?

24 A. That's correct. Commissioner Carlson,  
25 there was a prior case. We call it the Marathon

1 case. It was pretty much the first one out of  
2 the box for expansions.

3 In that case, and I suspect it was the  
4 source of the Examiner's reluctance in granting  
5 us everything we asked for, but, in that case,  
6 what distinguishes us from that one is that the  
7 operator, when they came in and filed for that,  
8 they had done all the work, they had converted  
9 all the injection wells, and they were sitting  
10 there, waiting, when they filed the application.

11 So, all the work had already been done,  
12 as opposed to our case, which is, we came in and  
13 we said, "We've got a project. It requires the  
14 conversion of existing producers to injection  
15 service, drilling of new wells," and we had not  
16 spent that money when we filed the application.  
17 It was a project that was down the road.

18 Whereas in Marathon's case, I can  
19 understand the Examiner's reluctance. They were  
20 worried, Was this truly an incentive? So I  
21 think, through an exercise of caution, Marathon  
22 was denied.

23 Q. In your examination of the files in  
24 these cases, you mentioned there wasn't much  
25 discussion of the economics?

1           A.       There was in the Texaco case. As I  
2 recall from the transcript, there was some  
3 decision on the economics. There was some  
4 question, in fact if I recall correctly, about  
5 the effect of the tax incentive. You know, was  
6 it truly an incentive, this kind of thing.  
7 Similar to the same questions you were asking of  
8 our witness.

9           Q.       Is it your opinion that economic  
10 considerations are pertinent, when considering  
11 whether a major expansion is going to occur?

12          A.       I don't think it should be a test for  
13 the Applicant, that the incentive makes or breaks  
14 a project, because in truth, Commissioner, I  
15 don't think any of us would be before you if that  
16 was the test. It is an incentive.

17                   I think certainly it's appropriate to  
18 ask questions and elicit testimony about how much  
19 of an incentive it is, but to deny a project on  
20 the basis of the fact that it may not be much of  
21 an incentive, causes me, at least, some problems  
22 because--it's kind of like, we look at these  
23 incentives in total.

24                   New Mexico has an incentive, the feds  
25 have an incentive, with the FIT tax credit and

1 the royalty reductions, and we try and take  
2 advantage of every single one we can to improve  
3 the economics of our project. That's the  
4 approach we take.

5 I think it's fair to ask what kind of  
6 an incentive it is, but I would hate to see the  
7 Commission deny any applications on the basis of  
8 how much of an incentive it may be for an  
9 operator.

10 Q. But costs and economics should be  
11 indicative if it is, in fact, a major expansion,  
12 versus just something in the normal course of  
13 business of operating a unit, isn't that correct?

14 A. Sure. I think there's potential for  
15 abuse. There's potential for operators to do a  
16 very, very insignificant change. Add a little  
17 bug to the water, or something like that, that  
18 costs 2,000 bucks a month, and come in and ask  
19 for a severance tax incentive and get a huge  
20 windfall over something that doesn't really mean  
21 much and is really, obviously, trying to get  
22 something for nothing.

23 So, because of that potential for  
24 abuse, I think it's very proper to examine, what  
25 are you spending? What kind of activity is this

1 going to be, in terms of drilling new wells? and  
2 that kind of thing. I fully agree with that.

3 COMMISSIONER CARLSON: That's all I  
4 have.

5 CHAIRMAN LEMAY: Commissioner Weiss?

6 COMMISSIONER WEISS: Yes.

7 EXAMINATION

8 BY COMMISSIONER WEISS:

9 Q. I have a question concerning your  
10 interpretation of the rule. On page 5 of Exhibit  
11 2, specifically 2(A)(3), what's a "positive  
12 production response," and how did you go about  
13 that part of it? and how did these other people  
14 do that? I think you have to do something about  
15 that before you get tax relief.

16 A. Yes. That's my understanding, also, is  
17 that this is just a, more or less, three-phase  
18 process; Phase I being to certify the project  
19 area, Phase II, after you've commenced injection,  
20 you come in and show that you've received some  
21 response from this project, and then Phase III  
22 you go to the Revenue & Taxation Department and  
23 get your credit.

24 Your question is, if I interpret it  
25 correctly, how would we show our response?

1           Q.       Not only that, but how have these other  
2 people, Texaco and Phillips specifically, done  
3 that?

4           A.       To my knowledge, no one has come in yet  
5 with a response.

6           Q.       How do you plan to do it?

7           A.       Based on my experience, and this is a  
8 very similar law to Texas, and I have filed all  
9 over for my company in Texas, I've done some of  
10 the response certifications, I would propose that  
11 because Phase I of this process is a technical  
12 review of the project and what wells and area  
13 would be affected by the Applicant's proposed  
14 project, that the second phase should be a  
15 very--just a very factual review of looking at  
16 the production, the injection, and those things  
17 from the project, and in total.

18                   In other words, like if you were  
19 talking to Oxy, "You said you were going to  
20 convert these wells, drill new producers," so  
21 forth and so on. You come in for response  
22 certification, "Did you do what you said you were  
23 going to do? If you did, show me what response  
24 you got from it. Show me your production graph  
25 on the project area, all the producing wells in



1 the project area. Do I see injection on there?  
2 Do I see a response to that injection?"

3 Then, if so, I think the response  
4 should be certified and backdated to the date the  
5 response was first observed. I think it's pretty  
6 much looking at the production and injection, and  
7 evaluating the operator's plans; what he did,  
8 compared to what he said he was going to do.

9 Q. Now, this is hypothetical. Let's say,  
10 in your case, your field people perforated the  
11 Seven Rivers by mistake, put the water in there  
12 and didn't get it in the Queen, so you wouldn't  
13 have any production response. Then you're not  
14 entitled to any tax relief, is that correct?

15 A. And there may be one particular problem  
16 on a well-by-well basis in this project area  
17 that, for some reason, has not seen a response.  
18 In my mind, asking the Applicant to wait until  
19 he's got a response, on a well-by-well basis for  
20 his project area, is going to present a  
21 tremendous burden on the Commission, and is going  
22 to present a tremendous burden on the operator.

23 There's a lot of things that can change  
24 or effect the production, when you look at it on  
25 a well-by-well basis; changing out a pump,

1 stimulating the well, these kinds of things.  
2 Plus, they all will not see a response at the  
3 same time.

4 Particularly in Texaco's case, the  
5 wells closest to the injection wells are going to  
6 see a response before the wells farther away do.  
7 And should an operator have to wait until every  
8 well sees a response? In my mind, I don't think  
9 so.

10 I think if the project area sees a  
11 response, if the operator did what he said he was  
12 going to do, and the project area production  
13 increases as a result, then that response should  
14 be certified.

15 COMMISSIONER WEISS: Thank you. I have  
16 no more questions.

17 EXAMINATION

18 BY CHAIRMAN LEMAY:

19 Q. I would like to explore this, how to  
20 qualify an area, because it tends to affect the  
21 overall response. Agreed, we haven't seen a  
22 positive production response. But let's play  
23 some hypothetical games again.

24 A. Okay.

25 Q. Oxy wants this yellow area--and I'm

1 back on Exhibit No. 10, the one that's on the  
2 board up there.

3 A. Okay.

4 Q. You are looking for a positive  
5 production response in the area that's yellow.  
6 Would it be your interpretation if that well,  
7 say, for example, Well #20, that's not in the  
8 yellow area, would receive a positive production  
9 response, that would be the one in the northeast  
10 quarter of the northwest quarter of Section 5--

11 A. Yes, sir, I see it.

12 Q. --would you expect to retroactively get  
13 that well qualified as a tax credit well, because  
14 it's outside the area but would receive a  
15 response?

16 A. My intention was, and I'm the one that  
17 told our guys how to draw the project area, was  
18 to take a very conservative approach on an area  
19 that would be affected by the 40-acre development  
20 pattern. I believe there's potential for Well  
21 #20, and other wells that are surrounding the  
22 proposed new injection wells, to see a response,  
23 but they also will see some influence from some  
24 other wells that are already on injection or have  
25 been injected into before.

1           So, my intent with the yellow area was  
2 to be very conservative and just confine it to  
3 the 40-acre patterns that we were proposing.  
4 But, I think the case could be made to add more  
5 wells on the outside, apparently, as some of the  
6 other operators have done in subsequent  
7 applications.

8           Q.       Do you see the problem, the dilemma  
9 we're facing here? You're coming to the  
10 Commission, and before you inject water you're  
11 saying, We're going to spend this amount of  
12 money. This is the area we think will be  
13 affected by our investment. And then, after the  
14 fact, you'll make the investment, you'll come  
15 back, and you may or may not receive responses  
16 within that yellow area, you may receive  
17 responses outside the yellow area, you, in  
18 essence, redraw the yellow area to conform to  
19 where you receive the positive production  
20 response.

21           But the way I see the rules and  
22 regulations in the bill, we would only certify,  
23 within that yellow area, a positive production  
24 response. That may take some fixing. We're  
25 concentrating on the qualifying area now, and

1 that's why I raised that point.

2           Specifically to your project, let me  
3 play one more scenario with you, and I want you  
4 to think closely about the answer to this. Let's  
5 assume those five wells that were drilled in 1988  
6 were drilled in 1973, and let's assume that those  
7 wells had received some kind of a benefit by the  
8 response of the flood back then. Would you be  
9 here today, trying to qualify those wells as  
10 being part of the yellow area for the positive  
11 production response?

12           A.     Most definitely.

13           Q.     Why?

14           A.     Because the displacement process is  
15 significantly changed by reducing the pattern  
16 from 80-acre to 40-acre. You're contacting new  
17 areas of the reservoir you haven't contacted  
18 before, because of the discontinuity of the  
19 reservoir, as testified to before, the infill  
20 drilling improves the sweep efficiency. All  
21 these things are happening to increase the  
22 recovery of oil in these patterns.

23           Q.     I asked you to think about that  
24 question. Had those wells been drilled back in  
25 1973, would not that particular part of the flood

1 be a five-spot flood, and would not that have  
2 benefited, then, by what amounted to maybe a  
3 five-foot 40-acre flood within an 80-acre area?

4 A. You don't have a five-spot 40-acre  
5 flood until you have injection in the four wells  
6 surrounding the center producing well, and that's  
7 what changes the displacement process, in my  
8 opinion. You have to put water in those four  
9 offset wells in order to have the change in  
10 displacement.

11 Just the fact that you had them there  
12 and they were producing--in fact, I could make an  
13 argument that it's more beneficial, because  
14 you're recovering the primary portion of the  
15 reserves in that area, and all you have left is  
16 the secondary associated with the 40-acre  
17 redevelopment.

18 Whereas on these new drills, there's  
19 some flush production there, and there's a  
20 potential for a little more oil to get qualified  
21 with those new wells than would have gotten  
22 qualified with the old ones, because you've  
23 depleted the area more with the old wells.

24 Q. Well, the next witness may get into the  
25 legislative intent, but my question was because

1 my interpretation of the legislative intent would  
2 be, if capital investment was being made, and  
3 "significant" is probably a pretty good word  
4 there, then the operator would be entitled to the  
5 benefits of tax relief.

6 If the wells were already there, and  
7 what you're doing is, agreed, going from an  
8 80-acre to a 40-acre five-spot, but, in essence,  
9 only injecting water, reversing the pattern with  
10 wells that are already there, isn't there some  
11 question in your mind whether that should  
12 qualify?

13 A. Well, here again, no, there isn't,  
14 because it takes significant investment to  
15 commence the 40-acre injection, even when you  
16 have those wells already drilled there. I think  
17 one of the prior exhibits illustrates that the  
18 five wells that we propose to drill, represent  
19 about a million dollars of that 2.7 million  
20 dollars we were going to spend.

21 So there's 1.7 million dollars  
22 additional capital we're going to spend, which I  
23 think is significant capital we're going to  
24 spend, which I think is significant, just to  
25 convert the injection wells, even if all 10 of

1 those wells had already been drilled.

2 I think that's a significant investment  
3 in conversions and waterflood facilities that is  
4 necessary to get the 40-acre displacement  
5 pattern, which is really the thing that results  
6 in the increased production of oil, and I think  
7 was contemplated under the Act, when the Act  
8 refers to a significant change or modification in  
9 the displacement of oil. That's why I keep  
10 keying off of--injection, really, is what is  
11 changing.

12 Q. You understand our problem. What we're  
13 trying to do is get away from adding a few bugs,  
14 and giving the credit to a significant investment  
15 that would truly recover more oil when getting  
16 the credit, and we're trying to draw that line.  
17 That's why all these questions, I think, are  
18 significant in trying to boil down, what should  
19 qualify as a qualifying area? How do you qualify  
20 an area?

21 A. And I think the Commission's approach  
22 in scrutinizing these closely, on the first pass,  
23 is valid. I think the Commission should look  
24 very closely, and force operators to be  
25 conservative on their project areas that they



1 draw, and make them go through the hoops on that  
2 first pass.

3 But then, at least in my view, when an  
4 operator has done what he says he's going to do  
5 and comes back to the Commission for response  
6 certification, that really should be looked at on  
7 a project area basis. What is the production  
8 from that approved project area?

9 Because you've already jumped through  
10 the hoops about, what are you going to do and  
11 what should be affected as a result of what you  
12 planned to do. You really shouldn't have to go  
13 through the hoops again, unless you significantly  
14 changed, you only did half of what you proposed  
15 you were going to do. That's a legitimate reason  
16 for cutting down the project area, I think.

17 In our mind, if we did everything we  
18 proposed to do, we had one or two wells there  
19 that had not yet seen response, should we be  
20 forced to wait until every well has seen a  
21 response, or should those wells be thrown out  
22 because they had just not yet seen a response  
23 when we come in for the application?

24 And I understand it's backdated, but  
25 we're trying to get the incentive today, to

1 affect our economics, our operating costs, so  
2 that we can be here three years from now to  
3 continue to produce.

4 Q. But you did testify as to that area  
5 initially should be a conservatively drawn area,  
6 both by the operator and by the approval of the  
7 Division or the Commission?

8 A. In my opinion, yes.

9 CHAIRMAN LEMAY: Are there additional  
10 questions of the witness?

11 MR. STOVALL: Mr. Chairman, I would  
12 like to ask one, actually, regarding that same  
13 question.

14 EXAMINATION

15 BY MR. STOVALL:

16 Q. You talked a little bit about the  
17 question of, what if you see a response in a well  
18 outside the area, and you've also stated that if  
19 a single well in the area doesn't show a  
20 response, that shouldn't necessarily disqualify  
21 the receipt of the credit.

22 What if, let's say in this situation,  
23 that northeast corner, you get a positive  
24 production response overall, but it appears from  
25 the data that one or two production wells in that

1 northeast corner of the project area are not  
2 responding, I believe it's been the Division's  
3 thinking that, in that case, the project area  
4 might be reduced, rather than an isolated well in  
5 the middle, for an area of the project area which  
6 did not respond to the efforts.

7 A. Are you going to penalize us for having  
8 a more marginal waterflood?

9 Q. No, I'm not saying penalize you, but  
10 I'm saying when the point comes that you get a  
11 positive production response, the whole project  
12 area might not qualify. We might find a portion  
13 of the project area which did not qualify because  
14 that portion, looking at the whole portion, did  
15 not respond at all to the flood.

16 A. My concern would be that because of the  
17 reservoir quality throughout the project area,  
18 you're going to have some wells that will see  
19 immediate response, and you're going to have some  
20 wells whose response is delayed. They will not  
21 respond all at the same time.

22 In our case, admittedly, I think the  
23 response will occur probably within a 12-month  
24 period of time, on all wells. But, in other  
25 cases where we've seen, and in cases we have that

1 we're looking at right now, you're going to have  
2 wells that do see a response much later than they  
3 do today because of their proximity to the  
4 injection wells and because of the reservoir  
5 quality, these things.

6 And to exclude those wells just because  
7 they haven't seen the response at that time, I  
8 don't think was the intent of the Act. I think  
9 it was the intent of the Act to give it wherever  
10 you might see a result in the project that you're  
11 instituting. That's where the engineering review  
12 comes in, in the first process. What does it  
13 look like, from a technical and engineering  
14 standpoint, should be affected by what you're  
15 proposing to do.

16 Q. In other words, what you're suggesting  
17 is that, the way the rules are, once the project  
18 area is qualified, that fixes the area regardless  
19 of what happens in terms of response?

20 A. In terms of response, yes. In terms of  
21 the operator's plans, if he doesn't do everything  
22 that he said he was going to do, then I think  
23 that's certainly a legitimate reason for cutting  
24 down the project area.

25 But, in our case, we've converted all

1 the wells, we've got injection going into all  
2 those 40-acre five-spots, but we have response on  
3 nine of the 10 wells. I do not believe it's fair  
4 to force us to exclude that one well we haven't  
5 seen a response on yet, because we should see a  
6 response.

7 In fact, if we haven't seen a response,  
8 there's not much oil there that's associated with  
9 the credit, anyway.

10 CHAIRMAN LEMAY: Rick, I've got to jump  
11 on that one for a minute.

12 THE WITNESS: Okay.

13 FURTHER EXAMINATION

14 BY CHAIRMAN LEMAY:

15 Q. You're talking about what's fair. Is  
16 it fair to include an additional well that  
17 receives response that wasn't in the area, and  
18 not reject wells that were in the area and did  
19 not receive a response? Seems to me, if you're  
20 going to take one, you've got to take the other.

21 A. If I was redoing this application now,  
22 I would draw the project area bigger, to include  
23 the wells that might see any kind of response  
24 from the injection wells.

25 Q. From a regulatory point of view, we

1 have a problem, I would think, if we agree it has  
2 to be conservatively drawn, you stated that, and  
3 yet, if you're going to get the credit on the  
4 maximum amount of acreage you included in the  
5 project, it would be to your advantage not to be  
6 conservative, but very, very liberal.

7 A. Exactly.

8 Q. Because, no matter what the responses  
9 are, you're going to claim that that's the area  
10 affected; and, therefore, you ought to get it for  
11 that whole area. So then we argue, subjectively,  
12 what is conservative and what is not  
13 conservative.

14 You see the problem we get into with  
15 the yardsticks and the intent, and how we tend to  
16 enforce that as a regulatory agency?

17 A. It's tough.

18 Q. Also, the idea of including the well,  
19 which I thought we mentioned that might be  
20 outside the area, that received a response, gave  
21 it the tax credit, but areas like Mr. Stovall  
22 came up with, that, for some reason were tight,  
23 didn't receive a response, give that, too,  
24 because it was part of the initial project area.

25 A. That's a good point, and it raises a

1 question in my mind, if, when we come in for  
2 response certification, could we ask for wells  
3 that were not included in the original project  
4 area that we think have seen a response?

5 Q. I think that will get some attention,  
6 when you come in for positive production response  
7 certification.

8 A. It's a very difficult issue,  
9 Commissioner LeMay. It's very difficult. And I  
10 think that's why the Phase I of this process is  
11 so important, that the review of what the  
12 Applicant's proposing, and a determination be  
13 made as to what could be affected or what will be  
14 affected by what the Applicant's proposing to do.

15 But, once that determination is made, I  
16 do have a problem with, Well, not every well  
17 responded the way you said it was going to  
18 happen, so we're only going to give you the  
19 credit on a well-by-well basis.

20 What about the projects where you have  
21 hundreds of wells? Is an operator going to come  
22 in with 100 production graphs and go through,  
23 graph-by-graph, for production response? I think  
24 the intent of the legislation was to look at it  
25 on a project area basis. And, if you show a

1 response from the project area, then you should  
2 get it certified.

3 Q. As a practical matter, if you have one  
4 well that didn't receive a response, it was tight  
5 and it didn't receive a response, what financial  
6 harm would you suffer from that well being  
7 excluded because it didn't make any oil anyway?

8 A. At the time, yeah. My point is, it may  
9 see a response later on down the road.

10 Q. Couldn't you come back with another  
11 production response at that time?

12 A. I don't know.

13 Q. I think we'll have some questions the  
14 first time we receive an application for positive  
15 production response.

16 A. We're going to let some others blaze  
17 the trail for us.

18 MR. STOVALL: Mr. Chairman, I would  
19 like to just state what the Division has done in  
20 these hearings and what it's stated, so that the  
21 Commission can address the issue. I think it's a  
22 real concern.

23 I think the Division has taken the  
24 approach and looked at these project areas as  
25 sort of a maximum area that can qualify for a



1 response. We've stated this to Applicants when  
2 they've come in on these, that you can come in  
3 and certify your area.

4 And then, when you come back for the  
5 positive production response, the Division  
6 reserves the right to take another look and say,  
7 okay, a portion of the project didn't qualify.  
8 It didn't receive the response.

9 I think the reason that we've taken  
10 that approach is because--well, Mr. Foppiano may  
11 have been conservative in his approach, but I  
12 think some operators are going to be less  
13 conservative and seek a larger area. If we don't  
14 have the ability to look at areas, not individual  
15 wells, as we're talking about here, where you've  
16 got a tight well in an area surrounded by--but  
17 where you have an area in the project that's  
18 identified originally, that doesn't respond, then  
19 you can say, That really isn't getting the  
20 benefit of that effort.

21 The Division has taken the approach  
22 that we can reduce that, and I think we've also  
23 taken the approach that once the project area is  
24 certified, it's going to be difficult to expand  
25 it. You're going to have to come back in and get

1 a recertification of the expanded area, and then  
2 show your response. And that gets tricky.

3 But I think, from the Division's  
4 standpoint and how the Division has approached  
5 these cases to this point, that is an issue for  
6 which the Division needs clarification on from  
7 the Commission.

8 Essentially, I'm disagreeing with Mr.  
9 Foppiano. In his case, if he's been  
10 conservative, he should get a response throughout  
11 the whole thing and it shouldn't be an issue. In  
12 cases where operators are not conservative and go  
13 for the maximum area, I think the Division's  
14 inclined to say, Okay, it looks like it might  
15 happen. We can certify the maximum area; but,  
16 when you get a response, we're going to look at  
17 where you really get a response.

18 The Division would request guidance  
19 from the Commission at this point.

20 CHAIRMAN LEMAY: Additional questions  
21 of the witness? Commissioner Weiss.

22 FURTHER EXAMINATION

23 BY COMMISSIONER WEISS:

24 Q. Mr. Foppiano, does the tax incentive  
25 apply to what portion of the oil produced from

1 the yellow area there?

2 A. From my understanding, if the response  
3 was certified, the tax credit would apply to all  
4 oil produced in that area.

5 COMMISSIONER WEISS: Thank you.

6 CHAIRMAN LEMAY: Additional questions?  
7 If not, the witness--

8 COMMISSIONER CARLSON: I might have  
9 one.

10 CHAIRMAN LEMAY: Commissioner Carlson.

11 FURTHER EXAMINATION

12 BY COMMISSIONER CARLSON:

13 Q. In response to what you and Mr. Stovall  
14 said, is it your opinion that the Commission,  
15 upon certifying a positive production response,  
16 can actually amend the area? I'm looking at the  
17 Act and the regulation, and to me they certify  
18 "yes it has" or "no it hasn't" and they really  
19 don't go back and amend the area.

20 Maybe Mr. Carr can address this when he  
21 gets into the legislative intent of this, but if  
22 that's the case, I would like to hear your  
23 opinion of whether or not they could certify,  
24 maybe, X percent of the production from this area  
25 that qualifies, rather than a hundred percent, as

1 you just said?

2 A. My opinion to your first point is, I  
3 think that is the issue that Mr. Stovall and I  
4 disagree on, a little bit, the extent of the  
5 Commission's review of the project area when the  
6 operator comes in and attempts to get the  
7 response certified.

8 I believe the Commission is certainly  
9 proper in reviewing the project area in terms of,  
10 what did the operator say they were going to do,  
11 and what did they do. If we propose to do these  
12 many patterns and we only did half, then I would  
13 not expect the Division to approve all the  
14 production from that area just because they  
15 approved that before. I think the potential for  
16 abuse there is rather obvious.

17 So, I think it's proper for the  
18 Commission to review the project area, but I do  
19 have concerns with the Commission looking at it  
20 on a well-by-well basis, and throwing out the  
21 ones that haven't seen a response, or it's not  
22 clear that they've seen a response, and keep the  
23 ones that have seen a response.

24 I would be in favor of, and it may be  
25 that the Act or the rule doesn't allow for it,

1 but I would be in favor of these particular  
2 situations being dealt with with a baseline  
3 curve, such that an operator establishes that  
4 they have some baseline production that would  
5 have occurred had they not done anything, and  
6 that the credit apply to the incremental amount  
7 above that baseline curve.

8 In fact, this is how we handled this  
9 very same thing in some other jurisdictions. We  
10 establish the baseline curve, it's approved, and  
11 then once your production response is certified,  
12 the amount of credit you get is the incremental  
13 of oil above that baseline curve that was  
14 approved when the project area was certified.

15 CHAIRMAN LEMAY: Commissioner Carlson,  
16 I need to jump in on that one.

17 FURTHER EXAMINATION

18 BY CHAIRMAN LEMAY:

19 Q. I know that was considered in the law,  
20 and when it was considered, it was considered a  
21 hundred percent severance tax relief for the  
22 incremental oil, and it was felt easier to  
23 administer at 50 percent of all the oil just  
24 because of the calculations and the engineering  
25 required to identify that incremental oil.

1           So, in essence, your argument was taken  
2 into consideration when the Act was passed, and  
3 really incorporated in the severance tax relief  
4 that was granted.

5           A.       And maybe that's the issue about  
6 looking at it on a well-by-well basis. Because  
7 it's only a 50-percent credit, that it may not be  
8 necessary to actually look for a response on a  
9 well-by-well basis, to determine the response  
10 area that qualifies.

11           MR. STOVALL: Commissioner Carlson, the  
12 question you asked is the one the Division would  
13 like the Commission to answer for us, with regard  
14 to a change in the project area after the initial  
15 certification.

16           THE WITNESS: And I would echo Mr.  
17 Stovall's concerns, to the extent the Commission  
18 could give us some guidance on how to do these  
19 response certifications, it would be very much  
20 appreciated.

21           Q.       Well, our jurisdiction in this case is  
22 not so much to redraw your area, is it, as to  
23 look at those five wells which were drilled that  
24 were eliminated from consideration by the  
25 Examiner order?

1           A.       Our order approved our project area as  
2 a list of wells. I guess as part of the relief,  
3 we would ask that our project area be designated  
4 aerially, as shown in the yellow outline there,  
5 instead of on a well-by-well basis. Hopefully  
6 that lays the groundwork, when we come in for  
7 response certification, that we look at that on  
8 an aerial basis, as opposed to a well-by-well  
9 basis.

10          Q.       But the response certification, I take  
11 it, is that part of our duty today? I don't  
12 believe that it's part of the case today.

13          A.       I don't think so, but it may impact  
14 that, later on down the road, the way you rule  
15 today.

16                   CHAIRMAN LEMAY: Anything else?

17                  MR. STOVALL: I think the answer to  
18 your question is probably in the ordering  
19 provision you're correct, do those five wells  
20 qualify for the project. I think, in the way of  
21 findings, you can give some direction as to, you  
22 know, whether it's an aerial approach or a  
23 well-by-well approach.

24                   CHAIRMAN LEMAY: Additional questions?  
25 If not, the witness may be excused. Thank you,

1 Mr. Foppiano.

2 Let's take about a 15-minute break  
3 here, and come back for legislative intent.

4 [A recess was taken.]

5 CHAIRMAN LEMAY: We shall resume. Mr.  
6 Kellahin.

7 MR. KELLAHIN: Mr. Chairman, thank  
8 you. At this time, I would like to call Mr.  
9 William F. Carr.

10 WILLIAM F. CARR, ESQ.

11 Having been first duly sworn upon his oath, was  
12 examined and testified as follows:

13 EXAMINATION

14 BY MR. KELLAHIN:

15 Q. Mr. Carr, for the record, would you  
16 please state your name and occupation?

17 A. My name is William F. Carr. I'm an  
18 attorney in private practice in Santa Fe, New  
19 Mexico.

20 Q. Mr. Carr, does a significant portion of  
21 your practice consist of presenting cases to the  
22 New Mexico Oil Conservation Division and  
23 Commission?

24 A. It does.

25 Q. Are you recognized by the New Mexico



1 Bar Association's Board of Legal Specialization  
2 as a specialist in the area of oil and gas law?

3 A. Yes, I am.

4 Q. Were you a registered lobbyist involved  
5 in the formulation and passage of what we've  
6 described before the Commission as the Enhanced  
7 Oil Recovery Act?

8 A. Yes, I was.

9 Q. Did you testify as an expert witness  
10 before the New Mexico Oil Conservation  
11 Commission, when it promulgated its rules and  
12 regulations on the Enhanced Oil Recovery Act,  
13 that is adopted and identified as Division Order  
14 R-9708?

15 A. I did.

16 Q. As part of your practice, do you render  
17 legal opinions concerning the Enhanced Oil  
18 Recovery Act and the Division's Order R-9708?

19 A. I do.

20 Q. As part of your practice, have you  
21 presented to the Division examiners various  
22 applications on behalf of your industry clients,  
23 to have their various projects certified and  
24 approved as enhanced oil recovery projects?

25 A. I have.

1           Q.       And in 1961, were you the  
2       parliamentarian of the Santa Fe High School Gavel  
3       Society, and a member of the Santa Fe High Debate  
4       Team, making a presentation on behalf of that  
5       organization to the forensic group in Albuquerque  
6       on April 7th and 8th of 1961?

7           A.       It was the 9th and 10th, I believe.

8           Q.       And is this your photograph, Mr. Carr,  
9       in 1961, talking to a Mr. Byron Meyer in the old  
10      high school downtown, that's now the City Hall?  
11      Is that you, sir?

12          A.       That is.

13                 MR. KELLAHIN: We tender Mr. Carr as a  
14      legal expert on the Oil Recovery Act, and to ask  
15      him to render his expert opinions as an expert on  
16      that subject, concerning the legislative history  
17      and the purpose of that Act, as well as the  
18      requirements under Division Order R-9955.

19                 CHAIRMAN LEMAY: He's qualified in that  
20      regard, and also as a high school debater.

21                 [Discussion off the record.]

22          Q.       (BY MR. KELLAHIN) Mr. Carr, do you  
23      have an opinion, sir, with regards to the purpose  
24      of what we've described as the Enhanced Oil  
25      Recovery Act?

1           A.       I do.

2           Q.       And what is that opinion, sir?

3           A.       The Act was promulgated to encourage  
4 enhanced oil recovery projects in New Mexico by  
5 providing an incentive to operators to go out and  
6 develop these programs.

7                   The purpose of the Act was to improve  
8 the economics so that these projects would be  
9 implemented in a timely fashion, and recovery  
10 maximized. When I say "timely fashion," the  
11 concern was that these projects be implemented as  
12 soon as possible so that other related costs,  
13 like reservoir fill-up, and use of available  
14 wellbores, those kinds of things, would not  
15 economically undercut operator efforts to  
16 implement secondary recovery projects.

17          Q.       Did you participate, on behalf of the  
18 industry, with the actual presentations of the  
19 requests before the various legislative  
20 committees?

21          A.       I did.

22          Q.       Can you describe for us the objectives  
23 of that Act, as you understand them to be?

24          A.       I think it's important to note that the  
25 New Mexico Supreme Court has said that even

1 legislators cannot testify as to what the intent  
2 of the legislature is, so what I'm saying is  
3 basically a review of legislative history, which  
4 I believe you, as a Commission, can consider in  
5 implementing an Act in a fashion consistent with  
6 what the legislature intended. So, that really  
7 isn't just form over substance, I think there is  
8 a real difference there.

9 The question was, what was the intent  
10 of the Act?

11 Q. No, sir, to describe for us, based upon  
12 your personal involvement, what was the  
13 legislative history of this Act to obtain what  
14 purpose or what objective?

15 A. Legislative history involved interim  
16 hearings in 1990, legislative presentations to  
17 the legislature in 1991, and enactment of an  
18 Enhanced Oil Recovery Bill that was vetoed by  
19 Governor King.

20 We were modeling the Act after Texas  
21 legislation, by and large, and during that period  
22 of time in 1990, there were amendments to the  
23 Texas bill, so the bill we came back with in  
24 1992, actually was amended in certain respects  
25 to--in response, basically, to what had occurred

1 in Texas, and it was amended specifically to  
2 include expansions of existing enhanced oil  
3 recovery projects. That was the primary  
4 amendment.

5 The bill was passed again in 1992, and  
6 signed by Governor King, and became effective in  
7 mid-1992.

8 Q. Let's go back to the basic objective,  
9 I've handed you what we've marked as Oxy Exhibit  
10 No. 20. It's the illustration in front of you.  
11 Describe for us what was presented, in terms of  
12 the purpose of the Act, when this presentation  
13 was made to the legislature.

14 A. This may be the most overused exhibit  
15 since Al Greer brought the Canado Hijitos Unit,  
16 but what this basically is, this is an exhibit  
17 that was presented by Amerada Hess, to the  
18 Division, concerning their projections for the  
19 North Monument Grayburg/San Andres unit.

20 The area shaded in red, the spike on  
21 the right-hand side, shaded in red, shows what  
22 they were estimating to be additional recovery as  
23 a result of the waterflood project.

24 I think the purpose of this exhibit,  
25 and this exhibit was also involved in some

1 interim committee hearings in 1990, was to  
2 address--it really addresses the question of the  
3 50 percent tax credit. The light green on the  
4 right shows what was projected as remaining  
5 primary recovery, the red spike being the  
6 additional recovery as a result of the enhanced  
7 oil recovery project, and the concern was, how do  
8 we allocate production between the new  
9 production, as a result of the waterflood  
10 project, without also giving a tax credit for  
11 remaining primary.

12 So an arbitrary number, 50 percent, was  
13 selected, and it was a number that, I think, was  
14 generally conceded would, in most circumstances,  
15 favor the state. But the tax incentive rate is  
16 50 percent of the severance tax. The reason is,  
17 it's to try and honor remaining primary  
18 production. That's why the 50 percent figure was  
19 adopted. It also only stays in place while the  
20 price of West Texas intermediate crude stays, on  
21 an annual basis, below \$27, measured May 1 of  
22 each year.

23 Q. When we're talking about a project  
24 area, as we've now used the term within the rule,  
25 what was presented to the legislature as the

1 understanding and meaning of a project area?

2 What was that for?

3 A. The whole Act is based on the concept  
4 of a project area, not on individual wellbores.  
5 I think the reason for that was simply to try and  
6 honor the way secondary recovery efforts go  
7 forward. They go forward on a project basis, and  
8 not on an individual well basis. That's why the  
9 whole Act and all the regulations, really, are  
10 couched in terms of project areas.

11 Q. When we look at a project area, is  
12 there any rule, regulation, or any provision of  
13 the Act that requires the exclusion of existing  
14 producing wells from a project area, before that  
15 area can be certified for the tax reduction?

16 A. There's nothing in the Act that would  
17 exclude any area from being included within a  
18 project area because of preexisting wellbores,  
19 whether they're wells drilled two or three years  
20 ago, or 15 or 20 years ago.

21 The legislature determined that an  
22 incentive was appropriate, and then it's passed  
23 to the Oil Conservation Division to determine  
24 what is an appropriate project area. And the  
25 test is whether or not there's going to be

1 displacement of oil as a result of a new enhanced  
2 oil recovery process.

3 So, the fact that there's an existing  
4 wellbore, recently drilled or drilled many, many  
5 years ago, doesn't, in and of itself, affect  
6 eligibility of that area for certification under  
7 the Act.

8 Q. Do you find any provision of the Act,  
9 or the rules that implement the Act, by which the  
10 drilling of a well, or the failure to drill a  
11 well, is a test for certification of a project  
12 area?

13 A. No. I'm aware of nothing in the Act,  
14 or the rules, or the testimony, when either were  
15 adopted, that would make the drilling of a well  
16 or the absence of that, a condition precedent to  
17 qualification.

18 Q. In terms of qualifying a project area,  
19 what significance, if any, is applied to the cost  
20 of that project?

21 A. The cost, as I understand--what we  
22 presented concerning the cost figures, it's  
23 exactly what Commissioner Carlson addressed in  
24 his questions of Mr. Foppiano.

25 The reason this whole area is entrusted



1 to the Oil Conservation Commission, or Division,  
2 is to assure there is no abuse. That's one  
3 factor to consider in determining whether or not  
4 you have a bona fide enhanced recovery project,  
5 and that is, there are truly costs associated  
6 with this.

7 It isn't a change in some insignificant  
8 factor, that you'll then come running in and say,  
9 well, this should qualify the project as a  
10 significant change in the enhanced oil recovery  
11 method employed, something like that.

12 Q. When we're talking about significant  
13 changes in process or technologies, or the  
14 expansion, either geographically or geologically  
15 of a waterflood, was there any specific  
16 testimony, by any of the legislators to any of  
17 the interim committees, with regards to how to  
18 handle expansions, if you will, within an  
19 existing project?

20 A. Don Whitaker, Representative from  
21 Hobbs, was the primary sponsor of the bill. As I  
22 indicated a few minutes ago, after the bill was  
23 vetoed, there were certain amendments proposed to  
24 the bill. These were developed, actually, in  
25 consultation with Oil Conservation Division

1 staff.

2 In testifying before the House Business  
3 and Industry Committee, and I don't have the  
4 exact date but it was during the 1992 legislative  
5 session, Representative Whitaker testified as  
6 follows, and I quote:

7 "As I indicated earlier, the bill has  
8 been amended in certain minor ways. Language has  
9 been added at the request of the Oil Conservation  
10 Division to provide for approval of expansions of  
11 existing enhanced recovery projects. We have  
12 also deleted language which would preclude any  
13 existing unit from being approved as an enhanced  
14 oil recovery project."

15 That's the only testimony that I could  
16 find that addressed that, but it does indicate  
17 that the amendments were proposed to permit  
18 qualification of any existing unit, if it met the  
19 other standards announced in the Act.

20 Q. With regards to defining an operation,  
21 what if any significance is attached to the  
22 activity of actually injecting water into the  
23 reservoir? Does that have any significance, in  
24 terms of qualifying a project under the Act?

25 A. We didn't follow the same approach that

1 was followed in Texas, where they actually  
2 defined commencement of operations as putting the  
3 fluid in the reservoir. The way the bill and the  
4 rules have been implemented here, is that a  
5 project area will be approved, but the  
6 certification of the project as a qualifying  
7 area, not that there's been a production  
8 response, but that certification is made to  
9 Taxation & Revenue after the operator advises the  
10 Division that they are about to commence  
11 injection.

12 So, it seems to me they're consistent,  
13 and the commencement of injection of fluids is  
14 the point in time where certification of a  
15 project area occurs.

16 Q. Will it disqualify a project area from  
17 being eligible for certification if activity has  
18 already taken place in the project area, whereby  
19 injection wells and/or producing wells, in fact,  
20 already exist within the project area?

21 A. The key thing, as I understand the Act,  
22 is injection of fluid, not the drilling of wells,  
23 not preparation of the project area prior to that  
24 actual physical commencement of operations; i.e.,  
25 injection of fluid.

1           Q.       Mr. Carr, do you have an opinion  
2 whether the limitations placed upon Oxy's  
3 project, by Order R-9955, are required either by  
4 the EOR Act or by the Division rules implementing  
5 that Act, which are set forth in Order R-9708?

6           A.       My opinion is that there's nothing, in  
7 either the statute or the Act, that would exclude  
8 an area because there was a preexisting well, as  
9 long as there hadn't been commencement of  
10 injection. Because the test isn't the existence  
11 of wellbores, the test is whether or not there is  
12 a commencement of an activity that displaces oil  
13 in the project area.

14          Q.       Do you have any recommendations to the  
15 Commission with regards to how they should handle  
16 that issue that's now placed before them in the  
17 Oxy order, concerning the disqualification of the  
18 five preexisting infill wells from the project  
19 area?

20          A.       In the Texaco order, in the Phillips  
21 order, these were orders involving, in Texaco's  
22 case, waterflooding both Langlie-Mattix and  
23 Jalmat pools, where there were existing wells,  
24 and they were going to workover wells and open  
25 zones in, say, a Jalmat well in the

1 Langlie-Mattix or vice versa.

2           Nonetheless, they were working with a  
3 number of wellbores that were preexisting, and  
4 the approach taken by the Division in that case  
5 and the Phillips case was that the existence of  
6 the wellbores wasn't the test, it was whether or  
7 not you are implementing a bona fide waterflood  
8 project, and are you going to ultimately come  
9 back and show an increase in production because  
10 of the displacement of oil.

11           If the same standard is applied to the  
12 Oxy case, then the test isn't that wells exist,  
13 but ultimately the proposed waterflood will  
14 result in additional recovery from those  
15 particular wells. As such, to just exclude them  
16 because the wellbores are there is inconsistent  
17 with two actions taken by the Division since the  
18 Oxy order was entered.

19           MR. KELLAHIN: That concludes my  
20 examination of Mr. Carr. We move the  
21 introduction of Exhibit No. 20.

22           CHAIRMAN LEMAY: With no objection to  
23 Exhibit 20, the exhibit will be received into the  
24 record.

25           CHAIRMAN LEMAY: Commissioner Carlson.

## EXAMINATION

BY COMMISSIONER CARLSON:

Q. Mr. Carr, who were you lobbying on behalf of during the 1991 and 92 sessions?

A. I lobbied at that time for Atlantic/Richfield and for Amoco Production Company, and I testified as a representative of the New Mexico Oil and Gas Association.

Q. The Enhanced Oil Recovery Act was vetoed in 1991?

A. Yes, it was.

Q. Do you know the reason for that veto?

A. No, I do not.

COMMISSIONER CARLSON: I have no further questions.

CHAIRMAN LEMAY: Commissioner Weiss?

COMMISSIONER WEISS: I have no questions.

CHAIRMAN LEMAY: Mr. Carr, I have one question that pertains to your exhibit, actually.

## EXAMINATION

BY CHAIRMAN LEMAY:

Q. I've looked at this exhibit I'll bet a hundred times, and always wanted to ask this

1 question. Who took the bite out of that primary  
2 production?

3 A. I have no idea.

4 Q. Everything is smooth, and all of a  
5 sudden there's a big bite out of the primary  
6 production. The key question is, if we accept  
7 your argument, I guess, that the test is truly  
8 the injection of water and the commencement of  
9 activity, we're talking about the area affected,  
10 aren't we, by that activity?

11 A. That's right.

12 Q. Is it your testimony that that area  
13 affected should be the project area, or presumed  
14 to be affected?

15 A. I think that the whole thrust of the  
16 Act and the regulation focuses not well-by-well,  
17 but on project areas. I think if you address  
18 that, you have to recognize how different these  
19 projects are going to be as they come before  
20 you.

21 The Texaco project, Arco/South Justis,  
22 are brought to you in phases, and they're talking  
23 about certifying subparts of the unit, as they go  
24 forward with their effort. I think, in most  
25 cases, the project area is something that you

1 will be looking at. Certainly, anything beyond  
2 the project area isn't in the game, and you don't  
3 have to deal with whether or not production from  
4 wells outside the original area see a positive  
5 production response or not. They're just simply  
6 not part of the process, as it's set up.

7 But, as you'll get to looking at what's  
8 in the unit, what's in the project area, and what  
9 portions of that may have seen an actual  
10 production response, I think you're going to be  
11 called upon to determine how much of the area has  
12 actually experienced the response.

13 I suggest that, in the huge unit, South  
14 Justis, the Texaco unit, that well-by-well  
15 reviews, as to every single wellbore, may be  
16 inappropriate. I would suggest that in a unit  
17 like this, if you're not seeing a positive  
18 production response at the time certification  
19 comes in, to disqualify it, because it isn't  
20 producing.

21 It's sort of a two-edged sword. Why  
22 should Oxy care? Why should the state care? The  
23 fact of the matter is, the whole project area is  
24 what, I think, you really should look at. In  
25 response to an earlier question, do you have



1 authority to make that kind of judgment?

2 Absolutely, you do. The Act says that the  
3 recovered oil tax rate shall apply only to crude  
4 oil produced from the area the Division certifies  
5 to be affected by the enhanced recovery project  
6 or expansion.

7 So, you have authority. And I think  
8 what's really going to be required and would be  
9 important in the findings that come from this  
10 case, is some guidance, so that when we come back  
11 in we don't find ourselves--and I'm not meaning  
12 anything negative by this--but in a nitpicking,  
13 nickel-and-dime approach to what is an effort and  
14 an incentive that's been authorized by the  
15 legislature but to what is an informed decision  
16 upon what general portion of this project is  
17 effectively and truly part of the waterflood, and  
18 is responding to the waterflood. That's the kind  
19 of question I think you'll be asked, and that's  
20 what I think you are being asked to do when those  
21 cases come to you.

22 Q. You're asking to put some findings in  
23 this so we can get some guidance as to what to  
24 expect when they do come in with their  
25 certification requests?

1           A.       I think that would be helpful, and I  
2 think to just require throwing out a single tract  
3 because there may be some particular problem with  
4 the way the well was completed or something, goes  
5 far beyond what anybody intended. And,  
6 basically, it's a project area review.

7                   But, certainly, if the north half of  
8 the project isn't seeing any response, then I  
9 think you're authorized by statute not to certify  
10 that portion of the project area.

11                   MR. STOVALL: Let me get a  
12 clarification, Mr. Chairman. That was kind of  
13 what I was asking about before.

14                   EXAMINATION

15 BY MR. STOVALL:

16           Q.       There are two certifications involved,  
17 one is a certification of a project area at the  
18 time of application, and the other is  
19 certification of response?

20           A.       Yes.

21           Q.       Your last statement was about not  
22 certifying, say, the north part of the project.  
23 Is that the positive production response  
24 certification?

25           A.       Yes, that's what I'm talking about

1       there.

2           Q.       Is that consistent with what I had  
3       discussed with Mr. Foppiano and asked the  
4       Commission to address before? Are you supporting  
5       that statement?

6           A.       I think I'm supporting that statement,  
7       but to support Mr. Stovall's statements always  
8       make me nervous. But, I think there's a balance  
9       that has to be struck between looking at an area  
10      and saying, yes, they're seeing a response in 90  
11      percent of the wells out here, and it's  
12      appropriate to certify the project at this point  
13      in time. I think that's one kind of a  
14      determination.

15                  I think what operators are afraid of is  
16      that with an 80-well project, of 12-A and of  
17      17-C, and on and on, are going to be little  
18      windows through this, and it becomes a  
19      nightmare.

20                  And also, the way the Act functions is  
21      that, after you see a production response, you  
22      come in and ask for certification. It doesn't  
23      mean you need to come in the first month. You  
24      may wait a year, because the tax credit will be  
25      effective back at the date you--you set a date

1 when you see that. So, we shouldn't have to wait  
2 until we start seeing a response in the large  
3 area, until we have every well responding, to  
4 come in and ask you to make that determination.  
5 I think that's taking too hard a read on the Act,  
6 and it also, I suggest, gets beyond bringing it  
7 to the Oil Commission.

8           It comes to you, as the Court says,  
9 "with special expertise and confidence to deal  
10 with these questions." If it was every single  
11 well having to be evaluated, on a stand-alone  
12 basis, I suspect there could be a form devised by  
13 the Taxation & Revenue Department, where a clerk  
14 could look at a number, look at another number,  
15 yes, there was a waterflood, and certify it  
16 well-by-well.

17           So, I think what operators are  
18 concerned about, now that we have gotten areas  
19 approved, and one, Yates Petroleum in particular,  
20 is planning to come back and seek certification  
21 to Taxation & Revenue in the very near future.  
22 We're moving to that point, and some general  
23 guidance on how you would view this would be  
24 helpful to us in preparation for this next round  
25 of hearings.

1           CHAIRMAN LEMAY: Do you think, Mr.  
2 Carr, that we, as a Commission or Division, as a  
3 certifying process, could certify a portion of  
4 the area subject to additional portion of the  
5 area being certified at a later date, if and when  
6 a production response was received in that other  
7 area, or is that a one-time certification of the  
8 project area, without revisiting it?

9           THE WITNESS: I think you could certify  
10 the south half of the project and come back, and  
11 leave the north half of the project area  
12 available for subsequent certification under  
13 Section G of 729(A)(3).

14           Q.       (BY MR. STOVALL) Again, you're talking  
15 positive production response certification and  
16 not project certification?

17           A.       Yes, I am.

18           CHAIRMAN LEMAY: Section G?

19           THE WITNESS: Section G of 729(A)(3).  
20 "The recovered oil tax rate shall apply only to  
21 the crude oil produced from the area the Division  
22 certifies to be affected by the enhanced recovery  
23 project or expansion."

24           CHAIRMAN LEMAY: You have the bill and  
25 not the--

1 THE WITNESS: I have the bill,  
2 actually.

3 CHAIRMAN LEMAY: Additional questions  
4 of the witness?

5 MR. STOVALL: Yes.

6 Q. (BY MR. STOVALL) I would like to go  
7 back and discuss some of the things we covered  
8 before. Again, we're getting a little bit beyond  
9 the scope of the Oxy thing, but I think they are  
10 very relevant questions.

11 Number one, reading that statute, we  
12 talked earlier with Mr. Foppiano about, what if  
13 we find a response outside the project area, your  
14 interpretation would be that cannot qualify, is  
15 that correct?

16 A. It's not within a project area that's  
17 been certified, and I think to the extent we  
18 think you ought to honor project areas, we ought  
19 to do the same.

20 Q. Second question, and this may kind of,  
21 actually, help resolve it. You probably know,  
22 and I know Mr. Foppiano knows, that I have taken  
23 the approach, on behalf of the Division, that  
24 when you come in for a project expansion  
25 approval, it cannot qualify for the incentive tax

1 rate if that expansion is done under an order  
2 that was issued before the effective date of the  
3 Act.

4 That was the approval of the project  
5 that qualified, and in order to qualify, you must  
6 come in and get a new approval from the Division  
7 subsequent to the effective date of the Act.

8 Now, I guess the approval that I  
9 suggest that the statute is looking for is not  
10 some unique EOR approval, but really an approval  
11 of a waterflood project, and that may be the key  
12 to the answer to this question is, when you come  
13 in, I think the Act anticipates that it will be  
14 an approval which is already done prior to the  
15 time of this Act.

16 The Division approves waterflood  
17 projects, and it's when the Division approved  
18 that waterflood project, and once you approve the  
19 project you're really authorizing the injection  
20 of water, in the case of a waterflood--or  
21 whatever other second project--and you've defined  
22 the area at that time, because that's where the  
23 operator can conduct the operations under that  
24 authority?

25 Does that make sense to you, Mr. Carr?

1 Do you follow me?

2 A. If I understand the question, the Act  
3 and the rule provides that any application for  
4 enhanced oil recovery project, under the Act,  
5 filed prior to March 6, 1992, it talks about,  
6 those applications cannot be considered.

7 But the testimony from Representative  
8 Whitaker, and I think the statute provides, that  
9 within an old waterflood project, you may have a  
10 new EOR project approved if, in fact, you meet  
11 the other test of a substantial change in the  
12 method used to achieve the displacement of oil in  
13 the defined project area.

14 Q. It seems to me, in the expansions, as I  
15 would interpret that, you do two things: You  
16 come in and get the project approved under the  
17 conservation regulatory scheme of the Division  
18 who say, yes, you can put fluids into the  
19 reservoir for enhanced recovery purposes?

20 A. Right.

21 Q. And then the second part of that says,  
22 in the case of these expansions, we will look and  
23 say, there's a little extra piece tagged on to  
24 that process to say, in the case of an expansion  
25 only, to say, is this an expansion? Would you



1 agree with that?

2 A. Yes, either geographic or because of  
3 some significant change, I think the phrase is.

4 Q. Significant change of process or  
5 something?

6 A. Or modification in the process used to  
7 displace oil.

8 Q. Now the intent, you had talked earlier  
9 about the actual injection of water, and again,  
10 from the Division's standpoint I think we have  
11 used that, not for the ability of the project to  
12 qualify, as not being that date, but rather to  
13 start the clock running on the time period in  
14 which a positive production response is received?

15 A. Correct.

16 Q. Now, going back to what we're doing,  
17 and kind of putting all that together, I think  
18 what I have just said may lend some support to  
19 Mr. Foppiano's argument that, if we approve a  
20 project area for the purpose of injection of  
21 fluids for secondary recovery, that defines the  
22 area for the EOR project, because that's really  
23 the approval that the statute is looking for, is  
24 that correct?

25 A. That's right.

1           Q.       Which then raises the question about,  
2 well, what if certain portions of that project  
3 area don't show any sort of response? Mr.  
4 Foppiano's argument is, well, once you've  
5 approved that project area, you've defined it.  
6 Either you've got a positive production response  
7 or you don't, within the project area.

8                    You and I, a little earlier, have  
9 previously said, well, if a particular area  
10 doesn't qualify, we can reduce the project area  
11 for tax credit purposes, and I'm not sure that  
12 that's true. And, once again, I would say that's  
13 a question we need guidance from the Commission  
14 on, on that issue.

15                   Do you concur, as a brilliant attorney  
16 on the witness stand, are you able to support  
17 that?

18           A.       I didn't know Mr. Kellahin was  
19 testifying, but, yes.

20                   MR. KELLAHIN: I object to counsel  
21 badgering my witness.

22           Q.       Okay. That leaves me in the position  
23 of where I think the Division needs some  
24 guidance, and I guess what I would say at this  
25 point is, if that is the case, then the Division

1 would then have to look much more critically at  
2 the project area it approves at the time of the  
3 project approval, because it would not have a  
4 second chance to come back and look at that area  
5 in terms of secondary--of positive production  
6 response.

7           If we follow that line of reasoning,  
8 once we approve, then, secondary production, if  
9 Mr. Foppiano is correct, then it is for the  
10 project area. So that will be helpful to the  
11 Examiners to know what they've got to look at,  
12 the first time.

13       A.     The only thing I would say in response  
14 to that is, the units that come before you differ  
15 tremendously in size and in just the nature of  
16 the project, and I think that you, as a  
17 Commission and a Division, have been asked to use  
18 your expertise to evaluate these consistent with  
19 the purpose of the Act, and that is to give this  
20 incentive if it meets the tests of that statute.

21           We're getting to a point in the  
22 development of the whole history of this  
23 incentive, where some guidance would be important  
24 to the industry, I think.

25           CHAIRMAN LEMAY: Thank you, Mr. Carr.

1 Additional questions of the witness?

2 If not, he may be excused.

3 Mr. Kellahin, I would love to have a  
4 draft order on this to send out to all  
5 Commissioners, if you wouldn't mind.

6 Anything additional?

7 MR. KELLAHIN: Just a brief comment to  
8 conclude the process. We appreciate the  
9 opportunity to air our concerns about the whole  
10 process, but specifically there's a two-part  
11 process.

12 We have a certification of a project  
13 area. Subsequently, within a five-year period,  
14 we come back for certification of a positive  
15 response. Our concern with this order is that  
16 Examiner Catanach has prematurely made a judgment  
17 about the project area and disqualified our  
18 project area, at least half of it, because there  
19 were five existing oil wells in it. We find no  
20 basis for doing that.

21 The scientific testimony by Mr.  
22 Gengler, the SPE paper, the engineering report by  
23 Scott Hickman's group, indicate that the  
24 substantial change in process is the reduction  
25 from 80 to 40 acres, which can occur with or

1 without the drilling of the additional wells. We  
2 think that proof is sufficient enough to have  
3 certification for the project area. It then  
4 becomes our obligation to show, at some future  
5 date, a positive injection response at another  
6 hearing, if the Division so requires.

7           So, my concern is they've prematurely  
8 denied us the qualification of a project area  
9 that we think deserves at least a certification  
10 as a project area. We believe it is treatment  
11 inconsistent with how others have recently been  
12 treated, and we think the order is satisfactory  
13 for what we want to do, provided the Commission  
14 will modify the project area and put back in five  
15 wells that were excluded.

16           I'll be more than happy to draft a  
17 proposed Commission order.

18           CHAIRMAN LEMAY: Anything else in the  
19 case?

20           If not, we'll take the case under  
21 advisement.

22           (And the proceedings concluded.)  
23  
24  
25

## 1 CERTIFICATE OF REPORTER

2  
3 STATE OF NEW MEXICO )  
4 COUNTY OF SANTA FE ) ss.  
5

6 I, Carla Diane Rodriguez, Certified  
7 Shorthand Reporter and Notary Public, HEREBY  
8 CERTIFY that the foregoing transcript of  
9 proceedings before the Oil Conservation  
10 Commission was reported by me; that I caused my  
11 notes to be transcribed under my personal  
12 supervision; and that the foregoing is a true and  
13 accurate record of the proceedings.

14 I FURTHER CERTIFY that I am not a  
15 relative or employee of any of the parties or  
16 attorneys involved in this matter and that I have  
17 no personal interest in the final disposition of  
18 this matter.

19 WITNESS MY HAND AND SEAL March 2, 1994.  
20

21  
22   
23 CARLA DIANE RODRIGUEZ, RPR  
24 CSR No. 4  
25

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION COMMISSION

CASE NOS. 10,771, 10,345, 10,346, 10,772,  
10,823, 10,788 and 10,790

CONTINUED AND DISMISSED CASES

TRANSCRIPT OF PROCEEDINGS

**ORIGINAL**

BEFORE: WILLIAM J. LEMAY, CHAIRMAN  
WILLIAM WEISS, COMMISSIONER  
JAMI BAILEY, COMMISSIONER

FEB 11 1994

January 13, 1994

Santa Fe, New Mexico

This matter came on for hearing before the Oil  
Conservation Commission on January 13, 1994, at Morgan  
Hall, State Land Office Building, 310 Old Santa Fe Trail,  
Santa Fe, New Mexico, before Steven T. Brenner, Certified  
Court Reporter No. 7 for the State of New Mexico.

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2   9:02 a.m.:

3           CHAIRMAN LEMAY: Good morning, happy new year.  
4   This is the Oil Conservation Commission, and my name is  
5   Bill LeMay, I'm chairman.

6           To my left is Commissioner Bill Weiss, to my  
7   right Commissioner Jami Bailey, representing the  
8   Commissioner of Public Lands, State of New Mexico.

9           We will start by calling Cases 10,345 and 10,346,  
10   Louise Locke.

11          MR. STOVALL: Applications of Louise Locke to  
12   consider objections to well costs, San Juan County, New  
13   Mexico.

14          Mr. Bruce, as I understand, Louise Locke has  
15   recently received the well cost information and has  
16   requested some additional time to audit the information  
17   before this case goes forward; is that correct?

18          MR. BRUCE: Yes, Mr. Tully requested some extra  
19   time, and we have no objection on behalf of BHP.

20          CHAIRMAN LEMAY: Thank you. Without objection,  
21   those cases will be continued to the -- I have March 10th  
22   docket.

23                           \* \* \*

24          CHAIRMAN LEMAY: And call Case Number 10,772,  
25   Barber Oil. I'm jumping on you here, Counselor.



1 MR. STOVALL: Application of Barber Oil, Inc.,  
2 for saltwater disposal, Eddy County, New Mexico.

3 Applicant has requested this case be continued to  
4 the February 10th docket.

5 CHAIRMAN LEMAY: Without objection, that case  
6 will be continued to the February 10th docket.

7 \* \* \*

8 CHAIRMAN LEMAY: And call Case Number 10,771.

9 MR. STOVALL: Application of OXY USA, Inc., to  
10 authorize the expansion of a portion of its Skelly Penrose  
11 "B" Unit Waterflood Project and qualify said expansion for  
12 the recovered oil tax rate pursuant to the New Mexico  
13 Enhanced Oil Recovery Act, Lea County, New Mexico.

14 Applicant has requested that case be continued to  
15 the February 10th docket.

16 CHAIRMAN LEMAY: Is there any objection? If not,  
17 that case will be continued to the February 10th docket.

18 \* \* \*

19 CHAIRMAN LEMAY: And we will now call Cases  
20 10,823, 10,788 and 10,790.

21 MR. STOVALL: Mr. Chairman, I think there's a --

22 CHAIRMAN LEMAY: I'm sorry.

23 MR. STOVALL: -- different procedural matter on  
24 -- We can do them, but I think we need to --

25 CHAIRMAN LEMAY: Separate them.

1 MR. STOVALL: -- do them individually, yeah.

2 CHAIRMAN LEMAY: Yeah, okay.

3 MR. STOVALL: 10,823 is the Application of  
4 Nearburg Producing Company for compulsory pooling, Eddy  
5 County, New Mexico.

6 Applicant Nearburg Producing has requested this  
7 case be continued to the February 10th, 1994, docket.

8 CHAIRMAN LEMAY: Is there any objection to that?  
9 If not, Case 10,823 will be continued to the February 10th  
10 docket.

11 \* \* \*

12 CHAIRMAN LEMAY: And we will call Cases 10,788  
13 and 10,790.

14 MR. STOVALL: 10,788 is the Application of  
15 Nearburg Producing Company for compulsory pooling, Eddy  
16 County, New Mexico.

17 Case 10,790 is the Application of Yates Petroleum  
18 Corporation for compulsory pooling, Eddy County, New  
19 Mexico.

20 These are competing force-pooling applications,  
21 and I understand there's been an agreement reached.

22 MR. CARROLL: That's correct. Mr. Chairman, with  
23 respect to Yates's Case 10,790 --

24 MR. STOVALL: Excuse me, Mr. Carroll, do you want  
25 to go ahead and enter your appearance for the record?

1 MR. CARROLL: I'm sorry, I'm Ernest Carroll of  
2 the Losey law firm of Artesia, New Mexico, appearing on  
3 behalf of Yates Petroleum, the Applicant in Case 10,790.

4 MR. BRUCE: And Jim Bruce from the Hinkle law  
5 firm in Santa Fe, representing Nearburg Producing Company,  
6 the Applicant in Case 10,788.

7 CHAIRMAN LEMAY: Thank you. Are there additional  
8 appearances in these cases?

9 Okay, Mr. Carroll?

10 MR. CARROLL: Mr. LeMay, Yates Petroleum, with  
11 respect to the case in which it is the Applicant, 10,790,  
12 at this time would move to dismiss its Application, or its  
13 Application for a *de novo* hearing with respect to that  
14 Application filed, and would further advise that with  
15 respect -- in conjunction -- both cases, Yates Petroleum  
16 and Nearburg Producing Company have reached an agreement  
17 whereby Yates has elected to participate in the drilling of  
18 the Nearburg well in Section 2.

19 We have signed an AFE and returned it, and it is  
20 my understanding Nearburg will agree and stipulate on the  
21 record that such AFE was timely submitted with respect to  
22 the Order.

23 And furthermore, the only other thing that Yates  
24 would like to note, at this point in time the well, by  
25 order of the Commission, is scheduled to be drilled by

1 February 1.

2 Yates would like to put a record. We don't know  
3 if there's going to be a problem, but we want to put a  
4 record that we expect a well to be spudded on or before  
5 February 1 and would oppose any further extension.

6 CHAIRMAN LEMAY: Mr. Bruce?

7 MR. BRUCE: Mr. Chairman, on behalf of Nearburg,  
8 we stipulate that Yates has timely elected to join in  
9 Nearburg's proposed well, in other words, without a risk  
10 penalty.

11 We would request that an order be entered in this  
12 case, reflecting this stipulation, because no operating  
13 agreement has yet been signed by the parties. So we want  
14 that to protect Yates and to protect Nearburg.

15 There is currently a February 1, 1994,  
16 commencement deadline. Yates does oppose any extension of  
17 that.

18 Nearburg is in the process of obtaining a  
19 contract on a drilling rig. It would like a two- to four-  
20 week extension of that. It does plan to commence its dirt  
21 work this month.

22 We hope to spud it by the end of the month, but  
23 to be safe we would like to have an extension of two to  
24 four weeks. But Nearburg does commit that it will take the  
25 steps necessary to preserve Yates' lease, which is -- If

1 drilling is not commenced, obviously, it will expire.

2 CHAIRMAN LEMAY: Let me ask you, does Yates have  
3 a spudder on that state lease to spud it?

4 MR. CARROLL: Yes. Yes, sir, we do. We've had  
5 it out there for quite some time now, and that's the main  
6 reason we have an objection.

7 I would suggest that the proper thing is that a  
8 formal application be made. I don't know if our clients  
9 can work this matter out. And there may not be a problem,  
10 because there's not much activity going on down there, and  
11 I think there are some rigs available. And we do have more  
12 than two weeks, you know, available to get a well spudded.

13 So I would think the proper way would be to make  
14 a formal application, and let's see what happens, and we'll  
15 determine --

16 CHAIRMAN LEMAY: How much is your spudder costing  
17 you? Do you know?

18 MR. CARROLL: What's the spudder run, Randy? I'm  
19 not sure?

20 FROM THE FLOOR: I really don't recall. I  
21 just --

22 MR. CARROLL: I'm sorry, Mr. LeMay, I don't have  
23 that.

24 CHAIRMAN LEMAY: That's all right. Would it be  
25 appropriate to have that part of the cost of the total

1 well, do you think, in the event that Nearburg couldn't get  
2 a rig on location by February 1?

3 MR. CARROLL: I think that that might be a very  
4 appropriate remedy, or some extension that Nearburg would  
5 have to reimburse any costs that were out.

6 CHAIRMAN LEMAY: Maybe not reimburse, but that's  
7 just the cost of doing the well and share in proportion  
8 your interest in the proration unit.

9 MR. CARROLL: That's correct, that could be a  
10 solution, yes, sir.

11 CHAIRMAN LEMAY: I mean, I realize that rigs, you  
12 just always can't get them when you want them, but I  
13 understand if you're going to do the dirt work that  
14 Nearburg -- Does he have a contractor, do you know?

15 MR. BRUCE: I'm not certain, Mr. Chairman. They  
16 did indicate to me on the phone yesterday that they would  
17 be starting the dirt work by the end of the month, but they  
18 are in the process -- What he indicated was that he did not  
19 have a drilling rig under contract yet.

20 CHAIRMAN LEMAY: You might check on that as a  
21 possible stipulation in the event the well is not started  
22 by February 1 and there needs to be additional extension to  
23 any cost of that cable tool to save that lease will be part  
24 of the bill of the well you're going to drill.

25 MR. BRUCE: Total well costs.

1           CHAIRMAN LEMAY: Total well costs.

2           MR. BRUCE: Thank you, Mr. Examiner.

3           CHAIRMAN LEMAY: Thank you, gentlemen. Anything  
4 else in this case?

5           MR. STOVALL: Clarify one thing just to make  
6 sure.

7                   This well -- Is your position and part of the  
8 stipulation, this well is being drilled under the force-  
9 pooling order, not in lieu of the force- -- not -- based on  
10 agreement which voids the force-pooling order?

11           MR. BRUCE: It's being drilled under the force-  
12 pooling order as of this -- And if they do sign an  
13 operating agreement, we will let the Commission know  
14 immediately.

15           MR. CARROLL: That's all I have.

16           CHAIRMAN LEMAY: Thank you, Mr. Carroll. Thank  
17 you, Mr. Bruce.

18                               \* \* \*

19                   (Thereupon, these proceedings were concluded at  
20 9:12 a.m.)

21                               \* \* \*

22

23

24

25


## 1 CERTIFICATE OF REPORTER

2  
3 STATE OF NEW MEXICO )  
4 ) ss.  
COUNTY OF SANTA FE )

5  
6 I, Steven T. Brenner, Certified Court Reporter  
7 and Notary Public, HEREBY CERTIFY that the foregoing  
8 transcript of proceedings before the Oil Conservation  
9 Commission was reported by me; that I transcribed my notes;  
10 and that the foregoing is a true and accurate record of the  
11 proceedings.

12 I FURTHER CERTIFY that I am not a relative or  
13 employee of any of the parties or attorneys involved in  
14 this matter and that I have no personal interest in the  
15 final disposition of this matter.

16 WITNESS MY HAND AND SEAL January 18, 1994.

17  
18   
19 STEVEN T. BRENNER  
CCR No. 7

20  
21 My commission expires: October 14, 1994  
22  
23  
24  
25



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION COMMISSION  
IN THE MATTER OF THE HEARING )  
CALLED BY THE OIL CONSERVATION )  
COMMISSION FOR THE PURPOSE OF )  
CONSIDERING: ) CASE NO. 10771  
APPLICATION OF OXY USA Inc.  
-----

REPORTER'S TRANSCRIPT OF PROCEEDINGS

COMMISSION HEARING

BEFORE: William R. LeMay, Chairman  
Gary Carlson, Commissioner  
Bill Weiss, Commissioner  
Florene Davidson, Senior Staff Specialist

November 10, 1993

Santa Fe, New Mexico

This matter came on for hearing before the  
Oil Conservation Commission on November 10, 1993, at  
Morgan Hall, State Land Office Building, 310 Old Santa  
Fe Trail, Santa Fe, New Mexico, before Deborah O'Bine,  
RPR, Certified Court Reporter No. 63, for the State of  
New Mexico.

**ORIGINAL**

1                   CHAIRMAN LeMAY: In case there is someone  
2 here waiting for the Oxy case, we're not going to hear  
3 that. We can go on the record and say that case will  
4 be continued until January 13th.

5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1 CERTIFICATE OF REPORTER  
2

3 STATE OF NEW MEXICO )

4 ) ss.

5 COUNTY OF SANTA FE )

6 I, Deborah O'Bine, Certified Shorthand  
7 Reporter and Notary Public, HEREBY CERTIFY that I  
8 caused my notes to be transcribed under my personal  
9 supervision, and that the foregoing transcript is a  
10 true and accurate record of the proceedings of said  
11 hearing.

12 I FURTHER CERTIFY that I am not a relative  
13 or employee of any of the parties or attorneys  
14 involved in this matter and that I have no personal  
15 interest in the final disposition of this matter.

16 WITNESS MY HAND AND SEAL, November 12,  
17 1993.

18 

19 \_\_\_\_\_  
20 DEBORAH O'BINE  
21 CCR No. 63

