

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NEW MEXICO OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
STATE OF NEW MEXICO
CASE NO. 10970


IN THE MATTER OF:

The Application of Merrion Oil & Gas Corporation for Downhole Commingling and an Unorthodox Coal Gas Well Location, San Juan County, New Mexico.

BEFORE:

MICHAEL E. STOGNER
Hearing Examiner
State Land Office Building

May 12, 1994



REPORTED BY:

CARLA DIANE RODRIGUEZ
Certified Shorthand Reporter
for the State of New Mexico

ORIGINAL

A P P E A R A N C E S

FOR THE APPLICANT:

TANSEY, ROSEBROUGH, GERDING & STROTHER, P.C.
 Post Office Box 1020
 Farmington, New Mexico 87401-1020
 BY: B. TOMMY ROBERTS, ESQ.

I N D E X

	Page Number
Appearances	2
WITNESSES FOR THE APPLICANT:	
1. <u>GEORGE SHARPE</u>	
Examination by Mr. Roberts	4
Examination by Mr. Stogner	32
Certificate of Reporter	39

E X H I B I T S

	Page Marked
Exhibit No. 1	7
Exhibit No. 2	11
Exhibit No. 3	12
Exhibit No. 4	14
Exhibit No. 5	15
Exhibit No. 6	18
Exhibit No. 7	20
Exhibit No. 8	22
Exhibit No. 9	29
Exhibit No. 10	withdrawn
Exhibit No. 11	withdrawn

1 EXAMINER STOGNER: At this time I'll
2 call Case 10970, which is the application of
3 Merrion Oil & Gas corporation for downhole
4 commingling and an unorthodox coal gas well
5 location, San Juan County, New Mexico.

6 At this time I'll call for appearances.

7 MR. ROBERTS: Mr. Examiner, my name is
8 Tommy Roberts. I'm with the law firm of Tansey,
9 Rosebrough, Gerding and Strother in Farmington,
10 New Mexico, appearing on behalf of the Applicant,
11 Merrion Oil & Gas Corporation, and I have one
12 witness to be sworn.

13 EXAMINER STOGNER: Mr. Roberts, the
14 witness you asked to be sworn at this time, has
15 he testified in the previous case?

16 MR. ROBERTS: Yes, he has.

17 EXAMINER STOGNER: Let the record show
18 that George Sharpe has been previously sworn in
19 Case 10969, and remains under oath.

20 Any other appearances in this matter?
21 If not, please continue, Mr. Roberts.

22 **GEORGE SHARPE**

23 Having been first duly sworn upon his oath, was
24 examined and testified as follows:

25

EXAMINATION

1
2 BY MR. ROBERTS:

3 Q. Would you state your name and place of
4 residence for the record.

5 A. My name is George Sharpe. I live in
6 Farmington, New Mexico.

7 MR. ROBERTS: Mr. Examiner, Mr. Sharpe
8 has previously been qualified as an expert
9 petroleum engineer, and that would be the purpose
10 for his testimony in this case, and we would ask
11 that you take administrative notice of that
12 fact.

13 EXAMINER STOGNER: Notice is so taken
14 of that fact.

15 Q. Mr. Sharpe, would you briefly state the
16 purpose of this application?

17 A. The purpose of this application is to
18 obtain approval--request approval for the
19 downhole commingling of the Carnahan Com No. 1
20 well in the Basin-Fruitland Coal and Fulcher
21 Kutz-Pictured Cliffs Pools.

22 The well is located in the southeast
23 quarter of Section 35, Township 30 North, Range
24 12 West, San Juan County, New Mexico.

25 Q. What is the footage location of that

1 well?

2 A. The footage location is 990 feet from
3 the south line and 990 feet from the east line of
4 Section 35, 30 North, 12 West.

5 Q. Would you briefly summarize the
6 drilling, completion and producing history of the
7 Carnahan Com No. 1 well?

8 A. The Carnahan Com No. 1 well was drilled
9 in the 1950s as a Dakota well. It produced
10 through, I believe, the early 70s out of the
11 Dakota, and developed a casing leak. They
12 plugged it back out of the Dakota, fixed the
13 casing leak, and completed it as a Mesaverde
14 well. It has produced as a Mesaverde well for a
15 number of years, and is currently shut in
16 uneconomic in the Mesaverde, and we would
17 recomplete it back to the Fruitland and Pictured
18 Cliffs.

19 Q. What kind of hydrocarbon substances do
20 you expect to be produced from the Fruitland Coal
21 and from the Pictured Cliffs? In other words, do
22 you expect any liquid hydrocarbons from either
23 zone?

24 A. We do not anticipate liquid
25 hydrocarbons. We anticipate dry gas production

1 from both zones.

2 Q. Is there a possibility of condensate
3 from the Pictured Cliffs formation?

4 A. There is some possibility.

5 Q. What about the Fruitland Coal?

6 A. There is little possibility.

7 Q. Was this wellbore at a standard
8 location for the development of the Dakota
9 formation?

10 A. Yes, it was.

11 Q. Was it at a standard location for the
12 Mesaverde formation?

13 A. Yes, it was.

14 Q. Is the wellbore at a standard footage
15 location for the development of the Picture
16 Cliffs formation?

17 A. Yes, it is.

18 Q. For the Fruitland coal formation?

19 A. Yes, it is.

20 Q. Is it accurate to say that this well is
21 in a nonstandard location in accordance with the
22 rules applicable to the Basin-Fruitland Coal
23 formation, by virtue of its being located in a
24 different quarter section than dictated by the
25 rules?

1 A. Yes, it is. It is located in the
2 southeast quarter, and the proper location, per
3 the rules, would be either the northeast quarter
4 or the southwest quarter of the section.

5 Q. Have you filed an administrative
6 application for approval of this nonstandard coal
7 gas well location?

8 A. Yes, we have.

9 Q. Has that application been acted upon by
10 the Oil Conservation Division?

11 A. Not to my knowledge.

12 Q. Do you know the status of that
13 application?

14 A. I do not.

15 Q. I want you to refer to what you have
16 marked as the Applicant's Exhibit No. 1.
17 Identify the exhibit, and describe the
18 information that is illustrated on the exhibit.

19 A. Exhibit No. 1 shows the offset acreage
20 and the offset ownership surrounding our proposed
21 location. The cross-hatched section, going from
22 northeast to southwest, indicates the 320 acres
23 that would be dedicated to the Fruitland Coal.
24 The cross-hatch going from the northwest to the
25 southeast indicates the 160 acres that would be

1 dedicated to the Pictured Cliffs formation.

2 Also shown on the map are all offset
3 Pictured Cliffs and Fruitland Coal wells that
4 surround our proposed location.

5 Q. What is the half section which would be
6 dedicated to the Fruitland Coal completion in
7 this well?

8 A. The half section is a stand-up 320,
9 located in the east half of Section 35, Township
10 30 North, Range 12 West.

11 Q. Is that a 320-acre spacing unit?

12 A. I don't know if it's exactly 320 acres
13 or not, to tell you the truth.

14 Q. To your knowledge, would it be within
15 the limits?

16 A. To my knowledge, it's within the limits
17 of an acceptable spacing unit.

18 Q. What is the quarter section which would
19 be dedicated to the Pictured Cliffs completion in
20 this wellbore?

21 A. It would be the southwest--excuse me,
22 southeast quarter of Section 35, Township 30
23 North, Range 12 West.

24 Q. Does that comprise 160 acres or at
25 least is it within the variations permitted by

1 the Oil Conservation Division?

2 A. That is 160 acres.

3 Q. How is the location of the Carnahan Com
4 No. 1 well depicted on Exhibit No. 1?

5 A. The Carnahan Com No. 1 well is labeled
6 as the Carnahan Com No. 1, and an arrow points to
7 it saying it's a proposed Fruitland recompletion,
8 and it should be Fruitland and Pictured Cliffs
9 recompletion.

10 Q. What types of oil and gas leases
11 comprise the east half of Section 35?

12 A. The east half of Section 35 contains
13 three leases. It contains a fee lease in the
14 northeast of the northeast that's owned by
15 Merrion. The remainder of the northeast quarter
16 is a federal lease that is operated by Meridian.

17 And the southeast quarter, 160 acres is
18 a fee lease that is owned and operated by
19 Merrion.

20 Q. Now focus on the area surrounding the
21 east half of Section 35. Would you describe the
22 type of leases which offset the east half
23 proration and spacing unit for the Fruitland Coal
24 and identify the operators of those leases?

25 A. The offset leases are federal and fee

1 leases. The owners are Amoco, Meridian, Conoco
2 and Southland Royalties.

3 Q. What do you know, if anything, about
4 the production histories and productive
5 capabilities of the offsetting wells which are
6 depicted on the exhibit?

7 A. Most of the wells on the exhibit are
8 Pictured Cliffs wells. The Fulcher Kutz-Pictured
9 Cliffs, the heart of the trend is to the south
10 and west of our well. We're kind of a step out
11 off of this trend.

12 There's one dry Pictured Cliffs
13 producer to the north and east of our well. That
14 would be the fee-pooled unit No. 1. So we are
15 stepping out on the PC trend. There are
16 two--back to the Pictured Cliffs. Those wells,
17 most of them are depleted, and if they're
18 producing anything, they're producing at very
19 marginal rates.

20 The Pictured Cliffs is fairly
21 depleted. There are only two Fruitland Coal
22 wells currently located around our well. One is
23 the FC State Com No. 24, located immediately east
24 of our well, in Section 36, and the other is the
25 Cornell No. 5, located in the northeast quarter

1 of Section 1, Township 29 North, 12 West.

2 The Cornell No. 5 is, I believe it's
3 currently shut in in the Fruitland Coal. The
4 State Com No. 24 is making approximately 70 Mcf a
5 day, the well to the east of us, operated by
6 Conoco.

7 Q. Now turn to what you've marked as
8 Exhibit No. 2, and identify that exhibit.

9 A. Exhibit No. 2 displays the division of
10 interest for the Pictured Cliffs spacing unit and
11 the Fruitland Coal spacing unit and shows the
12 various owners in those formations.

13 Q. Does this identify 100 percent of the
14 ownership of the revenue interest as to each
15 zone?

16 A. It does.

17 Q. I think, from the exhibit, it can be
18 seen which owners have working interest ownership
19 and net revenue attributable to the working
20 interest, but it's not specific which of these
21 individuals have royalty interests or overriding
22 royalty interests. Can you describe for the
23 record which are the owners of royalty interests?

24 A. For the Pictured Cliffs formation,
25 David A. Carnahan is the royalty owner, interest

1 at 12 and a half percent.

2 For the Fruitland Coal formation, from
3 MMS down, including, G. T. McAlpin, L. B.
4 McAlpin, Joe Dennis, Kay Dennis, Duff-Leach, Ted
5 Duft and David Carnahan, those parties are the
6 royalty owners in the Fruitland Coal.

7 Q. And all of the other owners not
8 depicted as working interest owners, have
9 overriding royalty interests, correct?

10 A. Yes.

11 Q. This exhibit reflects that the
12 ownership of the zones, to be commingled, is not
13 common. Is this the reason for the application
14 in this case?

15 A. Yes.

16 Q. Now let me have you turn to what's been
17 marked as Exhibit No. 3, and I would ask you to
18 identify that exhibit.

19 A. Exhibit No. 3 is a wellbore schematic
20 showing the current situation at the Carnahan Com
21 No. 1. Again, it shows there's a bridge plug
22 with cement above the Dakota perforations, and
23 that they are currently open perforations in the
24 Mesaverde.

25 It shows that a DV tool at 2278 feet

1 was used to place cement across the Pictured
2 Cliffs and the Fruitland Coal formations, and so
3 we do not anticipate any required casing work to
4 complete in these zones.

5 Q. Now, how do you propose to affect the
6 downhole commingling of the Pictured Cliffs and
7 Fruitland Coal production in the wellbore of this
8 well?

9 A. Our recompletion procedure would call
10 for abandoning the bottom of the hole, by placing
11 a cement plug across the Gallup top, cement plug
12 across the Mesaverde perforations, and then we
13 would then complete the Pictured Cliffs,
14 perforate, fracture, and conduct a flow test on
15 the Pictured Cliffs formation. We would set a
16 bridge plug above the Pictured Cliffs formation
17 and perforate, frac and test the Fruitland Coal
18 formation.

19 We would then pull the bridge plug and
20 run a single string of tubing, and produce these
21 zones as commingled.

22 Q. Assuming that downhole commingling is
23 authorized, will fluid-sensitive sands be
24 adequately protected from contact with water or
25 other liquids produced from other zones in the

1 well?

2 A. Yes, they will. All other zones in the
3 well will be isolated from the two producing
4 zones, and later exhibits will show that the
5 water characteristics in the two producing zones
6 are close to identical. We do not anticipate any
7 fluid incompatibility problems.

8 Q. Refer to what you've marked as the
9 Applicant's Exhibit No. 4 and identify that
10 exhibit.

11 A. Exhibit No. 4 is a copy of the
12 induction log across the Pictured Cliffs and
13 Fruitland Coal formations. Shown on that are
14 proposed perforated intervals for the Fruitland
15 Coal and for the Pictured Cliffs.

16 It can be seen that there's only 14
17 feet separating the perforated intervals, so
18 mechanically it will be difficult to produce this
19 as a dual well.

20 In addition, there's a high likelihood
21 that a frac in the Pictured Cliffs would frac up
22 into the coal and/or a frac in the coal will frac
23 down into the Pictured Cliffs and you'll produce
24 some commingled, anyway, although it would be
25 outside the wellbore.

1 Q. Refer to what you've marked as
2 Applicant's Exhibit No. 5, and identify that
3 exhibit.

4 A. Exhibit No. 5 is a printout from
5 Dwight's Data Service. The first page gives some
6 well information concerning the Cornell No. 5,
7 concerning its Fruitland Coal completion.

8 The second page of the exhibit shows
9 that in 1985, the last point that data was
10 available on the Fruitland Coal in that well, the
11 wellhead shut-in pressure indicated by WHSIP was
12 300 psi. Assuming a solid column of gas with no
13 liquid in the hole, that basically is equal to
14 your bottomhole pressure at that low pressure and
15 at that shallow a depth.

16 The third page of the exhibit is also
17 the Cornell No. 5, and it's data from the
18 Pictured Cliffs formation. It was produced out
19 of the Pictured Cliffs from 1956 through 1981,
20 and in 1981 it was recompleted to the Fruitland
21 Coal. It can be shown in the last data point,
22 which was 1975, the wellhead shut-in pressure was
23 186 pounds.

24 There's not significant production from
25 1975 to 1981. We feel that is representative of

1 the depleted Pictured Cliffs formation as a worse
2 case scenario, so your pressure differential
3 between your two formations is 300 psi versus
4 180-ish psi, and is within the 50-percent limit.

5 Q. You testified that the subject matter
6 of this exhibit is the Cornell No. 5 well?

7 A. Yes.

8 Q. Would you point the location of that
9 well out on Exhibit No. 1 for the Examiner?

10 A. On Exhibit No. 1, it is shown in the
11 northeast quarter of Section 1, Township 29
12 North, Range 12 West.

13 Q. Would you anticipate that the
14 bottomhole pressures for each zone would be
15 similar today as they were when last tested?

16 A. I would anticipate that initial
17 pressure in the Fruitland Coal would be very
18 similar to the 300 psi. We hope that our initial
19 pressure in the PC is actually much greater than
20 the 186 pounds. We anticipate that because we're
21 a step-out well, it could be as high as the
22 virgin pressure of approximately 500 pounds in
23 the Pictured Cliffs formation.

24 Q. And what you anticipate is--

25 A. We anticipate somewhere between 180 and

1 500 pounds in our Pictured Cliffs, and we
2 anticipate 300 pounds in our Fruitland Coal.

3 Q. With those bottomhole pressures, the
4 requirements of the Oil Conservation Division on
5 the 50 percent limitation, would still be
6 satisfied?

7 A. Yes, it would, in either case.

8 Q. Are these bottomhole pressures what you
9 would expect to find in wells throughout the area
10 offsetting the Carnahan Com No. 1 well?

11 A. The Fruitland Coal pressure of 300
12 pounds, we believe, is probably representative of
13 the entire area. I've looked at most of the
14 wells to the south in the Pictured Cliffs, and
15 the 200 psi reservoir pressure for the Fulcher
16 Kutz-Pictured Cliffs Pool is representative of
17 most of the wells to the south of us.

18 Q. In your opinion, will cross-flow occur
19 between the zones to be commingled in this
20 wellbore?

21 A. In my opinion, it will not. We
22 anticipate producing this off compression at
23 approximately well completion at approximately 25
24 to 50 pounds pressure. That is significantly
25 below any anticipated reservoir pressure, and

1 therefore we anticipate production not
2 cross-flowed from the zones.

3 Q. Let me have you refer to what has been
4 marked as Applicant's Exhibit No. 6, and ask you
5 to identify that exhibit.

6 A. Exhibit No. 6 has two water analyses.
7 The first page is a water analysis from the
8 Fruitland Coal in the Susco No. 3 well located in
9 Section 9, 26 North and 12 West. That is four
10 townships to the south of our township.

11 Page 2 of the exhibit is a water
12 analysis from the Hi Roll No. 4, which is
13 completed in the Pictured Cliffs formation, in
14 Section 35, 27 North 13 West. Again, that is
15 approximately three townships to the south and
16 one township west of our location.

17 Q. When were the samples taken for each
18 zone?

19 A. The date on the Susco No. 3 is February
20 13, 1991. There is no date on the Hi Roll. I
21 was unable to determine when the Hi Roll sample
22 was taken.

23 We have no water analyses in the
24 immediate area. We do not produce Pictured
25 Cliffs or Fruitland Coal in the immediate area.

1 and these were the closest analyses we could
2 find. However, we would anticipate these log
3 analyses to be generally representative of the
4 water that you would find in the Fruitland Coal
5 and Pictured Cliff's formation, in the area of
6 our proposed recompletion.

7 Q. What parameters were analyzed by these
8 tests?

9 A. The dissolved salts were analyzed, and
10 it can be shown that the total dissolved solids
11 on the Fruitland Coal from the Susco No. 3, was
12 6,407 parts per million, and that the total
13 dissolved solids from the Hi Roll No. 4 out of
14 the Pictured Cliffs formation, was 5,582 parts
15 per million.

16 In addition, the makeup of the water,
17 the different ions in there are very similar in
18 both. In short, these are almost identical
19 waters.

20 Q. Your testimony is that these fluids
21 will be compatible?

22 A. My testimony is they would.

23 Q. Will combining these fluids result in
24 the formation of precipitates which might damage
25 either zone?

1 A. We would not think so.

2 Q. Let me have you refer to what you've
3 marked as Applicant's Exhibit 7, and please
4 identify that exhibit.

5 A. Exhibit No. 7 is a summary economic
6 run, showing the economics of both the Pictured
7 Cliffs well and a Fruitland Coal well under
8 various scenarios. Three scenarios were analyzed
9 for each.

10 The first scenario is the economics of
11 commingling these zones; the second scenario
12 would be the economics of completing these zones
13 individually, either as a dual or as a single
14 completion, and the third economic run would be
15 what we would see if we had to drill a new well
16 to get these reserves.

17 Shown for each, across the top of the
18 different columns is the investment for each of
19 those scenarios, the operating cost, in dollars
20 per month for each scenario, the anticipated
21 reserves in millions of cubic feet, the rate of
22 return, undiscounted profit, and 20 percent
23 discounted profit.

24 Q. How did you ascertain reserves?

25 A. Reserves were set by assuming an IP and

1 a decline rate, and they were verified, at least
2 for the Pictured Cliffs formation, based on
3 volumetrics.

4 Q. What was the basis for the values that
5 you've utilized in this analysis for operating
6 costs?

7 A. Our experience in operating Pictured
8 Cliffs and Fruitland Coal wells was used to
9 determine operating expense.

10 Q. What was the basis for your investment
11 forecast?

12 A. The investments, we prepared AFEs for
13 the various scenarios and, based on the costs of
14 doing the recompletion and putting in facilities
15 required to produce those.

16 Q. Describe the results of your analysis.

17 A. In summary, the results of our analysis
18 is that the commingling is the most economic way
19 to produce either zone, and it's the only
20 economic way to produce the Fruitland Coal zone.

21 The cost savings on the investment side
22 and the sharing of facilities, and the cost
23 savings on the operating costs side in the
24 sharing of a pumper, compressor, and maintenance
25 costs of the well, provide acceptable economics

1 for the Fruitland Coal.

2 If you have to produce the Fruitland
3 Coal by itself, the economics are--it's basically
4 subeconomic for Merrion's cutoff criteria.

5 Q. Does this economic analysis also show
6 that the value of commingled production will not
7 be less than the sum of the values of the
8 individual streams?

9 A. Not only will it not be less, it will
10 be greater under the commingled. We will have
11 more reserves because we'll have a shared
12 operating expense and be able to produce to a
13 lower economic limit. So, we'll be able to
14 increase the reserves and the value going, not
15 only to Merrion Oil & Gas, and to our working
16 interest owners, but also to the royalty owners
17 and override owners.

18 Q. Now refer to what you've marked as the
19 Applicant's Exhibit No. 8, and identify that
20 exhibit.

21 A. Exhibit 8 is a proposed monthly gas
22 production allocation formula. It describes, in
23 nauseating detail, how to allocate production
24 between the Pictured Cliffs and the Fruitland
25 Coal.

1 Q. Why don't you go ahead and go through
2 the formula for the record.

3 A. The first page of Exhibit 8 summarizes
4 the general concept of how this production would
5 be allocated. The general concept is to set the
6 Pictured Cliffs reserves using volumetrics and,
7 knowing the volumetrics and knowing the initial
8 production test from your Pictured Cliffs, you
9 know your initial rate, you know your reserves,
10 and then use standard exponential decline
11 equations to define your Pictured Cliffs
12 production in the future.

13 The Fruitland Coal production, then,
14 would be the difference between the total
15 production from the well and your PC reserves, as
16 defined by these formulas.

17 Moving to page 1, again, step 1 would
18 be to calculate Pictured Cliff reserves from
19 volumetrics. This equation describes the
20 volumetric equation that would define the
21 Pictured Cliffs reserves. It is 7758 barrels per
22 acre foot, times porosity, times net pay, times
23 your drainage area in acres, times 1, minus your
24 water saturation, divided by your formation
25 volume factor, and all of that multiplied by your

1 BTU factor.

2 Again, we're defining the PC reserves
3 in MMBTUs. The parameters that we have
4 determined from the log analyses of this well and
5 offset wells is a porosity of 18 percent, a net
6 pay of 30 feet, a drainage area of the spacing
7 unit of 160 acres, water saturation of 50
8 percent.

9 To calculate gas formation volume
10 factor, we assumed a reservoir temperature of 100
11 degrees Fahrenheit and a gas deviation factor
12 of .94. The only unknown in the equation is then
13 the reservoir pressure and the BTU factor.

14 If you combine all the parameters, you
15 come down to the bottom equation in step 1, that
16 the ultimate gas reserves of the Pictured Cliffs
17 is equal to 1263 Mcf per psia, times whatever the
18 reservoir pressure is, times the BTU factor
19 obtained from the gas analyses upon initially
20 testing the Pictured Cliffs formation.

21 So, our procedure to determine the
22 Pictured Cliffs reserves would be to, upon
23 initially testing the well, shut it in, obtain
24 the reservoir pressure, be it 200 pounds or be it
25 500 pounds. We would then be able to come to

1 this equation. We would also get a gas analyses
2 and determine the BTU content of the Pictured
3 Cliffs gas. We would then be able to come to
4 this equation and define our Pictured Cliffs
5 reserves in MMBTUs.

6 Q. Under this proposed formula, then, I
7 take it, that production on a monthly basis would
8 be allocated, pursuant to this formula to these
9 two zones, but that that percentage could vary
10 from month-to-month?

11 A. That could. All I've done is gone
12 through the volumetrics. Let me continue through
13 the exhibit. Step 2 of the exhibit is to
14 calculate the Pictured Cliffs' initial monthly
15 production rate.

16 The Pictured Cliffs' monthly production
17 rate would be the ratio of the Pictured Cliffs
18 test rate over the sum of the Pictured Cliffs
19 test rate upon initially completing the Pictured
20 Cliffs, plus the Fruitland Coal test rate upon
21 initially completing the Fruitland Coal;
22 multiplied times the first month's total
23 production in MMBTUs per month.

24 That would then be, if the month was a
25 partial month, that would be ratioed up to a full

1 month's production, and so that would set our
2 initial Pictured Cliffs production rate for our
3 decline equation.

4 Step 3 in the process calculates the
5 abandonment rate of the Pictured Cliffs based on
6 the operating costs of \$500 per month, assumed in
7 our analysis, and a buck-sixty-five per MMBTU
8 wellhead gas price, net revenue interest of 84
9 percent, tax rate of nine percent. The
10 calculated abandonment rate is 396 MMBTUs per
11 month, is the economic limit of the Pictured
12 Cliffs production.

13 Step 4, now that we know the initial
14 rate, the final rate and the reserves, we can
15 rearrange the exponential decline equation to
16 calculate the decline rate, as depicted in that
17 Step 4, where the decline rate is equal to the
18 initial rate minus the abandonment rate over the
19 reserves.

20 Step 5, once we know the decline rate
21 and we now know the initial rate, we can
22 calculate the Pictured Cliffs production rate for
23 any month in the future based on the formula,
24 again the decline curve formula, where the
25 production at any time in the future is equal to

1 your initial production times E to the negative
2 decline rate, times how many months to that
3 date.

4 So, we will be able to generate our
5 Pictured Cliffs production schedule from now to
6 the future, and assume that that's accurate.

7 Step 6 merely takes the total
8 production rate and subtracts the calculated
9 Pictured Cliffs production rate, to determine the
10 Fruitland Coal production rate for any given
11 month.

12 Q. Has this basic allocation formula been
13 approved by the Oil Conservation Division in a
14 prior case?

15 A. This allocation formula has been
16 approved by the Oil Conservation Division.

17 Q. Do you have a case number or order
18 number available to you?

19 A. I don't have that in front of me. Do
20 you?

21 MR. ROBERTS: Mr. Examiner, for the
22 record, it's Case No. 10700, Order No. R-9881.
23 It was an application of Meridian for downhole
24 commingling of Pictured Cliffs and Fruitland Coal
25 production in the wellbore of the Shiotani 400

1 well, I believe.

2 Q. Mr. Sharpe, is the allocation formula
3 you produce identical to the allocation formula
4 that was proposed by Meridian in the Shiotani
5 case?

6 A. There's one slight difference, and that
7 is that I propose to allocate on a MMBTU basis,
8 as opposed to an Mcf basis, recognizing the
9 difference in the BTU contents of the Pictured
10 Cliffs and the Fruitland Coal.

11 The steps, the equations, the
12 methodology is identical.

13 Q. Why is it more appropriate, in your
14 opinion, to allocate on the basis of MMBTUs as
15 opposed to Mcf?

16 A. Because that is how the dollars are
17 paid, and that is how royalty interest owners are
18 paid is on the value of their gas. It's
19 allocated to their formation. If you allocate on
20 an Mcf basis, then the Fruitland Coal, which we
21 would anticipate having a lower BTU content than
22 the Pictured Cliffs gas, would be receiving too
23 much of the value.

24 Q. In your opinion, does this proposed
25 allocation formula adequately and equitably

1 protect all owners of projection from each zone?

2 A. Yes, it does.

3 Q. Now, in the event there's production of
4 liquid hydrocarbons, how should they be
5 allocated?

6 A. They should be allocated to the
7 Pictured Cliff formation. We don't anticipate
8 any liquid hydrocarbons, but if there is any, the
9 Pictured Cliffs would be the only formation that
10 might possibly be capable of producing liquid
11 hydrocarbons.

12 Q. Refer now to Applicant's Exhibit No. 9,
13 and identify that exhibit.

14 A. Exhibit No. 9 is an affidavit stating
15 that copies of this application were sent to four
16 offset operators; Amoco, Conoco, Meridian and
17 Southland Royalties. In addition, a copy was
18 sent to the Bureau of Land Management, due to the
19 fact that there was a federal lease involved.

20 Also attached are copies of the
21 certified letters that were sent to the four
22 offset operators, and the last page is a copy of
23 the return receipts, indicating that those
24 individuals received their copies April 20th,
25 April 20th, April 21st and April 22nd.

1 Q. What were the dates of the certified
2 letters notifying the parties of this hearing?

3 A. The date on the letter is April 18th.
4 The letters were mailed April 19th.

5 Q. Did you have any responses to these
6 items of correspondence?

7 A. We had none.

8 Q. Do you recall the date of the
9 notification to the Bureau of Land Management?

10 A. They were sent notification at the same
11 time. I did not send them a separate letter; I
12 merely sent them a copy of the application.

13 Q. In your opinion, have the notice
14 requirements of the Oil Conservation Division,
15 applicable to the downhole commingling case, been
16 satisfied?

17 A. They have.

18 MR. ROBERTS: Mr. Examiner, we have two
19 other exhibits in your package, Exhibit Nos. 10
20 and 11. These exhibits apply more specifically
21 to Merrion's application for administrative
22 approval of the unorthodox location of this well
23 for the Fruitland Coal formation, and I think
24 it's probably not appropriate that they be
25 submitted into evidence in this case.

1 Originally we had filed this as an
2 application for downhole commingling only. We
3 knew that we had filed the application for
4 administrative approval and had hoped that that
5 might be approved by this time.

6 I think the Division advertised this
7 case as an application for approval of the
8 nonstandard location, but we did not notify the
9 offsetting operators that that be the matter for
10 hearing today. So the Applicant, I think, would
11 like to rely on its administrative application
12 for approval of the unorthodox location.

13 Q. (BY MR. ROBERTS) Mr. Sharpe, in your
14 opinion, will the granting of this application be
15 in the best interest of conservation, and result
16 in the prevention of waste and the protection of
17 correlative rights?

18 A. Yes.

19 Q. Were Exhibit Nos. 1 through 9 either
20 prepared by you or at your direction and under
21 your supervision?

22 A. Yes, they were.

23 MR. ROBERTS: Mr. Examiner, I would
24 move the admission of Exhibit Nos. 1 through 9.

25 EXAMINER STOGNER: Exhibits 1 through 9

1 will be admitted into evidence at this time.

2 MR. ROBERTS: I have no other questions
3 on direct.

4 EXAMINATION

5 BY EXAMINER STOGNER:

6 Q. Mr. Sharpe, you mentioned that this
7 case differs from the Meridian cases, in
8 particular Order No. R-9881--which I'll take
9 administrative notice of, by the way. The
10 difference was that you're proposing an MMBTU
11 instead of a Bcf. Why is that difference again?

12 A. The split of Mcfs of gas between, as
13 Meridian has proposed, between the wells, would
14 indeed accurately split how many Mcfs were
15 produce from each zone, as they proposed it.

16 However, if I take the dollar amount
17 that's being paid to each of those zones and
18 split it on that same basis, it will inaccurately
19 split it, because the Mcfs that go to the PC
20 would have an 1100 BTU per Mcf, or MMBTU per Mcf
21 ratio, while the coal gas would have in the
22 neighborhood of a thousand.

23 So, if I take my dollars which is paid
24 on an MMBTU basis, and I split it the same as
25 those Mcfs, then I'll inaccurately allocate the

1 dollars, which is the true bottom line of the
2 allocation.

3 Therefore, we feel it's more accurate
4 to make a split on an MMBTU basis that accounts
5 for the BTU content of your PC and your Fruitland
6 Coal. You will end up with the same Mcfs, it's
7 just that your PC MMBTUs are going to be greater
8 than they would have been before.

9 In other words, if I take my PC stream
10 at 1100 BTUs and my Fruitland Coal stream at a
11 thousand BTUs and I combine those two, I've got a
12 thousand and fifty BTU stream, assuming it's a
13 50/50 split.

14 If I divide my Mcfs 50/50, then I've
15 done it correctly; but if I divide my dollars
16 50/50, then I've not done it correctly, because
17 the PC would have 50 percent times 1100 BTUs, the
18 Fruitland Coal would have 50 percent times 1000
19 BTUs, and therefore the dollars should go with
20 the BTUs and not with the Mcfs.

21 Q. Would that be a dilution of the
22 Fruitland Coal of the moneys that should be
23 attributable to the Fruitland Coal going to the
24 PC?

25 A. It would be a dilution of the PC moneys

1 if it were done differently. If you did not
2 account for the higher BTU content of the
3 Pictured Cliffs in the allocation process, you
4 would send those incremental 50 BTU difference
5 between the Fruitland Coal--you would be paying
6 the Fruitland Coal for BTUs that it didn't
7 contain.

8 So, no, this is the most accurate
9 allocation of dollars, and it will result in
10 identical allocation of Mcfs. The Mcf allocation
11 will be the same. One way to do this would be to
12 allocate Mcfs to each formation, then take your
13 BTU factors that are different, as opposed to the
14 average BTU to allocate your dollars. That would
15 be doing the same as just including the MMBTUs in
16 the formula itself.

17 But what I understood Meridian did was
18 that they're going to allocate Mcfs and then take
19 the average BTU content of the combined gas
20 stream, and assume that represents both the PC
21 and the Fruitland Coal.

22 Q. A percentage, per se?

23 A. Right.

24 Q. Referring to Exhibit No. 3, which is
25 essentially your downhole schematic, is there a

1 possibility this well can be dually completed, as
2 opposed to downhole commingled?

3 A. Referring to Exhibit 4, which shows the
4 physical difference between the Pictured Cliffs
5 and the Fruitland Coal in more detail than
6 Exhibit 3, it would be mechanically difficult
7 within the wellbore itself, and possibly
8 mechanically impossible outside of the wellbore,
9 to keep the zones from being commingled outside
10 of the wellbore, because of the proximity of the
11 Basin-Fruitland Coal to the Pictured Cliffs.

12 So, from a mechanical standpoint it
13 would be difficult to do inside the wellbore, and
14 it would be possibly impossible to do outside the
15 wellbore.

16 Q. Do you think a periodic spinner survey
17 would be a little better allocation method, or do
18 you have any idea how accurate that would
19 represent?

20 A. I would tend to think that that would
21 be difficult to be accurate because of the water
22 production from your Fruitland Coal. We would
23 anticipate some water production. And although
24 there are methods to attempt to divide your gas
25 out of your water and account for that in your

1 spinner survey, I think it would be very
2 difficult to do that accurately.

3 I think that the method proposed by
4 Meridian, I think that pinning down the PC
5 reserves is a fairly accurate method to where
6 those reserves are pinned down; and, on a
7 month-to-month basis, how much is being produced
8 may not necessarily be accurate. You're really
9 kind of guessing.

10 But I think over the long run, through
11 the economic limit of the well, that you've
12 accurately, in this method, split the reserves
13 between the formations and that attempting to do
14 that in any way on a month-to-month basis, and
15 changing it on a month-to-month basis, would be
16 extremely difficult.

17 EXAMINER STOGNER: I have no other
18 questions of this witness.

19 THE WITNESS: May I point out an
20 omission?

21 EXAMINER STOGNER: Sure.

22 THE WITNESS: It just came to me, an
23 omission in the allocation formula, Exhibit No.
24 8, step 1. The ultimate gas reserves, the
25 equation I have there describes the gas in place.

1 That needs to be multiplied by a recovery factor
2 to get reserves.

3 EXAMINER STOGNER: Okay. Which formula
4 are you talking about?

5 THE WITNESS: Exhibit 8, page 2, step
6 1. The equation at the top, GP equals et cetera,
7 et cetera, at the end of that equation should be
8 "times recovery factor." And the recovery
9 factor proposed by Meridian in the offset well,
10 the Shiotani 400, which is a few miles away, has
11 a recovery factor of 85 percent.

12 So the final equation at the bottom,
13 gas reserves equals 1263, times pressure, times
14 BCU factor, times 85 percent recovery factor.
15 Here's the official change.

16 MR. ROBERTS: Mr. Examiner, we could
17 submit a replacement page for that exhibit, if
18 that would be preferable.

19 EXAMINER STOGNER: Why don't we do
20 that. I've made the marks, and so did Mr. Sharpe
21 here, but if you'll submit to me at a later time
22 an amended Exhibit 8, that way we'll have that on
23 file.

24 MR. ROBERTS: I have no other questions
25 for this witness.

1 EXAMINER STOGNER: You may be excused.
2 If there's nothing further, I'll take Case No.
3 10970 under advisement.

4 (And the proceedings concluded.)
5
6
7
8
9
10
11
12

13
14
15
16
17
18
19
20
21
22
23
24
25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 10970
heard by me on 12 May 1991.


_____, Examiner
Oil Conservation Division

CERTIFICATE OF REPORTER

1
2
3 STATE OF NEW MEXICO)
4 COUNTY OF SANTA FE) ss.
5

6 I, Carla Diane Rodriguez, Certified
7 Shorthand Reporter and Notary Public, HEREBY
8 CERTIFY that the foregoing transcript of
9 proceedings before the Oil Conservation Division
10 was reported by me; that I caused my notes to be
11 transcribed under my personal supervision; and
12 that the foregoing is a true and accurate record
13 of the proceedings.

14 I FURTHER CERTIFY that I am not a
15 relative or employee of any of the parties or
16 attorneys involved in this matter and that I have
17 no personal interest in the final disposition of
18 this matter.

19 WITNESS MY HAND AND SEAL May 20, 1994.
20

21
22 
23 CARLA DIANE RODRIGUEZ, RPR
24 CCR No. 4
25