

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)
APPLICATION OF SAMSON RESOURCES COMPANY)
FOR SPECIAL POOL RULES FOR THE SOUTHEAST)
HAT MESA-DELAWARE POOL, LEA COUNTY,)
NEW MEXICO)

CASE NO. 13,289

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

June 24th, 2004

Santa Fe, New Mexico

2004 JUL 8 AM 10 09

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, June 24th, 2004, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

June 24th, 2004
 Examiner Hearing
 CASE NO. 13,289

PAGE

APPLICANT'S WITNESS:

<u>RAYMOND L. TAYLOR</u> (Engineer)	
Direct Examination by Mr. Carr	4
Examination by Examiner Catanach	16

REPORTER'S CERTIFICATE	22
------------------------	----

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	16
Exhibit 2	8	16
Exhibit 3	9	16
Exhibit 4	12	16
Exhibit 5	15	16

* * *

A P P E A R A N C E S

FOR THE APPLICANT:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR
 110 N. Guadalupe, Suite 1
 P.O. Box 2208
 Santa Fe, New Mexico 87504-2208
 By: WILLIAM F. CARR

* * *

1 WHEREUPON, the following proceedings were had at
2 10:28 a.m.:

3 EXAMINER CATANACH: Call Case 13,289, the
4 Application of Samson Resources Company for special pool
5 rules for the southeast Hat Mesa-Delaware Pool, Lea County,
6 New Mexico.

7 Call for appearances.

8 MR. CARR: May it please the Examiner, my name is
9 William F. Carr with the Santa Fe office of Holland and
10 Hart, L.L.P. We represent Samson Resources Company in this
11 matter, and I have one witness.

12 EXAMINER CATANACH: Additional appearances?

13 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
14 the Santa Fe law firm of Kellahin and Kellahin. I'm
15 appearing this morning on behalf of Mr. Gene Gallegos,
16 doing business as Pro NM Energy, Inc.

17 MR. CARR: Mr. Kellahin, this is not the Coleman
18 case. I know you're anxious, but you're going to have to
19 wait.

20 MR. KELLAHIN: Oops.

21 EXAMINER CATANACH: Okay.

22 MR. KELLAHIN: I promise to do better next time.

23 EXAMINER CATANACH: Okay, no additional
24 appearances. Will the witness --

25 MR. CARR: He got the e-mail on the black coat,

1 but he missed the rest of it.

2 EXAMINER CATANACH: Will the witness please
3 stand?

4 (Thereupon, the witness was sworn.)

5 RAYMOND L. TAYLOR,

6 the witness herein, after having been first duly sworn upon
7 his oath, was examined and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. CARR:

10 Q. Would you state your name for the record, please?

11 A. Raymond L. Taylor.

12 Q. Mr. Taylor, where do you reside?

13 A. Tulsa, Oklahoma.

14 Q. By whom are you employed?

15 A. Samson Resources Company.

16 Q. And what is your position with Samson Resources
17 Company?

18 A. I'm a reservoir engineer.

19 Q. Have you previously testified before the New
20 Mexico Oil Conservation Division?

21 A. No, I have not.

22 Q. Could you summarize your educational background
23 for Mr. Catanach and then review your work experience?

24 A. Certainly. I received a bachelor of science
25 degree in petroleum engineering from the University of

1 Missouri, Rolla, in 1974, and I have been employed in
2 production and reservoir engineering capacities by various
3 firms over the last 29 years.

4 Q. Have you previously testified in other states?

5 A. Yes, approximately 12 other states.

6 Q. And in all those cases as an expert in reservoir
7 engineering?

8 A. Or in production engineering, yes.

9 Q. Are you familiar with the Application filed in
10 this case on behalf of Samson?

11 A. Yes, I am.

12 Q. And are you familiar with the status of the lands
13 in the area of the Southeast Hat Mesa-Delaware Pool?

14 A. Yes, I am.

15 MR. CARR: We tender Mr. Taylor as an expert
16 witness in reservoir engineering.

17 EXAMINER CATANACH: Mr. Taylor is so qualified.

18 Q. (By Mr. Carr) Could you briefly summarize for
19 Mr. Catanach what it is that Samson Resources seeks with
20 this Application?

21 A. Yes, Samson is seeking the adoption of special
22 pool rules and regulations for the Southeast Hat Mesa-
23 Delaware Pool that would include 160-acre spacing on a
24 temporary basis.

25 Q. When was this pool created?

1 A. The pool was created in January of 2003 by Order
2 Number R-11,886.

3 Q. Mr. Taylor, let's go to what has been marked as
4 Samson Resources Exhibit Number 1. I would ask you to
5 identify that and then review the information shown
6 thereon.

7 A. Certainly. Exhibit 1 is a plat that demonstrates
8 the general area. There are quite a few wells depicted on
9 the plat. Delaware producers are depicted in a pinkish
10 color, I'll call it.

11 There are three principal field areas that are
12 depicted on the plat. Up in the northwest portion, that is
13 Hat Mesa-Delaware Pool.

14 In the south central portion of the plat there is
15 a single well which is South Hat Mesa.

16 And then over toward the eastern portion of the
17 plat there is a single well, the Samson Resources Minis 2
18 Federal Number 1. That is Southeast Hat Mesa Pool.

19 Q. Could you describe for Mr. Catanach the pool
20 boundaries as defined by the Oil Conservation Division?

21 A. Yes. First of all, Section 2, like all of the
22 sections along the northern boundary of Township 21 South,
23 Range 32 East, are corrective sections. They're very much
24 oversize sections. Section 2 is approximately 956 acres in
25 size. It's a normal-size section on the south end of it,

1 and it's composed of lots on the north end of it. The pool
2 is currently defined as Lots 9, 10, 15 and 16 of Section 2.

3 Q. Basically what we have is a pool boundary
4 comprised of approximately 160 acres surrounding the Minis
5 Federal Well Number 1?

6 A. That's correct, it would be the southeastern 160-
7 acre approximate portion of the north end of Section 2.

8 Q. Are there any other Delaware wells completed
9 within one mile of these pool boundaries?

10 A. No, there are not.

11 Q. This exhibit shows other wells in the area, and
12 in fairly close proximity to the Minis Number 1. Do these
13 wells penetrate the Delaware but do not produce from that
14 horizon? Is that what we're looking at?

15 A. Yes, most of the wells in the immediate area, and
16 in particular, in Section 2, are Morrow producers. There
17 is one well in the western portion of Section 2 that was a
18 Morrow producer, and I believe it's being produced from
19 what is now considered or called the Strawn.

20 Q. What is the current status of the Minis Federal
21 Well Number 1?

22 A. The Minis Federal -- the Minis 2 Federal Number 1
23 is the discovery well for the pool. It was completed in
24 the spring of 2002, and it is perforated in the Delaware
25 from 7910 feet to 7920 feet.

1 Q. What rules currently govern this particular well?

2 A. The general Rules of the Division govern
3 operations of the well, which would be 40-acre spacing, and
4 the resultant depth bracket allowable would be 187 barrels
5 per day.

6 Q. Was a discovery allowable actually assigned to
7 this well?

8 A. Yes, it was, in January of 2003 the Division
9 assigned a discovery allowable of 35,465 barrels to be
10 produced over a two-year period.

11 Q. And what is the effective allowable that results
12 from the assignment of this discovery allowable?

13 A. That would raise the effective allowable to 241
14 barrels per day, from the 187 barrel-a-day depth bracket
15 allowable.

16 Q. Okay, let's go to Samson Resources Company
17 Exhibit Number 2. Would you identify and review this?

18 A. Exhibit Number 2 is a tabular display of the
19 production and allowable status for the Minis 2 Federal
20 Number 1. Of course the first column on the left-hand
21 portion of the exhibit, it just lists the various months
22 that the well has produced since March of 2002.

23 The next column to the right is oil production in
24 barrels per month. I would note that the production is
25 actual production through April of 2004. The May volume

1 listed there is an estimated volume, based upon field
2 estimates of production during that month.

3 Moving onward, the next column would be
4 allowable, once again in barrels per month.

5 Moving to the right of that, we would have an oil
6 status column, which is merely the variation between oil
7 production and allowable for a given month.

8 And then there is a cum status allowable, which
9 is the accumulation of that oil status column on a totaling
10 basis as you proceed downward through time.

11 The right-hand portion of the exhibit deals with
12 gas production and of course gas allowable, based upon the
13 2000-to-1 limiting GOR. Gas production on this well was
14 such that it has not ever approached any monthly allowable.
15 From a cumulative status on an oil basis right now through
16 May of 2004, we're estimating that the well is
17 underproduced by about 11,400 barrels.

18 Q. Are you currently curtailing production from the
19 well?

20 A. Yes, there is -- we are currently attempting to
21 maintain the 241-barrel-a-day allowable as prescribed by
22 the Division.

23 Q. Mr. Taylor, let's go to Exhibit Number 3, the
24 rate-time plot. Would you review this for Mr. Catanach?

25 A. Certainly. Rate 3 [sic] is a traditional rate-

1 time plot for oil and gas production for the Minis 2
2 Federal Number 1 well, and it also has a projection of
3 future production.

4 Oil is listed in barrels per month. Those are
5 the little crosses, if you will, listed on the right side
6 of the plot. Gas production are the little boxes connected
7 by a line, once again on the right side of the plot.

8 There's a line that goes upward vertically
9 through the plot that is the demarcation line between
10 historical production and, to the right of that line, is a
11 projection of future production.

12 If you look at the data train in the upper right-
13 hand portion of the exhibit, it lists various decline
14 parameters. In this particular case, I've attempted to
15 project production on up through the end of June of 2004,
16 and at this particular time I was looking at a potential
17 cum, about 187,000 barrels. This projection of production
18 would result in an ultimate recovery, which is listed on
19 the data train as "Ultimate (M)" of about 945,000 barrels.

20 Q. Now, what Samson seeks will result in a depth
21 bracket allowable of 427 barrels a day. In your opinion,
22 can the Minis 2 Federal Number 1 well produce at these
23 rates?

24 A. Yes, we're confident the well can produce at that
25 rate.

1 Q. Have you recently worked on the well?

2 A. We have worked on the well during the month of
3 June, which was a little bit later than we thought perhaps
4 we would, and we've revised the lift equipment on the well
5 and we're currently attempting to return production to its
6 prior levels and then obviously increase production from
7 there.

8 Q. In addition to this decline curve analysis, have
9 you tried to simulate the well's performance?

10 A. Yes, the decline curve in and of itself is not
11 definitive, because obviously the well is currently
12 experiencing no decline.

13 So what we did was attempt to simulate the
14 reservoir, and I'll characterize this as a conceptual
15 simulation. And I'm characterizing it in that manner, that
16 although we've provided a geologic description to the
17 simulator of the reservoir itself, we have no precise
18 determinations of permeability, relative permeability, PVT
19 data that type of thing.

20 We've had to make assumptions and utilize
21 correlations in the simulation to run it, and we are
22 history-matching production data, which is not the ideal
23 condition that you would like to simulate and have
24 confidence in the results of the simulation, but I think
25 it's a reasonable approximation of what the reservoir might

1 be able to do in the future. And that simulation is
2 indicating that -- a recovery from this Minis 2 Federal
3 Number 1 well approaching a million barrels is not
4 unreasonable.

5 Q. Have you calculated a drainage area for the well?

6 A. Yes, I have.

7 Q. Would you refer to Samson Exhibit Number 4, your
8 volumetric calculation, and review that for Mr. Catanach?

9 A. Certainly, Exhibit Number 4 is a traditional
10 volumetric computation of drainage area for the Minis 2
11 Federal Number 1 well. The input data that was used in the
12 computation is, of course, the EUR number of 945,000
13 barrels brought over from the rate-versus-time plot, which
14 is a simulation-based number.

15 The reservoir thickness, porosity and water
16 saturation numbers are, of course, log-based. Oil
17 formation volume factor is based on correlation, and that
18 was the same that was used in the simulation, and the
19 recovery factor of the simulator seems to indicate it's
20 approximately 28 percent of the oil in place.

21 And if you make the computation of drainage area,
22 the resultant area is approximately 216 acres.

23 Q. Samson is seeking the adoption of these special
24 pool rules on a temporary basis, establishing 160 acres as
25 the spacing pattern for this pool; is that correct?

1 A. That is correct.

2 Q. Based on your volumetric work, is it fair to say
3 that a 160-acre spacing pattern would more closely reflect
4 the acreage that's actually going to be drained by this
5 well?

6 A. That is correct.

7 Q. Now, Mr. Taylor, we have not requested special
8 well-location requirements that would require wells to be
9 located 660 feet from the outer boundary of the dedicated
10 acreage; is that right?

11 A. Yes, we would make that request.

12 Q. Would Samson request that the order that results
13 from this hearing also provide for 660-foot setbacks?

14 A. Yes, we would.

15 MR. CARR: Mr. Catanach, I omitted to include
16 that in the Application. And so, with your permission, we
17 will file an amended application and ask that you continue
18 the case to the second hearing in July and take the case
19 under advisement on the record we've made here today.
20 We're seeking a 160-acre spacing. We're also requesting
21 660 setbacks which are consistent with statewide rules for
22 pools developed on 160-acre spacing.

23 EXAMINER CATANACH: Okay.

24 Q. (By Mr. Carr) Mr. Taylor, will the increased
25 rate from this well cause any reservoir damage?

1 A. No, we do not anticipate any reservoir damage
2 whatsoever. As part of the simulation program, we looked
3 at varying production rates for the well, principally the
4 187 barrels a day which is the current depth bracket
5 allowable, the 241 barrels a day which is the current
6 discovery allowable that -- and is imposed on the well, and
7 then also the 427 barrels a day.

8 We saw no -- any significant variation in
9 ultimate recovery from those rates -- utilizing those rates
10 as qualifiers, if you will, on the producibility of the
11 well. The simulator seemed to indicate that the recovery
12 would be principally the same, whatever rate you utilize to
13 produce the well.

14 Q. Do you anticipate additional development of this
15 pool?

16 A. There is no current plans for any additional
17 drilling development. There is some possibility for a
18 recompletion of one of the Morrow wells in the area,
19 although the Morrow wells are producing commercial volumes
20 of gas at this time, so a recompletion could be somewhat
21 distant in time.

22 Q. And that would depend, probably, on the
23 information you're going to get from the well that's the
24 subject --

25 A. That's correct, we will closely monitor of the

1 data that we receive from the Minis 2 Federal Number 1 and
2 see what that leads us to.

3 Q. Could you summarize the conclusions you've
4 reached from your engineering study of this reservoir?

5 A. Yes, real brief summary, the reservoir does not
6 appear to be rate-sensitive, and that is based upon
7 simulation information. We are fully confident that the
8 withdrawal rate from the well can be increased without
9 damaging the reservoir in any way, shape or form, and that
10 the 160-acre spacing that is requested will certainly more
11 closely reflect the drainage are of the -- currently the
12 single well that's producing from the pool.

13 Q. Mr. Taylor, is Exhibit Number 5 an affidavit that
14 confirms that notice of this hearing was provided in
15 accordance with Division Rules?

16 A. Yes.

17 Q. And to whom was notice provided?

18 A. It was provided to the Bureau of Land Management.

19 Q. Samson is the only Division-designated operator
20 in the pool?

21 A. Yes, we are.

22 Q. And there are no other owners of mineral
23 interests in that spacing unit?

24 A. No, there are not.

25 Q. Will approval of this Application be in the best

1 interest of conservation, the prevention of waste and the
2 protection of correlative rights?

3 A. Yes, it will.

4 Q. Were Samson Exhibits 1 through 5 prepared by you
5 or compiled under your direction and supervision?

6 A. Yes, they were.

7 Q. And can you testify as to their accuracy?

8 A. Yes, I can.

9 MR. CARR: May it please the Examiner, at this
10 time we'd move the admission into evidence of Samson
11 Resources Company Exhibits 1 through 5.

12 EXAMINER CATANACH: Exhibits 1 through 5 will be
13 admitted.

14 MR. CARR: That concludes my direct examination
15 of Mr. Taylor.

16 EXAMINATION

17 BY EXAMINER CATANACH:

18 Q. Mr. Taylor, the Minis 2 Fed Number 1, it's
19 currently producing at about what? 240?

20 A. About -- approximately 240 barrels per day, yes,
21 sir.

22 Q. Have you guys tested it to see what it's capable
23 of producing?

24 A. That is what we're in the process of right now.
25 The well work has been ongoing over the last two weeks, and

1 we've just started returning the well to production after
2 we altered the lift equipment. So no, we do not have a
3 precise determination of capability at this time.

4 Q. How do you know that it's capable of producing
5 400 and some barrels a day?

6 A. The simulations -- the simulation indicates that
7 the well should have absolutely no difficulty in achieving
8 that level of production. In fact, it probably could
9 produce a greater volume than that.

10 Q. I'm not a simulation expert, but can you do
11 simulation work when you're artificially curtailing the
12 well like this?

13 A. Yes, you can. It is a well qualifier that's
14 placed in the simulation, and in essence what it does is,
15 the simulation is restricted by that withdrawal rate from
16 the well. So obviously the simulator will produce at a
17 constant rate until the reservoir is no longer able to
18 support that rate, and then it will start to decline from
19 that point.

20 Q. And you plugged into -- what number did you plug
21 into that simulator? The four hundred and --

22 A. The four hundred -- as I testified earlier,
23 actually we looked at two or three different rates. We
24 looked at the 187-barrel-a-day rate, the 241 and also the
25 427, which is the depth bracket allowable for the 160-acre

1 spacing.

2 There was virtually no variation in recovery of
3 the well, irrespective of what rate you applied to the
4 simulator.

5 Q. So that was essentially the same for all three
6 rates?

7 A. Right, recovery was essentially the same for all
8 three rates, that's correct.

9 Q. And how do you -- Does that tell you what the
10 decline is going to be on the well?

11 A. Yes, it will. In fact, if you refer back to
12 Exhibit Number 3, which is the decline-curve plot,
13 essentially the projection you see on that plot is what the
14 simulator is indicating the well will do with -- in time.

15 As I said earlier, there is no decline on the
16 historical data that you can work with, so obviously this
17 is a simulation projection of future production.

18 Q. And this particular decline is based on which
19 rate?

20 A. The decline -- if I may, if you'll look at
21 Exhibit 3, you'll see to the right of the vertical line
22 that goes through the plot -- that, as I said, is the
23 demarcation between historic production and future
24 projection of production.

25 Right above the 10,000-barrel-per-month line on

1 the log log -- log portion of the plot, you can see that
2 there's a projection for approximately a year in duration,
3 and that is representative of the 427-barrel-per-day rate,
4 and approximately a year after that projection is in place,
5 the well -- the simulator indicates that the well can no
6 longer sustain that production rate, and it will start to
7 decline.

8 Q. Okay. And there's not going to be any more wells
9 drilled here, or did you say there was a possibility?

10 A. We're not currently anticipating it. There is a
11 possibility -- There's always a possibility of drilling
12 more wells, but we -- there are no immediate plans to do
13 so.

14 Q. Is the reservoir essentially limited to this four
15 quarter-quarter section area?

16 A. Utilizing the geologic or subsurface control
17 available, it's more or less confined in Section 2, in this
18 northern approximately 640-acre area. But of course,
19 that's only based upon the available subsurface control.

20 Q. Is this a -- What type of drive? Is this
21 solution gas?

22 A. It is -- I'm going to characterize it as
23 primarily solution gas or depletion drive. I realize that
24 28-percent recovery of oil in place for a solution gas
25 drive reservoir is on the very high side, but this seems to

1 be a very remarkable reservoir in that it's already
2 produced a hundred and -- through -- Let me see here.
3 Through the end of May it's already produced 167,000
4 barrels, and if we took this well over to Hat Mesa
5 Reservoir proper it would be one of the very best wells
6 over there, even on an ultimate recovery basis. So this is
7 a very fine well.

8 Q. When you said you were working on the well,
9 you're working on the lift system; is that right?

10 A. That's correct. It was primarily rod work and
11 also changing out the prime mover on the pumping unit.

12 Q. Okay. The GOR is running about what, do you
13 know? I assume gas production is not a problem, you don't
14 need an increase in GOR?

15 A. No, sir, gas production is not a problem
16 whatsoever. Let me just calculate the most recent GOR that
17 I have here. In may the GOR would have only been about 267
18 to 1.

19 Q. Okay, and you're asking for 660 setbacks from the
20 outer boundary of the --

21 MR. CARR: Ye, sir, of the --

22 EXAMINER CATANACH: -- of the unit?

23 MR. CARR: -- 160 spacing unit.

24 EXAMINER CATANACH: 330 interior or any interior?

25 MR. CARR: We'd like to have the spacing

1 requirements consistent with the statewide rule for 160-
2 acre spacing, same interior setbacks.

3 EXAMINER CATANACH: I believe it's -- is it 130
4 or -- ? I'm going to have to look it up. It may be 130.

5 Q. (By Examiner Catanach) And as far as the
6 temporary rules, do you have a time frame that you're
7 looking at?

8 A. Yes, we're requesting 18-month period --

9 Q. 18 months.

10 A. -- for the temporary nature of the rules.

11 EXAMINER CATANACH: Okay, I think that's all I
12 have, Mr. Carr.

13 MR. CARR: That concludes our presentation in
14 this case.

15 THE WITNESS: Thank you.

16 EXAMINER CATANACH: Thank you. There being
17 nothing further, Case Number 13,289 will be continued to
18 July 22nd.

19 (Thereupon, these proceedings were concluded at
20 10:53 a.m.)

21 * * I do hereby certify that the foregoing is
22 a complete record of the proceedings in
23 the Examiner hearing of Case No. 13289
24 heard by me on June 24, 2004
25 David R. Catanach, Examiner
Oil Conservation Division

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) SS.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL June 30th, 2004.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 16th, 2006