

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION

4 IN THE MATTER OF THE HEARING CALLED
5 BY THE OIL CONSERVATION DIVISION FOR
6 THE PURPOSE OF CONSIDERING:

7 APPLICATION OF OXY USA, INC. CASE NO. 15540
8 FOR APPROVAL OF SURFACE POOL-LEASE
9 COMMINGLING, OFF-LEASE STORAGE, AND
10 OFF-LEASE MEASUREMENT, EDDY COUNTY,
11 NEW MEXICO.

12 REPORTER'S TRANSCRIPT OF PROCEEDINGS
13 EXAMINER HEARING
14 September 15, 2016
15 Santa Fe, New Mexico

16 BEFORE: WILLIAM V. JONES, CHIEF EXAMINER
17 PHILLIP GOETZE, TECHNICAL EXAMINER
18 GABRIEL WADE, LEGAL EXAMINER

19 This matter came on for hearing before the
20 New Mexico Oil Conservation Division, William V. Jones,
21 Chief Examiner, Phillip Goetze, Technical Examiner, and
22 Gabriel Wade, Legal Examiner, on Thursday, September 15,
23 2016, at the New Mexico Energy, Minerals and Natural
24 Resources Department, Wendell Chino Building, 1220 South
25 St. Francis Drive, Porter Hall, Room 102, Santa Fe,
New Mexico.

REPORTED BY: Mary C. Hankins, CCR, RPR
New Mexico CCR #20
Paul Baca Professional Court Reporters
500 4th Street, Northwest, Suite 105
Albuquerque, New Mexico 87102
(505) 843-9241

1 APPEARANCES

2 FOR APPLICANT OXY USA, INC.:

3 JORDAN L. KESSLER, ESQ.
 HOLLAND & HART
 4 110 North Guadalupe, Suite 1
 Santa Fe, New Mexico 87501
 5 (505) 988-4421
 jlkessler@hollandhart.com

6

7 INDEX

	PAGE
9 Case Number 15540 Called	3
10 OXY USA, Inc.'s Case-in-Chief:	
11 Witnesses:	
12 Jeremy Murphrey:	
13 Direct Examination by Ms. Kessler	4
14 Cross-Examination by Examiner Jones	10
15 Trey A. Fournier:	
16 Direct Examination by Ms. Kessler	20
17 Cross-Examination by Examiner Jones	26
18 Cross-Examination by Examiner Goetze	40
19 Robert C. Tysor III:	
20 Direct Examination by Ms. Kessler	41
21 Cross-Examination by Examiner Jones	47
22 Proceedings Conclude	51
23 Certificate of Court Reporter	52
24 EXHIBITS OFFERED AND ADMITTED	
25 OXY USA, Inc. Exhibit Numbers 1 through 7	10
OXY USA, Inc. Exhibit Numbers 8 through 11	26
OXY USA, Inc. Exhibit Numbers 12 through 17	47

1 (8:54 a.m.)

2 EXAMINER GOETZE: We are back on the
3 record, and this is Case Number 15540, application of
4 OXY USA, Inc. for approval of surface pool-lease
5 commingling, off-lease storage and off-lease
6 measurement, Eddy County, New Mexico.

7 Call for appearances.

8 MS. KESSLER: Mr. Examiners, Jordan
9 Kessler, from the Santa Fe office of Holland & Hart, on
10 behalf of the Applicant.

11 EXAMINER GOETZE: Very good.

12 Any other appearances?

13 At this point we'll make note for the
14 record that Mr. Will Jones has joined us. He heard this
15 case and will be the lead examiner for this case.

16 Please proceed.

17 MS. KESSLER: I have three witnesses today,
18 Mr. Examiners.

19 EXAMINER JONES: Will the witnesses please
20 stand?

21 And will the court reporter please swear
22 the witnesses?

23 (Mr. Murphrey, Mr. Fournier and Mr. Tysor
24 sworn.)

25

1 JEREMY MURPHREY,
2 after having been first duly sworn under oath, was
3 questioned and testified as follows:

4 MS. KESSLER: May I proceed?

5 EXAMINER JONES: Yes.

6 DIRECT EXAMINATION

7 BY MS. KESSLER:

8 Q. Please state your name for the record and tell
9 the Examiners where you're employed and in what
10 capacity.

11 A. My name is Jeremy Murphrey. I'm a senior land
12 negotiator for OXY USA, Inc.

13 Q. Have you previously testified before the
14 Division?

15 A. Yes, I have.

16 Q. Were your credentials as an expert in petroleum
17 land matters accepted and made a matter of record?

18 A. Yes, they were.

19 Q. Are you familiar with the commingling
20 application resulting in this hearing?

21 A. Yes, I am.

22 Q. Are you familiar with the status of the lands
23 in the subject areas?

24 A. Yes, ma'am.

25 MS. KESSLER: Mr. Examiners, I'd tender

1 Mr. Murphrey as an expert in petroleum land matters.

2 EXAMINER JONES: He's qualified as an
3 expert in petroleum land matters.

4 Q. (BY MS. KESSLER) Mr. Murphrey, please turn to
5 Exhibit 1 and briefly summarize what OXY seeks under
6 this application.

7 A. We seek to -- or we're requesting approval for
8 pool and lease commingling of certain leases and spacing
9 units located in Sections 22 and 23 of Township 24
10 South, Range 29 East. That will be in Eddy County, New
11 Mexico. Additionally, we request approval of
12 measurement of well tests -- or based on well tests.

13 Q. Are you also seeking to include future wells
14 and leases that have been identified in this
15 application?

16 A. Yes, ma'am.

17 Q. And are you requesting approval for off-lease
18 storage and measurement of facilities that would be
19 located in the north half of the south half of Section
20 22?

21 A. Yes, ma'am.

22 Q. Is Exhibit 1 an overview of this area?

23 A. That's correct.

24 Q. And has OXY brought a facilities engineer and a
25 reservoir engineer to discuss the technical aspects of

1 OXY's requested measurement by the well-test method?

2 A. We have.

3 Q. Let's look at Exhibit 2. Does this show, on
4 page 1, the leases and wells that are the subject of
5 this application?

6 A. Yes, it does.

7 Q. It looks like there are seven spacing units
8 identified here. Do four of these spacing units have
9 diverse ownership?

10 A. Yes, they do.

11 Q. We'll discuss that in greater detail.

12 Does this also show eight wells?

13 A. Yes, ma'am.

14 Q. And two of those wells, I understand, are
15 producing; is that correct?

16 A. That is correct.

17 Q. And six of them are proposed?

18 A. Yes, ma'am.

19 Q. What two pools are the wells currently
20 producing from?

21 A. The pools will be the Pierce Crossing; Bone
22 Spring East Pool and the Corral Draw Bone Spring Pool.

23 Q. That would be leases -- excuse me -- pools
24 96473 and 96238?

25 A. That's correct.

1 Q. How many federal leases are involved?

2 A. There will be four federal leases.

3 Q. And does page 2 of this exhibit contain a legal
4 description of the proposed spacing units and wells,
5 which I'll refer to as leases pursuant to the
6 Division-designated term, that are the subject of this
7 application?

8 A. It does.

9 Q. And does this page reflect that the spacing
10 unit located in the south half-south half of Section 23
11 or the southwest quarter of Section 24 also be included
12 in this application?

13 A. We do.

14 Q. Is Exhibit 3 a C-107B for diverse ownership
15 that was filed administratively on June 30th of 2016?

16 A. That's correct.

17 EXAMINER JONES: I'm sorry. Can you go
18 back? You said -- you asked for something to also be
19 included in this application. Is that not listed in the
20 application?

21 MS. KESSLER: It is listed in this
22 application. It just doesn't have any produced or
23 proposed wells, so I wanted to draw attention --

24 EXAMINER JONES: But the acreage is
25 described?

1 MS. KESSLER: That's correct.

2 EXAMINER JONES: Okay.

3 Q. (BY MS. KESSLER) So does Exhibit 3, the C-107B,
4 describe OXY's proposal to do the well-test method to
5 measurement?

6 A. Yes, it does.

7 Q. Were any protests received for this
8 application?

9 A. No, ma'am.

10 Q. And why was this application set for hearing?

11 A. Due to the well-test method, it was requested
12 that our application come up for hearing.

13 Q. Does this C-107B include C-102s for either of
14 the wells either producing or proposed?

15 A. Yes, it does.

16 Q. Turning to Exhibit 4, does this exhibit show
17 ownership broken down by lease?

18 A. It does. It shows the working interest
19 override and the royalty interest of the leases, as well
20 as the well names.

21 Q. And you mention that ownership between each of
22 the four leases is diverse, is that correct --

23 A. Correct.

24 Q. -- of the different ownership?

25 A. Yes, ma'am.

1 Q. Were each of the interest owners provided
2 notice of the administrative application that was filed
3 with the Division?

4 A. Yes, ma'am.

5 Q. And were they also provided notice when the
6 application for hearing was filed with the Division?

7 A. Yes, ma'am.

8 Q. And no protests were received, correct?

9 A. No protests were received.

10 Q. And Exhibit 5, is this a list showing the
11 federal lease API number and the locations of the
12 producing and proposed wells?

13 A. Yes, ma'am.

14 Q. It also shows the producing pool?

15 A. That's correct.

16 Q. And for wells that have been drilled, this also
17 shows production information, correct?

18 A. Yes, ma'am.

19 Q. Is Exhibit 6 an affidavit from Holland & Hart
20 with attached letter providing notice for all of the
21 interest owners in each of the leases?

22 A. Yes, ma'am.

23 Q. And that would be notice of this hearing,
24 correct?

25 A. That's correct.

1 Q. And is Exhibit 7 a Notice of Publication
2 directed to these same interest owners, providing them
3 notice of this hearing?

4 A. Yes, it is.

5 Q. Were Exhibits 1 through 5 prepared by you or
6 compiled under your direction and supervision?

7 A. Yes, ma'am.

8 MS. KESSLER: Mr. Examiners, I'd move
9 admission of Exhibits 1 through 7, which includes our
10 affidavits.

11 EXAMINER JONES: Exhibits 1 through 7 are
12 admitted.

13 (OXY USA, Inc. Exhibit Numbers 1 through 7
14 are offered and admitted into evidence.)

15 CROSS-EXAMINATION

16 BY EXAMINER JONES:

17 Q. So there are seven -- seven drilling units
18 involved?

19 A. Yes, sir.

20 Q. And they're roughly 160 acres?

21 A. 160 with, I believe, two 40s.

22 Q. Okay. So two of them are mile-and-a-half
23 wells?

24 A. That's correct.

25 Q. And four of them are diverse. Are you

1 estimating four of them will be diverse, or you already
2 know they're going to be diverse?

3 A. Yes, sir, either diverse by working interest or
4 by the NRIs -- or overrides. I'm sorry.

5 Q. Okay. Are any of them going to be subject to
6 compulsory pooling?

7 A. No, sir.

8 Q. Everybody signed up --

9 A. Yes, sir.

10 Q. -- already?

11 You'll be making an application to the
12 Feds, too, or are you going to just go by the onshore
13 orders in effect for the Feds for service commingling
14 here? In other words, the Feds didn't object to this
15 proceeding at all?

16 MS. KESSLER: That's correct, Mr. Examiner.
17 I believe the concurrent application will be -- has or
18 will be made with the BLM, and they --

19 EXAMINER JONES: Chose not to participate
20 in this?

21 MS. KESSLER: (Indicating.)

22 Q. (BY EXAMINER JONES) So we're looking at all the
23 Bone Spring, just two different pools?

24 A. Yes, sir.

25 Q. And one of them has a bigger gravity -- higher

1 gravity, but that's a question for the other witness.

2 What's the nature of the land involved?

3 You probably went over this already, but is it -- some
4 federal lands, obviously?

5 A. Yes, sir.

6 Q. And state lands and fee lands?

7 A. Just fee and federal. There won't be any state
8 leases, about four federal leases. If you kind of look
9 at our Exhibit 2, of our map there, the fee lease
10 located on this tract will be the south half of the
11 southeast quarter and the southwest -- I'm sorry --
12 southeast of the southwest quarter of Section 22. The
13 rest of our lands there, we've kind of notated with the
14 federal serial numbers, so the rest of it will all be
15 federal.

16 Q. Okay. The Federal royalty rates are just
17 burdens of one-eighth?

18 A. Yes, sir, that's correct. All the federal
19 leases will be 12-and-a-half percent one-eighth.

20 Q. No overrides? No federal --

21 A. There will be overrides on all the federal
22 leases, and that's kind of where some of our diversified
23 ownership is coming from as well.

24 Q. And what about the fee leases? Are they a
25 variety of royalty rates?

1 A. The fee leases, I believe one of them is 20
2 percent, with the rest of them being 25 percent.

3 Q. Oh, boy.

4 A. The actual 20 percent lease didn't -- it's an
5 older lease that didn't have a clause.

6 Q. Okay. So it didn't contract in the past?

7 A. Correct. Yes, sir.

8 Q. Wow.

9 So you have -- the lease was actually
10 written with one-quarter royalty rate?

11 A. At 25 percent.

12 Q. 25 percent?

13 A. Uh-huh.

14 Q. So what about overrides on the fee leases?

15 A. No overrides on the fee leases. They were?
16 The new leases were taken by OXY USA, Inc. The older
17 lease was taken by a predecessor, Pogo, which, in turn,
18 was purchased by OXY.

19 Q. OXY purchased the lease?

20 A. Actually purchased the assets of Pogo, so
21 that's right.

22 Q. Okay. So you transferred the lease -- the
23 lease has actually been transferred into the name of
24 OXY?

25 A. Yes, sir, probably maybe about ten years ago.

1 It's been a while.

2 Q. Let's see here. What about working interests?
3 Is it all OXY in this whole seven units?

4 A. The Section 23 wells will be 100 percent OXY.

5 Our Section 22 wells, we'll have partners
6 in there. We're at about 95 percent interest with, sort
7 of, partners below us.

8 Q. But you're also including that acreage -- some
9 acreages in 27 and 26; is that correct?

10 A. I think what we were trying to show there is
11 the layout of the extent of the federal lease and fee
12 lease.

13 Q. Okay. But it's not included in this
14 application?

15 A. That's correct.

16 Q. Okay. As far as future expansion, was this an
17 application that was made with specified acreage and two
18 pools so that you could expand in the future into that
19 acreage, or are you just going for these seven units
20 right now?

21 MS. KESSLER: Mr. Examiner, the existing
22 units have been identified. And if you look at -- I
23 believe it's the south half of 23 and the southwest
24 quarter of 24, those are the areas of the anticipated
25 development. So they have also been included in this

1 lease as potential commingling --

2 EXAMINER JONES: Okay.

3 MS. KESSLER: -- for future. And also we
4 requested in this application any future wells or
5 spacing units that would be within the existing --

6 EXAMINER JONES: Within the seven.

7 Q. (BY EXAMINER JONES) And if someone goes
8 nonconsent or something in those seven -- the infill
9 wells within the seven, they would be diversely owned at
10 that point, correct?

11 A. Yes, sir. That would be correct. It would be
12 a different -- I guess before payout working interest.

13 Q. Okay. And before penalty, too, then?

14 A. Yes, sir.

15 Q. So you would ask for those to be done with well
16 tests also? In other words --

17 A. Since it's diversified --

18 Q. -- any well in this case?

19 A. Yes, sir. And, actually, the nonconsent
20 penalties and partners will all come into effect for
21 wells drilled in Section 22. Section 23 and that little
22 portion in 24, that's lease owned 100 percent by OXY.

23 Q. Okay. Nobody can go nonconsent there, then?

24 A. No.

25 Q. And the OXY unit you were talking about here

1 is --

2 A. OXY USA, Inc.

3 Q. -- OXY USA?

4 You'd only have 5 percent other working
5 interest, and that's in Section 22. So have any of
6 those people -- did you talk to any of those people
7 about -- did they call you about this application?

8 A. No, they haven't.

9 Q. Haven't had any --

10 A. I've talked to them about the actual well
11 proposals and just generally how we were going to work
12 the facilities, but they haven't inquired further about
13 our application.

14 Q. Okay. But I've seen your name on several
15 applications coming in here. So you provide input or
16 submit service commingle applications; do you not?

17 A. I will actually provide our ownership, and I
18 will work with our regulatory group as far as compiling
19 the actual application.

20 Q. Okay. So in some cases, you're going to have a
21 lot more partners than this; is that correct?

22 A. (No response.)

23 Q. Have you had other -- I guess you might not be
24 the one to ask. But if you've had inquiries in other
25 applications where you've asked for well testing when

1 you've had less of an OXY percentage, can you think of
2 anything like that?

3 A. I cannot. At least for this area on the map,
4 we're pre -- our working interest, and I believe this
5 will be the first application I was involved in from
6 this standpoint.

7 Q. What about surface -- surface ownership? Are
8 you -- are you in tune with who owns surfaces in these
9 sections?

10 A. I'm familiar. Actually, our surface
11 operations, we have surface landmen that work this area
12 as far as rights-of-way damage and negotiations. I do
13 know where our facility is located in the north half of
14 the south half. It's actually going to be located on
15 fee surface. And we have a surface-use agreement with
16 those owners, and they've been notified of the
17 construction and pay damages.

18 Q. If this were not approved for well testing and
19 you had to put in separate facilities, would that impact
20 some surface lands or -- not just cost for OXY, but
21 where would you put your facilities? Would you have to
22 go -- you or the landman in charge of negotiations have
23 to negotiate a surface-use agreement?

24 A. Yeah. It would actually be our surface landman
25 that would go to the surface owners. I actually deal

1 more with working interests in the mineral side, but
2 having previously worked in the surface division for our
3 company, yes, we would have to go to the surface owners
4 or the BLM, both BLM and fee owners on surface in this
5 area.

6 Q. Would it be sometimes hard to obtain an
7 agreement for additional surface facilities?

8 A. Actually, for this area in 24, this township,
9 we have a large surface-use agreement from one of the
10 main surface owners. So it's under a surface-use
11 agreement for use. There is one more other smaller
12 landowner that we actually have a smaller agreement
13 with. So from a fee standpoint, we have SUAs in place,
14 surface-use agreements.

15 Q. So even though you'd only do the minerals,
16 you're aware of all the surface issues, it sounds like?

17 A. Yes, sir.

18 Q. So the tank battery will be located where at?

19 A. I believe that it'll be located on the
20 northwest quarter of the southwest quarter.

21 Q. Of Section 22?

22 A. That's correct.

23 Q. Northwest-southwest?

24 A. Yes, sir, Exhibit 2. It's pretty small, but
25 they have a purple block there in the corner.

1 Q. Okay. And so if you had to put a facility for
2 wells over in Section 23 -- well, these wells are being
3 drilled from the -- from the -- drilled from the surface
4 side?

5 A. Common pad.

6 Q. Common pad?

7 A. Yes, sir.

8 Q. Okay. So it's not like you would have to put
9 facilities a long ways away from each other, but it
10 would just be a bigger facility; is that correct?

11 A. I would really want to check with our
12 facilities engineer because I also know the Pecos
13 River -- I'm not sure if it winds through this section.
14 So that would probably also have an effect on how far
15 away or how close we could have separate facilities.

16 EXAMINER JONES: Questions for this
17 witness?

18 EXAMINER WADE: I have no questions.

19 EXAMINER GOETZE: I have no questions for
20 this witness.

21 EXAMINER JONES: Thank you very much.

22 TREY A. FOURNIER,
23 after having been previously sworn under oath, was
24 questioned and testified as follows:
25

DIRECT EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MS. KESSLER:

Q. Please state your name for the record and tell the Examiners by whom you're employed and in what capacity.

A. My name is Trey Fournier. I'm employed by Occidental Petroleum, and I am the facility engineer coordinator for our New Mexico assets.

Q. Have you previously testified before the Division?

A. I have not.

Q. Can you please outline your educational background?

A. I have a bachelor of science from Texas A & M University that I received in 2012.

Q. And can you please outline your work history?

A. I began working for OXY in January of 2013.

Q. Have your responsibilities since joining OXY included the Permian Basin?

A. Yes. I've worked exclusively for OXY in the Permian Basin in New Mexico.

Q. As a facility engineer?

A. Correct, as a facility engineer and a facility engineering coordinator.

Q. Do you have any professional certifications?

1 A. I have passed the fundamentals exam in 2012.

2 Q. Are you familiar with the commingling
3 application in this area?

4 A. I am.

5 Q. And did you participate in designing the
6 surface facilities that will be utilized for storage and
7 allocation for the subject wells?

8 A. I did.

9 MS. KESSLER: Mr. Examiners, I would tender
10 Mr. Fournier as an expert petroleum engineer.

11 EXAMINER JONES: Mr. Fournier is so
12 qualified.

13 Q. (BY MS. KESSLER) Turn to Exhibit 8. You said
14 that you supervised the draft of facility plans for
15 these wells; is that correct?

16 A. That's correct.

17 Q. Can you please explain OXY's proposed
18 facilities diagram?

19 A. So shown here is a process flow diagram of the
20 Cedar Canyon 23-3H satellite facility and the Cedar
21 Canyon 22 satellite. On the left-hand side, you have a
22 list of all the wells that go through the 23-3H
23 satellite. Some are drilled. Some are proposed.

24 All those wells go through inlet manifold,
25 and from there, they will either go to a 6-by-20

1 production separator or to a test separator. The gas
2 streams from both of these -- from -- off both of these
3 separators go through an orifice meter, where they're
4 metered. After they're metered, they're then combined
5 into a gas stream. They go to our low-pressure
6 gathering system that eventually goes to sales.

7 The oil and water are both measured with
8 turbine meters. The oil downstream to the oil meter, we
9 have a proving line used to get the repeatability factor
10 for the turbine meter. Downstream at the meters, the
11 oil and water do come into a common water and oil line,
12 respectively. The oil then goes to the 22 satellite
13 where it is stored in common oil tanks before going
14 through a coiless meter for custody transfer.

15 Q. So the off-lease storage and measurement
16 location is noted on this diagram; is that correct?

17 A. That's correct.

18 Q. Can you please briefly discuss cost savings
19 associated with this facility setup?

20 A. So if we were to have continuous measurement on
21 all of the wells for various interests, we would require
22 an additional five-test separators in this location.
23 Install costs on the test separators is around \$200,000.
24 So by doing allocation by well test here, we'd see a
25 saving of a million dollars for the wells listed, shown.

1 Q. Turning to Exhibit 9, is this a written
2 description of the process that you just described?

3 A. That's correct.

4 Q. And this description was also contained in the
5 C-107B submitted to the Division?

6 A. That's correct.

7 Q. In your opinion, will approval of this
8 application allow OXY to efficiently and effectively
9 transport, store and market production from the subject
10 acreage?

11 A. Yes, it would.

12 Q. What does OXY propose as an allocation method?

13 A. OXY proposed allocation by well test.

14 Q. Looking at Exhibit 10, if you could please walk
15 us through this exhibit and explain how production will
16 be allocated.

17 A. So looking at Exhibit 10, if you look at the
18 chart on the left-hand side, your y-axis is the rate for
19 barrels of oil per day --

20 (The court reporter requested the witness
21 speak louder.)

22 A. So on the y-axis on the chart on the left-hand
23 side, we show a rate in barrels of oil per day, and time
24 on the x-axis. So the black line shown is -- would be
25 the rate of the well on a daily basis; whereas, the red

1 bar shown there would be a series of well tests.

2 So the well -- the well volumes are
3 allocated according to most recent well tests. And so
4 if you have four well tests in a given month, that
5 results in a step function of well tests where every
6 allocation is based off the most recent well tests.

7 So at the end of each month, you take a
8 look at the well-test volumes that you have for that
9 particular well, and you sum all those preshrunk volumes
10 up for that given well on a monthly basis. And you do
11 the same for all other wells that go through that
12 custody transfer point end of the month.

13 So then using a part of the whole
14 relationship, you can multiply that part of the whole
15 relationship of the preshrunk volume for that well over
16 the total preshrunk volume for all wells, multiplying
17 that by the total volume that's actually sold at the end
18 of each month, and that is the allocated volume that has
19 been allocated back to that particular well. And all
20 this is done per Chapter 20 of the API.

21 Q. Looking at Exhibit 11, could you please explain
22 OXY's proposed testing plan?

23 A. So OXY is proposing a testing plan that looks
24 at and accounts for the anticipated and actual
25 production decline of the wells to help dictate the

1 number of well tests required. So what we've shown here
2 is four different, you could say, life cycles of a well.

3 We have flowback to pre-peak. We have
4 Range I, we're calling, which would be peak to two
5 months after peak; Range II, 3 to 12 months; and then
6 Range III, 12 months after peak production.

7 And in each of these life cycles, you have
8 a very -- very unique characteristics of the well. You
9 see dramatic declines in the early portions of the well.
10 And as a result, in order to properly characterize the
11 well's actual production, you do need a different
12 frequency of well tests during those times.

13 However, as a well begins to decline, as
14 you can see in Range III showing decline rates of less
15 than 5 percent on a month-to-month basis, there are
16 fewer well tests that are needed to characterize what
17 that well is doing on a day-to-day basis. So OXY is
18 proposing taking a look at both our type curves and our
19 actual production and seeing where a well is in its life
20 and looking at the -- whether that dictates the number
21 of well tests we would need to characterize, how many
22 tests that well would need for proper allocation.

23 Q. Why has OXY proposed allocation by well-test
24 method?

25 A. So allocation by well-test method is -- it's in

1 API Chapter 20, and it's an acceptable allocation
2 method. And it allows us to go in and more effectively
3 build these facilities for all of these wells, as well
4 as to more economically justify the facilities we have
5 for these wells. Due to the high -- high decline of
6 these wells from the very beginning, it's very difficult
7 to justify a large number of testers when they'll be
8 underutilized in several months.

9 Q. You mentioned the high decline of these wells.
10 Will the following witness present decline curves for
11 the producing wells to illustrate the expected decline?

12 A. Yes, he will.

13 Q. Were Exhibits 8 through 11 prepared by you or
14 compiled under your direction and supervision?

15 A. Yes, they were.

16 MS. KESSLER: Mr. Examiner, I'd move
17 admission of Exhibits 8 through 11.

18 EXAMINER JONES: Exhibits 8 through 11 are
19 admitted.

20 (OXY USA, Inc. Exhibit Numbers 8 through 11
21 are offered and admitted into evidence.)

22 CROSS-EXAMINATION

23 BY EXAMINER JONES:

24 Q. I want to thank you-all for coming up here and
25 presenting this case because we've had the movement to

1 just include broad stretches of land into one property
2 and take care of it that way.

3 A. Right.

4 Q. But this seems -- this seems more versatile and
5 accurate for recordkeeping of the wells.

6 A. Absolutely.

7 Q. So in Chapter 20 of the API, they describe well
8 tests and how it should be done?

9 A. Correct. Yes. Chapter 20.1 is allocation
10 measurement. I mean, it goes through all of the
11 different allocation methods of how you can allocate
12 production back to the wells. The well-testing method
13 is the most common allocation method that I have seen in
14 Permian Basin.

15 Q. So as far as implementing in the old days, it
16 required pumpers to change the valves and everything.
17 Do you still do that, or do you have automated
18 equipment?

19 A. So we -- in portions of New Mexico, we do have
20 automatic well testing. I can say that specifically in
21 the Cedar Canyon area, we currently don't have automatic
22 well testing. So a pumper actually goes to the well,
23 and he turns a valve to take it from production into
24 test. And that was due to we were having some issues
25 with our automated well-testing valves. They were

1 imposing back pressure on the wells, which is not -- not
2 ideal from a production scenario.

3 Looking into the future, as we get more and
4 more wells into these facilities, I do see that we'll
5 probably go back to automated well testing, but it will
6 be a different implementation than we've had in -- in
7 the 2012 time frame that we had had. But now it's
8 manually done by pumpers.

9 Q. The application you've got here is for all Bone
10 Spring wells, and so -- we're going to talk about the
11 decline rate in a minute. But as far as the difficulty
12 in splitting out the gas from the oil and the oil from
13 the water, what can you tell us about that?

14 A. What we have seen is -- especially as the wells
15 come on initially, the larger -- larger testing
16 equipment is definitely required in order to get
17 adequate -- adequate separation. That's due mostly --
18 due to slug flow as they flow initially when they come
19 online. So in order to do that, if you were to go
20 through sizing calculations per GPSA or ASEA {phonetic},
21 any separator sizing, they would say we need a much
22 smaller -- however, due to slug flow, all that is
23 involved with that, you're actually going to need a much
24 larger vessel initially.

25 Once the wells start to go -- they go off

1 decline and they go off lift, you get a more predictable
2 flow than going through the facilities, but we've
3 seen -- at least when they are initially on flowback at
4 their peak, it is -- it's not -- you know, if you're
5 talking about 1,000 barrels a day, it's not broken out
6 over nice even increments. You get big spikes and then
7 nothing and big spikes and nothing. So it requires much
8 larger equipment for the initial portion.

9 Q. Are you talking retention time?

10 A. Retention time, yes. We have not seen -- as
11 long as we're getting adequate retention time,
12 especially in the summer months in Carlsbad, we don't
13 have much issue separating oil, water and gas.

14 Q. So not emulsions?

15 A. Once you get to the winter, that becomes -- we
16 start to see paraffin issues and a few other things, but
17 right now we're getting adequate separation with just
18 ensuring we have sufficient retention time on our
19 vessels.

20 Q. Sand flowback, does that hurt your vessels?

21 A. Yes, it is. Sand is an issue. And that's just
22 a result of the that move to larger fracs. The sands
23 are going to come along with it. So we're periodically
24 monitoring -- we do use sand traps upstream at the
25 eddies [sic; phonetic] of the wells as they come, before

1 they come into our facilities. But we still have to
2 monitor the sands within the facility itself just to
3 make sure that we're not seeing so much -- strain to our
4 pumps.

5 Q. How much backflow pressure you got on your
6 wells? What's the wellhead pressure that you are
7 charged with reducing it to?

8 A. I would say it definitely depends on the lift
9 if we're flowing. I would say we can keep our
10 operating -- we keep our gathering system relatively low
11 pressure and try and operate somewhere around 60 pounds.
12 And so with that being at such a low pressure, we go
13 through our wellhead choke, so we're artificially
14 holding pressure off the wellhead right there for
15 different reasons, for flowback and sand control and
16 reservoir integrity and everything else. But we try and
17 operate facilities at 60 to 70 pounds.

18 Q. Okay. So what about -- if this were a Bone
19 Spring Wolfcamp combination, would that -- what's the
20 difference in the gravities there and if we see some of
21 these applications come through with variety?

22 A. Right. Right. I would see very little
23 difference, especially if you're looking at the upper
24 portion of the Wolfcamp. The gravity seems to be very
25 similar to what we see in the Bone Spring 2nd and 3rd.

1 As you move to lower depths of the Wolfcamp, you might
2 get a little bit higher gravity, but I wouldn't see
3 substantial issues from a facilities side, other than it
4 should actually be easier to separate.

5 I had a little bit of experience working in
6 the Marcellus Shale prior to working for OXY, and we
7 deal with much lighter condensate. And it's typically
8 easier to separate that out for API or crude.

9 Q. Okay. Before I forget, one of these units had
10 projected 46 gravity?

11 A. Yes.

12 Q. Was that -- was that you that put that down?

13 A. That was not me, no.

14 Q. Okay. So that was from -- from your
15 experience, it was Sales?

16 A. Yes. I don't know who put the API gravity
17 there.

18 Q. Well, speaking of that, your sales agreements,
19 are they -- you sell the volume per month, or you sell
20 it every day? In other words, are you talking about a
21 monthly thing --

22 A. Correct.

23 Q. -- in number ten here, as far as well tests?
24 And I guess you're talking about just taking a certain
25 period of time and deciding how to split it up?

1 A. Yeah. It's typically drawn on a monthly basis
2 because you're required to close out the custody
3 transfer meter on a monthly basis.

4 Q. Okay.

5 A. And so when you're looking at the open and
6 close of that particular custody transfer meter on a
7 month-to-month basis, that's typically how it's always
8 back-allocated as opposed to doing it on a day-by-day
9 basis. Otherwise, you'd have to have allotted run
10 tickets and a lot of -- there would just be a lot of
11 more or less -- there is no way it could be done with as
12 much paperwork and run tickets that are required. So
13 it's typically done on a month-to-month basis so you can
14 close out your meters.

15 Q. Okay. I'm sorry to drone on and on here, but
16 the Coriolis meters, can you explain those?

17 A. Yes. It's a long topic of conversation.

18 So the Coriolis meters recently became
19 accepted by Onshore Order 4 per the BLM for
20 custody-quality level -- custody-quality level
21 measurement. So the Coriolis meter is typically the
22 U-shaped meter that you would see off of most LACTs.
23 Some LACTs are -- displacing LACTs. But most of them
24 the newer LACTs have Coriolis meters.

25 And they are meters that look at -- using

1 the Coriolis effect, looking at flow through density and
2 flow through that meter, and it's able to give very,
3 very accurate custody-quality measurement.

4 Q. So it's better than the older way of doing it?

5 A. Yes. Yes.

6 Q. Has it got a range of efficiencies that are
7 wider?

8 A. No, because it's typically fed by a pump.

9 Q. Okay.

10 A. So you're going to be limited by what size
11 meter you have. There are 2-, 3, or 4-inch. But there
12 are very wide ranges in between. But it's mostly set
13 by -- you have a back-pressure valve on the outlet, and
14 you're feeding that meter with a pump because upstream
15 that pump is fed by a tank head.

16 Q. Is it sensor -- is it sensor density?

17 A. Yes. Yes. So it actually goes through --
18 there's a lot it goes through that's actually measuring
19 on it. You can actually do transient vapor analysis,
20 which goes and shows very detailed the changes in
21 density and everything as it goes through. You get
22 average densities, flow rates, all of that through the
23 Coriolis meter. And it takes all of that into account
24 as it goes through and calculates the total volume.

25 Q. Okay.

1 A. It's been industry accepted for many years now,
2 and I'm very glad to see the BLM now accepting it.

3 Q. We saw that in the BLM.

4 A. Yes.

5 Q. Now, as far as proving it -- proving the meter,
6 how do you do that?

7 A. So we prove our Coriolis meters per --
8 obviously for our federal leases. But as far as the
9 actual proving, we have third-party provers come in that
10 use a Master Meter. And essentially a Master Meter is a
11 meter that has been proved by a -- like, literally
12 measuring in, measuring out. So your -- it's being
13 proved by a meter that is the benchmark for -- it knows
14 it's correct. And it's done on either -- at minimum on
15 a quarterly basis. But if you have high flows going
16 through it, it can be done on a greater time.

17 Q. Okay. We've talked about well tests here, but
18 if you go through the -- one well going through a test
19 separator, you'll design that separator for your average
20 well?

21 A. You design it for the best well.

22 Q. Best well?

23 A. Correct.

24 Q. So it has to be big enough to handle every one
25 of those wells accurately?

1 A. That's correct. That's correct.

2 Q. And a facilities engineer would be the one who
3 would know about that --

4 A. That's right.

5 Q. -- in conjunction with the reservoir engineer?

6 A. That's correct.

7 We work very closely with the reservoir
8 engineers to look at the peaks of the wells, because if
9 it can't measure the peaks, then it's not really doing
10 much.

11 Q. So if it's hyperbolic, the decline is going to
12 change a lot and rapidly?

13 A. Correct. Yes. But separators have a
14 turned-down ratio that will separate -- high end is
15 there.

16 Q. Okay. So your actual production separator --
17 if you had to put in separate production separators,
18 they would be typically the size of these test
19 separators, then; is that correct?

20 A. Depending on the number of wells that would be
21 going through them, it could be variable. If you get to
22 multiple wells going through each production separator,
23 you would obviously want a larger pool separator. But
24 if it's just one to maybe two wells, the test separator
25 will almost be the same size as the production separator

1 if it's handling two wells.

2 Q. Okay. The production separators would -- what
3 is the -- what is the -- I mean, I guess we often assume
4 that they are -- if you have a separator on every well
5 that you're exactly measuring everything. But is that
6 correct? In other words, is there some weaknesses in
7 that assumption?

8 A. The weaknesses in that assumption would be --
9 is you will have -- what you're measuring at the
10 separator is a preshrunk volume.

11 Q. Okay.

12 A. So you will have weathering as it goes through
13 and it sits -- goes from -- you know, if you're
14 operating at 70 pounds, you go to atmospheric pressure,
15 you will have some shrinkage in that regard, as well as
16 difference in ambient temperature, et cetera.

17 And so by looking at the total sold volume
18 at the end of the month or whenever you look at that
19 volume, it then allows you to take that volume. And
20 then if you look at your total preshrunk volume as a sum
21 of all the wells going into that facility and into a
22 part of the whole relationship and then back-allocating,
23 you get an accurate number of what was actually sold
24 from that well due to losses.

25 Q. Because you're actually metering through

1 sales -- the sales meter as the total volume --

2 A. That's correct.

3 Q. -- going through, but --

4 The gas meters are -- are they --

5 A. They're orifice meters per Onshore Order 5.

6 Q. Just like they always were, but they're
7 electronically integrated?

8 A. We'll have an electronic flow computer on
9 the -- off the head of each one of them that does all
10 the flow calculation and all of that per Onshore Order 5
11 and the American Gas Association.

12 Q. In this particular application, what would be
13 your percentage of adding up all the well tests versus
14 the actual sales? In other words, is it 95 percent or
15 105 percent? What's the deviation between adding up all
16 your well tests, and what do you --

17 A. From a preshrunk -- from a preshrunk
18 perspective to a sold perspective?

19 Q. Yes.

20 A. I would say 85 percent.

21 Q. Okay. So 15 percent inaccuracy there?

22 A. And I wouldn't call it inaccuracy. I would
23 just call it -- because if it's -- if you're still
24 looking at the volumes as a whole, everything is off 15
25 percent. So if you normalize for that 15 percent, it

1 wouldn't -- I wouldn't call it inaccuracy. It's just --
2 unless you're looking at -- you know, if you want to pay
3 their step turbine meter versus paying for a Coriolis
4 meter, yes. But as far as if you're normalizing across
5 all the wells, then you shouldn't get any inaccuracies.
6 A turbine meter typically has a less than one percent --
7 meter associated with it.

8 Q. So you're using the turbine meters upstream of
9 the Coriolis meter?

10 A. Yes, sir. Yes, sir.

11 Q. And those Coriolis meters, do they get them
12 cheap enough you could actually use them on your -- with
13 the well test someday?

14 A. They are considerably expensive in comparison
15 to turbine meters. They also have some limitations in
16 regard to gas breakout that -- turbine meters are still
17 somewhat affected by it, but Coriolis meters are MORE
18 affected by gas breakout than turbine meters are.

19 Q. Okay. Okay. I'm not sure every company's
20 going to have a facilities engineer as experienced as
21 you, but we have to look at applications from, you know,
22 a whole range of situations -- not just companies but
23 situations.

24 A. Yes, sir.

25 Q. And so, in general, what can you tell us about

1 well testing versus continuous metering? I mean, if you
2 were in our situation, what would you want to look at?

3 A. In my opinion, I think the most critical thing
4 is looking at where a well is in its life and using that
5 to help judge the number of well tests to help
6 characterize it. I believe allocation by well test is
7 an accurate method and is a fair method for allocation
8 of production. But I do think the key is looking at
9 where a well is in its life.

10 A well that has not been online in three
11 years, you'll see very little variability in it day to
12 day. However, a well that's been online for a month,
13 you can see much more variability, you know, within a
14 five-day stretch. And so on -- when a well is brought
15 online, I would tend to say the more well tests you can
16 get in that earlier portion of the well will help
17 characterize and help better allocate.

18 Q. So if you design your test separator for the
19 biggest well and you actually design it correctly, which
20 is probably kind of a stretch sometimes, but -- so -- so
21 the inaccuracies would arrive early in the life of the
22 hyperbolic wells?

23 A. That's correct.

24 Q. Okay. Thank you very much.

25 EXAMINER WADE: No questions.

1 EXAMINER GOETZE: No questions for you.

2 CROSS-EXAMINATION

3 BY EXAMINER GOETZE:

4 Q. Yes, sir. Has OXY had a similar configuration
5 like this at any of its other facilities?

6 A. We have done allocation by well tests at other
7 facilities. I do not know -- I don't think that they
8 were, like in this case particular case, where we have
9 different interests.

10 Q. Yeah. In general, what were the biggest
11 problems with its operation when you initially started
12 up? Was it just frequency and measurement?

13 A. I would just say frequency and measurement.
14 Yes, sir.

15 Q. As far as calibration of everything other than
16 what we've talked about, what's the frequency for those?

17 A. So the turbine meters have -- they've proven
18 themselves. So you can come in and do proving on those,
19 establish a meter factor on the turbine meters. I do
20 not know the frequency of turbine metering, of proving
21 on those -- custody transfer measurement. We do have
22 measurement techs to go out, and they do what is called
23 a calibration on them. But I do not know off the top of
24 my head.

25 Q. And as far as disposal, are these going through

1 OXY's wells, or is this to an agreement put together?

2 A. For water?

3 Q. Yeah.

4 A. I would say -- we have a gathering system in
5 this particular area. I would say the vast majority of
6 the water goes to OXY's own SWDs, although we are
7 working to get some third-party disposals.

8 Q. Very good. No further questions.

9 MS. KESSLER: And, Mr. Examiner, the
10 following witness will be able to discuss the
11 oil-gravity issue.

12 EXAMINER JONES: Okay.

13 ROBERT C. TYSOR III,

14 after having been previously sworn under oath, was
15 questioned and testified as follows:

16 DIRECT EXAMINATION

17 BY MS. KESSLER:

18 Q. Please state your name for the record and tell
19 the Examiners by whom you're employed and in what
20 capacity.

21 A. Yes. My name is Robert Chan Tysor. I'm
22 employed by OXY USA, Inc. as a reservoir engineer.

23 Q. Have you previously testified before the
24 Division?

25 A. No.

1 Q. Can you please outline your educational
2 background?

3 A. Yes. I graduated from the University of Texas
4 at Austin in May of 2012 with a bachelor of science in
5 petroleum engineering.

6 Q. And please describe your work history.

7 A. I started full time working for OXY in July of
8 2012, and I worked as a drilling engineer solely in our
9 New Mexico assets for three-and-a-half years after that.
10 And I've been working as a reservoir engineer for the
11 past year.

12 Q. And that would be in the Permian Basin as well?

13 A. Correct.

14 Q. Do you have any professional certifications?

15 A. I passed my Fundamentals of Engineering Exam in
16 March of 2012.

17 Q. You're familiar with the commingling
18 application as it relates to this hearing?

19 A. Yes.

20 Q. And have you conducted a review of the subject
21 reservoir in the area?

22 A. Yes.

23 MS. KESSLER: Mr. Examiners, I would tender
24 Mr. Tysor as an expert in petroleum engineering.

25 EXAMINER JONES: He's an expert in

1 petroleum engineering and so qualified.

2 Q. (BY MS. KESSLER) If you can turn to Exhibit 12,
3 please, is this the production information for wells
4 that are currently producing?

5 A. Yes.

6 Q. And looking at this chart, did the 4H well
7 briefly hit the top of the allowable for a short period
8 of time?

9 A. Yes. On the average month of February of this
10 year, the Cedar Canyon 23 Federal 4H produced over the
11 top allowable. However, due to the decline, it did not
12 produce over the top allowable. After that month, we do
13 not expect the well to produce over the top allowable.

14 Q. For other wells, do you believe that they're
15 also capable of producing top allowable?

16 A. We expect that the wells are capable of
17 producing over top allowable. However, we do not
18 anticipate they will produce over top allowable for
19 longer than three months.

20 Q. You believe that they'll decline quickly,
21 correct?

22 A. Yes.

23 Q. Have you brought a series of declines to
24 illustrate that point?

25 A. Yes.

1 Q. If you could turn to Exhibit 13, please, and
2 identify this exhibit.

3 A. Exhibit 13 shows a map of our Cedar Canyon
4 acreage, as well as several wells identified and drilled
5 into the 2nd Bone Spring over the past several years. I
6 wanted to describe how we created our decline curve for
7 the wells that are not yet producing in this
8 application.

9 For the Cedar Canyon 2nd Bone Spring
10 5,000-foot laterals, we have looked at the offset
11 production of four wells just to the south of the
12 proposed laterals, the Cedar Canyon 28-6, 28-7, 27-6 and
13 27-7, and performed an RTA analysis on those wells,
14 which is basically a reservoir simulation.

15 We also have looked at the volumetric
16 analysis of the oil in place based on the petrophysics
17 in Cedar Canyon, and we've created a production profile
18 based on the simulation, as well as the historical
19 production of the Cedar Canyon 27 State Com 4H.

20 We also have a proposed 7,500-foot 2nd Bone
21 Spring lateral, and that type curve is based on a
22 similar RTA simulation analysis, volumetric analysis, as
23 well as a decline curve analysis of the Cedar Canyon
24 23-4 and 5.

25 If you go to Exhibit 15, this graph on the

1 left axis shows our daily anticipated production rate
2 plotted against our -- against time and months. And the
3 black curve shows the anticipated production of the
4 Cedar Canyon 5,000-foot 2nd Bone Spring laterals. We
5 anticipate they will come online between 1300 and 1500
6 barrels of oil per day.

7 Q. Let me turn you back.

8 MS. KESSLER: I think we're actually
9 looking at Exhibit 14, Mr. Examiners, for the
10 5,000-foot.

11 Q. (BY MS. KESSLER) Correct?

12 A. Yes. I apologize. Exhibit 14 is the graph
13 that we're looking at.

14 As I was mentioning, we expect these wells
15 will come online somewhere between 1300 and 1500 barrels
16 of oil per day. But during the first few months, there
17 is a relatively high decline, and we do not anticipate
18 that the wells will produce above top allowable for more
19 than three months.

20 And you'll notice the four wells that I
21 mentioned that were previously drilled just south of the
22 wells in this application are plotted against -- their
23 production is plotted against the proposed type curve
24 and match fairly closely.

25 Now we can turn to Exhibit 15, and this

1 exhibit shows our anticipated type curve for the Cedar
2 Canyon 7,500-foot laterals. Again, it's plotted in
3 black against the historical production in the blue and
4 purple of the Cedar Canyon 23 4H and 23 5H.

5 The 2nd Bone Spring is an unconventional
6 reservoir that in order to drill and produce economic
7 wells, it requires hydraulic fracture stimulation, and
8 the type curve exhibits are relatively high decline due
9 to the unconventional nature. And the initial
10 production period is from the rock that is stimulated
11 during our fracture stimulation. However, as we move
12 later on in life, the well is producing from
13 under-stimulated rock or a nonstimulated reservoir,
14 which delivers much lower rates. That's why the well
15 exhibits the high decline.

16 We move to Exhibit 16. It shows a similar
17 map on the right of our Cedar Canyon 3rd Bone Spring
18 wells that have been previously drilled. The Cedar
19 Canyon 16 9H and the Cedar Canyon 10H. We do a have a
20 one-mile n the proposed 3rd Bone Spring lateral in this
21 application. And the type curve process follows a
22 similar RTA simulation, volumetric analysis of oil in
23 place and decline curve analysis on those wells to
24 create our type curve, which is shown in Exhibit 17.

25 The anticipated production for our 3rd Bone

1 Spring one-mile type curve is shown in red, and we
2 anticipate that will come on most likely below top
3 allowable and exhibit the same similar shallow -- or
4 steep decline during the initial few months of
5 production.

6 Q. Mr. Tysor, in your opinion, is the well-test
7 method an efficient and appropriate means by which to
8 allocate production from the subject spacing units?

9 A. Yes.

10 Q. And in your opinion, will allocation on a
11 well-test method impair correlative rights?

12 A. No.

13 Q. Were Exhibits 12 through 17 prepared by you or
14 compiled under your direction and supervision?

15 A. Yes.

16 MS. KESSLER: Mr. Examiners, I'd move
17 admission of Exhibits 12 through 17.

18 EXAMINER JONES: Exhibits 12 through 17 are
19 admitted.

20 (OXY USA, Inc. Exhibit Numbers 12 through
21 17 are offered and admitted into evidence.)

22 CROSS-EXAMINATION

23 BY EXAMINER JONES:

24 Q. You're kind of unusual because of your drilling
25 experience and you're a reservoir engineer.

1 A. Yes.

2 Q. That's kind of like two ends of the spectrum
3 there.

4 A. Definitely.

5 Q. So most of these wells are drilled similarly?

6 A. We have a similar casing design for all of
7 these wells. Even between the one-mile laterals and the
8 mile-and-a-half laterals, in between 2nd and 3rd Bone
9 Spring, they all have the same casing design, just
10 different laying depths and lateral lengths.

11 Q. Okay. And the completions are similar?

12 A. Similar frac size between both the 2nd Bone
13 Spring and the 3rd Bone Spring, and our proppant
14 concentration in each stage is relatively similar,
15 somewhere around 1,500 pounds per foot of proppant in
16 the wells that we drill.

17 Q. The water-oil ratio is -- carries between
18 these?

19 A. We anticipate the 2nd Bone Spring wells will
20 come on with a water-oil ratio somewhere around 1.
21 We've seen slightly lower, somewhat slightly higher.
22 The 3rd Bone Spring wells, we do see a higher water-oil
23 ratio.

24 Q. The 3rd has got more water -- pre-water --

25 A. Yes. Yes.

1 Q. -- that comes in?

2 Boy. So you have to deal with the water
3 issues. So your economic limit oil production?

4 A. I don't know -- I don't know exactly at what
5 point in time these wells, you know, reach their
6 economic limit. The majority of our economics is during
7 the initial two to three years of production. I mean,
8 there is a lot of remaining reserves after that first
9 three years, but the majority of our return is recovered
10 during the first three years of production.

11 Q. What about production equipment?

12 A. So I work pretty closely with Mr. Fournier, the
13 previous witness, to design and, you know, get the
14 proper funding for the required production equipment,
15 but he knows much more about that than I do.

16 Q. Okay. What I meant was the surface --

17 A. Ah, lift.

18 Q. -- the pumping units or gas lifts.

19 A. So we anticipate these wells will flow
20 naturally during the first few months of production.
21 However, for our 2nd Bone Spring wells, we do plan to
22 install gas lift mandrels in the vertical portion of the
23 well, and we'll have surface compression to inject gas
24 to lift the oil column, in the 2nd Bone Spring.

25 In the 3rd Bone Spring, we're evaluating an

1 option between a gas lift injection or electrical
2 submersible pump.

3 Q. So that gas lift that you're using in the
4 second, has that got a packer, or is it an open gas
5 lift?

6 A. We're trialing both. We have one well that has
7 an open annulus, no packer installed. We're trying to
8 inject at a higher rate with the gas lift, but the
9 majority of the gas lift installations have a packer.

10 Q. Yeah. You did a great job on the matching. Is
11 this Dr. Crafton's RTA --

12 A. I'm not familiar with that particular
13 methodology. We have some other RTA experts that have
14 helped us.

15 Q. But you've got the software and you used it?

16 A. Yes. The software is made by Fekete. It's
17 called Harmony.

18 Q. Oh, okay. Fekete was bought by somebody else,
19 I believe.

20 A. I believe by his, yes.

21 Q. Okay. I don't have any more questions. Thank
22 you very much.

23 A. Okay.

24 EXAMINER WADE: I have no questions.

25 EXAMINER GOETZE: I have no questions for

1 this witness.

2 MS. KESSLER: Thank you, Mr. Examiner.

3 I'd ask this case be taken under

4 advisement.

5 EXAMINER JONES: Thank you-all for coming.

6 We really appreciate it.

7 We'll take Case 15540 under advisement.

8 EXAMINER GOETZE: And seeing what time it
9 is and our court reporter is still catching up, let's
10 take a 15-minute break and come back at quarter after
11 and pick up the docket again.

12 (Case Number 15540 concludes, 9:57 a.m.)

13 (Recess 9:57 a.m.)

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF NEW MEXICO
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, Certified Court
6 Reporter, New Mexico Certified Court Reporter No. 20,
7 and Registered Professional Reporter, do hereby certify
8 that I reported the foregoing proceedings in
9 stenographic shorthand and that the foregoing pages are
10 a true and correct transcript of those proceedings that
11 were reduced to printed form by me to the best of my
12 ability.

13 I FURTHER CERTIFY that the Reporter's
14 Record of the proceedings truly and accurately reflects
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither
17 employed by nor related to any of the parties or
18 attorneys in this case and that I have no interest in
19 the final disposition of this case.

20

21

22 MARY C. HANKINS, CCR, RPR
23 Certified Court Reporter
24 New Mexico CCR No. 20
25 Date of CCR Expiration: 12/31/2016
Paul Baca Professional Court Reporters

24

25