

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED  
BY THE OIL CONSERVATION DIVISION FOR  
THE PURPOSE OF CONSIDERING:

APPLICATION OF OWL SWD OPERATING, LLC           CASE NO. 15723  
FOR AUTHORIZATION TO INJECT, LEA  
COUNTY, NEW MEXICO.

REPORTER'S TRANSCRIPT OF PROCEEDINGS

SPECIAL EXAMINER HEARING

Tuesday, August 1, 2017

Volume 1

Santa Fe, New Mexico

BEFORE:   WILLIAM V. JONES, CHIEF EXAMINER  
          SCOTT DAWSON, TECHNICAL EXAMINER  
          GABRIEL WADE, LEGAL EXAMINER

This matter came on for hearing before the New Mexico Oil Conservation Division, William V. Jones, Chief Examiner, Scott Dawson, Technical Examiner, and Gabriel Wade, Legal Examiner, on Tuesday, August 1, 2017, at the New Mexico Energy, Minerals and Natural Resources Department, Wendell Chino Building, 1220 South St. Francis Drive, Porter Hall, Room 102, Santa Fe, New Mexico.

REPORTED BY:   Mary C. Hankins, CCR, RPR  
                  New Mexico CCR #20  
                  Paul Baca Professional Court Reporters  
                  500 4th Street, Northwest, Suite 105  
                  Albuquerque, New Mexico 87102  
                  (505) 843-9241

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

APPEARANCES

FOR APPLICANT OWL SWD OPERATING, INC:

DALVA L. MOELLENBERG, ESQ.  
RIKKI-LEE CHAVEZ, ESQ.  
ANTHONY "T.J." J. TRUJILLO, ESQ.  
GALLAGHER & KENNEDY, P.A.  
1239 Paseo de Peralta  
Santa Fe, New Mexico 87501-2758  
(505) 982-9523  
d1m@gknet.com

FOR RESPONDENT THE OIL CONSERVATION DIVISION:

DAVID K. BROOKS, ESQ.  
STATE OF NEW MEXICO ENERGY, MINERALS AND NATURAL  
RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION  
Office of General Counsel  
Wendell Chino Building  
1220 South St. Francis Drive  
Santa Fe, New Mexico 87505  
(505) 476-3440  
david.brooks@state.nm.us

FOR RESPONDENT THE NEW MEXICO STATE LAND OFFICE:

KATHERINE "KITTY" MOSS, ESQ.  
NEW MEXICO STATE LAND OFFICE  
OFFICE OF GENERAL COUNSEL  
301 Old Santa Fe Trail  
Santa Fe, New Mexico 87501  
(505) 827-5872  
kmoss@slo.state.nm.us

FOR INTERESTED PARTY CITY OF JAL, NEW MEXICO:

MICHAEL T. NEWELL, ESQ.  
NEWELL LAW FIRM, LLC  
10 West Adams, Suite E  
Lovington, New Mexico 88260  
(575) 739-6375  
mnewell@newellllawnm.com

1	INDEX	
2		PAGE
3	Case Number 15723 Called	5
4	Opening Statement by Mr. Moellenberg	8
5	Opening Statement by Ms. Moss	11
6	OWL SWD Operating, LLC's Case-in-Chief:	
7	Witnesses:	
8	Roger Johnson:	
9	Direct Examination by Ms. Chavez	13
	Cross-Examination by Mr. Brooks	30
10	Cross-Examination by Ms. Moss	35
	Cross-Examination by Mr. Newell	37
11	Redirect Examination by Ms. Chavez	40
12	Chad E. Kronkosky:	
13	Direct Examination by Mr. Moellenberg	43
	Cross-Examination by Mr. Brooks	109
14	Cross-Examination by Ms. Moss	123
	Cross-Examination by Mr. Newell	125
15	Cross-Examination by Examiner Dawson	136
	Cross-Examination by Examiner Jones	144
16	Thomas Neil Blandford:	
17	Direct Examination by Mr. Moellenberg	161
18		
19	Recess	204
20	Certificate of Court Reporter	205
21		
22		
23		
24		
25		

	EXHIBITS OFFERED AND ADMITTED	
		PAGE
1		
2		
3	OWL SWD Operating, LLC Exhibit Numbers 1, 3 and 4	109
4	OWL SWD Operating, LLC Exhibit Numbers 5	161
5	OWL SWD Operating, LLC Exhibit Number 2	202/203
6		
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 (9:10 a.m.)

2 EXAMINER JONES: Let's call to order. This  
3 is Docket Number 26-17. This is a special Examiner  
4 Hearing for Tuesday, August 1st, 2017. I'm William V.  
5 Jones, the Hearing Examiner today. Gabriel Wade, on my  
6 extreme right, will be the counsel for the Examiner.  
7 And Scott Dawson will be -- is a geologist, and he'll  
8 also be assisting in questions for the Examiner.

9 There is one case on the docket. This is  
10 Case Number 15723, application of OWL SWD Operating, LLC  
11 for authorization to inject in Lea County, New Mexico.

12 Let's first ask for appearances in this  
13 case.

14 MR. MOELLENBERG: On behalf of OWL, Dalva  
15 Moellenberg, from Gallagher & Kennedy. With me is  
16 Rikki-Lee Chavez and Anthony Trujillo.

17 EXAMINER JONES: Okay. Other appearances?

18 MR. BROOKS: David Brooks, Energy, Minerals  
19 and Natural Resources Department for the Oil  
20 Conservation Division.

21 EXAMINER JONES: Other appearances?

22 MS. MOSS: Katherine Moss for the  
23 New Mexico State Land Office.

24 EXAMINER JONES: Any other appearances in  
25 this case?

1 MR. NEWELL: Your Honor, Michael Newell for  
2 the City of Jal, New Mexico.

3 EXAMINER JONES: Mr. Newell, did you -- I  
4 think we have a copy of a letter from you asking --  
5 requesting a hearing several months ago.

6 MR. NEWELL: Yeah, the opportunity to be  
7 heard. Absolutely. Yes.

8 EXAMINER JONES: Okay. But you haven't  
9 submitted a pre-hearing statement?

10 MR. NEWELL: We have not. And we don't  
11 have any witnesses. And, you know, obviously it's up to  
12 the Hearing Examiner to the extent, you know, you allow  
13 me to participate or not participate, but at the very  
14 least, Jal has a position that it would like to state on  
15 the record and have the Hearing Examiner, the Commission  
16 [sic], consider as it evaluates the proposal.

17 EXAMINER WADE: We can hear that comment.

18 MR. NEWELL: Okay.

19 EXAMINER JONES: It's up to the Applicant  
20 to object if they don't want you to ask questions of the  
21 witnesses. Normally, they don't. But that's -- if  
22 there is -- I would throw that out there, if there  
23 was --

24 MR. MOELLENBERG: Yeah. Mr. Hearing  
25 Examiner, I mean, first of all, our understanding is

1 that -- with the understanding that Jal's not presenting  
2 a technical case, no objection to them making a  
3 statement and really no objection to them asking  
4 questions, if you so allow.

5 EXAMINER JONES: Any other comments from  
6 the Applicant or the Respondents?

7 MR. BROOKS: We have no objection to their  
8 asking questions.

9 MS. MOSS: State Land Office has no  
10 objections.

11 EXAMINER JONES: Any other appearances in  
12 this case?

13 Let's first ask if there are any pending  
14 motions.

15 MR. BROOKS: We have none.

16 MR. MOELLENBERG: We have none, Mr. Hearing  
17 Examiner.

18 MS. MOSS: State Land Office has none.

19 EXAMINER JONES: Okay. Okay. We weren't  
20 expecting any.

21 And I want everybody to be comfortable  
22 today. The attorneys, if they need a break, let us  
23 know, and we'll have a little brief recess. So we don't  
24 want everybody to be uncomfortable.

25 And first, in a big case like this, we

1 would ask if Applicant and Respondents and appearance  
2 parties want to make a statement -- opening statement.

3 OPENING STATEMENT

4 MR. MOELLENBERG: Mr. Hearing Examiner, I  
5 can make a brief opening statement and just outline  
6 OWL's presentation.

7 As you're obviously aware, OWL has filed a  
8 pre-hearing statement in this case and also has filed,  
9 more recently, an amended pre-hearing statement. Those  
10 pre-hearing statements included as attachments a report  
11 by Mr. Chad Kronkosky, one of our witnesses, who we'll  
12 be presenting, and also Mr. Neil Blandford, who we'll be  
13 presenting. So hopefully you've had an opportunity to  
14 get at least somewhat familiar with those reports,  
15 recognizing that they're -- that they're very technical.

16 The C-108 application in this case has been  
17 filed some time ago, and I guess -- well, I'll get to  
18 that in a little bit.

19 Anyway, the application by OWL proposes an  
20 injection well called the Bobcat #1 well that is  
21 intended to inject produced water or saltwater  
22 transported in by a pipeline system that OWL has  
23 constructed.

24 OWL has been operating an existing  
25 injection well, the Maralo Sholes No. 2B well, which is

1 the subject of a hearing to follow this one, but will  
2 probably be the topic of some discussion here, as there  
3 is some relevant data from that well as to how the  
4 injection has performed.

5           Generally, our understanding of the issues  
6 in this case are issues relating to, particularly from  
7 OCD, whether the injection as proposed and, frankly,  
8 currently being conducted by OWL could impact the  
9 Capitan Reef Aquifer. So we're speaking -- our  
10 witnesses will be speaking directly to that point.  
11 They'll also be speaking to the points raised by the  
12 State Land Office, and those issues relate to water  
13 quality really in the formation where the injection is  
14 currently taking place and proposed to take place with  
15 the new well.

16           This well -- if approved by OCD, it would  
17 be OWL's intent to construct this new well and then plug  
18 and abandon the existing well. That'll be discussed  
19 again somewhat in the next case. OWL's view is that the  
20 existing well is operating just fine, but it's obviously  
21 an old well. And I think if the preference is to do  
22 something with that well, OWL's preference would just be  
23 to put in a new well and have everybody comfortable with  
24 it.

25           In addition to Mr. Kronkosky and

1 Mr. Blandford, we'll be presenting Mr. Johnson from OWL.  
2 He's going to start the testimony and talk a little bit  
3 about OWL's process, what the project is, the need for  
4 the injection wells as part of the project and so forth.

5 This presentation may be a little bit  
6 unique in that based on some of the discussions between  
7 OWL and OCD regarding the existing well, our direct  
8 testimony actually addresses a lot of issues that have  
9 been raised in some of the reports that have been issued  
10 in that regard. Obviously, we haven't heard the full  
11 presentations from OCD and the State Land Office yet, so  
12 we may present rebuttal testimony if needed after we  
13 hear those full presentations.

14 And I believe, unless you have any  
15 questions to start with, that's all -- that's all we  
16 have. If you're going to take opening statements from  
17 the other parties, that's fine. Otherwise, we'll call  
18 our first witness.

19 EXAMINER JONES: Any opening statements  
20 from Mr. Brooks?

21 MR. BROOKS: We'll reserve our opening  
22 statement until we begin our case.

23 I would point out that the witnesses have  
24 not been sworn.

25 EXAMINER JONES: Ms. Moss?

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

OPENING STATEMENT

MS. MOSS: I would just simply say the SLO's position is in our pre-hearing statement. And I believe you know that we oppose the drilling of the Bobcat SWD No. 1 at the proposed depth on the basis that the disposal will impact protectable waters in the Capitan Reef.

Thank you.

EXAMINER JONES: Okay. And we'll probably, at the conclusion of the hearing, if Mr. Newell wants to make another -- another summary statement, that sounds good.

And will the witnesses for the Applicant please stand and the court reporter please swear the witnesses?

(Mr. Kronkosky, Mr. Blandford, Mr. Burns, and Mr. Johnson sworn.)

ROGER JOHNSON,  
after having been first duly sworn under oath, was questioned and testified as follows:

EXAMINER JONES: You may proceed.

MR. MOELLENBERG: Mr. Hearing Examiner, our first witness will be Roger Johnson, and Ms. Chavez will conduct his examination.

EXAMINER WADE: Mr. Moellenberg, will you

1 have additional exhibits to hand out to the Division, or  
2 did you -- we notice we have several copies of an  
3 Exhibit 1 binder and only one copy of Exhibit 2.

4 MR. MOELLENBERG: So for this particular  
5 examination, we have a PowerPoint presentation which  
6 we'll put paper copies in the record as a demonstrative  
7 exhibit. We're not intending that to be admitted as  
8 evidence.

9 Do we have the other two parties'  
10 notebooks?

11 MS. CHAVEZ: And I can -- I can pass out  
12 the exhibits as they're introduced, or we can do it all  
13 at once. It's really your preference. I spoke with the  
14 court reporter at the beginning, and it sounded like it  
15 might just be simpler to do it as the exhibits are  
16 entered as opposed to having the large binder to --

17 MR. BROOKS: Yeah. The custom at OCD is to  
18 admit all your exhibits at the conclusion of the  
19 witness' presentation rather than the way it's done in  
20 court.

21 MR. MOELLENBERG: Right. Right.

22 MR. BROOKS: Those of us who would be  
23 following along with the presentation, it would be  
24 helpful for us to have a notebook at the time of the  
25 presentation.

1 MS. CHAVEZ: And just for everyone's  
2 information, the large binder we handed out, the  
3 presentation is towards the back. There is an index in  
4 the front.

5 EXAMINER WADE: Do you happen to have more  
6 than one of these for each Examiner?

7 EXAMINER JONES: Actually, I'm going to.

8 EXAMINER WADE: You're going to follow  
9 that?

10 EXAMINER JONES: Yeah.

11 MS. CHAVEZ: I'll keep one to make the  
12 record for.

13 EXAMINER JONES: Sounds good. It goes to  
14 her (indicating).

15 MS. CHAVEZ: I do have one more copy if  
16 you'd like.

17 EXAMINER DAWSON: Thank you.

18 EXAMINER JONES: Go ahead.

19 ROGER JOHNSON,  
20 after having been previously sworn under oath, was  
21 questioned and testified as follows:

22 DIRECT EXAMINATION

23 BY MS. CHAVEZ:

24 Q. Good morning. Could you please state your  
25 name, address and place of employment for our record?

1           A.    Yes.  Roger Johnson.  The address is 8214  
2 Westchester Drive, Suite 850, Dallas, Texas 75225.

3           **Q.    And your place of employment?**

4           A.    Oilfield Water Logistics.  We go by OWL.

5           **Q.    Okay.  And, Mr. Johnson, how long have you been**  
6 **with OWL?**

7           A.    Almost four years, since its founding.

8           **Q.    Okay.  What is your position at OWL?**

9           A.    Chief investment officer.

10          **Q.    Can you tell us today a little bit about OWL?**

11          A.    OWL -- OWL's business plan is to gather  
12 disposed -- recycle and resell produced water.  What we  
13 built in Lea County is a gathering system that collects  
14 the water aggregates, and we're currently, you know,  
15 reselling it and disposing of it.

16          **Q.    Okay.  And can you elaborate on the kinds of**  
17 **services that are provided by OWL in New Mexico?**

18          A.    We gather water.  We dispose of water.  We  
19 supply water.  We're cooperating with operators who  
20 recycle water.  We're about to get into the waste  
21 business as well, salt waste.

22          **Q.    And what do you think makes OWL a unique**  
23 **company in matters of produced water injection?**

24          A.    Well, before we built the assets we've got in  
25 Lea County, most all produced water was disposed of by

1 truck or small gathering systems. What we developed was  
2 a system that aggregated the water where the production  
3 is today and transported it 30 miles outside of the core  
4 of the production area.

5 Q. Okay.

6 A. That didn't exist before.

7 Q. Okay. Can you tell me a little bit about the  
8 corporate responsibility that OWL has?

9 A. Yes, ma'am. We take that very seriously. We  
10 have 24/7 monitoring. We have full-time safety  
11 personnel on staff. We have flights -- we've got -- our  
12 lines are flown. We double check for leaks, and we're a  
13 good-size company that carries a large amount of  
14 insurance, too.

15 Q. And, Mr. Johnson, what is OWL's request from  
16 the Department today?

17 A. Our request -- I guess it's on slide six.  
18 We're requesting an order authorizing the injection of  
19 water for disposal into the Yates-Seven Rivers Formation  
20 in Lea County. We're proposing the completion of the  
21 well injection of water by open hole from 2,915 to 360  
22 feet.

23 Q. Okay. Can you tell me what the timeline for  
24 the new well's construction would be?

25 A. This well will be drilled very quickly and

1 easily in 30 to 60 days.

2 **Q. And what is the purpose of this new well?**

3 A. Given, you know, the request for the current  
4 well, we feel like it's a better, longer-term answer  
5 given those requests to just replace the well with new  
6 construction. So we're going to replace the current  
7 well with a new well.

8 **Q. Okay. And how does this new well factor into**  
9 **the overall service provided by OWL?**

10 A. Well, again, we have a 30-mile pipeline that  
11 gathers all the water from the field and transports it  
12 out of the area where all the drilling is. So this well  
13 is part of the anchor on the eastern end of this line.  
14 It's very -- we're currently permitting a 500,000-barrel  
15 reclamation pond adjacent, where we will gather water,  
16 re-treat it, send the treated water back out to the  
17 field, but there will always be a need for a disposal  
18 well. In fact, we would not develop that recycling pit  
19 without a disposal well. We've got to be able to  
20 dispose of the water to something.

21 **Q. Following up on your mention of the pipeline**  
22 **system, what is the purpose of this pipeline system?**

23 A. It's to aggregate and gather the water instead  
24 of trucks. The other alternative is to gather the water  
25 via truck, which, you know, has a whole list of

1 problems.

2 **Q. And can you -- can you tell me again why this**  
3 **particular well is so important to this pipeline system**  
4 **that you described?**

5 A. Well, our plan is to gather the water and treat  
6 it and recycle it, and we've got to have the ability to  
7 dispose of water from time to time. There are times  
8 when the frac pump -- I mean that pond is full. There  
9 are times -- even when you recycle water, there is a  
10 fair amount of wastewater you have to dispose. So you  
11 have to have a disposal well on recycling --

12 **Q. And can you tell me how this particular well --**  
13 **what its role is and why it might be so important to the**  
14 **oil and gas industry in New Mexico?**

15 A. It's really the same things. You know, I mean,  
16 from their perspective, we're able to reduce their cost  
17 because trucking is more expensive. It's a lot safer  
18 process. You know, when you put water on a truck,  
19 you're handling it. You have the human touch that  
20 causes problems. You have a truck, truck-driving,  
21 truck-driving on roads, environmental impact. There are  
22 a lot of negatives that you can avoid when you gather  
23 the water on pipe versus truck.

24 **Q. Okay. And when you say "they," who do you**  
25 **mean?**

1           A.    The operators, you know, when we're not  
2 gathering the water, they're responsible for getting it  
3 disposed of. So they would typically call, you know,  
4 their trucking companies and get the water hauled off.  
5 So that's the other alternative.

6           **Q.    Okay. We saw a map earlier about where OWL is**  
7 **at in New Mexico. What can you tell me about the oil**  
8 **and gas industry in southeastern New Mexico?**

9           A.    It is, you know, ground zero. There are many,  
10 you know, recent articles that have come out that  
11 reference, you know, the Red Hills area, which is that  
12 southern Lea County, as the most valuable gas acreage in  
13 the lower 48. So based on our conversations with  
14 operators, we think that's true. It's ground zero.

15          **Q.    So can you tell me a little bit more about what**  
16 **specific industry needs OWL addresses with this**  
17 **pipeline?**

18          A.    Well, you know, disposal and gathering,  
19 recycling and re-use, but what's unique about this  
20 pipeline is the size of it. It's a 16-inch fiberglass  
21 line, which can transport a lot of water, which -- these  
22 operators, when they -- when they bring on fracs,  
23 sometimes they do multiple fracs, and they have huge  
24 surges of water. So just normal gathering pipelines  
25 can't handle 80-, 90-, 100,000 barrels at a time. They

1 may not be for, you know, extended periods, but the  
2 amount of flowbacks, you have to be able to handle  
3 surges, and this pipeline is uniquely designed for that.

4 **Q. And, Mr. Johnson, can you tell us about what**  
5 **we're looking at here on this particular slide, number**  
6 **nine?**

7 A. Yeah. This is just a schedule that sort of  
8 shows, you know, some other economics. You know, for  
9 example, this well -- if this well is disposing of  
10 20,000 barrels a day, which is that fourth bar, you  
11 know, it shows, you know, the like kind production  
12 value, which is almost \$400,000 a day in production, the  
13 associated royalty value and the associated severance  
14 tax value just for this well per day.

15 **Q. And can you address the assumptions made to**  
16 **create this graph?**

17 A. Yeah. The assumptions that generated this was  
18 oil at \$45, which I think oil as of yesterday was at 49,  
19 the water cut being 70 percent, which is a fair  
20 assumption, in my opinion, the royalty rate at  
21 12-and-a-half percent, which I think is a typical state  
22 royalty, and severance tax at 8.4 percent.

23 **Q. Okay. So what are the other benefits of using**  
24 **OWL's pipeline to address these disposal needs as**  
25 **opposed to trucks?**

1           A.    The other benefits?

2           **Q.    Yeah.**

3           A.    Well, you know, cost, environmental footprint  
4 and mostly safety.  The trucks that this -- that this  
5 water puts on the road and the amount of trucks -- we've  
6 seen it when we take this pipeline down for maintenance  
7 reasons -- it's like a war zone out there.  I mean, the  
8 effect when this pipeline goes down is trucks in a part  
9 of the county where there are no paved roads running  
10 24/7.  Otherwise, these wells get shut in.  We've seen  
11 that.  When we're down for more than a day or two,  
12 operators start shutting in wells.

13           **Q.    And, Mr. Johnson, can you tell me, does this**  
14 **pipeline that we're discussing have its own name?**

15           A.    It's called Red Hills.

16           **Q.    The Red Hills?**

17           A.    Yeah.

18           **Q.    Okay.  Can you tell me more about this Red**  
19 **Hills pipeline?**

20           A.    Well, we have a little over \$40 million  
21 invested in it.  It's about 30 miles long.  It can move,  
22 at times, 150,000 barrels a day.  It's uniquely designed  
23 to handle large volumes, surges, that I mentioned  
24 earlier.  We've got, you know, roughly a dozen customers  
25 tied into it already, and it's a life-long asset.  It's

1 built to last 20, 30, 40 years.

2 **Q. And you mentioned the \$40 million. Could you**  
3 **discuss a little bit more about the investment in this**  
4 **pipeline that OWL's made?**

5 A. Well, you know, it's in excess of \$40 million  
6 and growing. You know, this is a pipeline that's in  
7 high demand. We've got a lot more customers who --  
8 currently, we're talking to a lot of customers. They're  
9 looking at their drilling schedules and trying to  
10 reserve capacity in this, because everybody anticipates  
11 disposal being a real problem in Lea County.

12 **Q. Okay. And can you touch on what makes this Red**  
13 **Hills pipeline system so unique as opposed to others?**

14 A. Its -- its design, its surgeability, its  
15 reliability. Really, it's designed to take water out of  
16 a very highly drilled part of the county and take it out  
17 of that area. So we're trying to get the water out of  
18 the production area.

19 **Q. And can you tell me again the capability of**  
20 **this pipeline? How much water can it take?**

21 A. It can take -- it can move up to 150,000  
22 barrels a day.

23 **Q. Okay. And how do injection wells fit into this**  
24 **pipeline system?**

25 A. They're critical. I mean, you know, we are

1 currently, today, laying off water on this line to other  
2 customers for re-use. So the pipeline gathers the  
3 water, moves it to where it's needed, but all of it's  
4 not needed all the time. So there's got to be a place  
5 where you can dispose of it from time to time. That's  
6 the purpose of the SWDs.

7 **Q. What are the safety benefits of using a**  
8 **pipeline in this area?**

9 A. Well, moving water via pipeline is the safest  
10 way to do it. You know, you've got -- you know, you've  
11 got truck accidents, truck traffic, spills. You're able  
12 to avoid a lot of those things by moving water on a  
13 pipeline.

14 **Q. Okay. Can you tell me more about what you know**  
15 **about the truck traffic in the Lea and Eddy Counties**  
16 **area?**

17 A. Yeah. You know, Highway 128, going west from  
18 Jal, is a very highly traveled road. Other than Dialax  
19 [phonetic] Road, there's not really a road down there  
20 that's paved, and there is just a tremendous amount of  
21 truck traffic. If you drive that road, you quickly see  
22 that your wheels get in the ruts where these trucks have  
23 rutted up the road, where there is just a lot of heavy  
24 trucks in that traffic. They're 24/7 all the time.

25 **Q. And without this particular injection site**

1 we're discussing, would there be an increase of truck  
2 traffic in this area?

3 A. Absolutely. We've seen that when we take our  
4 pipeline off line.

5 Q. And I believe that you did some math on the  
6 truck traffic increase. Can you tell me about that?

7 A. Yeah. Just this one well taken off line will  
8 generate 400 truck trips a day that would not be there  
9 otherwise.

10 Q. Okay. Can you explain to me how you got that  
11 number?

12 A. Yeah. That's -- you know, a typical truck  
13 handles about 120 barrels of water. 25,000 barrels a  
14 day kicks up that number.

15 Q. And so we discussed the equivalent truck use  
16 required to move the same amount of produced water.

17 Could you tell me what otherwise is the  
18 benefits of using this pipeline versus the trucks?

19 A. You know, as the slide shows, it's a small  
20 environmental footprint. I mean, when you drive these  
21 roads, you see -- you know, I've seen cows that have  
22 been hit by trucks. You see all sorts of animals that  
23 are killed. It's just an easier way to move the water.  
24 You have less human touch. The maintenance costs and  
25 operating costs are less. And, just, you know, all the

1 things that come with truck traffic, whether it's  
2 accidents or road repair or, you know, diesel, all those  
3 things you can avoid with a pipeline.

4 **Q. Shifting gears a bit, Mr. Johnson, can you tell**  
5 **me about the safety of using saltwater disposal wells**  
6 **for disposal of produced water?**

7 A. Saltwater disposal wells have been around for, I  
8 mean, almost 100 years. So I don't know how many SWDs  
9 there are, but there are quite a few. It's a well-known  
10 way of disposing of produced water in the oilfield.

11 **Q. Is OWL interested in continuing to operate in**  
12 **New Mexico for a significant amount of time?**

13 A. Yes. We're building long-life assets, and we  
14 plan on operating them for a long time.

15 **Q. Are there any alternatives besides truck**  
16 **transportation to move this produced water?**

17 A. Not really.

18 **Q. And are there any other injections locations**  
19 **that could be used to accommodate what this well would**  
20 **accommodate?**

21 A. You know, we've designed this system on purpose  
22 to get the water out of the field. You know, this  
23 field, this location, is, you know, where we plan to  
24 take the water.

25 **Q. And you touched on some of this earlier, but**

1     **can you tell me a little bit more about the water**  
2     **reclamation opportunities?**

3           A.     Yeah.  We're currently permitting two  
4     500,000-barrel reclamation ponds, 500,000-barrel each,  
5     where we capture water.  We're going to treat it and  
6     resell it.  And that's -- you know, those have to be  
7     adjacent to an SWD.  There is no way you can off-load  
8     that kind of water and not be able to dispose of what's  
9     not sellable.  So those are an integral part of the  
10    reclamation process.  So when you recycle water, you're  
11    forcing wastewater, so they are --

12           **Q.     Are there any other industry opportunities that**  
13    **you could discuss with regards to these reclamation**  
14    **opportunities?**

15           A.     You know, we're currently doing it.  We've got  
16    a couple of customers that are taking water from us now.  
17    We're going to build these ponds and treat water  
18    ourselves.  There is a huge opportunity to, you know,  
19    recycle a larger and larger percent of the water we  
20    touch.  This pipeline gathers water, so it allows us to  
21    be a gatekeeper for a large amount of water.

22           **Q.     Okay.  And those are the -- are those the only**  
23    **reclamation efforts that OWL's involved in, the ones**  
24    **you've described?**

25           A.     We're doing a landfill.  We'll do reclamation

1 of a landfill, too.

2 **Q. Can you describe that for me?**

3 A. Yeah. We just got a landfill permit a week or  
4 two ago, so we'll probably construct that here shortly  
5 and be open early next year. So that'll take solid  
6 waste. It'll take flowback water, and there will be a  
7 recycling effort with that material, too.

8 **Q. Mr. Johnson, can 100 percent of produced water**  
9 **be recycled?**

10 A. No.

11 **Q. Can you tell me why not?**

12 A. Well, you can't do it all the time. So even --  
13 even when you're taking water -- when the ponds are  
14 full, you can't take it. When you treat it, there is  
15 wastewater left over, and you can't recycle all the  
16 time. We've seen it with a lot of our operators. There  
17 is a certain amount of water that they can recycle, and  
18 as their overall water production increases, they grow  
19 through that band to where at some point -- and the  
20 larger operators are already there -- they're always  
21 recycling what they can and laying off what they can't  
22 recycle.

23 **Q. So would there still be a need for your**  
24 **pipeline and injection system?**

25 A. Yes.

1 Q. Even with reclamation efforts in place?

2 A. Yes.

3 Q. So would OWL essentially be able to explore any  
4 of these reclamation and recycling opportunities without  
5 this injection site?

6 A. No.

7 Q. I'm sorry?

8 A. No.

9 Q. Would OWL suffer loss without this proposed  
10 injection site?

11 A. Yes, we would.

12 Q. And are there any options that you know of that  
13 OWL could partake in to make up those losses?

14 A. You know, it's -- the pipeline's been  
15 constructed. It's difficult to move the pipeline. It  
16 would be very difficult.

17 Q. And then you mentioned that you do have several  
18 producers that depend on you. Approximately how many  
19 clients does OWL serve with this injection system?

20 A. Well, just the system, there are a dozen  
21 customers.

22 Q. On just the Red Hills system?

23 A. Correct.

24 Q. What would happen to those producers who are  
25 dependent upon you if they couldn't use this?

1           A.    You know, we've seen it, like I said, when we  
2    have maintenance.  They immediately start trucking, but  
3    they cannot keep up with trucking.  And if it goes on  
4    for more than a couple of days, they start shutting in  
5    wells.

6           **Q.    What are the benefits to OWL being granted its**  
7    **permit in this application?**

8           A.    Well, it's -- you know, it allows us to  
9    continue what we think is a safe, stable disposal, you  
10   know, taking the water out of the field with the best  
11   possible way to do it via pipeline, with the alternative  
12   being trucking or shutting in of wells.

13          **Q.    And those are the benefits to OWL?**

14          A.    Those are the benefits to OWL and the customer  
15   base.  Customers appreciate the lower cost and the lower  
16   liability.  And we're -- you know, we're compensated as  
17   well for something that's not -- that didn't exist  
18   before.

19          **Q.    Okay.  And are there any other benefits to the**  
20   **industry that you could speak of?**

21          A.    You know, I think they appreciate that we're  
22   trying to recycle.  A lot of these operators -- some of  
23   them are recycling, but a lot of these guys don't have  
24   acreage blocked up enough to do it in every location.  
25   We're able to move the water around to where they need

1 it, which is a big part of water cost transportation.

2 MS. CHAVEZ: Mr. Examiner, may I have one  
3 minute?

4 Q. (BY MS. CHAVEZ) Mr. Johnson, can you tell me --  
5 we touched on what your corporate responsibility is.  
6 Can you tell me who your -- who OWL's investors are?

7 A. Sure. Our investors are comprised of NGP;  
8 since we're natural gas partners, the NGP Tech Fund, and  
9 then an entity called Palo Alto. NGP, which is sort of  
10 the mother ship of those two private equity firms.  
11 There is a Dallas-based private equity firm that its  
12 investors are, you know, insurance companies, pension  
13 funds, foundations. It's, you know -- it's very  
14 institutional investors, and they all require, you know,  
15 proper guidance to all the environmental regulations,  
16 safety personnel. You know, we have to report on our  
17 safety processes every board meeting. It's a big of  
18 what they expect us to report and accomplish.

19 Q. So you're independently monitored by these  
20 investors?

21 A. Correct.

22 MS. CHAVEZ: Mr. Hearing Examiner, I don't  
23 have any other questions.

24 EXAMINER JONES: Okay. Do you want to  
25 offer Mr. Johnson as a practical oilman, or do you want

1 to qualify him in some sort, some way? You don't have  
2 to if you don't want to.

3 MS. CHAVEZ: Mr. Hearing Examiner,  
4 Mr. Johnson is here as a fact witness.

5 EXAMINER JONES: Fact witness. Okay.  
6 Mr. Brooks?

7 CROSS-EXAMINATION

8 BY MR. BROOKS:

9 Q. Where, Mr. Johnson, is your pipeline terminal  
10 located to the well?

11 A. Probably a half a mile due south, I would  
12 believe.

13 Q. Which direction?

14 A. The pipeline terminates into a large pad on the  
15 southern end of Mr. Fulfer's ranch, and then from that  
16 pad, it's connected to the Sholes well, which is roughly  
17 half a mile north -- northeast slightly, I think.

18 Q. Well, my witness assisted me to locate it. So  
19 I will --

20 MR. BROOKS: May I approach the witness,  
21 Mr. Hearing Examiner?

22 EXAMINER JONES: Sure. Sure.

23 MR. BROOKS: I will ask him to verify this  
24 so it's in the record.

25 MS. MOSS: For the record, could you tell

1 us what you're looking at?

2 MR. BROOKS: I'm looking at OCD Exhibit --  
3 what's going to be OCD Exhibit Number 2, which is a  
4 map -- areal map of a several-section -- about six  
5 sections in the vicinity of the proposed well site.

6 Q. (BY MR. BROOKS) Mr. Johnson, I'll ask you to  
7 look at OCD Exhibit 2. I just put an arrow where my  
8 witness indicated it was. Is that a correct location?

9 A. Let me orient myself just for a second. This  
10 State 205, I don't recognize.

11 Q. Well, the well site is right here (indicating).

12 A. Okay.

13 I believe that's right. I believe that's  
14 right.

15 Q. Okay.

16 MR. BROOKS: I will present this exhibit at  
17 a later time when our witness identifies it, but I will  
18 note at that time that the arrow I put on there marks  
19 the pipe terminal that Mr. Johnson has identified.

20 Q. (BY MR. BROOKS) Okay. Mr. Johnson, in order  
21 to develop this facility, are you going to need more  
22 disposal wells in addition to the one that you're  
23 applying for right now?

24 A. Possibly.

25 Q. Okay. I note that there is one new disposal

1 well, identified as new, which I assume means it's not  
2 been drilled yet, in this vicinity, and that is the  
3 Kimberly SWD No. 1 in Section -- in Section 31 of 25  
4 South, 37 East, and OWL is identified as the operator of  
5 that?

6 A. Right.

7 Q. Are you familiar with that well?

8 A. That's an approved permit.

9 Q. Okay. For both the -- permitted for both the  
10 drilling and for the injection?

11 A. I believe that's correct.

12 Q. Okay. I know it's permitted for the drilling  
13 because that's where I got the information, but I have  
14 not checked the permit for the injection.

15 Are there any other new wells in this  
16 vicinity that OWL has permitted or is in the process of  
17 permitting injection?

18 A. There is a recently completed well north --  
19 generally north of this pad by Greg Fulfer. It's called  
20 the Jal North.

21 Q. Okay. That one does not appear on our list.

22 A. That's not in our name. That's in  
23 Mr. Fulfer's -- well, that's in Delaware Water Company's  
24 name.

25 Q. Any other disposal wells that you are in the

1 process of permitting?

2 A. No.

3 Q. Do you have any -- do you have any estimate of  
4 how many wells you will need in this vicinity?

5 A. Not at this time. It depends on the oil  
6 field's production.

7 Q. Okay. Now, this well is going to be injecting  
8 up to a maximum of 30,000 barrels per day of water; is  
9 that correct?

10 A. Yes, sir.

11 MR. MOELLENBERG: Could we clarify which  
12 well you're talking about?

13 MR. BROOKS: The Bobcat -- the proposed  
14 Bobcat well.

15 MR. MOELLENBERG: Okay. Thank you.

16 THE WITNESS: Yes.

17 Q. (BY MR. BROOKS) And are other wells of similar  
18 capacity or other wells of similar injection capacity  
19 anticipated?

20 A. Again, it depends on the oil field's production  
21 of water and the net effect of our recycling efforts  
22 going back out, because that's -- as we've seen with  
23 operators, recycling does dramatically affect the amount  
24 of water we can put down a hole.

25 Q. But do you consider it likely that there will

1    **be additional development of wells necessary to continue**  
2    **the operation of this pipeline to operate efficiently?**

3           A.    Again, we're hopeful we can recycle up to 70  
4    percent of the water we gather.  That would be very  
5    dramatic and would greatly affect what the net downhole  
6    amount would be needed.

7           **Q.    So you cannot make an estimate at this time?**

8           A.    No, sir.

9           **Q.    Okay.**

10          A.    Because we're not recycling yet, but those are  
11   the figures that the industry talks about.

12          **Q.    Okay.  Thank you.**

13                   **Have you investigated other sites in this**  
14   **vicinity for a possible disposal?  I mean other sites**  
15   **that are farther away from the city and from the**  
16   **existing producing wells.**

17          A.    We've looked in the general area, and, you  
18   know, the best option that we've found is the proposed  
19   location that we're looking at.  You know, we permitted  
20   the Kimberly, which is another option, but, you know,  
21   given -- given the Jal North's results, we're hesitant  
22   that that's a viable option.

23          **Q.    Okay.  That was the one I asked you about**  
24   **previously, the Kimberly SWD No. 1 in Section 31?**

25          A.    Correct.  Yes, sir.

1 Q. Okay. I think that's all the questions I --  
2 well, one minute.

3 MR. BROOKS: That's all the questions I  
4 have for this witness.

5 EXAMINER JONES: Ms. Moss?

6 CROSS-EXAMINATION

7 BY MS. MOSS:

8 Q. Just some follow-up here.

9 For the proposed disposal zone for the  
10 Kimberly, which I was not familiar with, do you know  
11 what the proposal zone is for that?

12 A. I believe it's the Devonian.

13 Q. Okay. And do you happen to know the zone  
14 for Mr. Fulfer's well?

15 A. I'm sorry?

16 Q. Do you happen to know the proposed disposal --  
17 well, actually, he's already, I guess, using it.

18 A. Right.

19 Q. The disposal zone for Mr. Fulfer's well?

20 A. Fulfer. It's Devonian, and that's called the  
21 Jalmat.

22 Q. I just have three more questions.

23 Is it correct that OWL has corporate  
24 responsibility to properly dispose of Delaware  
25 Basin-produced groundwater for its oil company clients?

1           A.    I'm sorry.  Can you repeat that?

2           **Q.    Is it correct that OWL has a corporate**  
3 **responsibility to properly dispose of Delaware**  
4 **Basin-produced groundwater for its oil company clients?**

5           A.    I believe that's correct.  Not in the Delaware,  
6 but Delaware region, not produced water.  I just want to  
7 make sure I'm understanding the question properly.

8           **Q.    Yes.**

9           A.    Oh, yeah.

10          **Q.    And is it correct the new well, the Bobcat No.**  
11 **1, will become the east end of the 30-mile pipeline**  
12 **system anchor disposal well?**

13          A.    Yes.

14          **Q.    Okay.  So then is it correct that the Delaware**  
15 **Basin wells produce higher total dissolved solids than**  
16 **the groundwater in the area to which you're injecting?**

17          A.    Can you repeat the question?

18          **Q.    Is it correct -- and I can ask another witness**  
19 **as well.  But is it correct, to your knowledge, that the**  
20 **Delaware Basin wells produce a higher total dissolved**  
21 **solid groundwater --**

22          A.    Than fresh water in the area?

23          **Q.    Well, greater than 10,000 milligrams TDS.**

24                         MR. MOELLENBERG:  Object to the form.

25                         I'm not sure what all the locations are

1 involved in that question, and I would say we have  
2 technical witnesses who are very familiar with the  
3 water-quality issues that would probably be suited for  
4 you.

5 MS. MOSS: Okay. And I can ask those  
6 questions, but I'm simply asking you your opinion, if  
7 you know the fact.

8 MS. CHAVEZ: Can you restate your opinion  
9 fact question?

10 Q. (BY MS. MOSS) Is it correct -- what I really  
11 think the question is: Is it correct the water you're  
12 bringing in from other areas has higher total dissolved  
13 solids than what is considered protectable water?

14 A. Any produced water has higher TDS than --

15 Q. Thank you.

16 EXAMINER JONES: Mr. Newell?

17 MR. NEWELL: Just a few.

18 CROSS-EXAMINATION

19 BY MR. NEWELL:

20 Q. I believe from your testimony, when you were  
21 equating the savings of the truck traffic, you used  
22 about 25,000 barrels a day.

23 A. (Indicating.)

24 Q. So if I use 20,000 barrels a day, that's a  
25 pretty conservative estimate of how much you're going to

1 inject, correct?

2 A. (Indicating.)

3 Q. Okay. And if we use 350 days -- I think we  
4 talked about the liability operating 350 days out of the  
5 year?

6 A. Yes.

7 Q. Okay. So if we just do that in math, that's,  
8 what, 7 million barrels of water a year?

9 A. Uh-huh.

10 Q. Okay. And then 40 years? So we're looking at  
11 that for 40 years.

12 And then as I understand it, the Seven  
13 Rivers and Yates, at the Tillman, flow into the Capitan  
14 Reef, which basically circles in a horseshoe manner the  
15 Delaware Basin. Is that your understanding?

16 A. That's not correct.

17 MR. MOELLENBERG: And I object to the  
18 question. It's beyond the scope of direct. It's really  
19 a technical question, and a technical witness should  
20 respond.

21 MR. NEWELL: I'll rephrase. I'll withdraw  
22 that question.

23 Q. (BY MR. NEWELL) Okay. But anyway, what you're  
24 saying is basically over this 40-year period, just from  
25 this one disposal well, conservatively, 280 million

1     **barrels of water will be put in the Seven Rivers**  
2     **Formation; is that correct?**

3           A.     And I think you'll learn from the testimony  
4     that is a fraction of what has been taken out of the  
5     same field over the last 70 years.

6           Q.     Okay. And in this particular location, is it  
7     adjacent to, as you understand it, the Capitan Reef  
8     Complex?

9                   MR. MOELLENBERG: Again, same objection.  
10    This is not an expert witness on geology or hydrology of  
11    the area.

12                   EXAMINER JONES: Can you save the question  
13    for the next witness?

14                   MR. NEWELL: Certainly.

15           Q.     **(BY MR. NEWELL) And your testimony was the**  
16    **other wells in the area are Devonian wells?**

17           A.     There is -- there is one other example of a  
18    Devonian in the immediate area.

19           Q.     **And then one that's been permitted?**

20           A.     Correct.

21           Q.     **And what are the zones for the Devonian wells,**  
22    **as you understand it?**

23           A.     The depths?

24           Q.     **Yes.**

25           A.     I'm not prepared to answer that.

1           **Q. All right. Do you have knowledge about whether**  
2 **it's above or below the Capitan Reef Complex?**

3           A. I'm not prepared to answer that.

4                       MR. NEWELL: Pass the witness.

5                       EXAMINER JONES: Okay. Any further  
6 questions?

7                       MS. CHAVEZ: Just a few, Mr. Hearing  
8 Examiner.

9                                       REDIRECT EXAMINATION

10 BY MS. CHAVEZ:

11           **Q. Mr. Johnson, you are aware of the Jal North; is**  
12 **that correct?**

13           A. Yes.

14           **Q. And where did you say that -- what was the area**  
15 **that this Jal North was drilled?**

16           A. That was a Devonian completion, as I understand  
17 it.

18           **Q. Okay. Do you know -- do you know about what**  
19 **results with injection on that --**

20           A. It was a poor well. We've worked with him to  
21 try and figure out if it could take more water. I  
22 believe it's been completed for something like 10  
23 months, and he's had very poor results on and off,  
24 couple thousand barrels a day, "when it works" kind of  
25 results.

1 MS. CHAVEZ: Mr. Hearing Examiner, I have  
2 no more questions.

3 EXAMINER JONES: Thank you very much.

4 Thank you, Mr. Johnson.

5 And let's take a five-minute break.

6 (Recess, 10:04 a.m. to 10:10 a.m.)

7 EXAMINER JONES: Let's go back on the  
8 record and continue with the Applicant's case.

9 MR. MOELLENBERG: So, Mr. Hearing Examiner,  
10 if you're ready for our next witness, we'd call Chad  
11 Kronkosky.

12 Mr. Hearing Examiner, to start with, we  
13 haven't introduced the C-108 as an exhibit. You have  
14 copies of it with the pre-hearing statement. There is a  
15 copy on file with OCD. We'd be happy to put it in as a  
16 hearing exhibit. And we'll certainly ask it to be  
17 admitted as evidence, but I'm not sure if it's needed.

18 EXAMINER JONES: Was it part of the  
19 application, and has it changed any since the  
20 application?

21 MR. MOELLENBERG: It has not changed since  
22 it was originally filed with OCD or since it was filed  
23 with the original pre-hearing statement.

24 EXAMINER JONES: Yeah. Sometimes people --

25 MR. MOELLENBERG: I'm sorry. It was a

1 hearing notice, not statement.

2 EXAMINER JONES: Okay. Sometimes people do  
3 admit it later as a separate exhibit, but then they  
4 actually send it as part of the application, too. So I  
5 don't think you need to do that.

6 MR. MOELLENBERG: Okay. We may do that. I  
7 just wanted to make sure, if we didn't get to it, that  
8 we weren't missing out on that.

9 MR. BROOKS: Let me ask a question about  
10 that.

11 MR. MOELLENBERG: Yeah.

12 MR. BROOKS: Does the -- Mr. Goetze  
13 informed me that the copy filed with your exhibit folder  
14 did not have the area-of-review wells listed.

15 MR. MOELLENBERG: It may not have all the  
16 wells. The application as originally filed does.

17 MR. BROOKS: Has that list?

18 MR. MOELLENBERG: Has all the  
19 area-of-review wells. We'd certainly be happy to put in  
20 a copy here.

21 MR. BROOKS: That'll be part of the record.  
22 I don't know that it's necessary that it be filed --

23 MR. MOELLENBERG: If we use it for  
24 questions or anything, we'll be happy to do that. We  
25 just don't want to kill any more trees than we have to.

1 MR. BROOKS: Okay.

2 CHAD E. KRONKOSKY,  
3 after having been previously sworn under oath, was  
4 questioned and testified as follows:

5 DIRECT EXAMINATION

6 BY MR. MOELLENBERG:

7 Q. So, Mr. Kronkosky, could you provide your full  
8 name and address and employer for the Hearing Examiner?

9 A. My name is Chad Ewert Kronkosky. My employer  
10 is CEK Engineering, LLC. The address of the corporation  
11 is 5301 69th Street, Lubbock, Texas 79424. I am the  
12 owner of the consulting company.

13 Q. So CEK's work, in essence, is your work? Is  
14 that fair to say?

15 A. That is correct. It's a single engineer  
16 company.

17 Q. Okay. Mr. Kronkosky, I'm going to hand you  
18 what's been marked as OWL Exhibit 3 and ask you if  
19 that's a full and complete copy of your current resume?

20 A. It is.

21 Q. Would you give the Hearing Examiners just a  
22 summary of your education qualifications and experience?

23 A. I have a bachelor's and master's degree in  
24 petroleum engineering from Texas Tech University.  
25 Currently, I'm in candidacy for a Ph.D. in petroleum

1 engineering at Texas Tech. I expect to complete the  
2 dissertation phase either sometime later this fall, with  
3 a possible official graduation in the spring of next  
4 year.

5 I've been active in the oil and gas  
6 industry prior to my consulting company since '06. I  
7 worked for several operators in Midland, Texas. My  
8 predominant technical focus has always been in the  
9 Permian Basin, though I have worked in areas all across  
10 the United States.

11 In 2011, I started CEK Engineering and have  
12 been providing consulting engineering services ever  
13 since to numerous clients throughout the state of Texas  
14 predominantly.

15 **Q. And, Mr. Kronkosky, in that kind of work, have**  
16 **you acted as a reservoir engineer, or could you give us**  
17 **a little more specific information about the types of**  
18 **projects and things you've worked on?**

19 A. Yeah. My technical focus has predominantly  
20 been reservoir and geological engineering throughout the  
21 Permian Basin in New Mexico and in Texas. My advanced  
22 technical focus is asset evaluation, which requires  
23 tremendous geological and production analysis. I have  
24 had experience in drilling and production engineering,  
25 but my predominant technical focus is reservoir

1 analysis.

2 Q. And has your experience with geology included  
3 experience with hydrology?

4 A. It has. Additionally, as part of my graduate  
5 education, I've taken numerous courses in geology beyond  
6 my bachelor's, which included numerous courses in  
7 geology. I continue to take courses in industry and  
8 geology and petrophysics and things of that nature.  
9 I've worked on saltwater disposal wells, saltwater  
10 disposal projects predominantly in the last five years  
11 extensively.

12 MR. MOELLENBERG: And we would offer, then,  
13 Mr. Kronkosky as an expert in petroleum and reservoir  
14 engineering, geology and hydrology.

15 EXAMINER JONES: Any objection?

16 MR. BROOKS: No objections.

17 EXAMINER JONES: Any objections, Ms. Moss?

18 MS. MOSS: No objections.

19 EXAMINER JONES: Mr. Newell?

20 MR. NEWELL: No objections.

21 Q. (BY MR. MOELLENBERG) So, Mr. Kronkosky, are you  
22 familiar with the C-108 application that OWL has filed  
23 in this case?

24 A. I am. I have reviewed it.

25 Q. Okay. And could you describe briefly, just so

1 we sort of start on a foundation here, what that  
2 application by OWL asks for?

3 A. That application asks for a disposal permit --  
4 a saltwater disposal permit for the Bobcat No. 1 SWD to  
5 inject into the Lower Yates and Seven Rivers Formation  
6 approximately within 100 or so feet of the existing  
7 Maralo Sholes B No. 2 well.

8 Q. And can you tell us your understanding of OWL's  
9 intentions with regard to the new well with regard to  
10 existing Maralo Sholes well?

11 A. My understanding is that this will be basically  
12 a replacement well to the existing well.

13 Q. And do you know why OWL wants to replace the  
14 existing well with the new well?

15 A. My understanding is the Commission has a  
16 finding that there is inadequate wellbore protection  
17 across the Santa Rosa and Chinle Reservoirs, freshwater  
18 reservoirs in the area, and that they would like that  
19 wellbore to be plugged and abandoned or remediated in  
20 some way.

21 Q. And I think you said "Commission." You perhaps  
22 meant Division there?

23 A. I'm sorry. The Division.

24 Q. Did you prepare a written report for this  
25 proceeding?

1           A.    I did.

2           Q.    And are you aware whether that's been filed  
3 with OWL's pre-hearing statement in this proceeding?

4           A.    I believe counsel has filed that with the  
5 Division.

6           Q.    Okay. And did you prepare that report, or  
7 could you describe how it was prepared and anybody else  
8 who contributed to it?

9           A.    That report was prepared solely by me.

10          Q.    Are you aware of any corrections or changes  
11 that you'd like to make to that written report?

12          A.    Maybe apart from some grammatical errors, I  
13 think it's fine technically.

14          Q.    Had you prepared any previous technical reports  
15 relating to the existing Maralo Sholes well?

16          A.    I believe I prepared two technical reports.  
17 One was a preliminary geological evaluation I prepared,  
18 I believe, sometime in October of last year, and another  
19 one that was prepared, I believe, in the very first part  
20 of this year, maybe in January.

21          Q.    Are there any -- as you can recall, any  
22 substantive or technical differences in those reports  
23 compared to the reports you've provided for this  
24 presentation or any different conclusions that you  
25 reached?

1           A.    I don't believe that there are any different  
2 conclusions between the previous two reports.

3           Q.    So is it fair to say the current report on file  
4 in this proceeding represents a full and complete  
5 discussion of your work at this site?

6           A.    It is. This report -- the current report is  
7 just a more current report to reflect the findings from,  
8 I believe, April-ish of this year.

9           Q.    In the course of your work and the preparation  
10 of your report, did you also review a report and  
11 recommendations prepared by Mr. Phillip Goetze?

12          A.    I did.

13          Q.    So we may want to refer to that somewhere in  
14 this discussion, but for now, you've considered and in  
15 your current report responded to do the work that  
16 Mr. Goetze discusses in his report of 2017.

17          A.    I believe our June 1st, 2017 report tries to  
18 address Mr. Goetze's comments as best as possible. I  
19 think we've addressed most, if not all of them.

20          Q.    So let's start talking, I guess, about some of  
21 the specifics of the proposed Bobcat SWD No. 1 well that  
22 OWL is asking to be permitted and is the subject of this  
23 examination. Could you describe and explain the  
24 formations or strata where the proposed new well is  
25 intended to inject fluids?

1           A.    The proposed well is intended to inject into  
2   the basal Yates and Upper Seven Rivers sands of the  
3   Artesia Group.

4           Q.    And how does that injection zone relate to the  
5   injection zone of the existing Maralo Sholes wells?

6           A.    We believe they will be at the exact same  
7   intervals.

8           Q.    So with your report --

9                   MR. MOELLENBERG:  And if there is anybody  
10   that doesn't have this to follow -- I think everyone has  
11   one now.

12          Q.    (BY MR. MOELLENBERG) You attached a number of  
13   exhibits to that report.  Do you have a copy of that  
14   there in front of you?

15          A.    I have a copy.

16          Q.    Okay.  So I would like you to, starting with  
17   what's labeled as -- and I'm going to refer to it as Tab  
18   A.

19                   MR. MOELLENBERG:  Just for the record, I  
20   think we've identified the -- Mr. Kronkosky's report as  
21   OWL Exhibit 1.

22          Q.    (BY MR. MOELLENBERG) And I'm going to refer to  
23   what's labeled as exhibits in that report just to avoid  
24   confusion as tabs.  So turning to Tab A of Exhibit 1,  
25   could you tell us what that represents?

1           A.     This is a nine-township area centered around  
2     the proposed well and existing well, the Maralo Shoals B  
3     No. 2.  What we're looking at here is a lithological  
4     interpretation of the Upper Seven Rivers reservoirs.  
5     Yellow would be predominantly sand reservoirs.  And  
6     there is a very light blue that is kind of hard to  
7     interpret, and that would be a combination of sand and  
8     shelf dolomites.  The darker blue -- and this is as you  
9     go to the left or to the west.  The darker blue would be  
10    dolomites -- shelf dolomites.  And as we continue  
11    further on, we get into -- closer to the Seven Rivers  
12    shelf margin, which becomes potentially limestones and  
13    dolomites.  And then as we get further out, it would be  
14    predominantly probably limestone in the Capitan Reef.

15           **Q.     And, Mr. Kronkosky, sorry to interrupt you.**  
16    **You are talking now about, are you not, the primarily**  
17    **the plan view map in the bottom?**

18           A.     I am talking about the plan view map.  And the  
19    well location is the red dot, and the boundary that you  
20    see in black is the township of Jal.

21           **Q.     And what's represented in the bottom left-hand**  
22    **side, the red line and the blue dot?**

23           A.     The red line is the Jal Basin, which is a  
24    Cenozoic water reef -- water reservoir that the City of  
25    Jal uses for its freshwater supply.  That's the

1 boundaries of that basin -- freshwater basin. The blue  
2 dot is, I believe, the area where they have their  
3 wellbores, and there is a black-dashed line depicting  
4 what I believe to be their pipeline to the city.

5 **Q. And could you talk a little bit about the two**  
6 **figures at the top of this Tab A labeled "Figure 6" and**  
7 **"Figure 7"?**

8 A. These figures are a cross section going across  
9 the Guadalupian Series, the Artesian and Capitan Reef.  
10 These cross sections are identified in a blue line going  
11 from the -- I guess it would be in the top left of the  
12 plan view map, and it's going from the southwest to  
13 northeast. This is a well-known geologic cross section  
14 that Harris and Saller did I believe in the late '90s,  
15 and those cross sections are identified above to give  
16 the interpretation of the carbonate build-ups that they  
17 prorated down into the basin during the Seven Rivers and  
18 Yates time.

19 **Q. And you mentioned one of the authors of these**  
20 **figures. Is that the same author for all the figures,**  
21 **or did you prepare some of these?**

22 A. These figures were taken directly from the --  
23 the two figures at the top of the two cross sections  
24 were taken from Harris and Saller. I think it's '99.

25 **Q. Okay. So could you briefly tell us the**

1 **importance of this exhibit with respect to this**  
2 **proceeding?**

3 A. These cross sections depict the vertical and  
4 lateral equivalence of the Seven Rivers sands as they  
5 come on and lap up against the Capitan Reef margin. We  
6 would like to point out that the far well in this cross  
7 section to the right, the Davidson Federal, has a very,  
8 very small amount of Capitan Reef, and that's identified  
9 in the gray zone in the cross section on the left.

10 We are injecting into the equivalent of  
11 where you see the Yates lines -- the line below the  
12 Yates, in that cross section. Additionally, the  
13 injection well, the Bobcat well, is probably two or  
14 three miles further to the east and further into the  
15 lagoonal facies of the Seven Rivers in the Federal  
16 Davidson well. So it's in a more back-water  
17 environment.

18 **Q. Is there anything else of importance that you'd**  
19 **like to point out regarding Tab A?**

20 A. Not that I can think of at this time.

21 **Q. Okay. So let's move to Tab B, and please**  
22 **describe what we're seeing here on Tab B.**

23 A. Again, this is the same cross section -- I  
24 mean -- sorry -- the same plan view. We've just taken  
25 the lithology off. And what this is representing -- and

1 it's a little bit hard, but in a larger map, you can see  
2 it. But the colored symbols that you see are Seven  
3 Rivers and Yates injection wells, and they've been  
4 identified. There are approximately 3- or 400  
5 Yates-Seven Rivers injection wells in this immediate  
6 nine-township area injecting into the Jalmat and -- I'll  
7 probably butcher the name -- Langlie Mattix Field.

8 The cross section at the top is identified  
9 on the map as the blue line kind of going north to  
10 south, and those are through known saltwater disposal  
11 wells.

12 EXAMINER JONES: Excuse me. Which -- the  
13 southern part of the cross section is equivalent to what  
14 part --

15 THE WITNESS: The one on the right. I'm  
16 sorry.

17 EXAMINER JONES: On the right.

18 THE WITNESS: On the right. So the one on  
19 the right is the southern well, and the one on the left  
20 is the northern well.

21 **Q. (BY MR. MOELLENBERG) And at the top of Tab A,**  
22 **it looks like there are some plots relating to, perhaps,**  
23 **some specific wells. Can you tell us about those and**  
24 **what they show?**

25 A. Those are the wells identified in the plan view

1 map as saltwater disposal wells. And we've hung this on  
2 a stratigraphic cross section I believe on the top of  
3 the Tansill. And the colored lines are the identified  
4 sandstone reservoirs, and the blues are dolomites --  
5 shelf dolomites. The pink squares that you see are the  
6 actual injection intervals for those saltwater disposal  
7 wells. And I believe the basal line that you see kind  
8 of going down -- the southern line going west to east  
9 identifies the top of the Seven Rivers. So these wells  
10 are predominantly injecting into the very, very top, if  
11 not the base of the Yates.

12 **Q. So these are a series of wells that are shown**  
13 **on this blue line on the plan view, but I think you**  
14 **mentioned maybe -- did you say 3- or 400 injection**  
15 **wells?**

16 A. There are an additional -- on this map, it's a  
17 little difficult to see, but the producing wells are in  
18 gray that have produced in the Jalmat Langlie Mattix  
19 Field, and the darker-colored wells are the injection  
20 wells. And so you might be able to see a little bit --  
21 to the north side of Jal, City of Jal, there is a large  
22 waterflood that's producing, and it's injecting into the  
23 Yates and Seven Rivers.

24 **Q. So this large number of wells, is that a**  
25 **combination of waterflood wells and saltwater injection**

1 wells, or could you describe what -- what the various  
2 wells, to your knowledge, are doing?

3 A. Probably the predominance of those wells are  
4 waterflood wells, but there are a number of saltwater  
5 disposal wells.

6 Q. Okay. And the Examiners are obviously familiar  
7 with waterfloods and what those are, but could you talk  
8 a little bit about that for the record?

9 A. So these fields have been producing since the  
10 late 1920s. And by the early 1950s, the Yates' and  
11 Seven Rivers' primary production had been depleted, and  
12 starting in about the '60s, several large operators and  
13 small operators started installing water injection  
14 wells, saltwater disposal wells and waterflood injection  
15 wells to perform secondary recovery for the residual  
16 hydrocarbons that were not being produced through  
17 primary production.

18 Q. Are waterflood projects still going on, or can  
19 you tell us a little bit about that?

20 A. Yes. Waterflood projects are still active in  
21 the area.

22 Q. And do you have some idea of what kind of  
23 volumes might be injected for those waterflood projects?

24 A. Offhand, I don't, but the water volumes are  
25 significant. I don't have a physical number for you.

1           Q.    Okay.  Is there anything else that you would  
2   like to point out to the Hearing Examiner about Exhibit  
3   B?

4           A.    Not at this time.

5           Q.    Okay.  Or I'm sorry.  Tab B.

6                         Let's move to Tab C, and I'll ask you again  
7   to describe what we're seeing there.

8           A.    So this is a structure map on the top of the  
9   Yates that was prepared back in the -- oh, I believe in  
10   the mid-1950s, and this shows producing wells in the  
11   Jalmat Pool.  This map came from the Roswell Geological  
12   Society.  They've published a series of field study  
13   books, oh, since the 1950s all the way until to the  
14   1990s.  This is a scanned copy of that.

15                         The yellow area is what we've kind of  
16   identified as the project area around the injection  
17   well, which is identified in the blue dot, the Bobcat  
18   well.  This is a structural feature that produced a  
19   significant quantity of hydrocarbons.  And the  
20   production of that project area is identified above in  
21   the rate-time plot.  I believe a more detailed example  
22   of that plot is in Tab F.

23                         And what we've also identified is the  
24   approximate regional oil-water contacts and gas-oil  
25   contacts in the Yates and Seven Rivers, and those are

1 identified with an oil-water contact line of green in  
2 the Yates, an oil-water contact in the dashed green line  
3 in the Seven Rivers -- top of the Seven Rivers and a  
4 regional gas-oil contact at the top of the Seven Rivers  
5 in red.

6 **Q. So there are a couple of other features here.**  
7 **In the lower left, there is -- at the top, it says "Type**  
8 **Radioactivity Log." Can you tell us what that**  
9 **represents and what the source of that information is?**

10 A. That's a type well identified for the Jalmat  
11 Pool, and the blue-hatched box that you see is the  
12 proposed interval. And what you may notice is that the  
13 Jalmat Pool actually encompasses sands and dolomites  
14 lower than the proposed interval.

15 **Q. And let me jump up to the top. There is**  
16 **another figure there which says "Bobcat SWD No. 1" at**  
17 **the top. What does that represent?**

18 A. That is the -- that is our analysis of the  
19 production data from the 1970s to the current date in  
20 the project area, in the yellow-hatched area. And there  
21 is a more detailed example of that in Tab F.

22 **Q. Okay. Is it better to talk about that in Tab F**  
23 **then?**

24 A. Yes, sir.

25 **Q. Okay.**

1 MR. MOELLENBERG: Let me -- just for the  
2 Hearing Examiners, I know these are pretty small. If  
3 there are any of these that you'd like us to reproduce  
4 in a little larger format and make them a little easier  
5 to read, please let me know and we'll be happy to try to  
6 do that.

7 EXAMINER JONES: You know, we probably  
8 would need that for our records, if nothing else.

9 MR. MOELLENBERG: Okay. Very good.

10 Q. (BY MR. MOELLENBERG) Mr. Kronkosky, that's  
11 something we can maybe do here at a break or perhaps do  
12 it after the hearing.

13 EXAMINER JONES: Or even -- you know, you  
14 don't have to do it today. You don't have to do it  
15 today.

16 THE WITNESS: I can get you that sometime  
17 this week, if that's okay.

18 EXAMINER JONES: That's okay. Sounds good.

19 Q. (BY MR. MOELLENBERG) Okay. So let's move to  
20 Tab D, and I'll ask you, again, to discuss what this  
21 exhibit represents.

22 A. This is a structural cross section going west  
23 to east, but basically across the middle part of -- I  
24 believe it's Section 25, the section that the proposed  
25 well is in. It starts in, basically, the middle part of

1 Section 26 and goes into Section 30 of the township  
2 adjacent to the permitted well.

3 EXAMINER JONES: Are you on D?

4 MR. MOELLENBERG: We're on D, yes.

5 Q. (BY MR. MOELLENBERG) So you were describing the  
6 larger figure at the top?

7 A. No. That's the -- that's the -- yeah. The  
8 figure at the top is describing location only. The  
9 figure at the top is the structural cross section  
10 depicting the Yates and Seven Rivers in the wellbores in  
11 those three sections, and it also shows the approximate  
12 oil-water contact and gas-oil contact in those zones.

13 Q. So would you -- and tell me if this is the  
14 right exhibit or if there is a better one. So on this  
15 exhibit, could you talk in a little more detail about  
16 the injection zone of the proposed new well and how it  
17 relates to these various formations?

18 A. The existing well, the Maralo Sholes B No. 2,  
19 is the fourth well from the -- from the left, and the  
20 existing interval is injecting right at the top of the  
21 green area. It's proximal to the gas-oil contact but in  
22 the oil-water portion of the reservoir. The offset well  
23 would be very, very similar to that wellbore.

24 Q. And is -- are -- are we looking at that little  
25 red area or something different?

1           A.     The dark red area, which you most likely see,  
2     is the actual production from the Yates that this  
3     wellbore did.  The area that we're injecting into is  
4     actually a very faint red area actually below the bottom  
5     of that well log.  So the well log actually did not  
6     cover the Seven Rivers because this is an open-hole  
7     condition.

8           **Q.     And did you talk about the two figures on the**  
9     **bottom of this page, or do we need to cover those?**

10          A.     We can talk about them.  The lower figure, the  
11     plan view map, the blue -- sorry, not the blue.  The  
12     green circles depict the oil production that has been  
13     produced out of these wellbores in this area, and the  
14     red is the gas production that has been produced.

15                     To give a sense of scale, the well that is  
16     in the very middle portion where you see the A to A  
17     prime -- there is a large green circle there?  That well  
18     produced approximately 750,000 barrels of oil.  And to  
19     give you a sense of the gas produced out of some of  
20     these wells, the larger blue circles produced upwards of  
21     ten bcf of gas.

22                     And what the Examiners should note is that  
23     there is a strong gas-oil contact that can be observed  
24     from this production.  So this is Yates and Seven Rivers  
25     production.  And you can see at approximately the

1 western boundary of Section 25, that is approximately  
2 the gas-oil contact for the Yates and Seven Rivers.

3 **Q. And I may be getting -- asking you to repeat**  
4 **yourself a little bit, but, again, how does that oil-gas**  
5 **contact relate to the proposed injection zone?**

6 A. The proposed injection zone will be slightly  
7 below the gas-oil contact.

8 **Q. Okay. Is there anything else that you'd like**  
9 **to point out about Tab D?**

10 A. Just on the figure to the right, that is a  
11 structural map of the Yates, top of the Yates, and what  
12 we can see is that there is a pronounced structural  
13 feature. It's an anticlinal feature that encompasses  
14 Section 25 that is responsible for the large amount of  
15 hydrocarbons that were produced in that section.

16 **Q. So I would ask you now to turn to Tab E, and it**  
17 **looks similar to Tab D. But can you tell us what's**  
18 **going on in Tab E?**

19 A. Again, this is a stratigraphic cross section  
20 hung on the top of the Tansill, and what we're showing  
21 here is -- and it's a little difficult. But there is a  
22 B to B prime cross section that goes from the north to  
23 the south through a series of injection wells, and these  
24 are injection wells that are injecting into the Yates --  
25 basal Yates and top of Seven Rivers. In the cross

1 section itself, there is a dark blue line. That is the  
2 top of the Yates -- top of Seven Rivers. And the pink  
3 squares that you see are the injection zones for these  
4 wells. So you can see that they're injecting into the  
5 top of the Seven Rivers Formation. And it's  
6 approximately on strike with the permitted zone.

7 **Q. Does that conclude your description regarding**  
8 **Tab E?**

9 A. It does.

10 **Q. And would you now move to Tab F? I think we**  
11 **may have seen a smaller version of this in one of the**  
12 **other maps, but tell us what this figure represents.**

13 A. So this is a rate-time plot of the production  
14 in that yellow area that you saw on -- I believe it was  
15 Tab -- Tab C. We've aggregated the production data.  
16 Digital production data that we've been able to find  
17 only exists through 1970. Production has --  
18 hydrocarbons have been produced in this area since the  
19 late 1920s. And we've got historical cumulative numbers  
20 prior to 1970, and we've summarized those at the top in  
21 the worded text.

22 So prior to 1970, approximately 8 million  
23 barrels have been produced out of this project area,  
24 along with 40 billion cubic feet of gas and  
25 approximately 14 million barrels of water.

1           After 1970, approximately 2 million barrels  
2     were produced and 70 mcf of gas, which gives us -- I  
3     guess another thing to point out is that current  
4     production in this area is pretty much subcommercial.  
5     There are very few barrels a day being produced out of  
6     this wellbore, and that's identified basically since the  
7     mid-1990s. There's been very limited oil and gas  
8     produced out here. Most wells out here produce  
9     something less than half a barrel a day and maybe 5 or  
10    10 mcf of gas a day.

11           **Q.    So, Mr. Kronkosky, is this some of the**  
12    **information you used to evaluate the reservoir**  
13    **characteristics and geology in the area?**

14           A.    It is.

15           **Q.    Anything else generally that you'd like to say**  
16    **you used -- you used this information for?**

17           A.    This information was used to study what type of  
18    reservoir was producing out here. It's a solution gas  
19    drive reservoir. As I said, it's been producing for a  
20    very, very long time, since the late 1920s, and it was  
21    depleted by about the 1950s.

22           **Q.    What is the relationship between the production**  
23    **history that you've talked about, and why is it**  
24    **important for this application and for the Hearing**  
25    **Examiners to consider?**

1           A.    I believe Mr. Goetze had made a comment about  
2   correlative rights impacts on an offset wellbore.  And  
3   what we've studied is we've studied the offset  
4   production to see if the existing wellbore had  
5   potentially impacted the production in this immediate  
6   area, and we observed no impact to production.  The gas  
7   has been on steady decline since, it looks like, the  
8   early 2000s.  That trend has not changed.  The oil  
9   production has not changed as well.  There is a  
10   substantial amount of void space in this reservoir  
11   caused by the gas reservoir being depleted.  The  
12   existing wellbore is basically just filling up that  
13   void.

14           **Q.    Aside from what you've already talked about, is**  
15   **there anything else you'd like to point out to the**  
16   **Hearing Examiners regarding the geology and reservoir**  
17   **characteristics and such of the project area?**

18           A.    Not that I can think of at this time.

19                    The only thing I would point out on this  
20   plot is we have taken water production data that goes  
21   back into the 1970s, along with injection -- injection  
22   history.  There are several injection wells that have  
23   been injecting since the late 1960s in this area.  The  
24   injection is identified in the very dark blue line.  The  
25   water production is identified in the dashed -- light

1 dashed blue line.

2                   And what's interesting to note is that the  
3 injection and water production is almost exactly the  
4 same, which leads me to believe that there was no  
5 waterflood taking place, as makeup water would have to  
6 have been injected into this reservoir to replace the  
7 approximate 10 million barrels of hydrocarbons and 90  
8 bcf of gas that had been produced. So the water was  
9 just cycled. So as soon as they produced the water,  
10 they injected it.

11                   Southwest Royalties, if you'll note, in the  
12 mid-1990s, that big jump in water production and  
13 injection, they instituted either a pressure maintenance  
14 or some kind of waterflood and installed some  
15 submersible pumps into some offset wellbores. And they  
16 didn't have -- they had limited success. You can see  
17 that the oil jumped up and the gas jumped up, but there  
18 was not enough reservoir pressure to substantiate a  
19 waterflood.

20           **Q. So you mentioned reservoir pressure. How does**  
21 **the reservoir pressure change over the history of -- you**  
22 **talked about?**

23           A. So initially the reservoir pressure in the  
24 1920s was approximately 1,400 psi, which is very close  
25 to the gas saturation pressure -- oil-gas saturation

1 pressure of the oil that was produced out here. And so  
2 initially there was a large gas cap that was out here  
3 that, over time, as they produced the oil, the gas  
4 evolved from the oil into the gas cap and provided  
5 pressure support, which led to these wells being highly  
6 productive. In the late 1940s, mid-1950s, operators  
7 blew down that gas cap, which caused the reservoir  
8 pressure to substantially decrease so that by the late  
9 1950s, the bottom-hole pressure in the Yates and Seven  
10 Rivers in the permitted interval was down to only 1- or  
11 200 psi. So it was extremely depleted.

12 **Q. And why is that important with respect to OWL's**  
13 **application?**

14 A. It's important because it explains the reason  
15 why these wells inject at particularly high volumes.  
16 The reservoirs themselves are highly permeable, and  
17 they're extremely depleted, which causes the fluid to  
18 enter the pore space very rapidly.

19 **Q. You may have already covered this when we were**  
20 **talking about the exhibits, but -- and if you think**  
21 **you've covered it adequately, we can move on. But could**  
22 **you talk a little bit about the type of reservoir that**  
23 **was there in the Jalmat Field?**

24 A. The type of reservoir is -- it's basically --  
25 the productive interval is in the Yates and Seven Rivers

1 sands. They produce predominantly from the clean sands  
2 that are in those reservoirs. The carbonates in this  
3 area are tight. They have -- the dolomites themselves  
4 are predominantly anhydrite-filled, and so they are  
5 almost practically impermeable. And so most of the  
6 hydrocarbons and water are going into those reservoirs.

7 **Q. And, again, why is that important to this**  
8 **application?**

9 A. It shows that the fluids are entering into  
10 zones that are in, basically, isolation. The fluids are  
11 not migrating vertically. They're moving in a  
12 horizontal component.

13 **Q. Did you look at the history of produced water**  
14 **production from the field in the project area?**

15 A. I did.

16 **Q. And what did you find out about the produced**  
17 **water production?**

18 A. So the produced water out here -- initially,  
19 these wells did not produce water, which is to be  
20 expected because they're so high on the structure.  
21 They're 3- or 400 feet above the regional water contact,  
22 and so the water itself is near residual saturation.

23 As they produced the field and  
24 predominantly blew down the gas, the reservoir depleted  
25 rapidly, and there was some very minor water

1 encroachment from the oil-water contact into some of the  
2 wells on the extreme western edge. That produced water  
3 was then reinjected into the saltwater disposal wells  
4 that were permitted in the late 1960s. And it was  
5 predominantly just water recycling. As they produced  
6 water from the downdip wells, they reinjected it. There  
7 was no real waterflood taking place.

8 **Q. So what would that tell you about water that**  
9 **has been present and water that might be currently**  
10 **present within the reservoir of the project area?**

11 A. It tells me that there was really no producible  
12 water in the project area initially in the permitted  
13 interval, and any water that is being produced or that  
14 was produced was from slightly downdip. And it's just  
15 due to natural compressibility. It's just the -- as the  
16 relaxation and pressure happened further to the east,  
17 the water expanded just due to compressibility and just  
18 encroached into some oil downdip and -- water near the  
19 oil-water contact.

20 **Q. Did you do a calculation of the reservoir pore**  
21 **space that was occupied by the oil and gas in the**  
22 **produced area?**

23 A. I believe I did. And I think it's identified  
24 on page 4 of the report.

25 **Q. Could you talk a little bit about those**

1     **calculations and the reasons you used to get there and**  
2     **what your result was?**

3           A.     We took the aggregate production that had been  
4     produced in the project area, and then we looked at the  
5     reservoir fluid properties that had been reported for  
6     this field through filings at the Division in their  
7     annual filings and came up with a formation -- gas  
8     formation factor that's identified as BG of .00174.  
9     That was then used to figure out how much pore space the  
10    gas that was produced in this area occupied originally,  
11    which was 74 million barrels of pore space --  
12    hydrocarbon pore space.

13                   The estimated pore space of the oil was,  
14    again, estimated from the oil formation volume factor  
15    that had been reported for the field, and that is  
16    estimated to be roughly 11.9 million barrels of pore  
17    space at reservoir conditions.

18           **Q.     And how do your calculations that we just**  
19    **talked about relate to the proposed injection of fluids**  
20    **into the zones as OWL has proposed?**

21           A.     Maybe can you rephrase that just a little bit?  
22    I think I kind of know where you're going with it.

23           **Q.     Well, tell us why your pore space calculations**  
24    **are important as it relates to this application?**

25           A.     This pore-space calculation gives an example of

1 the amount of makeup water that would be required in the  
2 project area to establish a waterflood. So the gas that  
3 was originally there would have -- would have to be  
4 compressed into a single-phase system before a  
5 waterflood would work, and that's the reason why a  
6 waterflood has never been effective in this area, is  
7 because the pore space was blown down; the gas was  
8 removed. And so that pore space would have to be filled  
9 in with some kind of makeup fluid, whether it be gas or  
10 water or what have you. And it would be roughly 85- to  
11 90 million barrels of fluid that would have to be  
12 reinjected in the immediate project area to establish  
13 some kind of waterflood.

14 **Q. Does the information that you just talked about**  
15 **regarding -- and I would say both previous efforts for**  
16 **waterflood and your calculation, how would that relate**  
17 **to the issue of impacts on correlative rights with**  
18 **respect to the proposed injection?**

19 A. I don't believe that -- you know, given the  
20 amount of void space that currently exists in the  
21 reservoir, there are no correlative rights impacts to  
22 adjacent owners. There would have to be a substantial  
23 amount of fluid injected into this reservoir before any  
24 kind of hydrocarbon response would be -- would take  
25 place. And if the hydrocarbon response were to take

1 place, I believe it would be beneficial to all owners in  
2 the immediate area.

3 Q. So let me -- let's go ahead and do these in  
4 order. Would you turn to Tab G now of your report? And  
5 it looks like there is a Chart A and Chart B there, and  
6 tell us what -- what these figures represent.

7 A. These are figures that were prepared by Mr. Ben  
8 Stone that looked at the water production from 2009  
9 until March of this year. And it was created to address  
10 Mr. Goetze's concern raised about correlative rights  
11 impacts to the -- I believe the Maralo Sholes B -- B  
12 No. 1 -- I'm sorry -- B 25 No. 1. Mr. Goetz had made a  
13 comment that this particular well had made a substantial  
14 spike in water production. And you can see that in  
15 September of 2015 -- September of 2015, the blue line  
16 spikes to approximately 10,000. And that's in Chart A.

17 And then I believe in Chart B, Mr. Stone is  
18 making comments about reporting errors. We have since  
19 reviewed the production filing for that particular well,  
20 and those spikes have been amended by the operator.  
21 They are no longer present. They must have been a  
22 reporting error.

23 Q. So the information in these charts, is it  
24 correct to say that they show both the original water --  
25 produced water generated from these wells and then the

1 **corrected figures?**

2 A. I don't believe that these show the corrected  
3 figures. I believe the corrected figures are on the  
4 Division's Web site. I think what Mr. Stone was trying  
5 to address here was that they were reporting errors at  
6 the time. The amended filings, I believe, have just  
7 been filed.

8 **Q. Is there anything else that would be important**  
9 **to talk about or that's presented in your report on**  
10 **historic injection into the reservoir within the project**  
11 **area?**

12 A. I guess can you rephrase that a little bit  
13 better?

14 **Q. Yeah. Let me just do this a little bit**  
15 **differently. Let me have you turn to Tab H and tell us**  
16 **what that represents.**

17 A. Again, this is the Yates structure map that was  
18 prepared in the mid-1950s as a field study for the  
19 Jalmat Field at the Roswell Geological Society. And  
20 what we've identified here is a number of approved  
21 saltwater disposal wells that have been injecting from  
22 the mid to late 1960s. Those are identified with the  
23 blue dots and their associated filings and dates in the  
24 yellow with the black letters to them. The proposed  
25 well is identified in the red dot, along with its

1 proposed injection interval on the top well, identified  
2 in red.

3 Q. And, Mr. Kronkosky, we're talking about the  
4 single red dot toward the bottom of that figure --

5 A. That is correct.

6 Q. -- as opposed to the red ones above?

7 A. The pinkish-colored ones to the top are the  
8 Skelly Jal water supply that was Capitan water supply  
9 field that was used for industrial purposes to supply  
10 makeup water to oil and gas fields in the Jalmat Langlie  
11 Field, along with fields further on into the Central  
12 Basin Platform into Texas. Significant volumes of water  
13 were produced out of those, those wellbores starting in  
14 the 19- -- I believe 1960s.

15 Q. And are those -- is that field still producing  
16 water?

17 A. To my knowledge, it was formally and officially  
18 plugged out in, I want to say, the mid-2000s by Chevron,  
19 so I don't believe it's producing water anymore.

20 The green dot to the south is a -- is a  
21 Capitan water supply well for EOG, and it's identified  
22 in green. I don't know if it's producing, but I believe  
23 that they're using that as a --

24 EXAMINER JONES: Can you point that out?

25 THE WITNESS: It's on the north-south

1 compass roads (indicating), right in the middle part.

2 EXAMINER JONES: Thank you.

3 THE WITNESS: It offsets the Jal Southwest  
4 Capitan Reef observation well by the USGS. I believe  
5 it's approximately one mile to the west, and I believe  
6 it was just approved in the latter half of 2015. And I  
7 believe it's to be utilized for makeup water for their  
8 frac jobs going on in the Red Hills area in southeastern  
9 New Mexico.

10 Q. Did you take a look at the -- at the reported  
11 water quality for the waters in the systems that you  
12 were just talking about?

13 A. I did.

14 Q. And is that presented in your report?

15 A. It is. It's presented in my report. The water  
16 quality for the Skelly Jal water supply, the pink wells,  
17 is identified in Tab M and in Tab N, and the water  
18 quality for the EOG Capitan water supply is identified  
19 in Tab O.

20 Q. Could you give us just a quick summary of that  
21 water-quality information?

22 A. The water quality in the Capitan in those water  
23 supply wells is -- exceeds the drinking water standards.  
24 The total dissolved solids in the Skelly water supply  
25 are identified at 22,624. Additionally, the water

1 produces a significant quantity of hydrogen sulfite gas  
2 approaching the lethal threshold.

3 In Tab N, we've also identified the  
4 particular wellbores. And these are from filings with  
5 the Division, and we've identified items that the  
6 Division should take into consideration, namely that the  
7 operators identified this as basically black, salty,  
8 heavy oil-cut water. They've identified that they've  
9 corrosion problems with this water, and those are  
10 identified in the wellbore schematics. The submersible  
11 pumps that they installed into these wells had to be  
12 replaced quite regularly, almost on the order of every  
13 six months just due to corrosion.

14 Additionally, the operators made comments  
15 that they produced hydrocarbon gas with these -- out of  
16 the water, which led them to either dispose of that gas,  
17 or they had to figure out a way to sell the gas, as they  
18 did not own the rights to the gas.

19 **Q. And, again, we're talking about the Skelly Jal**  
20 **Water System?**

21 A. That is the Skelly Jal. So Tabs M and N relate  
22 to the Skelly Jal water supply, in pink.

23 **Q. And just to -- I'm sorry. Just to clarify,**  
24 **this system was never used as a municipal water supply?**

25 A. To the best of my knowledge, it was never

1 utilized as a drinking water source.

2 Q. Sounds like that would not have been a very  
3 good idea.

4 A. I don't believe it would.

5 Q. Is there anything else that we should cover  
6 regarding Tab H of your report?

7 A. I would just like to point out that Exhibit O  
8 is the EOG's letter that they received from the State  
9 Engineer's Office relating to the water quality from  
10 that wellbore. And, specifically, this is, to the best  
11 of my knowledge, the most recent water-quality analysis  
12 that's been done in the Capitan, in the immediate area,  
13 and the State Engineer's Office has agreed that the  
14 water quality has total dissolved solids in excess of  
15 10,000 and made the comment that it's 13,298. And  
16 they've reviewed this water-quality report.

17 MR. MOELLENBERG: Mr. Hearing Officer, are  
18 we doing all right, or should we --

19 EXAMINER JONES: You're doing good.

20 MR. MOELLENBERG: Do you want to wait until  
21 lunch to take a break? I wanted to make sure  
22 everybody's doing all right.

23 EXAMINER JONES: Is everybody okay?

24 MR. BROOKS: Yes, sir.

25 MS. MOSS: When are you planning to take

1 lunch?

2 EXAMINER JONES: Well, I should have asked  
3 you originally, but 12:00, or a good break time between  
4 witnesses is what we usually kind of shoot at.

5 EXAMINER WADE: How much longer on this  
6 witness?

7 MR. MOELLENBERG: I would say we'll  
8 probably get fairly close to 12:00 with the direct.

9 EXAMINER JONES: If you're going to get  
10 close to 12:00 with him, we can take a five-minute break  
11 right now and then finish him up and go to lunch.

12 MR. MOELLENBERG: Okay.

13 (Recess, 11:12 a.m. to 11:24 a.m.)

14 EXAMINER JONES: (Indicating.)

15 MR. MOELLENBERG: Thank you, Mr. Hearing  
16 Examiner.

17 Q. (BY MR. MOELLENBERG) Mr. Kronkosky, we've been  
18 covering a lot of pretty technical stuff here. As we  
19 start our discussion, I thought maybe I would take a  
20 little bit of a step back and just have you kind of give  
21 a general description to your approach in terms of  
22 researching relevant information of the site and  
23 evaluating it and putting your report together.

24 A. So my approach to tackling any kind of, you  
25 know, technical project, especially in areas that I may

1 have not worked extensively, I always start with a very  
2 detailed literature review, try to spend a significant  
3 portion of time finding literature, geologic literature,  
4 reservoir literature, all of the societies, the APG,  
5 Society of Petroleum Engineers, things that are on the  
6 Internet, along with going to public libraries. I have  
7 access to the Texas Tech University Library to do a lot  
8 of detailed literature review.

9           We've tried to pull all of the available  
10 literature that we could find in this area on the  
11 Capitan Reef, on Seven Rivers, Yates. We've pulled the  
12 literature that Mr. Goetze has identified in his  
13 reports. We've reviewed it. We then assemble as much  
14 publicly available information as we possibly can get  
15 our hands on through online data vendors, drilling info,  
16 IHS, state filings with the Division. We try to do an  
17 exhaustive effort in all of our projects.

18           **Q. Thank you.**

19                       **So let's jump back into the nitty-gritty**  
20 **details again. Let's talk a little bit about your**  
21 **evaluation and calculations concerning the projected**  
22 **radius of influence of the proposed injection. Could**  
23 **you maybe turn to and identify where that's discussed in**  
24 **your report?**

25           A. That is identified in Tab K, and it's

1 identified for the existing wellbore for the Maralo  
2 Sholes B No. 2. We performed a pressure transient  
3 uncertainty analysis for that wellbore I believe in our  
4 January filing, the final report for that particular  
5 well -- for the existing wellbore. And this does some  
6 Monte Carlo simulation regarding various reservoir  
7 parameters, permeability, reservoir thickness, porosity  
8 and things of that nature. It was all done through a  
9 programming language called R to do our statistical  
10 analysis. And it uses well-known pressure transient  
11 calculations, the Matthews and Russell 1967 calculation,  
12 and that's identified through that equation right there  
13 to calculate the pressure at radius and various times.

14 We've simulated the various reservoir  
15 parameters, and those are identified in histograms on  
16 page 2.

17 MR. BROOKS: Excuse me. Is this in your  
18 report, or what tab?

19 THE WITNESS: It's Tab K.

20 **Q. (BY MR. MOELLENBERG) And is there a**  
21 **corresponding text that goes along with this, too?**

22 A. I believe I may have addressed it in the text  
23 as far as maybe radial influences and things of that  
24 nature, but this is more of a detailed analysis that  
25 kind of stands on its own, that can be read through and

1 figured out how we came up with our analysis. And  
2 Mr. Goetze's comments in his March report address this.

3 EXAMINER JONES: We need to admit, at some  
4 point, Mr. Goetze's March report as maybe an additional  
5 exhibit.

6 MR. BROOKS: It's one of our exhibits.

7 MR. MOELLENBERG: I was going to say, we  
8 could do it now, but if it's one of your exhibits,  
9 unless I need to refer to it --

10 MR. BROOKS: Well, it's the Examiner's  
11 pleasure.

12 MR. MOELLENBERG: Right.

13 EXAMINER JONES: As long as it's somewhere  
14 in the evidence.

15 MR. MOELLENBERG: Right.

16 EXAMINER JONES: And if you refer to it --  
17 if it's theirs, if you refer to it as Exhibit K of the  
18 Division's --

19 EXAMINER WADE: Is it currently an OCD  
20 record? Is it correspondence?

21 MR. MOELLENBERG: It is. I believe it's in  
22 the file on SWD-1127.

23 MR. BROOKS: I don't know where it is.

24 MR. GOETZE: May I?

25 EXAMINER JONES: (Indicating.)

1 MR. GOETZE: It's both in the well file  
2 and, in particular, an SWD order, so it is available  
3 publicly.

4 MR. BROOKS: There are also -- there is an  
5 issue with our exhibit, though, because our exhibit --  
6 there are figures attached to the original document,  
7 which I have, but they're not in the exhibit book  
8 attached to that report.

9 MR. MOELLENBERG: Okay. So I'll tell you  
10 what, it may be duplication, but if we talk about it  
11 specifically, I'll introduce it and --

12 EXAMINER JONES: Thank you. That sounds  
13 good.

14 Q. (BY MR. MOELLENBERG) So let me have you talk a  
15 little bit about -- I think we were talking about Tab K  
16 and the --

17 A. Radius of influence.

18 Q. -- and the radius of influence. I was getting  
19 to that part of it.

20 I'll tell you what, why don't you walk us  
21 through Exhibit K? And I think that gets to the radius  
22 of influence calculations; is that right?

23 A. Sure. It does.

24 Q. Okay. And if you've already covered part of  
25 it, you don't need to repeat it. But let's just walk

1 **through it?**

2 A. So on page 2 are the histograms of the  
3 simulated parameters, permeability, formation thickness,  
4 porosity and total compressibility of the formation.  
5 Those parameters were then utilized in the Matthews and  
6 Russell calculations to calculate pressures at various  
7 radial extents with time.

8 In the bottom half of page 2, we do a  
9 calculation on the near wellbore reservoir pressure  
10 estimates at the time when the Maralo Sholes B No. 2's  
11 injection survey took place, I believe in the early part  
12 of December. And the near wellbore pressure during that  
13 survey -- when this survey took place was approximately  
14 1,000 psi.

15 On page 3, we do a series of calculations  
16 to calculate the reservoir pressure caused by  
17 injection -- the historical injection on that existing  
18 wellbore at the half-mile area of review boundary, and  
19 then we have a median pressure increase of approximately  
20 300 psi.

21 Now, remember, the reservoir pressure in  
22 this reservoir at the time this well started injection  
23 was extremely low. It was on the order of 1- or 200  
24 psi, maybe even less.

25 **Q. So these calculations, if I understand them,**

1     **are based on the existing Maralo Sholes?**

2           A.     They are.  They are the existing, and they  
3     relate to the proposed well, as the parameters would be  
4     the same.  So it would be -- the five-year estimate that  
5     we do in this, I believe, would be a similar  
6     calculation.

7           **Q.     Can you identify any potential differences in**  
8     **how you would do the calculation for the new well versus**  
9     **the existing well?**

10          A.     I don't believe that I could -- I would  
11     calculate the area of influence the exact same way for  
12     this particular permitted well.

13          **Q.     And did you use some specific information for**  
14     **the existing Maralo Sholes well to do this calculation?**

15          A.     We did a detailed literature review.  And in  
16     that detailed literature review, we observed in Hiss'  
17     1975 dissertation that a Seven Rivers well located  
18     approximately a half a mile from this particular well  
19     had a core analysis permeability of 350 millidarcies.  
20     And based upon the injectivity of the existing wellbore  
21     and the observed pressures, we believe that the existing  
22     permeability in the reservoir is easily 350  
23     millidarcies, if not in excess.

24          **Q.     So have we covered everything we need to up to**  
25     **page 4 of Tab K?**

1           A.    I believe.

2           **Q.    Okay.  So tell us what we're seeing on page 5,**  
3 **at Tab K, with the big blue dot.**

4           A.    The big blue dot is a simulated perturbed area  
5 of the injected fluid as of 12/2016.  The small pink  
6 circle that you see is the half-mile area of review, and  
7 the larger pink circle is the two-mile radius that is  
8 centered on the existing well.  And as you can see, the  
9 color feathers as it radiates away from the well.  That  
10 takes into account the uncertainty of where that fluid  
11 may exist.

12          **Q.    And, again, this would represent, if I'm**  
13 **understanding it right, the history of injection into**  
14 **the Maralo Sholes well up to this December time period?**

15          A.    It takes into account the injection that took  
16 place from 2008 until the end of 2016.

17          **Q.    Is there anything else we need to talk about on**  
18 **page 6 of Tab K?**

19          A.    I believe that this is just an estimate of the  
20 reservoir pressures at various radial boundaries five  
21 years out into the future if the discussion of injection  
22 took place.  So five years from the end of 2016, if the  
23 Maralo Sholes had been shut in, we would anticipate that  
24 the reservoir pressure approximately one mile from the  
25 wellbore would have been increased by 62 psi.

1           **Q.    So if we've covered everything up to there,**  
2           **let's turn to page 7, and tell us now what's the**  
3           **difference we're seeing here.**

4           A.    Page 7 is the area of influence, again taking  
5           into account uncertainty, five years into the future of  
6           the Maralo Sholes well and assuming that injection  
7           stayed constant at, I believe, 18,400 barrels a day,  
8           which I believe at that time was the average injection  
9           of OWL in, say, 2016.  So that's a forward project.

10          **Q.    And, again, how would this relate then to a**  
11          **projection of the radius of influence as it relates to**  
12          **the Bobcat well if it's permitted?**

13          A.    I believe that the Bobcat well would have a  
14          similar radius-of-influence calculation.  Again, we  
15          would utilize the similar technical analysis to  
16          determine that as well.

17          **Q.    Okay.  Is there any other comments you'd like**  
18          **to make with respect to Exhibit K -- or Tab K?**

19          A.    Just that this was regarding the existing  
20          wellbore.  I believe Mr. Blandford will provide a more  
21          detailed analysis regarding the permitted well.  And I  
22          believe that Mr. Blandford has utilized a -- we've  
23          consulted back and forth about the utilization of  
24          reservoir properties and parameters, so we've come to an  
25          agreement as to their values.

1           **Q.**    So what we've just been talking about with  
2   **Exhibit K is largely a horizontal? Looks like the maps**  
3   **are, in the plan view, largely a horizontal radius of**  
4   **influence. What -- what do you know about potential**  
5   **vertical migration of the injected fluids in the**  
6   **existing well and then the new well?**

7           **A.**    OWL ran a series of -- they ran two production  
8   logs in the existing wellbore, I believe, in the early  
9   part of October of 2016 and in the early part of  
10   December of 2016. And those production logs looked at  
11   where the injected fluids were being injected into, the  
12   injected interval. And we've reviewed those injection  
13   profile surveys, and we observed that 100 percent of the  
14   fluid is entering -- or is exiting the wellbore in the  
15   approved permitted interval.

16           **Q.**    And is there anything to add in that regard  
17   **with respect to the new well?**

18           **A.**    We believe that the injection surveys that were  
19   performed on the existing wellbore would be very, very  
20   similar. We would observe that all of the fluid would  
21   be entering the approved permitted interval just given  
22   the fact that the reservoir is at a very low pressure  
23   compared to the reservoirs below them. And so the  
24   preferential flow is into the low perm- -- high  
25   permeability to the low pressure sandstone reservoirs.

1 Q. So just to clarify, then, the information in  
2 Exhibit K, particularly the future projections of the  
3 radius of influence would be applicable, in your view,  
4 to the proposed new well?

5 A. That is correct.

6 Q. And similarly, what your -- well, I guess I'll  
7 just ask you to summarize what you're projecting about  
8 vertical migration of fluids with respect to the new  
9 well.

10 A. I believe that the likelihood of vertical  
11 migration is extremely slim in the new permitted well.

12 Q. And, again, as I think as you mentioned, some  
13 of this is addressed in Mr. Blandford's analysis?

14 A. I believe it is.

15 Q. Let me jump back to Exhibit -- well, let's see.  
16 I think we have spoken about Exhibit I. Is there  
17 anything else in Exhibit I, which looks like an EOG  
18 Resources document, that you would like to mention? And  
19 I would specifically refer you to some highlighted  
20 language, if you'd like to talk about that.

21 A. This is a detailed reservoir study that was  
22 done by Worley & Parsons for EOG regarding the Capitan  
23 water supply well that we identified in previous  
24 exhibits. And we pulled information from this report  
25 and utilized it, along with supplementing other

1 literature, to look at reservoir properties, to look at  
2 their interpretation of the geology in this particular  
3 area. And I'm trying to see if there is anything --  
4 they have a really good write-up on the water supply  
5 fields in the Capitan Reef on page 10 of their report.  
6 Again, they make note of the poor water quality in the  
7 Capitan Reef, and they also make note of the substantial  
8 volumes of water that were produced out of the Capitan  
9 Reef since the 1960s.

10 **Q. Does that conclude what you'd like to say about**  
11 **Tab I?**

12 A. I believe it does.

13 **Q. So let's move to Tab J. And I suspect this may**  
14 **relate to something we've already talked about, but tell**  
15 **me what we're seeing in Tab J.**

16 A. In Tab J, we're showing a cross section of the  
17 two production surveys that were performed on the  
18 existing Maralo Sholes B No. 2. The production survey  
19 on the left was the survey that was done September 2nd  
20 of 2016, and the one on the right was the December 2nd  
21 survey. In the survey on the left, the tools set down  
22 approximately 50 feet high to the base of the permitted  
23 interval, and that's denoted as fill.

24 The Division requested that OWL clean the  
25 wellbore out and rerun another production log, and that

1 is what was run. And that is depicted on the right  
2 survey. And what we observed is that all fluids are  
3 entering the approved permitted interval.

4 And we see that there is a strong vertical  
5 boundary at the base of the wellbore that is depicted in  
6 the red line that goes down the cross section. That is  
7 the temperature survey. And what we observed is that  
8 the temperature is pretty consistent across the  
9 permitted interval and rapidly increases as it goes to  
10 the base of the cleaned-out portion of the wellbore.  
11 That is a strong indication that there are no injected  
12 fluids entering the formations below the base of that  
13 survey.

14 **Q. So I think we might have talked about this a**  
15 **little bit a minute ago, but is there anything you would**  
16 **have to add regarding the reports of this information as**  
17 **it relates to the application for the new well?**

18 A. I believe that the -- that this survey shows  
19 that there are several thick Seven Rivers sands that are  
20 lateral extensive. We observed these in the well logs.  
21 We've reviewed well over 100 well logs in this immediate  
22 area, and these sands are extremely correlatable across  
23 extensive areas. And we observed that the fluid is  
24 predominantly entering those sands. The dolomitic  
25 carbonate reservoirs, you can see them identified in the

1 green where the percent of fluid is very low, less than  
2 10 percent. Those are extremely tight carbonates. And  
3 those carbonates are lateral extensive as well, and they  
4 serve to provide vertical migration barriers throughout  
5 this portion of the Yates and Seven Rivers.

6 Q. So, again, this is about the testing of the  
7 existing well; is that correct?

8 A. That is correct.

9 Q. Okay. Does your exhibit show the full report  
10 on that testing?

11 A. No. The well log goes further up. We've just  
12 cropped it to the zone of interest, if that's what  
13 you're asking.

14 Q. Okay.

15 MR. MOELLENBERG: Let me go ahead and  
16 introduce Mr. Goetze's report of March 15th, because I  
17 think it contains a little additional information on the  
18 testing that's not in Mr. Kronkosky's report.

19 And do you have that available to you, or  
20 should we get you some copies of that?

21 EXAMINER JONES: Right here (indicating)?  
22 Is that it?

23 MR. MOELLENBERG: It's the March 15th  
24 report.

25 EXAMINER DAWSON: Yes. That's the -- no.

1 It's June 1st.

2 MR. MOELLENBERG: June 1st. Okay. That's  
3 the -- that's Mr. Kronkosky's report. I'm jumping back  
4 to Mr. Goetze's report that we talked about earlier.

5 EXAMINER JONES: Yeah. So you're going --

6 MR. MOELLENBERG: I'm going to go ahead and  
7 have Mr. Kronkosky talk a little bit about that.

8 Rikki, do you have copies of this?

9 MS. CHAVEZ: Yeah. It'll be Number 4 --  
10 Exhibit Number 4.

11 Q. (BY MR. MOELLENBERG) So, Mr. Kronkosky, I've  
12 given you a copy of what's been marked as Exhibit 4, so  
13 OWL Exhibit 4. And it's -- well, tell us -- tell us  
14 what that is.

15 A. This is an analysis by Mr. Goetze and his  
16 summary opinion of the Maralo Sholes well. Mr. Goetze  
17 made a series of comments in this report, and we  
18 addressed those comments in our June 1st report.

19 Q. So, Mr. Kronkosky, does Mr. Goetze's report  
20 contain a more complete set of results regarding the  
21 testing that OWL did on the Maralo Sholes well?

22 A. I believe he had reviewed the production logs  
23 that were run in September and in December.

24 Q. Okay. Are those over to your right there?

25 A. The September log is, and the December log is

1 here as well.

2 Q. Okay. We talked about this information in Tab  
3 J of your report, right?

4 A. No. We talk about -- is this regarding his  
5 opinions?

6 Q. No. I'm really just working on document stuff  
7 right now --

8 A. Oh, okay. Sure.

9 Q. -- getting us all on the same page.

10 A. Correct. These are just -- the exhibits in J  
11 are just snippets from the full complete logs. We're  
12 just looking at the basal portion of the -- the interval  
13 of interest. The log goes way up high, and we're not  
14 concerned with that because there is nothing being  
15 injected uphole.

16 Q. So is there anything really of interest in the  
17 complete set of production logs that -- that we ought to  
18 talk about, that you'd like to point out to the Hearing  
19 Examiners?

20 A. Nothing of particular interest. I think it's  
21 pretty much addressed in Tab J.

22 Q. Very good.

23 Okay. Now, we've been talking -- we've  
24 bounced around a little bit, but we were talking earlier  
25 regarding your assessment of the radius of influence of

1 the Maralo Sholes well, as well as the proposed new  
2 well. Do you recall that?

3 A. Yes, sir.

4 Q. And in Mr. Goetze's report that's now in as  
5 Exhibit -- or now is marked as Exhibit 4, does he  
6 provide some comments on your assessment?

7 A. Mr. Goetze makes a series of comments regarding  
8 the assumptions that we utilized in determining the area  
9 of influence.

10 Q. Did he make a comment as it relates to  
11 preferential flow direction with regard to the injected  
12 fluids?

13 A. I believe he did. Yes, sir.

14 Q. And have you done some additional work after  
15 reviewing that comment and given some additional thought  
16 and assessment to that issue?

17 A. We've taken Mr. Goetze's opinion into  
18 consideration, and while we agree that there likely  
19 exists preferential flow directions in all of these  
20 reservoirs, given the volume that's injected, though it  
21 may sound like a substantial amount, it is adequate to  
22 assume that the parameters remain constant over this  
23 small area. We're talking about areas that are a mile  
24 or two mile in radius. There just doesn't exist any  
25 publicly available data to create reservoir simulation

1 models to quantify how this fluid would migrate due to  
2 directional permeabilities and things of that nature.  
3 So we've modeled this as a homogeneous and isotropic  
4 reservoir.

5 **Q. Now, did Mr. Goetze also raise some comments**  
6 **that you looked at regarding changes in Capitan Reef**  
7 **water levels?**

8 A. Mr. Goetze did make a comment regarding his  
9 understanding from, I believe, a Lewis Land report that  
10 Class 2 injection in the immediate vicinity was  
11 responsible for the rise in Capitan Reef Aquifer  
12 throughout time.

13 **Q. Are you in agreement with that, or do you have**  
14 **a different assessment of that issue?**

15 A. I believe -- I have a different opinion than  
16 Mr. Goetze regarding the rebound and water levels  
17 regarding the Capitan Reef. I believe that the rebound  
18 and water levels can be appropriately described by just  
19 the cessation of production. So initially there were  
20 water supply fields to the north of our area and water  
21 supply fields south of our area, and these fields  
22 produce significant quantities of water throughout that  
23 same -- upwards of 70-, 80,000 acre-feet a year. And  
24 that drew the aquifer water levels down several hundred  
25 feet.

1                   When we look at what the water level would  
2 be when those fields stopped pumping, we find that the  
3 water levels are approximately what we would expect and  
4 observed in the Jal Southwest No. 1 observation well.  
5 And we've made calculations to that effect in our  
6 report, and I believe they are on page 8.

7                   There is a section titled "Volumetric  
8 Capitan Aquifer Recovery Estimate." And we look at the  
9 water that was produced out of the reservoir and  
10 estimate what the water level would be once these fields  
11 stop producing produced water, and they align very  
12 closely with the observation well. And I believe  
13 Mr. Blandford has made a more detailed calculation than  
14 ours, and he may provide testimony to that.

15           **Q. Is there anything else you'd like to discuss on**  
16 **that topic?**

17           A. Namely being?

18           **Q. I don't have anything in mind. Just wondering**  
19 **if we've missed anything.**

20           A. Just that from what we've observed in the  
21 filings and in the production histories of some of the  
22 secondary recovery projects that are taking place along  
23 the Jalmat trend, we observed that there was not a lot  
24 of makeup water injected into these fields, and so they  
25 were kind of like a water-recycling project. And in

1 order to provide a rebound in the aquifer, which  
2 Mr. Goetze contends, there would have to be makeup  
3 water. So there would actually have to be water put  
4 into the reservoir, and we just don't observe in the  
5 record where this makeup water would come from. The  
6 fresh water that's out here is in limited supply and  
7 limited rates. And so it just doesn't make sense for  
8 the water to be makeup water.

9 **Q. Did you perform a statistic PTA regarding the**  
10 **proposed well injection?**

11 A. Not the proposed well, the existing well.

12 **Q. The existing well.**

13 A. Yes, sir.

14 **Q. Would you tell us what that is and why it's**  
15 **important to the application?**

16 A. I believe that in any kind of analysis like  
17 this, it's really good to take an uncertainty into  
18 account, and what we've done is assumed how the radius  
19 of influence and pressure would behave given a series of  
20 assumed values for these reservoir parameters. So we've  
21 modeled those in a Monte Carlo simulation -- analytical  
22 simulation. And that's just to give a better  
23 understanding of where this fluid may be and at what  
24 pressures they may be.

25 **Q. Could you give us your overall assessment of**

1    **your view regarding the potential for saltwater from the**  
2    **proposed injection to impact the Capitan Reef Aquifer?**

3           A.    In our opinion, the likelihood of saltwater  
4    disposal impacting the Capitan Reef is very limited.  
5    The reason we make this judgment is we've observed that  
6    throughout time, the aquifer has remained at  
7    substantially higher head levels than the reservoir  
8    itself that's been produced.  And if there was  
9    communication or even strong communication or even weak  
10   communication, that head would be transmitted into the  
11   productive zone.  We do not observe that.  Therefore, we  
12   say that the likelihood of Capitan Reef communication is  
13   not likely.

14           **Q.    Have you also looked at water qualities**  
15   **regarding the Capitan Reef in the vicinity of the**  
16   **project area?**

17           A.    We have.  We've reviewed the best available  
18   literature that we could find on water quality in the  
19   Capitan and in the Yates and Seven Rivers, those zones.

20           **Q.    Okay.  Could you turn to Tab L of your report**  
21   **and tell us what that represents?**

22           A.    Tab L is our summary analysis of total  
23   dissolved concentrations for, on this particular page,  
24   all formations combined in the Artesia Group series,  
25   along with a -- there are various percentiles, so you've

1 got total dissolveds in the various percentiles of those  
2 fluids, along with the sections that they're in. That's  
3 the average total dissolved concentration by section for  
4 all formations.

5 The next two pages delineate it with  
6 regards to the various formations. This information  
7 comes from the USGS Open-file Report, 1975-579. That's  
8 a Hiss 1975 report. And, additionally, we provided  
9 scanned copies of this report, and we believe this to be  
10 the most accurate and available information on this.

11 **Q. So the scanned copies of the Hiss report that**  
12 **you refer to, those are the rest of this tab?**

13 A. Yes. We've tried to identify all the samples  
14 that we included, and these samples are from the  
15 nine-township area. So it's one township north of our  
16 proposed location and one township south, and then a  
17 township to the east and a township to the west. So it  
18 creates a nine-township area. So all of the samples are  
19 identified in the orange highlighting, and we've  
20 included those in a spreadsheet and did our statistical  
21 analysis from that.

22 **Q. Would you turn to Tab M and tell us what this**  
23 **represents?**

24 A. That is the Skelly Jal water supply well No. 2  
25 water-quality sample report. It identifies the various

1 concentrations and the total dissolved solids of the  
2 Capitan Reef water, along with the hydrogen-sulfite  
3 content that we've identified.

4 **Q. And why is that important?**

5 A. It shows that the waters coming out of the  
6 Capitan Reef are mineralized to a degree that is about  
7 10,000 parts per million.

8 **Q. And given all of this data, how did you assess  
9 that and reach the conclusion that you just stated?**

10 A. We reviewed, like I said, what we believe to be  
11 the most accurate and available information. We looked  
12 at the statistical analysis, and we find that the waters  
13 in the Seven Rivers and Yates are mineralized to a  
14 degree that's well above 10,000.

15 **Q. Would you turn to Tab N, N, as in Nancy, and  
16 tell me what that represents?**

17 A. Again, these are filings that were with the  
18 Division in their well files. And we've identified the  
19 particular well and the page that it came from for the  
20 Skelly Jal water supply. And we're calling to attention  
21 comments raised regarding water qualities. And on the  
22 first particular page, it regards comments on salty,  
23 sulfur water, oil-laden. On the next several pages,  
24 there are comments in the well files that show  
25 submersible pump failures on the order of every six

1 months in these wells, which leads me to the conclusion  
2 that the water is highly corrosive in nature. There are  
3 also maybe some comments on chlorides. Additionally,  
4 towards the back of this particular exhibit, there are  
5 comments regarding hydrocarbons that were being produced  
6 out of the Capitan Reef water.

7 Skelly did not own the mineral rights to  
8 this water, and, therefore, they had to dispose of these  
9 hydrocarbons. They either sold them through -- I guess  
10 the corporation either owned them, or they just flared  
11 them. But there were hydrocarbons that were produced  
12 with this water.

13 **Q. I'd like you now to turn to Tab O and tell us**  
14 **what is in that tab.**

15 A. This is a letter from the New Mexico State  
16 Engineer's Office regarding EOG's Capitan water supply  
17 well permit, approving it. In that letter, the State  
18 Engineer makes note that they have reviewed the water  
19 sample provided by EOG and found that the total  
20 dissolved concentrations of their water was in excess of  
21 10,000, and their water was a total dissolved  
22 concentration of 13,298.

23 **Q. And finally Tab P, tell us what we're seeing**  
24 **there.**

25 A. May I make another comment on Tab O?

1           **Q.    Absolutely.**

2           A.    In the back of that, there was an email that we  
3           found in the files that we would like to call attention  
4           to, that EOG made a comment to the State Engineer's  
5           Office that they would be moving their submersible pump  
6           due to water quality.  So in our opinion, that email  
7           provides further evidence of the corrosive nature of  
8           this water.

9           **Q.    Anything else to offer on Tab O?**

10          A.    No.

11          **Q.    So let's move to Tab P.**

12          A.    Tab P is an Open-file Report prepared by Lewis  
13          Land titled the "Overview of Fresh and Brackish Water  
14          Quality in New Mexico."  This report was released in  
15          June of 2016.  I believe it's the most recent analysis  
16          of fresh and brackish water quality in the state of New  
17          Mexico.  This is just a small excerpt of that report.  
18          We've only pulled out the pages regarding the Capitan  
19          Reef water, and we have highlighted specific comments  
20          that Mr. Land provided regarding the Capitan Reef water.  
21          And those are identified in the yellow highlighting.

22          **Q.    Is there anything of note that you'd like to**  
23          **specifically call out in the highlighted portions to the**  
24          **Hearing Examiner?**

25          A.    We'd just like to specifically note that

1 Mr. Land specifically mentions and notes that the water  
2 quality in the Capitan Reef is not a brackish water  
3 reservoir. It is a brine reservoir and has total  
4 dissolved concentrations in excess of 10,000. He also  
5 makes comments that the average total dissolved  
6 concentration is 54,000 parts per million.

7           Additionally, he makes comment that the  
8 water is not a potable water source even under  
9 conventional desalination water technologies and that  
10 its real purpose is predominantly industrial purposes,  
11 either used in the potash mining industry or in the oil  
12 and gas industry as a makeup water for enhanced oil  
13 recovery projects.

14           **Q. And do you have any comments from your own**  
15 **investigation as it relates to those excerpts from**  
16 **Mr. Land's report?**

17           A. I believe the data that we've looked at, all of  
18 the literature that we've reviewed supports the  
19 conclusions that Mr. Land has made in this report.

20           **Q. Okay. Mr. Kronkosky, have you also considered**  
21 **some comments made by Mr. Goetze in his report as it**  
22 **relates to the City of Jal's investigation of future**  
23 **potential water supplies?**

24           A. I believe Mr. Goetze made a comment regarding  
25 the fact that the existing well may impact the future

1 water, I guess, supply for Jal regarding the Capitan  
2 Reef, and we've attempted to address that with the  
3 city's own engineer's report that they prepared. And  
4 that's in Exhibit Q -- or Tab B, and that's the  
5 Hydrologic Investigation Report that was prepared by  
6 Souder, Miller & Associates. And we've excerpted from  
7 that report and highlighted specific comments that they  
8 made, and they make comments that the water quality is  
9 poor, that it's not a potable water source. They say  
10 it's in excess of 3,000, and they say that the city --  
11 it's not a viable source in the foreseeable future for  
12 the City of Jal.

13 **Q. Do you have any thoughts or comments regarding**  
14 **the conclusions that you just mentioned from Jal's**  
15 **engineer?**

16 A. While I'm not a civil engineer and can't speak  
17 to the potable water quality and things of that nature  
18 for a municipality, just due to my education as an  
19 engineer, I agree with the findings supported in this  
20 report that the water quality is extremely poor and the  
21 likelihood of it being utilized as a municipal drinking  
22 source is remote.

23 **Q. So this is an expert -- I'm sorry -- an excerpt**  
24 **from that report. Have you reviewed the whole report?**

25 A. I have.

1           Q.    Okay.  Does it indicate anything about the City  
2 of Jal looking to Yates-Seven Rivers-Tansill or any of  
3 those formations for a future water supply?

4           A.    It did not.

5           Q.    Do you have any views regarding that?  I know  
6 Mr. Blandford may.

7           A.    Mr. Blandford may make a more detailed opinion  
8 on that.

9                         But based upon the water quality that we  
10 observe in the Yates and Seven Rivers and the  
11 permeabilities and the amount of water that is there,  
12 especially in the permitted wells' area -- there is  
13 actually very little water there.  The only water that's  
14 really there is the injected fluid, because the  
15 permitted interval is well above the oil-water contact.  
16 So this is a hydrocarbon reservoir.  This is not a water  
17 aquifer in our permitted interval.  So there is -- the  
18 likelihood of any kind of potable water being in this  
19 particular project area is remote as well.

20          Q.    So, Mr. Kronkosky, to wrap up here, let me  
21 refer you back to the text of your report dated June 1st  
22 that is -- again, we're talking about Exhibit 2, and  
23 we've gone through the various letters in Exhibit 2.  
24 Does that written report contain the results of your  
25 overall assessments and evaluation of the suitability of

1    **the project area and the injection interval and the**  
2    **appropriateness of OWL's application for the Bobcat**  
3    **well?**

4           A.    The report was specifically prepared to address  
5    the existing well, but I believe the conclusions that  
6    come from this report are 100 percent for the proposed  
7    wellbore, but due to the nature of -- the proposed  
8    wellbore is a direct offset to the existing wellbore.  
9    And so we've tried to address, to the best of our  
10   ability, Mr. Goetze's comments throughout this report,  
11   and those had to do with the existing wellbore.  But I  
12   believe if the Commission takes into consideration the  
13   text that's in this report, that it is fully suitable  
14   for the proposed well.

15           Q.    **Anything specific that you'd like to say about**  
16    **the particular suitability of the reservoir that --**  
17    **where the injection interval is for this intended**  
18    **purpose, or maybe just provide a quick summary of your**  
19    **overall conclusions in that regard?**

20           A.    I believe, based upon my work in saltwater  
21    disposal in southeast New Mexico regarding various  
22    formations in the Delaware Basin, the Delaware zone and  
23    in the Devonian, the shallow reservoirs in the Yates  
24    Artesia Group, in particular along the vacuum trend, are  
25    the most viable candidates for large volumes of water to

1 be placed in southeast New Mexico given the fact that  
2 they are high permeability. They're low pressure  
3 because they've been produced extensively for a number  
4 of years.

5           The basin reservoirs, the Delaware Group,  
6 those reservoirs, are (A) pressured up at normal  
7 pressure gradients, and they're extremely tight in most  
8 instances. And so the volumes that can be injected into  
9 those reservoirs are very small, which would require a  
10 substantial amount of investment.

11           What OWL is basically doing is they're  
12 taking a reservoir that has been depleted and they're  
13 restoring it to the initial state that was there back in  
14 the 1920s. And I believe that that's a beneficial thing  
15 for the state of New Mexico.

16           The only concern that I would raise is  
17 there are old wellbores in this area. There are  
18 extremely old wellbores and that any future operators  
19 wanting to inject into the shallow zones need to do a  
20 very detailed analysis of the existing wellbores and how  
21 they're applied to make sure that there is no  
22 out-of-zone injection taking place.

23           **Q. Okay. Is there anything you would have to add**  
24 **to the discussion and opinions stated in your written**  
25 **report or anything else you'd like to tell the Hearing**

1 **Officer at this time?**

2 A. I think -- I think our opinions are adequately  
3 addressed in our report.

4 **Q. Okay.**

5 MR. MOELLENBERG: So we would at this time  
6 offer Exhibit 1, which is the June 1st report from  
7 Mr. Kronkosky. And just for the record, I may have, in  
8 error, referred to that as Exhibit 2 a little bit ago.  
9 So we would offer Exhibit 1, including all of the tabs,  
10 A through Q, into evidence.

11 We would offer Exhibit 3, which is  
12 Mr. Kronkosky's resume into evidence.

13 And then Exhibit 4, I guess, I'll -- we  
14 might as well go ahead and put that one in, too. That  
15 will be Mr. Goetze's March 15th report and its  
16 attachments.

17 EXAMINER JONES: Any objections?

18 MR. BROOKS: No objection.

19 MS. MOSS: No objection.

20 MR. NEWELL: One slight objection. With  
21 respect to the City of Jal's water study, I'd object as  
22 to both hearsay and it's incomplete in the sense that  
23 there was material cherry-picked out. And what we would  
24 propose is that the entire report be presented and made  
25 as evidence so that can be considered in its entirety,

1 not one singular page, with one portion of it  
2 cherry-picked out, because I believe it was presented  
3 for the truth of the matter asserted, which was the  
4 parts per million dissolved solids in the water, is what  
5 it was presented for. And the record will reflect that,  
6 I believe. So that would be the nature of our  
7 objection, that the entire document should be presented  
8 so that the Commission could consider it in context.

9 EXAMINER JONES: Does the Applicant have a  
10 copy of the entire --

11 THE WITNESS: I have.

12 MR. MOELLENBERG: Mr. Hearing Examiner, we  
13 have the entire one, and I have no issue in providing  
14 the entire report. In fact, we may do that through  
15 Mr. Blandford, if that's all right.

16 MR. NEWELL: Yeah.

17 EXAMINER JONES: Okay.

18 MR. MOELLENBERG: Or we have a full copy.  
19 But if not, we'll --

20 EXAMINER JONES: Give it to the court  
21 reporter.

22 Exhibits 1 through 4 are admitted and as  
23 described --

24 MR. MOELLENBERG: Just for clarification, I  
25 haven't offered 2 yet, which is Mr. Blandford's report.

1 So it's 1, 3 and 4, I think, at this point.

2 EXAMINER JONES: 1, 3 and 4 are admitted.

3 And we're waiting -- you're going to talk  
4 about that later.

5 MR. MOELLENBERG: Yeah. Later, we'll put  
6 that one in.

7 (OWL SWD Operating, LLC Exhibit Numbers 1,  
8 3 and 4 are offered and admitted into  
9 evidence.)

10 MR. MOELLENBERG: So other than that, we'll  
11 reserve the right to recall Mr. Kronkosky on rebuttal.  
12 And assuming we're probably going to take a lunch break  
13 now, I guess we can resume with --

14 EXAMINER JONES: Yeah. Yeah. Let's take a  
15 lunch break and come back at 1:45.

16 (Recess, 12:19 p.m. 1:49 p.m.)

17 MR. MOELLENBERG: Pass the witness.

18 EXAMINER JONES: Mr. Brooks?

19 MR. BROOKS: Thank you.

20 CROSS-EXAMINATION

21 BY MR. BROOKS:

22 Q. Good afternoon, Mr. Kronkosky.

23 A. Good afternoon, Mr. Brooks.

24 Q. My cross-examination is going to be much  
25 briefer than direct examination.

1                   Because it's on my mind, I first want to  
2 ask you a couple of things about Exhibit J to Exhibit 1.  
3 First of all, what is the -- what is the permitted  
4 depth? I just remembered I can find it somewhere in one  
5 of these exhibits. But what is the base of the  
6 permitted depth?

7           A. I believe it was 3,050 or 3,060.

8           Q. Okay. Well, I was thinking it was 3,005 or  
9 3,055, but that's because those two figures appear at  
10 the left-hand margin of this exhibit. But it's  
11 somewhere around there?

12          A. Yes, sir.

13          Q. And the two survey tests that are shown here  
14 indicate that -- the one on the right, anyway, indicates  
15 that 100 percent of the injected fluid is entering the  
16 formation or leaving the wellbore, you said -- exiting  
17 the wellbore was the word you said, I believe --

18          A. Yes, sir.

19          Q. -- within the permitted interval -- permitted  
20 interval?

21          A. Yes, sir.

22          Q. Okay. Now, that is actually -- exiting the  
23 wellbore is actually what you're looking at because this  
24 is an open-hole completion, right?

25          A. That is correct.

1 Q. So it's not going out through perforations?

2 A. My understanding is it's not.

3 Q. Okay. How far does that test indicate that it  
4 will remain within the permitted interval, just that  
5 test alone, without regard to the other work that's been  
6 done on the subject?

7 A. This test only confirms that it is leaving the  
8 wellbore. It does not confirm a radial extent away from  
9 the wellbore.

10 Q. It doesn't confirm that there won't be upward  
11 or downward movement after it, of course, gets out of  
12 the wellbore?

13 A. The test does not confirm at a radial extent up  
14 or down. The geologic interpretation does.

15 Q. Yeah. And you told us about the, as I  
16 understand it, dolomite barrier underneath the permitted  
17 interval?

18 A. There are a series of dolomitic and anhydritic  
19 dolomitic reservoirs throughout the Seven Rivers that  
20 are extremely low porosity and low permeability.

21 Q. And you believe that those will inhibit  
22 downward movement of the injected water, because  
23 otherwise it would go down because of gravity if there  
24 is no water in the formation?

25 A. That is correct. I believe it would act as a

1 barrier.

2 Q. Okay. But it's going to go down somewhat, is  
3 it not, because -- if it gets far enough, because the  
4 strata dips downward from the west; isn't that correct?

5 A. I believe that's factually incorrect.

6 Q. Okay. And if you pursue that dip -- I know the  
7 number -- the distance in miles. But if you pursue that  
8 dip -- dip for a series-- first of all, this is what's  
9 called the back reef area?

10 A. It is, sir.

11 Q. So not only is -- well, you're above the reef,  
12 but you're also east of the reef?

13 A. Yes, sir.

14 Q. And if you follow the strata at the well site  
15 westward, they eventually intersect the reef even though  
16 the footage elevation of the well, I take it, is above  
17 the top of the reef; is that correct?

18 A. I believe the Seven Rivers sands would lap up  
19 above the reef margin. That's correct.

20 Q. Yeah. But would they not -- as they dip to the  
21 west, would they not intersect the reef at some point?

22 A. They would terminate up against the reef. Yes,  
23 sir.

24 Q. Okay. Now, if I can find my green exhibit  
25 here -- Mr. Goetze's green exhibit, which I'm not sure

1    **which exhibit it is. It's the -- the green map. Oh,**  
2    **here we are. Okay.**

3                   **Well, I can't tell anything from that**  
4    **because this is -- this just shows the reef in plain,**  
5    **and it's above the reef, so -- but it doesn't show you**  
6    **where it would intersect. Do you know how many miles**  
7    **that is from the well site?**

8           A.    Off the top of my head, I would say it's well  
9    over five to six miles further to the west.

10          **Q.    Well over five or six miles?**

11          A.    I would imag- -- I think so. I think that's  
12    where Hiss has it delineated. I think it's five or six  
13    miles to the west.

14          **Q.    Thank you.**

15                   **So on the basis of the things you've talked**  
16    **about -- we've talked about now survey tests and the**  
17    **impervious strata below it. You cannot rule out that**  
18    **the water will eventually -- would eventually, if it**  
19    **flowed far enough, come in contact with the reef?**

20          A.    Based upon our analysis, the dip of the  
21    reservoir does not play that much into the direction of  
22    flow. The direction of flow is based upon the gradient  
23    of the head in the reservoirs themselves. Water will  
24    flow uphill if the preferential gradient is higher on  
25    one side and lower on the other.

1 Q. Correct.

2 A. So the water preferentially wants to move to  
3 the east. Because that's where all the production took  
4 place in these reservoirs, the head in those reservoirs  
5 is extremely low. The head in the reef is extremely  
6 high. If the water did want to flow out of the reef, it  
7 would flow to the east.

8 Q. So if it wanted -- if the water in the reef --  
9 if the water in the reef could cross the barrier, it  
10 would do so, in your opinion, right, and the water  
11 outside the reef would not enter the reef?

12 A. Could you state that one or time? I just don't  
13 want to --

14 Q. The water in the -- what you're saying is if  
15 there is communication between the two zones, it would  
16 be from the reef to the -- to the -- let's see. What's  
17 this? The Guadalupe series?

18 A. The Artesian series.

19 Q. The Artesian series. I'm sorry.

20 It would be from the reef to the Artesian  
21 series rather than the Artesian series to the reef?

22 A. Yes. But I don't believe that the reef water  
23 communicates to those reservoirs.

24 Q. Okay. Thank you.

25 The other question I have to ask you -- and

1 it's probably about the only one, although I may run  
2 into a series -- is about water quality. Now, first I  
3 want to ask you about something that is in our notebook  
4 that I believe is also in your -- well, I'm not sure.  
5 Well, it's also in your C-108 application, Exhibit  
6 Number 6. You don't have it because that's our Exhibit  
7 Number 6. But this is a report from Mitchell Analytical  
8 Laboratory, and it has been represented to me that it is  
9 something that was filed with the C-108 application, and  
10 we'll get Mr. Goetze to authenticate it if necessary.  
11 But it shows total dissolved solids in the water to be  
12 estimated [sic] -- I'm sure it's total dissolved solids  
13 in water to be injected -- as 140,543? Does that sound  
14 correct?

15 A. I believe you're referring to a water sample  
16 that, if I have reviewed, as the water to be injected or  
17 currently being injected into the approved well.

18 Q. Okay. Well, it would be -- currently, it would  
19 be injected into the existing well --

20 A. Yes, sir.

21 Q. -- because the -- yeah. You said approved  
22 well.

23 A. I'm sorry.

24 Q. Okay. There are numerous water samples in here  
25 from the vicinity -- there are no water samples really

1 close, right? Closest being the EOG well?

2 A. In the Capitan Reef?

3 Q. Yeah. I think that's where the water samples  
4 were taken, actually.

5 A. In the Capitan Reef, the -- I believe the  
6 closest water sample that I've observed is the EOG.  
7 That's the most current. And there is a water sample  
8 that the USGS did on the Jal Southwest No. 1, which is,  
9 I believe, about a mile east of the EOG well. That's in  
10 the Capitan Reef observation network that the USGS has.  
11 And there's another observation well to the north called  
12 the Federal Davidson No. 1, and then the Skelly wells.  
13 I believe those are the nearby reef water samples.

14 Q. Okay. Now, you have some data here in your  
15 Exhibit O, and your Exhibit O indicates that -- on page  
16 2, it says, Water from the Capitan Reef was sampled from  
17 the well, having an average total dissolved solids  
18 content of 13,298. Am I reading that correctly?

19 A. Yes, sir.

20 Q. And where was that sample taken from?

21 A. That was sampled from the EOG water supply  
22 well.

23 Q. Okay. Now, let's see. I was looking at it  
24 this morning during your testimony, but where are your  
25 samples from the Skelly -- what you were calling the

1 skelly?

2 A. I believe it is Exhibits M and N.

3 Q. Well, looking at Exhibit N, we see -- that  
4 figure that says "Total" that is highlighted in yellow,  
5 is that total dissolved solids?

6 A. The 22,6- --

7 Q. Yes.

8 A. Yes, sir. That is the total dissolved solids  
9 that was recorded.

10 Q. Where is that from?

11 A. That is from the Jal Water Supply Well No. 2,  
12 dated April 14th, 1969.

13 Q. What formation?

14 A. That is in the Capitan Reef.

15 Q. Okay. And in Exhibit N, you have some figures  
16 that refer to chlorides, and that's different from total  
17 dissolved solids, right?

18 A. That is correct.

19 Q. Somebody told me one time -- and I don't know  
20 anything about these things, but they said it's kind of  
21 a rule of thumb that total dissolved solids tends to  
22 double the chloride level?

23 A. I think that might be a general rule of thumb.

24 Q. Okay. Well, if you look at -- you have what  
25 you call Jal Water System #3, on the second page of

1 **Exhibit N. You have a series of chloride levels, all a**  
2 **long time ago, but they show a tremendous variance.**  
3 **What does that indicate? I mean, they go all the way**  
4 **from 3,871 milligrams of chloride to 165,474.**

5 A. Well, I think -- do you want an opinion?

6 Q. Well, I guess that's what I asked you for.

7 A. I believe a reasonable opinion could be that  
8 the high permeability reservoirs may have higher-quality  
9 water initially, and as those were depleted, the  
10 lower-quality, lower-permeability reservoirs were  
11 starting to contribute, and those have extremely high  
12 chloride concentrations.

13 Q. Now, is this also in the Capitan Reef?

14 A. These -- all of these wells in Exhibit N are  
15 from the Capitan Reef.

16 Q. Okay. Okay. Now, the first three figures in  
17 that table from June '69, September '69 and January '75  
18 are less than 10,000. In fact, they're less than 5,000,  
19 indicating possibly that the total dissolved solids  
20 might be less than 10,000, right?

21 A. That may be possible. There is no data to  
22 support whether they're below or above.

23 Q. There is no TDS calculation for this well --  
24 for these wells?

25 A. Not that I know of with those dates.

1           Q.    Okay.  And, similarly, on the third page, you  
2   have figures below 5,000 for all of the readings from  
3   the Jal Water System #4, correct?

4           A.    Yes, sir.

5           Q.    Thank you.

6                         Now, in Exhibit L to your Exhibit 1,  
7   looking at the third page of Exhibit L, these are TDS  
8   calculations in a fairly large area surrounding the  
9   well.  I think you said -- did you say -- how many  
10  townships did you say are represented here?

11          A.    There are nine townships that are included in  
12  this.  Really, three townships are the ones that are  
13  predominantly in these calculations, and they're on the  
14  eastern side of the nine-township area.

15          Q.    Okay.  Now, these numbers are total dissolved  
16  solids, right?

17          A.    That is correct.

18          Q.    And they refer specifically to the Seven Rivers  
19  Formation, the top table, and the Queen Formation, which  
20  we're not -- we're not concerned with the Queen, right?  
21  We're concerned with the Seven Rivers?

22          A.    The permitted well would be in the top of the  
23  Yates and Seven Rivers, top of Seven Rivers -- base of  
24  the Yates and top of the Seven Rivers.

25          Q.    The numbers for the Seven Rivers, in a number

1 of wells, appear to be less than 10,000. Is that a  
2 correct observation just looking at this table?

3 A. There are several wells that have reported  
4 total dissolved concentrations less than 10,000.

5 Q. And the ones that are above 10,000, we have one  
6 exception, it looks like, in this table and not very  
7 much above 10,000, right?

8 A. No. I believe that the average concentration  
9 depicted here is 40,000 parts per million.

10 Q. Well, in this table, there is one at 32,000 --  
11 no. That's 327,000. Well, that would -- I realize I  
12 was misreading that. But the one at 327,000 and the one  
13 at 110,000 bring the average way up as compared to a  
14 number of other points that are much lower, right?

15 A. It would. You could look at this way. Based  
16 upon the total dissolved percentiles, that 75 percent of  
17 the samples are above 10,000, and that's based upon the  
18 TDS percentiles table.

19 Q. Yeah. But many of them are very close, like  
20 12,500, 14,000, 11,000, 14,000, 12,000, 12,000. So I  
21 don't know where the median would be, but it would be  
22 much lower than the median; would it not?

23 A. The median is 14,650, roughly.

24 Q. Okay. And there are a number of situations --  
25 there are a number of wells where you have samples

1     **indicating less than 10,000 within this area?**

2           A.     There are some samples.  Yes, sir.

3           **Q.     Do you have any samples from the Seven Rivers**  
4 **that are in close proximity to the proposed well.  The**  
5 **closest I see is 24 -- Section 24, 25-36.  Would that be**  
6 **correct?**

7           A.     That would be correct.  That appears to be the  
8 closest.

9           **Q.     And that's not very -- that's not all that**  
10 **close, but it's the closest on this table; is it not?**

11          A.     It's within a mile.  It's the adjacent section  
12 to the north.

13          **Q.     Yeah.  And that is 20,470, right?**

14          A.     The average concentration is 24,7 or --

15          **Q.     So that's above the level -- now, you've got**  
16 **one in 31, 25-37.  That's fairly close also; is it not?**

17          A.     I have to look on a map.  I can't remember  
18 where the sections line up, but it may be close.

19          **Q.     Yeah.  I'm thinking it is fairly close because**  
20 **the section numbers increase as you go from west to**  
21 **east.  So you're going to go back.  When you get to 30,**  
22 **you're going to go back to 25, and 31 is just to the**  
23 **south of 30.  Well, that one in 31-25-37 looks like it's**  
24 **7,755.**

25          A.     Yes, sir.

1           **Q.    Okay.  So would it be -- would it be fair to**  
2           **conclude from this exhibit there is wide variability in**  
3           **TDS levels within this area in both the Seven Rivers and**  
4           **the reef?**

5           A.    I believe that the variability from one section  
6           to the next is based upon this data.  Now, this data is  
7           extremely old.

8           **Q.    It's really, basically, all we have.  We don't**  
9           **have a lot of current data, correct?**

10          A.    I believe that this is maybe the most complete  
11          data.

12          **Q.    Okay.  Go ahead and answer the question I asked**  
13          **you before.**

14          A.    The variability?

15          **Q.    Yes.**

16          A.    Yes.  There is variability within the water  
17          quality of these reservoirs.

18          **Q.    And there have not been any studies -- or have**  
19          **there been any studies that delineate the water quality**  
20          **and show patterns in this area?**

21          A.    To my knowledge, the only study that may have  
22          delineated water quality was Hiss' work that he did  
23          based off of this data.

24          **Q.    And that was a long time ago, also, wasn't it?**

25          A.    That was in 1975.  Yes, sir.



1 logs indicate extremely high resistivities, which is  
2 another indication of extremely tight and impermeable  
3 formations.

4 **Q. And are there any studies on the impact of**  
5 **fluids that are being pumped into this area on dolomite**  
6 **that you know of?**

7 A. Chemical alterations or something? Is that  
8 what you're asking?

9 **Q. Anything about the quality of what's being**  
10 **injected and perhaps its acidity, how that might impact**  
11 **the dolomite?**

12 A. I don't believe, to the best of my knowledge,  
13 that there have been studies in the immediate vicinity  
14 about dolomite and its, I guess, acid effects due to the  
15 water that's being injected.

16 **Q. Would there be any studies -- are you familiar**  
17 **with any studies anywhere in the exhibits of these -- on**  
18 **dolomite?**

19 A. Not that I'm aware of. Injected fluid --

20 **Q. Yeah.**

21 A. -- on -- I guess like an acid. Is that what  
22 you're asking?

23 **Q. Yeah.**

24 A. The injected fluids have corrosive natures well  
25 less than the acid that's typically used to enhance the

1 porosity and permeability of tight dolomites.  
2 Typically, we pump 15 to 20 percent hydrochloric acid to  
3 enhance near wellbore permeability. The water that  
4 we're injecting has nowhere near acidity near the  
5 hydrochloric acid of those concentrations.

6 Q. So it is your opinion that it would not  
7 affect --

8 A. I don't believe it would affect.

9 Q. I think for some of the things that are a  
10 little less clear to me, it would be easier if I could  
11 ask my witness questions when I call him. Are you going  
12 to be here?

13 A. Yes, ma'am. I'll be here today and tomorrow.  
14 If you have additional questions, I'll be here.

15 Q. Thank you.

16 EXAMINER JONES: Mr. Newell?

17 MR. NEWELL: Yes. Thank you.

18 CROSS-EXAMINATION

19 BY MR. NEWELL:

20 Q. You've stated a lot of opinions here today.  
21 What are some of the things you assumed in formulating  
22 some of your opinions? I mean, you've assumed, I take  
23 it, the trajectory or the flow of the water from the  
24 proposed injection well, correct?

25 A. We've utilized available reservoir pressure

1 data to arrive at the preferential flow direction.

2 Q. Okay. And you modeled it, correct? I think  
3 you modeled some projections on the capacity in and  
4 around the wellbore to absorb the produced water that's  
5 being injected; is that correct?

6 A. We didn't model the trajectories per se. We  
7 modeled the rates. Mr. Blandford, I believe, will  
8 provide testimony as to trajectories and which way the  
9 fluids will migrate with time.

10 Q. So you projected the rates?

11 A. Yes, sir.

12 Q. Okay. Did you project the rates being uniform  
13 over the entire 40 years that this project is  
14 anticipated to be in use?

15 A. No. I did not project the rates in any part of  
16 our analysis. Our analysis was predominantly -- had to  
17 do with the Maralo Sholes, the #2 well, which is a good  
18 proxy for this permitted well. Mr. Blandford has  
19 actually modeled the fluids of that time period.

20 Q. Okay. So the model you're using is a model  
21 where the completion and integrity of the well has been  
22 placed into question; is that correct?

23 A. (No response.)

24 Q. The Maralo Sholes wells has integrity issues  
25 that have been raised. Would you agree with that?

1           A.    I believe that the Maralo Sholes well has had  
2 wellbore integrity questions raised.

3           Q.    Okay.  What you're saying is the model you used  
4 is a well that has at least -- the question has been  
5 raised -- the question has been raised of  
6 wellbore-integrity issues, correct?

7           A.    Correct.  But we didn't model wellbore  
8 integrity.  We modeled reservoir integrity.

9           Q.    I understand.

10                         If there is wellbore integrity issues, that  
11 suggests that there could be fluids escaping into other  
12 zones, correct?

13           A.    If there is a wellbore-integrity problem,  
14 fluids can potentially migrate out of zone.

15           Q.    In all of your projections, you assumed that  
16 all the fluids were going into the targeted zone in the  
17 Maralo Sholes, correct?

18           A.    That is correct.

19           Q.    Okay.  So to the extent there's wellbore  
20 integrity issues in the Maralo Sholes, that impacts your  
21 modeling for this particular well here; does it not?

22           A.    I don't believe that there is  
23 wellbore-integrity issues with the Maralo Sholes well.

24           Q.    Now, let me ask you this.  You've discounted  
25 the quality of groundwater that's available in the

1     **Capitan Reef, correct?**

2           A.    By discounting, I don't --

3           **Q.    Well, you've suggested and you've cited a**  
4     **number of sources that suggest that at least at current**  
5     **times, it's not a potable water source.  Would you agree**  
6     **with that?**

7           A.    We've cited sources that suggest that the  
8     quality is not a viable candidate for desalination  
9     technologies.

10          **Q.    Okay.  Now, would you also agree with me that**  
11     **there are portions of the Capitan Reef Aquifer that are**  
12     **being used as potable water sources and are planned to**  
13     **be used as potable water sources in the future for**  
14     **communities in West Texas?**

15          A.    I'm not really, you know, versed on that per  
16     se.  I believe Fort Stockton may be what you're  
17     referring to, and that's about the only place that I may  
18     be considering.  And that's near the outcrop of this  
19     formation, which is, I believe, 60 to 80 miles south of  
20     our project area.  I believe you may be citing that  
21     Carlsbad fits into their water, which is approximately  
22     60 or 70 miles away, and, again, that's in the outcrop,  
23     in the very, very shallow portions of this reef.

24          **Q.    It does indicate that the water quality in the**  
25     **reef aquifer is variable; does it not?**

1           A.    I believe that's a correct statement.

2           Q.    Okay.  Now, when you look out in your horizons  
3   and look at the existing technologies, how far in the  
4   future are you projecting out desalination and other  
5   cleanup technologies that would be available?

6           A.    I'm not averse to answer a statement like that.  
7   I'm not a petroleum and reservoir engineer.  That's a  
8   civil engineering question.

9           Q.    Fair enough.

10                                So you don't know the horizon for  
11   technology that might be able to take even the most --  
12   the highest concentration of Capitan Reef Aquifer water  
13   and make it potable, do you?

14           A.    No.  I believe Mr. Blandford would be better  
15   versed at answering that question.

16           Q.    All right.  Now, I think you indicated that --  
17   and let me make sure I understand.  Although acidic  
18   water can create caverns in dolomite formations, you  
19   believe that the acidity of the water in the injection  
20   water will not reach that level, where it's going to  
21   impact the dolomite barrier that you've identified here  
22   today, correct?

23           A.    The acidity of the waters being injected, to  
24   the best of my knowledge, are not of the nature that  
25   would create substantial dissolution of carbonate

1 material. Dolomites have very, very low solubility as  
2 compared to limestone. Limestone -- it's actually a  
3 test that we do when we're in college. You put  
4 hydrochloric acid on limestone and it fizzes, and you  
5 put it on a dolomite, and it makes a bubble. So it's  
6 not very reactive.

7 Q. Okay. I want to read you a statement. See if  
8 you disagree with this or agree with this. And this is  
9 from the Texas Water Development Bureau of the state of  
10 Texas. And in describing the Capitan Reef Complex  
11 Aquifer, it states it's a minor aquifer, and it  
12 identifies the Texas counties in which it's in. And it  
13 states: The aquifer is composed of as much as 2,360  
14 feet of massive cavernous dolomite and limestone. Do  
15 you agree with that?

16 A. I would have to read the report. It would also  
17 probably be a context. If it's talking about caverns,  
18 it would most likely be extremely close to the outcrops,  
19 but I'd have to read the report.

20 Q. Okay. Do you -- do you know whether there is  
21 any cavernous areas on the -- how do you describe just  
22 the eastern portion of the horseshoe that seems to be  
23 the way the Capitan Reef Aquifer is identified? How do  
24 you -- if you were describing it, what nomenclature  
25 would you use.

1           A.    I guess you would call it the eastern portion  
2 of the Capitan. The productive portions is typically  
3 known as the vacuum trend in the Artesia Group. I  
4 believe that's pretty widely used terminology.

5           Q.    Okay. Let me now go on here and let me ask you  
6 this. And this is in same report that I was -- and this  
7 is from a summary in the report. But it states that  
8 water-bearing formations in this aquifer include Capitan  
9 limestone, seep [sic] dolomite and most of the Carlsbad  
10 facies of the Artesia Group, including the Grayburg,  
11 Queen, Seven Rivers, Yates and Tansill Formations. Do  
12 you agree with that?

13          A.    I believe some researchers lump all of it  
14 together in the Capitan Reef Complex or something like  
15 that.

16          Q.    Okay. Is there any communication between those  
17 zones?

18          A.    I believe that the data that we've looked at in  
19 our project area indicates that there is no  
20 communication between the Capitan Reef and the Artesia  
21 Group, the Seven Rivers and Yates.

22          Q.    Now, let me ask you this: Water is contained  
23 in solution, cavities and fractures that are unevenly  
24 distributed within these formations. Would you agree  
25 with that statement?

1           A.    I'd have to read the report, sir.

2           Q.    Okay.  Do you think -- do you find anything  
3 particularly wrong about that statement with regard to  
4 the uneven distribution of caverns and other things  
5 within the Capitan Reef Aquifer?

6           A.    Maybe can you state that a little bit better?

7           Q.    Sure.  I mean, do you have any reason to  
8 believe that their description of the Capitan Reef  
9 Aquifer and those very zones that comprise it, do you  
10 believe that the description of that having diffuse  
11 and -- diffuse and different areas that are cavernous  
12 that contain these water formations, do you find that to  
13 be fairly consistent with what your research has  
14 uncovered?

15                           MR. MOELLENBERG:  Object to the form.

16                           EXAMINER JONES:  Can you restate it?

17                           MR. NEWELL:  Sure.

18           Q.    (BY MR. NEWELL) Do you believe that there are  
19 uneven cavernous formations within the Capitan Reef  
20 Aquifer Complex?

21           A.    Carlsbad Caverns is a cave that is in the  
22 Capitan Reef Formation.  Is there cavernous porosity  
23 engaged [sic] in the Jal area through the Yates and  
24 Seven Rivers?  We see no indication of that.

25           Q.    All right.  What about through the other

1     **formations that were identified? Going on down to --**  
2     **and, again, understand -- again, I'm not picking on you.**  
3     **This is important because this is an issue of high**  
4     **public -- this is a community.**

5                     **Let me just ask you this so you'll**  
6     **understand. What other differential water resources**  
7     **have you identified for the City of Jal in southeast New**  
8     **Mexico?**

9             A.     I'm a petroleum engineer. I don't look at  
10    fresh water.

11            Q.     **Sure. Fair enough.**

12                     **You've been down there, right?**

13                     MR. MOELLENBERG: Just to clarify,  
14    Mr. Blandford probably could address that question.

15                     MR. NEWELL: Fair enough.

16                     But certainly he's talked about some of  
17    these issues, but I'll defer to the next witness on  
18    that.

19                     If I might just check my notes?

20                     THE WITNESS: Sure.

21            Q.     **(BY MR. NEWELL) Okay. So this morning, we**  
22    **identified, conservatively, there could be 280 million**  
23    **barrels of fluid injected into this one well. You were**  
24    **here for that, correct?**

25             A.     Yes, sir.

1 Q. Okay. Now, has any of your modeling looked at  
2 the ability of this area of the Seven Rivers Formation  
3 and Yates Formation to accept or take in 280 million  
4 barrels of fluids?

5 A. Our analysis indicates that approximately  
6 90 million barrels of hydrocarbons were produced out of  
7 this 2,000-acre area. That would be readily replaced  
8 with the injected fluid.

9 Q. Okay. You said 90 million or billion?

10 A. 90 million.

11 Q. 90 million.

12 And so let's go - we're going to replace 90  
13 million with 280 million over a 40-year time span. I  
14 mean, am I -- am I hearing the numbers correctly that  
15 you're identifying? I want to make sure I understand.

16 MR. MOELLENBERG: And I'd just object.  
17 Misstates the testimony.

18 MR. NEWELL: I'm trying to clarify. I  
19 think he just said 90 million barrels were --

20 Q. (BY MR. NEWELL) Or 90 million barrels were --  
21 were produced out of that formation, correct?

22 A. That is correct.

23 Q. Okay. And then this morning, I believe we  
24 talked about that if we take 20,000 barrels a day over  
25 350 days, over 40 years, it comes up to 280 million

1 barrels. And so what I want to understand is you're  
2 saying that the space created by removing 90 barrels of  
3 production will be sufficient when you're talking about  
4 injecting 280 barrels of new fluids -- 280 million  
5 barrels of new fluids?

6 A. We did not model that. Mr. Blandford modeled  
7 that, and I think his testimony will address your  
8 question.

9 Q. You indicated the old wellbore needed to be  
10 investigated. Did you do any investigation of those old  
11 wellbores?

12 A. As far as like a wellbore-integrity analysis?

13 Q. Yes. Yes.

14 A. No, sir. That was all done by Lonquist, that  
15 prepared --

16 Q. Okay. But it was done?

17 A. Yes, sir. I've reviewed the permit, but I  
18 didn't prepare any of that material.

19 Q. Sure.

20 This aquifer is about 10 to 14 miles wide,  
21 correct?

22 MR. MOELLENBERG: Object. Which aquifer  
23 are we talking about?

24 MR. NEWELL: The Capitan Reef. I'm sorry.

25 Thank you.

1           **Q.    (BY MR. NEWELL) The Capitan Reef Aquifer is**  
2 **about 10 to 14 miles wide in this area, correct?**

3           A.    I don't believe the reef itself is 10 to 14  
4 miles wide.  The complex, when you include the Artesia  
5 Group reservoirs, may be 10 to 14 miles wide, but those  
6 are the back reef lagoonal reservoirs.  The reef proper  
7 is much narrower than that, and in the outcrops, it's  
8 probably less than a mile wide.

9           **Q.    So why this location?  Why not move it either**  
10 **farther east or farther west where we don't have this**  
11 **potential to even communicate with the Capitan Reef**  
12 **Aquifer?**

13          A.    I'm not an employee of OWL.  I didn't pick the  
14 location.

15                       MR. NEWELL:  Pass the witness.

16                       EXAMINER WADE:  Would you like the  
17 opportunity to redirect?

18                       EXAMINER JONES:  Do you want to redirect  
19 now, and we'll ask questions later?

20                       MR. MOELLENBERG:  I don't believe I have  
21 any redirect at this time.

22                       EXAMINER WADE:  I don't have any questions.

23                       EXAMINER DAWSON:  I have a couple of  
24 questions.

25   CROSS-EXAMINATION

1 BY EXAMINER DAWSON:

2 Q. Good afternoon, Mr. Kronkosky.

3 A. Good afternoon.

4 Q. Looking at your exhibits, Exhibit J, page 8,  
5 with the solid blue circle, and that's your best  
6 estimate of the future situation of injected fluid. Did  
7 you say that was based on a rate of 18,000 barrels a  
8 day?

9 A. I don't believe it's J. Let's see. Exhibit J,  
10 page 8 -- in my book, J has one page. I think it's K.

11 Q. K. I'm sorry. Page 8.

12 A. And your question again -- I'm sorry -- was  
13 18,000 barrels a day?

14 Q. On your estimate, that was based on a rate of  
15 18,000 barrels a day?

16 A. Yes, sir, Maralo Sholes. So what we did was we  
17 took the existing well. And the 18,000 barrels a day  
18 was an average, I think, of the last two years of OWL,  
19 and we projected that five years into the future.

20 Q. Okay.

21 A. So this is for the existing wellbore.

22 Q. So you would anticipate that five years into  
23 the future, the proposed Bobcat well would have  
24 basically the same radius as this Maralo Sholes well?

25 A. That's probably an accurate statement.

1 Q. And the proposed Bobcat well, that's about six  
2 miles from the Jal Oilfield; is that correct?

3 A. In the Jal Oilfield, you're talking the  
4 water --

5 Q. The municipal water supply.

6 A. The municipal water supply?

7 Q. Yes.

8 A. Six, seven miles.

9 Q. Okay. So this is a five-year projection. Did  
10 you -- did you go any -- did you project in any greater  
11 yearly estimates more than five years, like 15 years, 20  
12 years, to see how far out that radial -- the plume may  
13 be radial?

14 A. No. But Mr. Blandford, I believe, will provide  
15 a modeling that shows the radial estimates.

16 Q. And you're injecting -- when you're injecting  
17 into -- this will be an open-hole completion, which will  
18 be similar to the Maralo Sholes B No. 2 well?

19 A. I believe it is. Yes, sir.

20 Q. And so when you inject those grease [sic]  
21 waters into the proposed Bobcat well, as in the Maralo  
22 Sholes well, then you're basically saying that they're  
23 going to follow those sand stringers --

24 A. Yes.

25 Q. -- and they will not --

1           A.     Sorry.

2           Q.     Anhydrite, carbonates, dolomites, they won't  
3 really -- it won't really affect those zones within  
4 those sand sequences or sand lenses?

5           A.     I believe that that's accurate.

6           Q.     Okay.  And in the -- when you -- you looked  
7 over at the well field -- the Jal well field, those  
8 wells over there.  Did you look at each individual well  
9 within that well field as to what aquifer those are  
10 producing from?  Are they all producing from the  
11 Capitan?  There's Santa Rosa, correct?

12          A.     No, no, no.  They're Cenozoic.  They're  
13 freshwater wells in the Cenozoic fields.

14          Q.     Shallow.

15          A.     So they're maybe 300 feet deep.  Yeah, very  
16 shallow.

17          Q.     And the Capitan Reef waters roughly about --  
18 beneath the proposed saltwater disposal well, the TDS in  
19 the Capitan is about 22,000?  Is that what --

20          A.     In the Skelly Jal water analysis that was from  
21 the Capitan Reef, they reported -- I believe it was like  
22 22,600, something like that.

23          Q.     And then when I'm looking at the -- you had one  
24 slide in there with the -- where you had the temperature  
25 survey --

1 A. Uh-huh.

2 Q. -- and about 3,055 feet, the temperature went  
3 way up?

4 A. Yes, sir.

5 Q. That's indicating you're into the anhydrite or  
6 dolomite section there?

7 A. Yes, sir. That's an indication of a reservoir  
8 that's not taking fluids, and it hasn't cooled off due  
9 to the injected fluids. So that indicates a vertical  
10 barrier.

11 Q. And the porosity in those anhydrite lenses is  
12 roughly about 1 to 3 percent?

13 A. They're very -- yes, sir.

14 Q. And in the sandstones, it's about 17 to 23  
15 percent?

16 A. Yes, sir. They're very high.

17 Q. Okay. And when you assessed this location, you  
18 also -- I guess you also looked at the Devonian in the  
19 area. And there is possibility for Devonian disposal in  
20 the immediate area?

21 A. I have knowledge of the Devonian, but I  
22 didn't -- I was specifically tasked to look at the  
23 Artesia Group of this well. I wasn't tasked to look at  
24 the Devonian.

25 Q. So you didn't -- your company -- or OWL did not

1 anticipate drilling a Devonian well in this Section 25?

2 A. My knowledge is that they may have a permit,  
3 but I wasn't tasked to look at that data.

4 Q. Okay. And so I heard some talk earlier --  
5 Mr. Johnson talking about a well, the Kimberly well.

6 A. Yes, sir.

7 Q. Do you know about that well?

8 A. That's the permit that I'm aware of.

9 Q. That's the Devonian permit, right?

10 A. I believe it is.

11 Q. How far is that from this well?

12 A. If I had to guess, maybe three or four miles to  
13 the southeast.

14 Q. Okay. You did show some graphs on some  
15 offsetting wells that had some spikes in water  
16 production --

17 A. Uh-huh.

18 Q. -- for an offsetting -- couple of offsetting  
19 wells, those EOG wells, that had some spikes in water  
20 production? I believe they were EOG.

21 A. No. They were Mr. Fulfer's, I believe.

22 Q. Oh, Fulfer.

23 A. That was -- I think the question was raised due  
24 to correlative rights from Mr. Goetze.

25 Q. Did you assess the water production in the area

1 of review? Did you assess the wells and their water  
2 production since you've been injecting in the Maralo  
3 Sholes B No. 2?

4 A. Yes, sir. I looked at the water production  
5 that is in the project area that was delineated in  
6 yellow, and it was summarized, aggregated. And I  
7 believe that is in Exhibit -- Exhibit F. And that shows  
8 the water and injection with time.

9 I'd also like to call to your attention  
10 that the water production on the offset well -- I  
11 believe it's the Maralo Sholes Number 25 B No. 1. The  
12 water production that showed those spikes has been  
13 amended, and the water production is very low. It's, I  
14 believe, less than 1,000 barrels a month. So it's maybe  
15 30 barrels a day or less. I think that was the highest  
16 month I observed. Those spikes have been removed.

17 Q. Is there -- I'm doubtful, but I'm just going to  
18 ask you. Has there been any horizontal drilling in the  
19 Yates-Seven Rivers? Have they attempted that any or --  
20 probably not, huh, with not much success?

21 A. You know, they may have done it in some of the  
22 waterfloods on the northern part, but I know in the San  
23 Andres, that's an active play going on in some of these  
24 old waterfloods, to drill horizontal wells, to get the  
25 remaining unswept hydrocarbons. But I'd be stretching

1 and lying to you if I told you I knew there were  
2 horizontals in the Yates and Seven Rivers in this area.

3 Q. So you're pretty much saying that you wouldn't  
4 anticipate there would be any horizontal development in  
5 the disposal zone?

6 A. In the project area? No. There is a  
7 waterflood a little bit north of Jal that's been ongoing  
8 for a long time, and that might be a viable candidate  
9 for that waterflood, but I'd be speculating.

10 Q. But most of those wells in the project area  
11 produce maybe three to ten barrels, and they're really  
12 low product- --

13 A. I think the wells are currently producing less  
14 than half a barrel of oil a day and maybe five or six  
15 mcf on average. I mean, it's very small production.

16 Q. So you don't feel that there would be any  
17 impact whatsoever on offset producing Yates-Seven Rivers  
18 well?

19 A. No. I don't believe that there would be any  
20 impacts with any -- impacts that would actually be able  
21 to show to those wells by providing some form of  
22 pressure support for the operator.

23 Q. Okay. Do you know how much -- when you  
24 bought -- when you guys took over -- you took over the  
25 Maralo Sholes B No. 2 well, right --

1 A. I believe --

2 Q. -- or they did?

3 A. -- OWL bought the well from Mr. Fulfer and took  
4 over the well. I'm not an employee of OWL. I'm sorry.

5 Q. Okay. So it was -- you think it was uneconomic  
6 when they approached Mr. Fulfer about taking that well  
7 over?

8 A. Mr. Johnson could probably address that  
9 question a little better than I could, as far as the  
10 business case for that.

11 Q. That's all the questions I have. Thank you.

12 CROSS-EXAMINATION

13 BY EXAMINER JONES:

14 Q. Congratulations on your Ph.D.

15 A. I haven't gotten it yet, so -- I've got six  
16 more months of hard work.

17 Q. Sounds like you're well on the way.

18 And I apologize I'm not as prepared as I  
19 should be. They'll be treating me like one of the White  
20 House people that's on the outs.

21 You said the reef was five or six miles to  
22 the west, the peak of the reef of the actual Capitan?

23 A. Yeah. I believe that the reef and the reef  
24 margin is approximately five to six miles further to the  
25 west.

1           **Q.    And how about vertically to the reef from the**  
2 **proposed disposal zone?**

3           A.    I believe that we would have to go several  
4 thousand feet to get into what we would call a reef, and  
5 that would be well into the Queen.

6                         In our area, when we look at the cross  
7 section that was done by Harris and Saller on Exhibit A,  
8 they identified the Capitan in the Federal Davidson  
9 No. 1, in gray, and it's, you know, several hundred feet  
10 down below the top of the Seven Rivers, which is where  
11 we're injecting, and that well is actually further to  
12 the west, closer to the reef itself.

13           **Q.    Is the slope of the reef 45 degrees coming**  
14 **from, like, five miles west and sloping east?**

15           A.    I believe that as you approach the reef margin,  
16 there is a steep -- steep drop-off into the basin. I  
17 believe there is -- at some point in time when the reef  
18 was growing, I think they say it may have been 5- or 600  
19 feet, maybe even more, to the floor of the basin when  
20 dune debris flows came off.

21           **Q.    So debris flows, is that what created all this**  
22 **porosity and permeability in the back reef facies?**

23           A.    The porosity and the permeability in the  
24 sands -- they are sands, not carbonate reef growth.  
25 Those are from aeolian facies sand dunes that came

1 across the Midland Basin. So they're not marine at all.  
2 They're back reef evaporite-type environment, and that's  
3 why the dolomite is extremely tight. There is a lot of  
4 anhydrite. As the water came up, the shelf dolomites  
5 were deposited, and then the sands and then alternating  
6 sequences of, you know, back reef and --

7 Q. Our geologist in Hobbs always told me that the  
8 Seven Rivers and -- the actual Capitan and the Seven  
9 Rivers could be considered all one massive carbonate,  
10 and he either implied or told me that it was a limestone  
11 also. So are you convinced that it's a dolomite? Have  
12 you -- do your neutron density logs separate, or do they  
13 go together?

14 A. No. There is positive separation. They're  
15 most definitely a dolomite. The PD log confirms that  
16 it's a dolomite. We haven't seen reports of limestone.  
17 In this area, I haven't seen any reports. It's all  
18 either dolomites or sands, and they're muddied  
19 dolomites, stuff like that.

20 Q. But the sands are really high porosity and --  
21 I'm jumping around here, but you -- I  
22 should jump straight to the pressure transient  
23 simulation that you did. I kind of understood in  
24 general that you had assumed a distribution of  
25 thickness, porosity, permeability, maybe even -- even

1 maybe SWI and then threw them all into the -- and a --  
2 maybe a shape --

3 A. Uh-huh.

4 Q. -- a radial shape.

5 A. We -- we modeled the permeability with the  
6 formation thickness, the formation that is going to take  
7 fluids.

8 Q. You modeled the distribution?

9 A. The distribution.

10 Q. From different logs that you had?

11 A. No, no. Just -- it was a -- it was based upon  
12 intuition. There's really not a whole lot of data to  
13 substantiate these distributions, so what we did was we  
14 took the known Seven Rivers permeability that is  
15 approximately a half mile away that was reported by Hiss  
16 in 1975. I think that was 350. And we kind of centered  
17 the permeability distribution of assumed values around  
18 that, assuming normal distributions, just to give us a  
19 general idea of what the uncertainty would look like.  
20 So a lot of it is engineering judgment.

21 Q. 350 for sandstones is kind of -- even  
22 sandstone? That's high, isn't it? Was he talking about  
23 general system permeability, or is he talking about  
24 actual core measure?

25 A. That was an actual reported core measurement,

1 and I believe that there's -- there are very high  
2 permeabilities there. I mean, 100 is not unrealistic.  
3 I believe that when we look at the rates that this well  
4 has taken and the assumed reservoir pressures -- not  
5 assumed by low pressures but by what we've actually seen  
6 reported, the rates and permeabilities that we utilize  
7 in our Monte Carlo simulation all jibe with the rates  
8 that we're seeing injected into this well.

9 Q. So it has to be extremely high --

10 A. Yes.

11 Q. -- to take this much fluid?

12 And what's the thickness that you're  
13 injecting?

14 A. I believe we centered it around 100, 120 feet.

15 Q. So that was -- the tracer log showed that,  
16 confirmed that?

17 A. Yes, sir.

18 Q. Okay. So your horizontal versus your vertical  
19 perm in your -- in your sandstones, is it a ratio of one  
20 to ten or something or --

21 A. In the sandstones, most people typically, you  
22 know, use a ratio of 1 to 100. If it's a default, most  
23 reservoir simulators do a vertical permeability to  
24 horizontal.

25 Q. Okay. So that means that this much disposal is

1 going out a long ways. If it's -- it's not going up or  
2 down and it's -- it's pretty -- it's layered -- you say  
3 it's aeolian sands, though. So there's no telling how  
4 long this will last, and we might pressure up sometime  
5 out there.

6 A. I believe that there is a likelihood at some  
7 point in time that this reservoir in the project area  
8 will begin to pressure up, and the rates will come way  
9 down.

10 Q. Okay. How far out -- before we leave that  
11 subject, how far out would you -- is your radius that  
12 you would look at? Like, most of these wells are not  
13 lasting five or ten years, these horizontal wells. So  
14 let's say ten years. How long would you -- would you go  
15 out, you think?

16 A. How far would it go?

17 Q. Yeah.

18 A. I'd have to look and do a calculation, but I  
19 believe, based on the five-year projection, the area of  
20 influence was --

21 Q. Certain pressures you were talking about,  
22 right, with so many years out?

23 A. I believe it was something on the order of --  
24 assuming the historical injection had taken place from  
25 2008 to 2012, plus a five-year projection at 18,000

1 barrels a day, we got something on the order of around  
2 800 acres of perturbed area.

3 **Q. Oh, okay.**

4 A. It's not a massive area, but it is a fairly  
5 good extent.

6 **Q. So 1,400 pounds initial pressures. Where did  
7 you get that number?**

8 A. That number came from the original -- the  
9 filings with the NMOCD, in their annual filings, but the  
10 production reports, I'm trying to think of the actual  
11 title of that document. But --

12 **Q. Okay. The Roswell Geological Society?**

13 A. Yes, sir. They were in Roswell, and there's  
14 the stuff that you-all have, the production data, the  
15 log books that go back way into the 1930s.

16 **Q. Okay. Yeah. So that's a little bit less than  
17 normally pressured at these depths.**

18 A. It's slightly.

19 **Q. Slightly less.**

20 **And the current pressure that you're  
21 estimating?**

22 A. The pressure that was -- that we last observed  
23 where they had bottom-hole pressures in the '70s, I  
24 believe, was on the order of like 100 pounds of  
25 pressure. So --

1           **Q.    Okay.  So that is kind of a general-area study,**  
2           **but how does that relate to this particular area where**  
3           **you're at?  Did you have wells in this area that were --**  
4           **would have drawn down the pressure, or is this area a**  
5           **bit out of this Jalmat Field?  Is it inside the Jalmat?**

6           A.    It is.  It is actually in between the two  
7           discovery wells of the Jalmat and Langlie Mattix Fields.

8           **Q.    Okay.**

9           A.    The Skelly Joyner No. 1 was a mile to the west,  
10          and I believe -- and that was for the Jalmat.  And I  
11          believe the discovery for -- and that was in 1929.  And  
12          I believe the discovery for the Langlie Mattix Field was  
13          maybe a mile to the north, northeast.

14          **Q.    Okay.  So this general area had to be**  
15          **pressured.  And you say it had an initial gas cap?**

16          A.    Initially, the saturation pressure of the  
17          hydrocarbons was right around 14-, 1,450, so there was  
18          an original gas cap that was in place.

19          **Q.    And it was enhanced as a production, went below**  
20          **the bubble point?**

21          A.    So as the production took place in this area,  
22          the gas evolved and basically replenished the gas cap,  
23          which is the reason why some of these wells produced  
24          significant quantities of hydrocarbons.  Most of these  
25          wells in this particular section, Section 25, produced

1 in excess of half a million barrels of oil, and some of  
2 these wells have produced several bcf of gas as they  
3 blew down the gas cap in the late 1940s and '50s.

4 Q. Okay. So we're kind of talking about taking an  
5 old oil and gas reservoir -- basically, a solution gas  
6 drive oil reservoir that's depleted and turning it into  
7 a disposal reservoir; is that correct?

8 A. I believe that is correct.

9 Q. Have you seen that in other places? We?  
10 don't -- we haven't done that very much in New Mexico  
11 so -- at least not without classifying it as some sort  
12 of a, you know, pressure maintenance project or  
13 something, you know. Have you seen it in Texas, that  
14 they've taken these depleted reservoirs and turned them  
15 into disposal?

16 A. Yeah. I believe in, like, South Texas, there  
17 are a lot of Wilcox gas fields that have been reinjected  
18 into, and they've made good candidates for saltwater  
19 disposal.

20 Q. Okay.

21 A. That's to the extent of my knowledge on  
22 saltwater disposal in extremely depleted zones.

23 Q. Okay. So -- and I know you've already answered  
24 this. The effect on producers that are still out here  
25 maybe a mile or so away, is it -- it's going to sweep a

1 bunch of gas to those wells, first of all, correct?  
2 They're going to -- they're going to gas lock right  
3 quick. They're going to have to change their pumps.

4 A. If there is significant quantities of gas, it  
5 would be -- it would be pretty slight. These wells,  
6 they just -- they don't produce very much. It may help  
7 them, but -- I don't know if they would gas lock them  
8 because they don't just pump.

9 Q. Yeah. They go up the casing anyway.

10 A. Yeah. Yeah. It would go up the casing. I  
11 just don't think they turn them on very often to produce  
12 the fluids.

13 Q. So it's totally depleted?

14 A. Yes, sir.

15 Q. And none of the minerals owners care that this  
16 had happened -- that this would happen?

17 A. To the best of my knowledge, no.

18 Q. You're not the right person to ask about that,  
19 I guess?

20 A. May have to get one of them in here.

21 Q. You weren't involved in the C-108?

22 A. The C-108 was prepared by Lonquist. They're a  
23 consulting group out of Austin, Texas and Houston.

24 Q. Before you were involved in the project?

25 A. I think when I was involved. I've reviewed the

1 permit for it, but we don't specialize in preparing  
2 permits and the regulatory aspect of that.

3 **Q. Have you had talks with other professionals and**  
4 **other oil companies while you were preparing this**  
5 **valuation or other hydrologists?**

6 A. Mr. Blandford and I have worked together quite  
7 extensively on this project.

8 **Q. Okay. But any comments from other oil**  
9 **companies? Have you talked to any professionals in**  
10 **other oil companies about this?**

11 A. I've talked to a professional at Texas Tech  
12 University --

13 **Q. Oh.**

14 A. -- one of the faculty there that's in the  
15 petroleum department, but no -- we have not brought on  
16 any outside consultants for our work.

17 **Q. Okay. So basically even with vast quantities**  
18 **of disposal, your reservoir pressure is going to stay**  
19 **pretty low for a long time; is that correct?**

20 A. I believe that there is a substantial amount of  
21 pore space in this reservoir that can readily accept  
22 produced water for quite some time.

23 **Q. So far? At least --**

24 A. Sure.

25 **Q. -- what you're seeing so far?**

1           A.    This well, essentially, takes it on vacuum.

2           **Q.    It takes it on vacuum, but because it's an**  
3           **aeolian reservoir, it might, all of a sudden, hit a**  
4           **limit one of these days?**

5           A.    It may.

6           **Q.    It may?**

7           A.    Yes, sir.

8           **Q.    And how deep are the producing wells out here?**

9           A.    I believe they're -- they're all in the  
10          equivalent reservoirs at around 3,000 feet.

11          **Q.    No more than -- so that's Yates production?**

12          A.    Yates -- I believe that as you go further to  
13          the east, the reservoir becomes a gas reservoir, and  
14          they do produce Seven Rivers gas further to the east, as  
15          you go further up structure. Predominantly, anything  
16          that has oil -- anything below -- anything above minus  
17          300 feet subsea going to the east is predominantly  
18          hydrocarbon productive if it has porosity --

19          **Q.    How far away is that from here?**

20          A.    I believe the lateral extents to the west go  
21          six to eight miles further to the west. I mean to the  
22          east. I'm sorry. I'm lying to you.

23          **Q.    But the proposed well is -- is that -- will**  
24          **that be in the currently productive hydrocarbon zone?**

25          **In other words, is it down in the -- it's not in the**

1    **water leg? It's still in the depleted oil and gas zone;**  
2    **is that correct?**

3           A.    Yes, sir. I believe it is in the upper portion  
4    of the oil zone.

5           **Q.    Upper portion?**

6           A.    Upper portion.

7           **Q.    So how much further down to the water -- to the**  
8    **water?**

9           A.    I believe that you would need to go about a  
10   mile and a mile and a half to the east to get to the  
11   oil-water contact in these particular reservoirs.

12          **Q.    Okay. So there are still old wellbores around**  
13   **here that were producing in this zone?**

14          A.    To my knowledge, there may be a few.

15          **Q.    Okay. But how far down to the oil-water**  
16   **contact in this well?**

17          A.    I believe it's 2- or 300 feet.

18          **Q.    Okay. So it's just a little -- sands come and**  
19   **go in this?**

20          A.    No. The sands are laterally extensive. You  
21   can follow these sands across Section 25.

22          **Q.    Okay. So they're pretty predictable?**

23          A.    The sands that we're injecting into are  
24   laterally extensive. Yes, sir.

25          **Q.    So why would you want to complete your well**

1 open hole or not case it and stimulate the sands?

2 A. That's a question that would have to be  
3 addressed by OWL. I think an open-hole completion is a  
4 good completion.

5 Q. As long as it works. If it doesn't work, you  
6 don't have any options.

7 A. Sure. And as far as fracture stimulation,  
8 there is such high permeability and low porosity that I  
9 don't believe that they need to be stimulated.  
10 Stimulation really wouldn't -- a fracture stimulation  
11 just doesn't really help you at all.

12 Q. Okay. And what about the testing and the logs  
13 on this well? Is another witness going to talk about  
14 that on this proposed well?

15 A. As far as -- this well hasn't been drilled, so  
16 it doesn't have --

17 Q. The proposed testing and logs on it. Another  
18 witness will talk about that, I'm sure.

19 A. Or I can maybe be called back about that.

20 Q. Okay. Some of the -- it seems some of the  
21 concern here is the impact on the -- on the reef -- the  
22 reef aquifer, I guess, the Capitan Aquifer, not just the  
23 reef rock itself, but the aquifer. So as a petroleum  
24 engineer, what kind of -- what kind of -- besides your  
25 testimony already, what kind of testing in the future

1 or -- on this well or other wells could you propose to  
2 allay any fears of impact??

3 A. I guess for the reef itself, it would have to  
4 be some kind of pressure observation wells that would  
5 have to be drilled to monitor changes in pressure,  
6 effects on the reef. But aside from that, I don't  
7 really see any kind of viable alternative besides  
8 drilling a whole bunch of observation wells.

9 Q. And if you drilled your wells at the wrong spot  
10 and didn't have a connection but right next to it did,  
11 you'd be wasting your well, wouldn't you??

12 A. (Indicating.)

13 Q. What about periodic follow-up tests to see --  
14 to track your reservoir pressure?

15 A. I think that that would be a good management  
16 practice to look at, especially for the existing  
17 wellbore. Right now the reservoir pressures are so low  
18 that there is just no way to build up a head to get into  
19 any shallower zones. But with, you know, falloff  
20 testing, we could monitor the build-up of pressure to  
21 see if the reservoir pressure is building up, and we  
22 should notice it as rates decrease over time if the  
23 reservoir is building up pressure.

24 Q. Didn't you testify that the reef itself -- reef  
25 aquifer itself was higher pressure than the reservoir

1 that you're proposing to -- that OWL is proposing to  
2 dispose into?

3 A. Yes, sir. The Southwest Jal No. 1, I believe,  
4 shows that the pressure in the reef is substantially  
5 higher than the pressure in the proposed injected  
6 interval.

7 Q. Okay. So is the conclusion that you make that  
8 disposed waters will not -- that gravity will not  
9 overcome the difference in the lower -- pressure in the  
10 aquifer to cause migration of the disposed waters?

11 A. Yes, sir. I believe the hydraulic grade line  
12 is going to the east. So the low pressure is further to  
13 the east, and the higher pressure would be further to  
14 the west. So the grade line would close with  
15 preferential flows.

16 Q. So the water in the aquifer itself is flowing  
17 to the east?

18 A. If it was flowing to the -- it would flow,  
19 potentially, to the east if there was a connection, but  
20 we don't believe that there is a connection.

21 Q. What about the water in the aquifer? You  
22 talked about some -- is the aquifer -- the reef aquifer,  
23 is there a preferential flow direction at this point?  
24 Is it flowing south? The water flowing south?

25 A. I believe that due to the pressure observation

1 well that was the Southwest Jal, that well showed that  
2 the head had decreased over time due to the Skelly Jal  
3 and the, I think, El Capitan water supply fields north  
4 and south. So I believe that the communication is north  
5 and south and not in an east-west direction.

6 **Q. Okay. So there was some fluence on the flow**  
7 **because of those withdrawal wells?**

8 A. Yes, from the -- from the -- from those fields.  
9 Those fields withdrew, you know, 60-, 70,000 acre-feet a  
10 year -- a day. They were large fields.

11 **Q. Okay. Okay. Thanks very much.**

12 A. Yes, sir.

13 EXAMINER JONES: Let's take -- do you want  
14 to redirect?

15 MR. MOELLENBERG: I don't have anything.  
16 And, Mr. Hearing Officer, if you have some questions  
17 you'd like to ask about the logging and monitoring for  
18 the new well, we do have someone who could address  
19 those. Maybe we could put somebody on tomorrow to do  
20 that, if that would work for you.

21 EXAMINER JONES: Okay. Looks like we are  
22 going into tomorrow.

23 MR. MOELLENBERG: I think so.

24 EXAMINER JONES: Okay. We'll have a  
25 ten-minute break.

1 (Recess, 3:06 p.m. to 3:23 p.m.)

2 MR. MOELLENBERG: Mr. Hearing Examiner --

3 EXAMINER JONES: You got a full C-108?

4 MR. MOELLENBERG: Yup. We've marked that  
5 as Exhibit 5 and distributed it here.

6 EXAMINER JONES: Is there any objection to  
7 admitting Exhibit 5?

8 MR. MOELLENBERG: This one is a complete  
9 copy with -- with the other well.

10 MR. GOETZE: Does it have the wellbore  
11 diagram? Because they did apply -- the original  
12 application did have the AOR well diagrams in them. The  
13 exhibit that was submitted later for the application to  
14 hearing was missing it. So they have done the work.  
15 We've got to make sure it's on the record.

16 EXAMINER JONES: Okay.

17 MR. GOETZE: Thank you.

18 EXAMINER JONES: Exhibit 5 is admitted.

19 (OWL SWD Operating, LLC Exhibit Number 5 is  
20 offered and admitted into evidence.)

21 MR. MOELLENBERG: And I believe we're ready  
22 to call Mr. Blandford.

23 THOMAS NEIL BLANDFORD,  
24 after having been previously sworn under oath, was  
25 questioned and testified as follows:

DIRECT EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY MR. MOELLENBERG:

Q. So, Mr. Blandford, as with the other witnesses, you've been sworn.

So would you please state your name and address and employer for the record?

A. Thomas Neil Blanford. I'm employed by Daniel B. Stephens & Associates. It's at 6020 Academy, Northeast, Suite 100, Albuquerque, New Mexico.

Q. And have you provided a resume with your professional qualifications and discussion of your experience for this hearing?

A. Yes.

MS. CHAVEZ: It is in the binders already, and yours is right there (indicating).

Q. (BY MR. MOELLENBERG) Okay. And we've marked this as Exhibit 6.

Would you give us a brief summary, then, of your qualifications, and then we'll talk a little bit about your experience as well?

A. My qualifications, I have a Bachelor of Arts degree from the University of Virginia in environmental science. That course of study was primarily geology and hydrology. And I have Master of Science degree in hydrology from New Mexico Tech.

1           **Q.    And any professional licenses?**

2           A.    I'm a professional geologist in the state of  
3 Texas, Number 1034.

4           **Q.    And I guess New Mexico doesn't issue those**  
5 **licenses or numbers?**

6           A.    They do not.

7           **Q.    Would you talk a little bit about your**  
8 **experience, then, and the type of projects that you have**  
9 **been a part of?**

10          A.    I've been a consulting hydrogeologist for 30  
11 years. I've worked on all types of projects across the  
12 Southwest, a lot of water supply projects, water rights  
13 evaluations, water right transfers, appropriations.

14                   I've worked in the environmental field.  
15 I've supported a lot of environmental permitting for  
16 Freeport-McMoRan, formerly Phelps Dodge, and various  
17 other clients. I do a lot of -- in my work, a lot of  
18 quantitative hydrogeology. I was trained as a numeric  
19 modeler. That's kind of what I started doing in the --  
20 and I've worked in all types of aquifers and all types  
21 of environments from fresh water to seawater intrusion  
22 to brackish aquifers.

23                   MR. MOELLENBERG: So at this time, I would  
24 like to qualify Mr. Blandford as an expert in geology,  
25 hydrology, hydrogeology, if there is a difference, and

1 also as an expert in water supply issues.

2 EXAMINER JONES: Objection?

3 MR. BROOKS: No objection.

4 MS. MOSS: No objection.

5 EXAMINER JONES: He's so qualified.

6 Q. (BY MR. MOELLENBERG) So, Mr. Blandford, have  
7 you prepared a written report for this proceeding?

8 A. I did, yes.

9 Q. And is that something you prepared yourself or  
10 with other folks in your firm or others possibly?

11 A. I prepared it myself with some assistance from  
12 others in my firm, working under -- at my direction.

13 Q. And did you consult with Mr. Kronkosky  
14 regarding this project in the preparation of your  
15 report?

16 A. I did, yes.

17 Q. What kind of information did you receive and  
18 review to prepare your report?

19 A. I received the information that Mr. Kronkosky  
20 has summarized in his exhibits, in his report. I  
21 reviewed the application for the saltwater disposal, and  
22 I looked at a number of references that have already  
23 been referred to in this proceeding, the work by Hiss,  
24 his Ph.D. dissertation in 1975, and there are a whole  
25 number of derivative publications. There is a series of

1 maps that are published by the New Mexico Bureau of  
2 Geology, for example. There are some papers that he  
3 published on ground flow in the Capitan Reef Aquifer.  
4 And certainly on the geology and the hydrogeology, I  
5 also relied on my prior experience working in these same  
6 aquifer units and these same geologic settings across  
7 southeast New Mexico and West Texas for other clients.

8 **Q. Is it your understanding that one of the issues**  
9 **that was raised early on this or related proceedings was**  
10 **the need for the City of Jal to ensure that its water**  
11 **supplies are safe and that it has access to future water**  
12 **supplies?**

13 A. Yes.

14 **Q. What did you look at and consider in your**  
15 **evaluation concerning the City of Jal's water supplies?**

16 A. I looked -- there is a -- I don't know how you  
17 characterize it -- I guess a letter expressing concern  
18 on behalf of the City of Jal, and I read that letter. I  
19 looked at several reports from the City of Jal's  
20 hydrogeology consultants, Souder, Miller. In  
21 particular, there is a report where they looked at  
22 aquifers in the region to try to, you know, give Jal a  
23 recommendation on where they might find additional  
24 supplies in the future. So I reviewed that. I reviewed  
25 the saltwater disposal well application for the Bobcat

1 well, the new well, and then I would also lump into that  
2 all the historical documents that I've already  
3 mentioned.

4 Q. Okay. There are a couple of reports relating  
5 to Jal prepared by Souder, Miller & Associates. I think  
6 there has been some confusion in our office as to which  
7 one is most pertinent. But looking at your  
8 references -- it looks like probably on page 18 of your  
9 report -- is that the report that you just referenced a  
10 moment ago?

11 A. Yes. That is the report which is most  
12 pertinent.

13 Q. Tell us a little bit about that report and the  
14 investigation that Souder, Miller & Associates did for  
15 the City of Jal. I guess to start with, what was the  
16 purpose of that investigation?

17 A. I believe the purpose was to make a  
18 recommendation to the City on, you know, where they  
19 should go or consider going with regard to groundwater  
20 resources in the future or additional supplies that they  
21 may need.

22 Q. Go ahead.

23 A. I would just characterize it as kind of a paper  
24 study, a literature study of resources in the region  
25 where they list the different groundwater sources that

1 are available, and then they kind of go through a  
2 process of coming up with a recommendation that they  
3 made to the City.

4 **Q. Okay. What is -- where and if you could**  
5 **describe Jal's existing water supply sources.**

6 A. Jal's current supplies come from the Pecos  
7 Alluvium, the shallowest aquifer in the region, and  
8 it's -- the region's noted on Figure 1 of my report.  
9 And there is, on the lower -- well, to the southwest of  
10 Jal, there is a blue box and it's labeled "Jal Westfield  
11 Boundary." And that's the -- those wells completed in  
12 that region, they're in the Jal Underground Water Basin,  
13 as defined by the State Engineer. That's the current  
14 water supply for Jal.

15 Just so there is no confusion, I would also  
16 note, on the same figure, in the vicinity of the City of  
17 Jal itself, there are some magenta dots that are plotted  
18 there, and those are applications made to the State  
19 Engineer for Santa Rosa supply wells. Those wells are  
20 in the Capitan Underground Water Basin, as defined by  
21 the State Engineer, but the source of water would be  
22 Santa Rosa water, not Capitan Aquifer water. So those  
23 are applications. To my knowledge, those wells have not  
24 been drilled yet.

25 **Q. What is the approximate depth of the existing**

1 **water supply wells, the new wells?**

2 A. I believe they'd be on the order of 6- to 700  
3 feet.

4 **Q. And could you tell us how those well locations**  
5 **relate both horizontally and vertically from the**  
6 **proposed Bobcat SWD well?**

7 A. So in all of my figures, the Bobcat SWD well as  
8 proposed is the green triangle. And there is a scale on  
9 all the figures. So those wells are about six miles or  
10 so to the southwest of the proposed Bobcat well.

11 **Q. And do you recall the depth of the injection**  
12 **zone of the Bobcat well?**

13 A. It's slightly over 3,000 feet, as I recall. I  
14 think 3,060, something like that.

15 **Q. Okay. So let's talk for a moment about the**  
16 **magenta wells and in the Santa Rosa Formation. Do you**  
17 **know the approximate depths that they might be targeting**  
18 **for those wells if they drill them?**

19 A. I believe those well were targeted for about  
20 800 feet. Actually -- excuse me -- 700 feet. I have  
21 the application here. So 700 feet is what they put in  
22 the notice.

23 **Q. Okay. And I think you said those are within**  
24 **the Capitan Underground Water Basin; is that right?**

25 A. That's correct.

1           **Q.    What's the difference between the Capitan**  
2 **Underground Water Basin and the Capitan Reef Aquifer?**

3           A.    The Capitan Underground Water Basin is a --  
4 it's a geologic region defined by the State Engineer for  
5 the administration of water rights within that specific  
6 region.  The extent of it approximately follows the  
7 extent of the Capitan Reef Aquifer, and that's why it's  
8 named such.  But administration of water in the Basin  
9 includes all aquifers you would find from land surface  
10 all the way down to the Capitan Reef Aquifer itself.  So  
11 just because there is a water supply or a water right  
12 within the Capitan Basin, as defined by the State  
13 Engineer, that does not mean that it's a well that's  
14 drawing water from the Capitan Reef Aquifer.  Those can  
15 be two very different things.

16           **Q.    Now, on your Figure 1, there are a couple of**  
17 **yellow lines in the legend that indicates that's the**  
18 **Capitan Reef Aquifer extent; is that right?**

19           A.    That's correct.

20           **Q.    Could you identify an approximate depth of the**  
21 **top of the Capitan Reef Aquifer there in the vicinity of**  
22 **Jal and those magenta-colored dots?**

23           A.    Yes.  The next figure -- I'm sorry -- two  
24 figures down, Figure 3 is a cross section.  And the  
25 location of the cross section is marked on Figure 1.

1 It's just -- it goes -- transfers to the -- to the reef  
2 aquifer, and it crosses just north of the proposed  
3 Bobcat well location. And this is a cross section  
4 that's taken from Hiss, 1975, D, D prime, and you can  
5 see there the different formations from the land surface  
6 downward. And you can see that to get to the Capitan  
7 Reef Complex or the Capitan Reef Aquifer, you have to  
8 go, you know, below sea level at least. And, you know,  
9 land surface is about 3,000 feet, maybe a little bit  
10 more. So you're going to go 3,000 to maybe 3,500 feet  
11 to get to the top of the Capitan Reef Aquifer.

12 **Q. So on this cross section that you were just**  
13 **referring to, which I believe is Figure 3 -- is that**  
14 **right?**

15 A. That's correct.

16 **Q. -- where would the Santa Rosa Formation be if**  
17 **you were plotting it on that cross section?**

18 A. It would be up in the unit that's labeled  
19 "Rocks Younger Than Rustler Formation." And so on top  
20 of the Rustler Formation, it's not shown, but you'd have  
21 about 500 feet of Dewey Lake confining bed, doing a  
22 siltstone shale, and then -- going up in the section.  
23 And then on top of Dewey Lake, you would run into the  
24 Santa Rosa Formation.

25 **Q. And, again, this is sort of a generalized cross**

1 section, kind of a regional cross section? Is that how  
2 you would describe it, or would you describe it  
3 differently?

4 A. It's regional but relatively detailed for the  
5 location it's at. The actual well logs are plotted on  
6 the location from Hiss, so he based this on five  
7 geophysical well logs, as shown.

8 Q. So what does the Rustler Formation consist of?

9 A. There are dolomites in the Rustler Formation,  
10 which are primarily -- the primary producing zones. The  
11 Rustler can be an aquifer. And then there are a lot of  
12 anhydrite and evaporite layers in the Rustler Formation  
13 as well.

14 Q. And then how would you characterize the Salado  
15 Formation?

16 A. It's essentially a salt, predominantly  
17 anhydrite. Hydrologically, it's virtually impermeable.

18 Q. How thick is the Salado Formation?

19 A. At the Bobcat well location, I believe it's  
20 listed as 1,250 feet thick. The thickness is  
21 substantial across this entire area that we're  
22 discussing today.

23 Q. So you have, to summarize there, about a  
24 1,200-foot thick pretty much impermeable formation  
25 sitting below the Rustler and obviously the formations

1 on top of the Rustler?

2 A. That's correct.

3 Q. Okay. And then below that, it looks like the  
4 Artesia Group, which has been talked about a fair amount  
5 today. Any thoughts or comments on the Artesia Group as  
6 it relates to your study?

7 A. Not other than what's already been discussed.  
8 I think you can see, you know, visually here kind of how  
9 we've been talking about it. It sits on top of the  
10 Capitan Reef Complex, and moving to the west, it  
11 eventually grades into the reef.

12 Q. And this is the Capitan Reef Complex. Could  
13 you describe sort of what that label means? Is it kind  
14 of a homogeneous thing or different components? What  
15 can you tell us about that?

16 A. Yeah. The Complex, it's -- it's a geologic  
17 unit where you hit dominant limestone and dolomites, and  
18 it's very easy to pick out on the well logs. You do not  
19 have evaporites or siliciclastics, sand units in it.  
20 It's very -- so it's all of those carbonate units lumped  
21 together.

22 Q. And within that somewhere, not really shown  
23 here, is the Capitan Reef Aquifer, or would that --  
24 would that take up the whole Capitan Reef Complex?

25 A. The blue, the Capitan Reef Complex, that would

1 be equivalent to the Capitan Reef Aquifer.

2 Q. Okay. Jumping back -- and I think we've  
3 actually covered this, but on Figure 2, you've got a  
4 table here that talks a little bit about these various  
5 formations that you've just gone over. Based on this  
6 figure, are there any additional comments or thoughts  
7 that you would add that would be important for the  
8 **Examiners today?**

9 A. I don't think so.

10 I put this together, kind of matched the --  
11 you know, the hydrogeology to the geology, if you will,  
12 with the aquifer or confining nature of the unit being  
13 on the right, geology on the left. I only listed Dockum  
14 Group Lower. There's probably an Upper Dockum Group,  
15 but -- they call it Chinle Formation in New Mexico.  
16 There's probably some of that as well underneath the  
17 Pecos Valley Alluvium.

18 And there is not -- the alluvium, where Jal  
19 has their current supply wells, it's -- they are over  
20 west of the city by about seven, eight miles or so  
21 because that's where there is a significant thickness of  
22 alluvium that has water in it. You're in the Monument  
23 Draw trough. And once you move over towards the city,  
24 that alluvium becomes a lot thinner. It's not  
25 water-bearing. And that's why at the city itself, you

1 would have wells, and the Santa Rosa would be the first  
2 real aquifer rather than the alluvium beneath the city  
3 limits.

4 **Q. So we started to talk a little bit about the**  
5 **Souder, Miller & Associates investigation for Jal, and I**  
6 **take it -- is it fair to say that that investigation led**  
7 **to Jal's applications to appropriate water for these**  
8 **magenta wells?**

9 A. Yes. That's my understanding. When you read  
10 the study, it goes through -- considers some different  
11 options. It makes a recommendation that Jal pursue  
12 Santa Rosa water rights, and they have done that because  
13 there are applications for appropriation before the  
14 State Engineer for Santa Rosa wells.

15 **Q. Okay. And if it's helpful to refer back to**  
16 **Figures 2 and 3, I take it Souder, Miller didn't just**  
17 **look at the Santa Rosa Aquifer. They did a little bit**  
18 **wider search of that?**

19 A. That's correct. They list the different  
20 aquifers in the region, including the Capitan, and they  
21 also considered -- one of the recommendations is  
22 additional exploitation of the Pecos Alluvium Aquifer,  
23 the region that Jal is already utilizing. So they talk  
24 about expansion of that well field also.

25 **Q. Based on your discussion so far, I take it the**

1 Salado Formation really doesn't -- isn't an aquifer, or  
2 you couldn't get anything out of there?

3 A. No.

4 Q. Did the Souder, Miller investigation look at  
5 any potential water sources below the Salado Formation?

6 A. The only one that they looked at was the  
7 Capitan Reef Aquifer below the Salado Formation.

8 Q. Okay. And what was -- what were the results of  
9 Souder, Miller's investigation with respect to the  
10 Capitan Reef Aquifer?

11 A. They said it wouldn't be a very good supply for  
12 Jal because of the depth and the water quality. So it  
13 had significant limitations as a municipal water supply.

14 Q. Would you have any different assessment or what  
15 would your assessment be if you were looking on behalf  
16 of Jal or any city for the Capitan Reef as a water  
17 supply?

18 A. I would have the same assessment. The quality  
19 is very difficult to deal with. We have looked at it as  
20 a water supply for other clients, for example, Colorado  
21 River Municipal Water District is one. I know the City  
22 of Odessa looked at it in the Ward County area. They  
23 passed on it as well. There are a lot of problems with  
24 using that water in this area that we're talking about,  
25 the eastern limb of the Capitan Reef Aquifer. If you go

1 60, 80 miles away to Carlsbad or Fort Stockton or  
2 something like that, it's a different story. But that's  
3 not where we're at. We're at Jal.

4 **Q. So what does the water quality look like based**  
5 **on the information you've reviewed from the Capitan Reef**  
6 **Aquifer and the City of Jal?**

7 A. It's certainly variable, but it's high TDS. I  
8 have listed on Figure 4 some of the information that was  
9 also provided in Mr. Kronkosky's report. But there is  
10 some additional information here. And also provided  
11 in -- let me just go through this for a moment.

12 If we start looking in the southwest of  
13 Jal, we have the CP 14 46 Pod 1. That's the EOG  
14 Resources well that's already been discussed, with a TDS  
15 in excess of 13,000 milligrams per liter. The southwest  
16 Jal unit one is a USGS monitor well, so it's not a  
17 production well. But that would have had a TDS greater  
18 than 82,000, and the dates of the measurement are shown  
19 here. This was in 1966, from Hiss. The reason I have  
20 the "greater than" is because that's a chloride  
21 measurement, so TDS would have been, you know, much  
22 higher than the chloride.

23 Moving to the north, there is another  
24 observation well from the USGS, the Federal Davidson 1,  
25 and that's about 140,000 TDS. I put "recent." It's my

1 understanding that Dr. Land, from the Bureau of Geology,  
2 has made a quality estimate on that well, and that's  
3 what it is. There are the Skelly Jal Water System wells  
4 that Mr. Kronkosky already discussed. I won't go  
5 through all those.

6 But there are two new wells -- relatively  
7 new wells as of 2012 up in the far left-hand corner, and  
8 those are CP 1057 and 1056. And those were installed as  
9 part of the Ochoa Mine project for a water supply. And  
10 so those are, in addition to the EOG well, probably the  
11 newest Capitan Reef Aquifer wells that have been  
12 drilled. They had an extensive aquifer test, a  
13 seven-day test. At the end of that test, the total  
14 dissolved solids was nearly 70,000 milligrams per liter.

15 And so one thing I would -- I think is  
16 important about this figure, if we don't consider the  
17 monitor wells -- the other -- all the other wells on  
18 here are producing water wells. They're open to a  
19 significant thickness of Capitan Reef Aquifer, you know,  
20 hundreds, if not 1,000 feet or so. And so this, I  
21 think, gives a really good picture of the water quality  
22 you might expect from this aquifer if somebody was going  
23 to use it for industrial or municipal purposes.

24 A lot of information in Hiss, that he had,  
25 was from drill-stem tests, so you're grabbing a 20-foot

1 interval that, you know, in the process of drilling a  
2 well or after you've just drilled a well. This  
3 information, I think, is better because it's been a  
4 completed well that's been used for a substantial period  
5 of time or tested for a substantial period of time for a  
6 substantial thickness of aquifer.

7 MR. BROOKS: Excuse me. Be sure we're on  
8 the same page. You're looking at Figure 4?

9 THE WITNESS: Yes, sir.

10 MR. BROOKS: That's what I thought. Thank  
11 you.

12 Q. (BY MR. MOELLENBERG) So in comparison to the  
13 water-quality information you were just talking about,  
14 if you're looking for, say, a municipal water supply,  
15 what kind of water quality are you trying to get to in  
16 terms of TDS and chlorides?

17 A. It's variable based on location, but most  
18 people looking today for brackish water sources are  
19 looking for something between 2- and 3,000 milligrams  
20 per liter total dissolved solids, maybe 4-. That's kind  
21 of the target level.

22 Q. And for TDS in that range, would you put that  
23 straight into your water supply system?

24 A. No. That -- you'd have to treat it. Yeah.  
25 You would definitely have to treat that and anything

1 else that came out of the -- I mean, there are other  
2 things that I didn't mention here but are in my report.  
3 There is also -- you can have hydrogen sulfite problems,  
4 barium sulfate, other issues that are going to be very  
5 expensive to treat. So it's not just the salinity.  
6 It's other things that comprise that salinity that will,  
7 you know, be difficult to deal with for a municipal  
8 system or industrial users, for that matter.

9 **Q. And, again, that would be looking at the water**  
10 **quality in the Capitan Reef Aquifer in this vicinity?**

11 A. That's correct.

12 **Q. Any other comments or thoughts that you would**  
13 **have -- you might have regarding the potential use of**  
14 **the Capitan Reef Aquifer for a Jal water supply?**

15 A. I don't think so, other than it's -- I mean,  
16 it's clearly not a good option for Jal or their  
17 consultant would have recommended it.

18 **Q. Did Jal's consultant look at the Artesia Group**  
19 **as a potential water supply source?**

20 A. Not to my knowledge. I don't know that anyone  
21 would look at the Artesia Group as a potential aquifer.  
22 I don't view it as a potential aquifer, and I've never  
23 seen it in this area viewed as a potential aquifer or in  
24 West Texas where it also -- it also occurs.

25 **Q. And when you're using the term "aquifer" there,**

1    **what are you -- what sort of considerations or factors**  
2    **are you sort of wrapping into the term "aquifer," as**  
3    **you're talking about it here?**

4           A.    Can you obtain the quantity -- you know, a  
5    usable quantity of water from wells.  And I don't think  
6    the -- the Artesia Group does not fit into that  
7    category.  It's too deep and the permeability is too  
8    low, and any interval that might have some production is  
9    too thin.  So -- and the water quality is not very good  
10   either.  So it's just -- they didn't -- Souder, Miller  
11   didn't look at it, and no one else would either as far  
12   as a potential water supply.

13           **Q.    So I take it you wouldn't really consider the**  
14   **Artesia Group or any of its components such as the Seven**  
15   **Rivers as a viable water supply source?**

16           A.    No.  Certainly not in this area.

17           **Q.    Based on your experience, would you see any**  
18   **reasonably -- reasonable foreseeable future development**  
19   **of any of the formations within the Artesia Group in**  
20   **this area as a water supply?**

21           A.    No.  There would be no reason to use those  
22   formations.  If you were going to go that deep, you  
23   would go to the Capitan.  And it wouldn't produce an  
24   industrial or a municipal-level supply regardless even  
25   if you tried to get water from it.

1           **Q.    And that's back to the Artesia Group -- the**  
2           **Capitan?**

3           A.    That's correct.   That's correct.

4           **Q.    So walking back through your report, I think**  
5           **we've covered a lot of information here.  I do note, on**  
6           **the top of page 5 of your report, you talk a little bit**  
7           **about your review of the application for the Bobcat SWD**  
8           **well.  In what context did you look at that application**  
9           **and the proposed construction of that well?**

10          A.    It was in the context of the potential for the  
11          Bobcat well to impact shallow water supplies, and the  
12          only -- you know, with the Salado Group there and the  
13          other low-permeability formations, the only way that  
14          could happen is if there were some type of leakage up  
15          the wellbore.  And so I just note the way that the well  
16          is proposed to be completed, with two casings cemented  
17          to surface.

18          **Q.    Just below that on page 5, you referred to a**  
19          **comment from Mr. Goetze about the Capitan Reef Aquifer**  
20          **as a potential groundwater source for Jal.  What is your**  
21          **understanding of his comments and your assessment of it?**

22          A.    My understanding of Mr. Goetze's comment is  
23          that he was saying that you should not allow saltwater  
24          disposal into the Artesia Group because it could  
25          affect -- adversely affect the Capitan Reef Aquifer, and

1 if it was affected, then Jal may want to use it at some  
2 later time and wouldn't have that opportunity. That's  
3 my understanding of what he was saying.

4 MR. BROOKS: What page are you on?

5 MR. GOETZE: Page 5.

6 MR. MOELLENBERG: We're on, yeah, page 5,  
7 just under the heading.

8 MR. BROOKS: Oh, page 5 of Mr. Blandford's  
9 report.

10 Q. (BY MR. MOELLENBERG) So let's talk a little bit  
11 about the relation of the proposed well to the Capitan  
12 Reef Aquifer. Did you assess the potential for the  
13 saltwater fluids proposed for injection in the Bobcat  
14 well to communicate with and impact the Capitan Reef  
15 Aquifer?

16 A. I did, yes.

17 Q. Could you describe what information you looked  
18 at there for that assessment?

19 A. Well, we looked at a number of things. We  
20 looked at the hydraulic head and the Capitan Reef  
21 Aquifer, the hydraulic head within the Artesia Group,  
22 the geology and hydrology that we've been talking about  
23 and kind of the geologic relationship in terms of  
24 structure on the top of the Capitan and the -- and the  
25 top of the Artesia Group. And we used all that. We put

1 it into -- into a numerical model to simulate the  
2 injection, is what we ended up doing.

3 Q. So I'll get -- I'll get to the modeling in a  
4 moment. But what are the main factors that, in your  
5 view, would affect potential communication of injected  
6 fluids with the Capitan Reef? Maybe you should start  
7 with what your general conclusions are and then why?

8 A. Well, the main factors are the head -- the  
9 hydraulic head or the pressure in the Capitan Reef, the  
10 hydraulic head or the pressure in the Artesia Group  
11 under the injection scenario, the hydraulic properties  
12 of the rocks of the Artesia Group, and potentially the  
13 density, the nature of the injected water. And so those  
14 were the things that we -- things that we considered.

15 From Mr. Kronkosky's work, as well the Hiss  
16 work, it's clear that in this area, the hydraulic head  
17 or the reservoir pressures that would be injected into  
18 are very low compared to what is known to exist in the  
19 Capitan Reef Aquifer. And the recent water levels in  
20 the Capitan Reef are about 2,600 feet. They had a low  
21 of about 2,100 in the mid-1970s, and we're at a head  
22 of -- you know, pretty close to sea level in the  
23 injections zone.

24 So for many decades now there's been a head  
25 differential upward from the Capitan Reef to the Artesia

1 Group of over 2,000 feet, but yet this head differential  
2 has been maintained for decades.

3 So that's just a physical observational  
4 line of reasoning that -- you know, it certainly forms  
5 my opinion that there is extremely limited connectivity  
6 in this region between the Capitan Reef Aquifer and the  
7 proposed injection zone at the base of the Yates and top  
8 of Seven Rivers.

9 **Q. At the bottom of page 7 on your report, you**  
10 **talk a little bit about changes in water levels in the**  
11 **Capitan Reef Aquifer. Could you talk about that and**  
12 **your observations are and how that may affect your**  
13 **conclusions?**

14 A. There's been -- at these monitor wells that I  
15 mentioned, the USGS monitor wells that are shown in my  
16 figures and they're in Mr. Goetze's report, there's been  
17 a rise in water levels since about the mid-'70s. It's  
18 different at each well. The Southwest Jal well, it's  
19 been several hundred feet, I think on the order of 4- or  
20 500 feet.

21 And my understanding, if I have it correct,  
22 of what Mr. Goetze is saying is that -- and I think he  
23 quotes Lewis Land's work as part of this, is that one of  
24 the reasons or the reason -- I'm not sure -- for this  
25 rise is because there is water coming into the Capitan

1 Reef Aquifer from adjacent units, you know, specifically  
2 the Artesia Group. And my opinion on that is that you  
3 do not need to have water coming into the Capitan Reef  
4 Aquifer to have this rise in water levels. The water  
5 levels will rise just because the pumping stops and that  
6 cone of depression is filling in. And they have not  
7 risen -- even where they are today, they have not risen  
8 to nearly the pre-pumping level where they would have  
9 been back in the '40s, early '50s.

10 Q. So let's go ahead and then move to your model.  
11 Let's talk a little bit about some of the information  
12 you've already talked about and other factors that went  
13 into the construction of your model. And I'm kind of on  
14 page 8, carrying over to 9.

15 A. Okay. So we constructed the model because  
16 Mr. Kronkosky had the calculations that you've already  
17 discussed earlier today. And as I understood  
18 Mr. Goetze's testimony, he said, Well, those  
19 calculations are fine, but they don't account for  
20 certain things that are important such as the structure  
21 of the Capitan Reef, and then, you know, it's sloping,  
22 it has a variable top surface and then the density of  
23 the fluid -- the injected fluid. So we constructed the  
24 model to specifically address those two concerns.

25 So the model is constructed of the Artesia

1 Group, excluding the Tansill. We assumed the Tansill at  
2 the top was impermeable, has a lot of evaporites. So we  
3 start with top of Yates and model domain vertically, and  
4 it goes down to the base of the Artesia Group, same as  
5 top of Capitan. And then we take it over to the west,  
6 to the margin of the shelf units, which changes by  
7 formation, and we take it to the east far enough away  
8 that it's not going to matter in terms of having any  
9 boundary effects.

10           The extent of the model is shown on several  
11 of these figures. It's Figure 6, for example. And so  
12 there is a rectangle there centered around the Bobcat  
13 SWD well. And I can see that some of these figures are  
14 black and white instead of color. But that gives you  
15 the areal extent of the model domain. The model cells  
16 are 250-feet-by-250-feet across the -- across the whole  
17 area, and the coloring beneath the grid is the top of  
18 Yates Formation. And so that represents the top surface  
19 of the model.

20           Moving over one page to Figure 7, this  
21 gives you the configuration of the base of the model,  
22 which is the top of the Capitan Reef Aquifer. These  
23 contours come from the Hiss study. So you can see that  
24 the top of aquifer here varies from, you know, minus 500  
25 below sea level to, you know, minus 1,000.

1                   We did change one contour based on a study  
2   that -- information from a study my company had done for  
3   the Texas Water Development Board where they looked --  
4   took an updated look at the geologic structure of the  
5   Capitan Reef. And we had a data point in this region  
6   from that study. That's shown in blue, kind of just  
7   southeast of the Bobcat well at minus 634. And that  
8   data point kind of indicated to us that the minus 250  
9   contour probably -- there is no -- Hiss didn't have any  
10  data points in that region, so he just interpolated it.  
11  So we removed that contour because we didn't think that  
12  that was an accurate representation of the top of  
13  aquifer.

14                   But with that one change, this figure  
15  demonstrates the base of the model domain. So we're  
16  essentially modeling the Artesia Group across the extent  
17  of the Capitan Reef Aquifer.

18           **Q. Let me jump backwards a little bit. I don't**  
19 **think we talked about Figure 5, unless I'm forgetting.**  
20 **But can you tell me how that factored into your model or**  
21 **perhaps something else?**

22           A. This Figure 5 is not so much related to the  
23  model as it is to demonstrate a topic that has already  
24  been discussed, and that is these -- the crosshatched  
25  black zone here kind of shows the extent of oil and gas

1 fields. And this was taken from a figure in Hiss. And  
2 so this is to kind of show that the oil and gas fields  
3 are extensive along this eastern side of the Capitan  
4 Reef Aquifer and drawing predominantly from the Artesia  
5 Group. And so as was already discussed, the proposed  
6 injection would be into a depleted oil and gas field.  
7 And that's just what I was trying to show here.

8 **Q. Okay. So before I go on to the code you used**  
9 **for the model and so forth, are there any other points**  
10 **you'd like to make about the geologic factors and other**  
11 **information that kind of went into the model?**

12 A. Well, geologic factors, we -- there is a table  
13 in the back. It's the only table in my report, Table 1,  
14 and this lists the hydraulic properties that we assumed  
15 by unit. And we have the Artesia Group divided up into  
16 six model layers, and I list the hydraulic properties  
17 for each layer in that table.

18 We did not follow the Artesia Group members  
19 in the model layering because the injection zone splits  
20 across the Yates and the Seven Rivers Formation. So  
21 what we did was we split the entire group into the six  
22 layers. Layer two is the injection layer, and that's --  
23 and the thickness is given in the third column. So we  
24 have an injection interval of 50 feet. That's a little  
25 bit smaller than what's in the application, but we took

1 that from the injection zone test. It looked like the  
2 majority of fluid was entering about a 50-foot interval,  
3 so that's why we did a 50-foot model layer for the  
4 injection zone. And we start from top of Yates and work  
5 down to the injection zone, and we work down with  
6 different thicknesses until we get to the -- until we  
7 get to the top of the aquifer.

8 **Q. Anything else before we talk about the code you**  
9 **used for the model and the source of that?**

10 A. I don't think so.

11 **Q. Okay. So go ahead. And we're now on page 9,**  
12 **under the heading 3.2. So what kind of code did you use**  
13 **for this model and where does that come from?**

14 A. So we used a code called -- it's an update of  
15 MODFLOW, USGS. It's a relatively new version of the  
16 MODFLOW code that's been released by USGS. This MFUSG  
17 version is even newer. What they have done to add to it  
18 is the capability to simulate variable density  
19 groundwater flow and solute transport. And it was done  
20 for the Texas Water Development Board. They had a  
21 brackish aquifer case with seawater intrusion that they  
22 wanted the work done.

23 So that's the version of the MODFLOW code  
24 that we used, and it simulates pool groundwater flow  
25 accounting for variable densities of the groundwater.

1 And it also accounts for full transport of constituents.  
2 So it's not just a flow code. It's also a transport  
3 code. And we did that because we have injection fluids  
4 which are higher density, greater TDS than the zone  
5 that, you know, they're going to be injected into. And,  
6 again, as I mentioned earlier, it was one of  
7 Mr. Goetze's observation that well, maybe this  
8 high-density water, if you account for that, maybe there  
9 is greater transport. So that's why we did this.

10 **Q. Moving to page 10 of your report, I think we've**  
11 **already pretty much covered everything in 3.2.1; is that**  
12 **right?**

13 A. Yes.

14 There is -- I would point out, I guess,  
15 figures -- Figure 8 may be useful to look at. And a lot  
16 of the modeling figures will show what's going on for  
17 every layer. But Figure 8 shows the thickness of the  
18 model layer at each location. So just so we're clear in  
19 looking at these figures, I'll just take the one on the  
20 upper left.

21 There are two thick green lines. That's  
22 the extent of the Capitan Reef Aquifer. There's an  
23 orange zone. It's primarily orange. It's showing 200  
24 to 250 feet thick. That's the thickness of layer one in  
25 the model. And this is really the upper portion of the

1 Yates Formation.

2           And that orange goes over to the west, and  
3 it stops at a purple line, and that's where we have the  
4 shelf margin. And so the extent of the Yates Formation  
5 to the west is shown by that purple line, and then once  
6 you go across the purple line to the west, you would  
7 have -- you would essentially be in the Capitan Reef  
8 Aquifer on an equivalent horizontal level.

9           And each figure shows going down, so model  
10 layer one is the shallowest layer. Model layer six is  
11 the deepest layer, representing the Artesia Group. And  
12 you can see by the colors, at layer six, there is a lot  
13 of black to the west, and that means as you go down  
14 through the Artesia Group, you become laterally  
15 contiguous with the Capitan Reef Aquifer, closer --  
16 farther east, closer to the disposal well location.

17           So we're taking into account in this  
18 modeling a full three-dimensional picture of what the  
19 geology and the hydrogeology looks like.

20           **Q. So you present in your report a discussion of**  
21 **the boundary and initial conditions. What are the key**  
22 **things for the Hearing Examiners to be aware of and**  
23 **consider in that regard?**

24           A. The initial conditions, we have -- we took the  
25 injection zone -- at the proposed injection zone at the

1 Bobcat well, and we have just a little bit of saturation  
2 at the bottom. We have 13 feet of head there just to  
3 start that layer being saturated, and we use that head  
4 throughout the entire model domain. That's probably  
5 low. I'm sure it's low as you go down through the  
6 remainder of the Artesia Group. But being low, it's  
7 probably going to allow more migration of the fluids  
8 downward as we do the simulation. So it's a  
9 conservative assumption in terms of allowing greater  
10 migration.

11 The boundary conditions around the entire  
12 edge of the model, top, bottom, left, right, we have to  
13 assign a condition on each boundary, and the approach to  
14 doing that is illustrated in Figure 9. And Figure 9 is  
15 a conceptual cross section of the -- of the model  
16 domain. It's not to scale in terms of layer thicknesses  
17 and things, but it kind of shows you what's going on.

18 So the very top surface of the model is a  
19 no-flow boundary. That's the bottom of the Tansill  
20 Formation, and then you get into the Salado. So we're  
21 assuming zero permeability.

22 And wherever -- this model grid, you can  
23 see from the blue hashers or the red, wherever a model  
24 cell is adjacent to the Capitan Reef Aquifer, we're  
25 allowing exchange of water between the Capitan Reef

1 Aquifer and the Artesia Group. And the model computes  
2 that according to a head that's prescribed in the  
3 Capitan Reef Aquifer. We know that from the observation  
4 well, the USGS observation well. And then the model  
5 will tell us what the head is in the Artesia Group  
6 because that's what the model is simulating.

7           We have a lower flux term, if you will, in  
8 the vertical dimension because that's scaled off of the  
9 vertical hydraulic connectivity. But as you get over to  
10 the left, you see the red boxes, and there we have a  
11 higher conductance term because that would be scaled off  
12 of the horizontal permeability. And so these red boxes  
13 on the left side, that's where you can have potentially  
14 horizontal exchange of water. And the blue boxes are  
15 where you can have vertical exchange of water between --  
16 in any water in the Artesia Group and water in the  
17 Capitan Reef.

18           **Q. What does Figure 10 show?**

19           A. Figure 10 shows the schematic I was just  
20 discussing. It shows how that actually plays out in the  
21 model with the geometry that's in the model.

22           So, again, for each layer, 1 through 6,  
23 where that layer interacts with the Capitan Reef Aquifer  
24 either horizontally or vertically is different as you go  
25 down through the Artesia Group. So wherever there is

1 kind of a red cell on the -- on the left-hand side --  
2 they are small, but there would be like a blue shading  
3 and then a red cell -- those are the red cells where you  
4 have horizontal -- potentially horizontal exchange of  
5 water. And where you have the blue shading is where you  
6 have the vertical conductance term. So you potentially  
7 have vertical exchange of water between those cells and  
8 that layer and the Capitan Reef.

9                   And then where it's green, that's just an  
10 active model cell, and if water went down, it would just  
11 go down to the next model layer.

12                   Again, going from top to bottom, 1 to 6,  
13 you can see how the geometry of these layers changes due  
14 to the actual geologic structure of the Artesia Group  
15 and the reef surface.

16           **Q. So is there anything else you'd like to point**  
17 **out to the Hearing Examiners before you talk about the**  
18 **simulations you've conducted and the results?**

19           A. No. I think that -- I think that covers it.

20           **Q. So talk first about the particular simulations**  
21 **that you ran, and then we'll talk about the results of**  
22 **those simulations.**

23           A. So we ran our simulations for 40 years. It was  
24 20 years of active injection, and then we turn off the  
25 injection at 20 years and just go another 20 years past

1 that. We used an injection rate of the average rate in  
2 the application, the 25,000 barrels per day, and we  
3 inject that into layer two at the Bobcat well location.

4 We did several sensitivity runs. I'll just  
5 say what our boundary condition was for the first one.  
6 We can begin with that maybe. We assigned a Capitan  
7 hydraulic head of 2,610 feet above mean sea level, and  
8 that's equivalent to the measured value in that  
9 Southwest Jal monitoring well, and that's a recent  
10 measured value.

11 **Q. So I think we're probably ready to move on to**  
12 **the results of your simulations. And are those**  
13 **presented starting in Figure 11A?**

14 **A.** That's correct.

15 So the 11 series of figures show the  
16 results of the simulation that I've just described.  
17 Concentrations, again, in each of the six layers is  
18 shown in Figure 11A. The assumed total dissolved solids  
19 of the injection water was from a laboratory report  
20 supplied by OWL. It's in the appendix of my report.  
21 It's one page. But that value is 125,367. So we're  
22 assuming the injection water is TDS of 125,000. And you  
23 can see by the -- on 11A the color differentiation, the  
24 different concentration levels.

25 We assume that the TDS, total dissolved

1 solids, of the ambient Artesia Group water was 20,000,  
2 and so the first differential here on the concentration  
3 of 20.1 to 30, where you start seeing the dark blue,  
4 that is injection water. Now, I'll note that the TDS  
5 concentration on these figures is in grams per liter,  
6 not milligrams per liter. So there's why it's the 20.1  
7 instead of 20,100.

8           And the injection well location, again, is  
9 the green triangle. And so this figure gives you an  
10 extent of the migration of injected water. Again, there  
11 is a scale on the bottom. And obviously water is in  
12 layer two. That's where we're injecting. We also have  
13 injected water come up into layer one, and we have a  
14 little bit into layer three. We don't have any water  
15 reaching layers four, five or six. And you really don't  
16 see the lateral extent of the Capitan Reef Aquifer at  
17 this scale of figure until you get down into layers  
18 four, five and six, and that's shown by the white. So  
19 where it's white in that lower row, that would be  
20 Capitan Reef Aquifer material.

21           **Q. So what, then, would you conclude from this**  
22 **simulation about the effect of the injection on the**  
23 **Capitan Reef Aquifer?**

24           A. There is going to be no effect, according to  
25 these simulations.

1           The other thing I would mention is if you  
2 look at the extent of the injected water volume relative  
3 to the Bobcat well location, it tends to move to the  
4 east. And the reason it does that is because we're  
5 prescribing this Capitan Aquifer head 2,610 feet. And  
6 as I already noted, that is far higher than what's in  
7 the injection zone.

8           So what's actually going on in there is we  
9 have Capitan water making its way into the Artesia Group  
10 because the heads are that much higher, and the  
11 permeabilities that we prescribed allows that movement  
12 of Capitan water to come in. Now, that's not what we've  
13 seen happen over the decades, but that's what's shown in  
14 this simulation.

15           **Q. Now, remind me. You're not simulating above**  
16 **layer one. What's going on above layer one?**

17           A. Nothing. That's a no-flow boundary. So there  
18 is Tansill Formation and Salado, and so there is no  
19 water moving above layer one anywhere.

20           **Q. So it can't move because of the impermeable**  
21 **nature of those formations?**

22           A. That's correct.

23           **Q. So let's move to Figure 11B, and tell us what's**  
24 **different about 11B?**

25           A. So 11B -- 11A was at 20 years, so inject for 20

1 years and look at the results. And that's in Figure  
2 11A.

3 11B, we're looking at 40 years. So this is  
4 after 20 years of injection. The subsequent 20 years of  
5 non-injection, this is what the injected water plume  
6 looks like. Other than that, it's the same as what I  
7 already described.

8 **Q. And what does figure 11C tell us?**

9 A. Figure 11C is the simulated hydraulic head in  
10 each model layer, and you can see that -- in layer two,  
11 for example, you can see the injection well location  
12 with the buildup of head at that point. And at that  
13 model cell, the simulated head -- and this is at 20  
14 years, so maximum -- is 2,855 feet. That's listed on  
15 the bottom part of the figure.

16 And the only reason we see these higher  
17 heads -- remember, we're starting about sea level  
18 throughout the entire domain. So the only reason you  
19 can see the higher heads in the lower layers -- for  
20 example, we see 1,400 feet and, you know, all the values  
21 there, that's Capitan water inflowing to the Artesia  
22 Group rocks in the simulation.

23 And, you know, I say in the report we could  
24 have stopped that by making the permeability a lot  
25 lower, but there didn't seem to be much purpose of doing

1 a run where the permeability was so low that there  
2 was -- really what's happening in reality is there is no  
3 connection.

4 **Q. So what -- what are we seeing in Figure 12A,**  
5 **and why did you run that simulation?**

6 A. So I ran figure -- the next -- there's one  
7 simulation in between I didn't show the figures. The  
8 other one we did was we -- instead of a Capitan Reef  
9 hydraulic head of 2,610, we used a hydraulic head -- it  
10 was about 500 feet lower. I think it was 2,109, if I  
11 recall, and that was the minimum value observed  
12 historically, and so I ran that run. There was really  
13 no difference from what I showed you in the first  
14 figures, so I didn't show those, but it is discussed in  
15 the report.

16 The final simulation shown in Figures 12A  
17 and 12B, we did not put in that the actual Capitan  
18 Aquifer hydraulic head that's observed in the field. We  
19 assume that the Capitan Aquifer head was very low just  
20 like it is -- just like the head is in the Artesia  
21 Group. So we wouldn't have the effect of this high head  
22 beneath the model and to the side of the model affecting  
23 our simulation. So we kind of allowed the water to move  
24 out radially without the influence of that higher head.  
25 And the results, you can see, are shown in Figure 12A.

1 Because of that, we do get a little bit of water down in  
2 layer four that we didn't have before.

3 And then in Figure 12B, you can kind of see  
4 the hydraulic heads that are simulated by layer. And  
5 this simulation gives you a better picture of how the  
6 hydraulic head will transmit through the layers  
7 vertically just due to the injection itself. It kind of  
8 pulls out that effect only. And we have about 25 feet  
9 of head increased down to the bottom of the Artesia  
10 Group from the injection.

11 But, again, I'll stress this is not really  
12 a reasonable simulation because for ignoring over 2,000  
13 feet of Capitan head that we know is there.

14 **Q. Is there anything else you'd like to point out**  
15 **to the Hearing Examiners about these simulations?**

16 A. I think that pretty much covers it.

17 **Q. So based on -- well, let me ask, first of all,**  
18 **is there anything about these model simulations that**  
19 **seems odd or something -- something you wouldn't expect**  
20 **based on your knowledge of the geology and hydrology and**  
21 **the nature of these formations and systems?**

22 A. Well, the only thing that seemed a little odd  
23 to me, I already mentioned, was kind of the injected  
24 water being pushed to the east, and that was because of  
25 the higher Capitan heads. And the only way to get rid

1 of that is to make the connections between the Artesia  
2 Group, the permeabilities between the Artesia Group and  
3 the Capitan Aquifer lower than they already -- than they  
4 already are. So -- but other than that, I didn't -- no.  
5 I thought they looked reasonable.

6 **Q. Okay. So based on your work and your modeling,**  
7 **what are your conclusions regarding the potential for**  
8 **the fluids proposed for injection in this well to impact**  
9 **the Capitan Reef Aquifer?**

10 A. I don't think they're going to impact the  
11 Capitan Reef Aquifer at all. I think we have good  
12 physical evidence to tell us that, and then we have  
13 followed up with simulations that account for the types  
14 of things that one might be concerned about such as  
15 density and geology. And I think we've looked at it,  
16 and I don't think there is going to be any effect.

17 **Q. Okay. What are your conclusions regarding the**  
18 **proposed injection as it relates to Jal's existing water**  
19 **supply sources and water rights?**

20 A. There will be no effect on Jal's existing water  
21 sources or water rights or the new wells they've put in  
22 for appropriation.

23 **Q. And, essentially, then, the simulations show**  
24 **that the injected water would remain within the Artesia**  
25 **Group; is that right?**

1           A.     That is correct.

2           **Q.     And more specifically, in particular,**  
3 **formations within the Artesia Group?**

4           A.     You can see it by layer, and most of it's going  
5 to be in the Yates and the injection zone and a little  
6 bit in the bottom part of the Seven Rivers.

7           **Q.     So looking at this from a water-supply**  
8 **perspective, are those water-quality changes that are**  
9 **predicted by the simulation of any concern to you?**

10          A.     No.

11          **Q.     And why not?**

12          A.     Because nobody would ever get water from those  
13 units. It's not going to affect anyone adversely.

14          **Q.     Okay.**

15                   MR. MOELLENBERG: I think I am finished  
16 with my direct then, so I want to pass the witness.

17                   I guess I will before -- maybe before we  
18 finish, we offer Exhibit 2 for admission into evidence.

19                   EXAMINER JONES: Any objection, Mr. Brooks?

20                   MR. BROOKS: No objection.

21                   EXAMINER JONES: Ms. Moss, Mr. Newell?

22                   MR. NEWELL: No objection.

23                   EXAMINER JONES: Exhibit 2 is finally  
24 admitted.

25                   (OWL SWD Operating, LLC Exhibit Number 2 is

1                   offered and admitted into evidence.)

2                   EXAMINER JONES: Is there any objection to  
3 wait until tomorrow morning to start your questions?

4                   MR. BROOKS: I would have no objection.

5                   EXAMINER WADE: How long do you think?

6                   MR. BROOKS: Not very long. I do not  
7 anticipate many questions.

8                   MS. MOSS: It might be helpful in the  
9 morning so my witness could get his train.

10                  EXAMINER JONES: Yeah. We're within 20  
11 minutes of 5:00 anyway. So can we start tomorrow  
12 morning at 8:30? We've already advertised for 9:00  
13 a.m., and I assume nobody else can --

14                  MR. BROOKS: Well, I don't think we'll  
15 start with the case that's advertised for tomorrow. As  
16 long as we don't start with Case 15753 before 9:00,  
17 we'll be okay.

18                  EXAMINER JONES: We'll be okay. Okay.

19                  MR. BROOKS: I don't think there's much  
20 chance of that happening.

21                  EXAMINER JONES: So 8:30 tomorrow morning.

22                  EXAMINER WADE: Mr. Moellenberg, were all  
23 the exhibits you want to enter into the record entered?  
24 I think there is a question about Exhibit 6.

25                  EXAMINER JONES: He's got another witness

1 also. Correct?

2 MR. MOELLENBERG: No. Actually, we're done  
3 for this hearing -- well, let me back up, I guess. We  
4 can present a witness to talk about the questions that  
5 you raised concerning the logging and monitoring and  
6 such with respect to the new well.

7 EXAMINER JONES: What about the notice that  
8 was provided?

9 MR. MOELLENBERG: Yeah. We can introduce  
10 that.

11 EXAMINER JONES: Okay. Maybe tomorrow.

12 MR. MOELLENBERG: Okay. We'll do that.  
13 We'll catch up and do a little housecleaning early in  
14 the morning.

15 (Recess, 4:37 p.m.)

16

17

18

19

20

21

22

23

24

25

1 STATE OF NEW MEXICO  
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, Certified Court  
6 Reporter, New Mexico Certified Court Reporter No. 20,  
7 and Registered Professional Reporter, do hereby certify  
8 that I reported the foregoing proceedings in  
9 stenographic shorthand and that the foregoing pages are  
10 a true and correct transcript of those proceedings that  
11 were reduced to printed form by me to the best of my  
12 ability.

13 I FURTHER CERTIFY that the Reporter's  
14 Record of the proceedings truly and accurately reflects  
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither  
17 employed by nor related to any of the parties or  
18 attorneys in this case and that I have no interest in  
19 the final disposition of this case.

20

21

22

23

24

25

MARY C. HANKINS, CCR, RPR  
Certified Court Reporter  
New Mexico CCR No. 20  
Date of CCR Expiration: 12/31/2017  
Paul Baca Professional Court Reporters