

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES

FOR APPLICANT COG OPERATING, LLC:

JORDAN L. KESSLER, ESQ.
HOLLAND & HART, LLP
110 North Guadalupe, Suite 1
Santa Fe, New Mexico 87501
(505) 988-4421
jlkessler@hollandhart.com

FOR RESPONDENTS WELDON BAIRD AND THE BEULAH M. BAIRD TRUST:

J. SCOTT HALL, ESQ.
MONTGOMERY & ANDREWS LAW FIRM
325 Paseo de Peralta
Santa Fe, New Mexico 87501
(505) 982-3873
shall@montand.com

1	INDEX	
2		PAGE
3	Case Numbers 15812 and 15813 Called	4
4	COG Operating, LLC's Case-in-Chief:	
5	Witnesses:	
6	David M. Wallace:	
7	Direct Examination by Ms. Kessler	5
8	Cross-Examination by Examiner Jones	16
9	Carrie M. Martin:	
10	Direct Examination by Ms. Kessler	18
11	Cross-Examination by Examiner Jones	21
12	Jayne Junell:	
13	Direct Examination by Ms. Kessler	24
14	Cross-Examination by Examiner Jones	29
15	Proceedings Conclude	36
16	Certificate of Court Reporter	37
17	EXHIBITS OFFERED AND ADMITTED	
18	COG Operating, LLC Exhibit Numbers 1 through 12	16
19	COG Operating, LLC Exhibit Numbers 13 through 16	21
20	COG Operating, LLC Exhibit Number 17 through 20	29
21	Respondents' Exhibit Numbers 1 through 6	17
22		
23		
24		
25		

1 (9:45 a.m.)

2 EXAMINER JONES: We're going to call Cases
3 15812 and 15813. Both cases are application of COG
4 Operating, LLC for a nonstandard spacing and proration
5 unit and compulsory unit, Lea County, New Mexico.

6 Call for appearances in one or both cases.

7 MS. KESSLER: Jordan Kessler on behalf of
8 the Applicant for both cases.

9 MR. HALL: And, Mr. Examiner, Scott Hall,
10 Montgomery & Andrews, Santa Fe, on behalf of Weldon
11 Baird and the Beulah M. Baird Trust in both cases. I
12 have no witnesses. I would ask that my
13 cross-examination and responses from Cases 15810 and
14 15811 be incorporated into the record for Cases 15812
15 and 15813.

16 EXAMINER JONES: Any objection to that?

17 I'll go with that.

18 MS. KESSLER: No objection.

19 EXAMINER JONES: Okay. Any other
20 appearances in these cases?

21 Okay. Let's take a ten-minute break.

22 (Mr. Hall exits the room.)

23 (Recess, 9:45 a.m. to 10:00 a.m.)

24 EXAMINER JONES: Let's go back on the
25 record and continue with Cases 15812 and 15813.

1 Will the witnesses -- have the witnesses
2 been sworn?

3 MS. KESSLER: They have. Three witnesses
4 today, and they've all been sworn.

5 EXAMINER JONES: The record will reflect
6 the witnesses have all been sworn.

7 You may proceed.

8 MS. KESSLER: I'll call my first witness.

9 DAVID M. WALLACE,
10 after having been previously sworn under oath, was
11 questioned and testified as follows:

12 DIRECT EXAMINATION

13 BY MS. KESSLER:

14 **Q. Please state your name for the record, and tell**
15 **the Examiners by whom you're employed and in what**
16 **capacity.**

17 A. My name is David Michael Wallace, and I work
18 for COG Operating, LLC as a landman for the southeast
19 Lea County area.

20 **Q. Have you previously testified before the**
21 **Division?**

22 A. I have.

23 **Q. Were your credentials as a petroleum landman**
24 **accepted and made a matter of record?**

25 A. Yes.

1 **Q. Are you familiar with the applications filed in**
2 **these consolidated cases?**

3 A. Yes, I am.

4 **Q. Are you familiar with the status of the lands**
5 **in the subject area?**

6 A. Yes.

7 MS. KESSLER: Mr. Examiner, I tender
8 Mr. Wallace as an expert in petroleum land matters.

9 EXAMINER JONES: No objection?

10 He is so qualified.

11 **Q. (BY MS. KESSLER) Mr. Wallace, what does COG**
12 **seek under these consolidated applications?**

13 A. We seek to form two 320-acre nonstandard units.
14 We seek to pool the Wolfcamp Formation.

15 **Q. Do you also seek to dedicate two initial wells**
16 **to each spacing unit?**

17 A. We do.

18 **Q. Why is COG seeking to dedicate the spacing**
19 **units to the additional wells?**

20 A. For economic efficiency associated with
21 well-pad development and completions?

22 **Q. Does COG also expect better production from**
23 **simultaneous completion?**

24 A. Yes.

25 **Q. Have you brought an engineer here today to**

1 discuss that?

2 A. Yes.

3 Q. Were all of the interest owners provided notice
4 of COG's plan to drill and complete the well
5 simultaneously?

6 A. Yes.

7 Q. And they were notified both through a
8 well-proposal letter and also through the hearing
9 application?

10 A. Yes.

11 Q. Did any of them object?

12 A. No.

13 Q. And the well-proposal letter identified the
14 depth of each well, correct?

15 A. That is correct.

16 Q. Please turn to Exhibit 1. Is this the C-102
17 for the White Falcon 16 Fed Com 21H?

18 A. Yes, it is.

19 Q. What's the spacing units for this well?

20 A. The east half of the west half of Sections 16
21 and 21, 25 South, 35 East, Lea County, New Mexico.

22 Q. Does this well have an approved APD?

23 A. Yes.

24 Q. Is Exhibit 2 the C-102 for the White Falcon 16
25 Fed Com #22H well?

1 A. Yes, it is.

2 Q. And does it share a spacing unit with the 21H
3 well?

4 A. Yes.

5 Q. It also has an APD number, correct?

6 A. That is correct.

7 Q. Is Exhibit 3 the C-102 for the 23H well?

8 A. Yes, it is.

9 Q. I'm sorry. That would be the White Falcon 16
10 State Com 23H well, correct?

11 A. That's correct.

12 Q. What is the spacing unit for this well?

13 A. The west half-west half of Sections 16 and 21,
14 25 South, 35 East, Lea County, New Mexico.

15 Q. It has an approved APD?

16 A. Yes.

17 Q. And finally Exhibit 4. Is this the C-102 for
18 the White Falcon 16 State Com #24H well?

19 A. That's correct.

20 Q. And this will share a spacing unit with the 23H
21 well?

22 A. Yes.

23 Q. And there is an APD approved for this well as
24 well, correct?

25 A. That's correct.

1 Q. Has the Division designated a pool and pool
2 code for this area covering all four of these proposed
3 wells?

4 A. Yes, the Doggy Draw-Wolfcamp, pool code --

5 Q. Go ahead.

6 A. Pool Code 17980.

7 Q. Are you aware that there are special rules
8 associated with the allowable for this pool?

9 A. Yes.

10 Q. But 40-acre spacing, 330-foot setbacks,
11 correct?

12 A. That's correct.

13 Q. And will all four of the wells, completed
14 intervals for each of the wells, comply with the setback
15 requirements?

16 A. Yes.

17 Q. What type of land is each spacing unit?

18 A. In the west half-west half of both of these
19 sections, we've got state and fee. In the east half of
20 the west half, we have state, fee and Fed.

21 Q. Are there any depth severances in the Doggy
22 Draw-Wolfcamp Pool?

23 A. No.

24 Q. Is Exhibit 5 a lease tract map identifying
25 COG's interest in the spacing unit for the 21H and the

1 **22H wells?**

2 A. Yes. That is correct.

3 **Q. You have polled [sic] the parties that you seek**
4 **to pool, correct?**

5 A. That is correct.

6 **Q. Are they -- on page 2 of this exhibit, does**
7 **that show the uncommitted working interest owners and**
8 **the unleased mineral interest owners that you seek to**
9 **pool?**

10 A. Yes.

11 **Q. Do you also seek to pool for unmarketable**
12 **title?**

13 A. Yes.

14 **Q. Is that done on page 3?**

15 A. Yes.

16 **Q. Why do you seek to pool for unmarketable title?**

17 A. Ancillary probated -- nonprobated estates in
18 New Mexico.

19 **Q. A number of these estates have failed to**
20 **probate -- to perform ancillary probate proceedings in**
21 **New Mexico?**

22 A. That is correct.

23 **Q. For those estates, have you identified the**
24 **heirs to the best of your ability?**

25 A. Yes.

1 Q. And those heirs are shown on the second column
2 on Exhibit 5, correct?

3 A. That's correct.

4 Q. Were they all provided notice of this hearing?

5 A. Yes.

6 Q. There's a remaining title requirement, however,
7 that you compulsory pool the unmarketable title owners;
8 is that correct?

9 A. That is correct.

10 Q. Did you send each of the unmarketable title
11 estates and heirs information on how to cure title?

12 A. Yes.

13 Q. Is Exhibit 6 a lease tract map for the 23H and
14 24H wells?

15 A. That's correct.

16 Q. Again, this shows the parties that you seek to
17 pool, correct?

18 A. Yes, it does.

19 Q. Do you seek to pool unleased mineral interest
20 owners, unmarketable title and uncommitted working
21 interest owners?

22 A. Yes. That's correct.

23 Q. And, again, you haven't shown -- looking at the
24 third page -- third and fourth pages of this exhibit,
25 you haven't shown the interest that each of these

1 **estates owns; is that correct?**

2 A. That's correct.

3 **Q. And why is that?**

4 A. Because we have a lease and it's wrapped up
5 into our interest.

6 **Q. So it's reflected in Concho's total interest?**

7 A. That is correct.

8 **Q. But each of them have a remaining title
9 requirement that they be compulsory pooled, correct?**

10 A. Yes.

11 **Q. For ancillary probate issues, correct?**

12 A. Yes.

13 **Q. Is Exhibit 7 a well-proposal letter sent to the
14 uncommitted working interest owners and also the
15 unleased mineral interest owners for the 21H and 22H
16 wells?**

17 A. Yes. That's correct.

18 **Q. When were those letters sent?**

19 A. June 15th, 2017.

20 **Q. And did they include AFEs?**

21 A. Yes, they did.

22 **Q. Is Exhibit 8 a copy of the well-proposal letter
23 sent to uncommitted interest owners -- working interest
24 owners and unleased mineral interest owners for the 23
25 and 24H wells?**

1 A. Yes. That's correct.

2 **Q. And these letters were all sent separately,**
3 **correct?**

4 A. That is correct.

5 **Q. Were they all sent on June 15th?**

6 A. Yes, they were.

7 **Q. And they included AFEs, correct?**

8 A. Yes, they did.

9 **Q. In addition to sending well-proposal letters,**
10 **what other efforts did you undertake to reach agreement**
11 **with the parties you seek to pool?**

12 A. We've offered to lease these parties. We've
13 offered to have them participate. And we're negotiating
14 operating agreements with majority of them, and we've
15 also -- we've had some trade negotiations with another
16 party.

17 **Q. Were all of the parties you seek to pool**
18 **locatable?**

19 A. Yes.

20 **Q. You've had conversations with them?**

21 A. Yes.

22 **Q. For unmarketable title, you also mentioned that**
23 **you sent title curative information to each of those**
24 **interest owners, correct?**

25 A. We did.

1 Q. Is Exhibit 9 a copy of the AFEs for each of the
2 four wells?

3 A. Yes.

4 Q. Are the costs on each of these AFEs consistent
5 with what COG has incurred for drilling similar Wolfcamp
6 wells in the area?

7 A. Yes. That's correct.

8 Q. And do the well-proposal letters identify the
9 overhead administrative costs that you're requesting for
10 this well --

11 A. Yes.

12 Q. -- or for each of these wells?

13 A. Yes.

14 Q. What are those costs?

15 A. 7,000 a month for drilling and 700 a month for
16 producing.

17 Q. Are those rates consistent with what other
18 operators in the area charge for similar wells?

19 A. Yes.

20 Q. Do you ask that those costs be incorporated
21 into any order resulting from this hearing?

22 A. Yes.

23 Q. And that the cost be adjusted in accordance
24 with the appropriate accounting procedures?

25 A. Yes.

1 Q. For the uncommitted working interest owners and
2 the working interest portion of unleased mineral owners,
3 do you request that the Division impose a 200 percent
4 risk penalty?

5 A. Yes.

6 Q. And does COG identify the offset operators or
7 lessees of record in the 40-acre tracts surrounding each
8 of the proposed nonstandard units?

9 A. Yes, they did.

10 Q. Were they included in the notice of this
11 hearing?

12 A. Yes.

13 Q. Is Exhibit 10 an affidavit prepared by my
14 office with attached letters providing notice of this
15 hearing to both the pooled parties and the offsets for
16 each of the two cases?

17 A. Yes. That's correct.

18 Q. And Exhibits 11 and 12 are Notices of
19 Publication in Lea County, correct?

20 A. Yes. That's correct.

21 Q. Were Exhibits 1 through 9 prepared by you or
22 compiled under your direction and supervision?

23 A. Yes. That's correct.

24 MS. KESSLER: Mr. Examiners, I'd move
25 admission of Exhibits 1 through 12.

1 EXAMINER JONES: Exhibits 1 through 12 are
2 admitted.

3 (COG Operating, LLC Exhibit Numbers 1
4 through 12 are offered and admitted into
5 evidence.)

6 CROSS-EXAMINATION

7 BY EXAMINER JONES:

8 Q. The ownership from the Bone Spring on down
9 through the Wolfcamp, is that common?

10 A. Yes.

11 Q. Okay. So you've got the same owners here --
12 listed here as you did in the last two cases?

13 A. That is correct.

14 Q. Was everybody located, but you just didn't get
15 some return receipts? Is that correct?

16 MS. KESSLER: (Indicating.)

17 EXAMINER JONES: So you noticed everybody
18 being pooled in the newspaper?

19 MS. KESSLER: That's correct. And it was
20 just that we didn't receive green cards back within the
21 20 days.

22 EXAMINER JONES: Okay. Okay.

23 Q. (BY EXAMINER JONES) So the costs are about the
24 same as the Bone Spring costs. It's interesting. I
25 guess I can talk to the -- you're going to have an

1 engineer coming up for this one. Okay. I can talk to
2 her about that.

3 The locations will be -- you think
4 anybody's going to move locations?

5 A. No.

6 Q. I see you had the same appearances in this case
7 as we did in the others -- with these cases as we did in
8 the other two cases.

9 Is there anything else you'd like to say
10 about this unmarketable title situation?

11 A. No. I'm okay. Thanks.

12 Q. (Laughter.)

13 EXAMINER WADE: I don't have any questions.

14 EXAMINER JONES: Okay.

15 MS. KESSLER: We'll call our geologist.

16 EXAMINER JONES: Okay. Now, these -- these
17 exhibits for the other party are Exhibits 1 through 6,
18 and so they will be part of the record in these two
19 cases also, 15812 and 15813.

20 (Respondents' Exhibit Numbers 1 through 6,
21 offered in the hearing of Case Numbers
22 15810 and 15811 for Case Numbers 15812 and
23 15813, are admitted into evidence.)

24

25

1 CARRIE M. MARTIN,
2 after having been previously sworn under oath, was
3 questioned and testified as follows:

4 DIRECT EXAMINATION

5 BY MS. KESSLER:

6 Q. Please state your name for the record and tell
7 the Examiners by whom you're employed and in what
8 capacity.

9 A. Carrie Martin. I'm a geologist for COG
10 Operating, LLC.

11 Q. Have you previously testified before the
12 Division?

13 A. Yes.

14 Q. Were your credentials as a petroleum geologist
15 accepted and made a matter of record?

16 A. Yes.

17 Q. You're familiar with the applications filed in
18 the consolidated cases today?

19 A. Yes.

20 Q. And have you conducted a study of the lands
21 underlying -- of the geology underlying the subject
22 lands?

23 A. Yes.

24 MS. KESSLER: I would tender,
25 Mr. Examiners, Ms. Martin as an expert in petroleum

1 geology.

2 EXAMINER JONES: She is so qualified.

3 Q. (BY MS. KESSLER) Ms. Martin, what is the target
4 interval for these four wells?

5 A. The Upper Wolfcamp.

6 Q. If I turn to Exhibit 13, is this a locator map
7 of the area?

8 A. Yes.

9 Q. And this shows all four of the proposed wells,
10 correct?

11 A. Yes.

12 Q. Can you please walk us through the remaining
13 attributes of this exhibit?

14 A. The red-dashed lines are the proposed Wolfcamp
15 wells, the White Falcon Federal 16 Com #21 and 22H and
16 the White Falcon State Federal Com #23 and 24H. The
17 solid red line is the existing Wolfcamp producing well.
18 It's the Wheatfield 16 State #701, and it's owned by
19 COG. The yellow color is COG's acreage in the area.

20 Q. And this shows the two proposed wells per
21 spacing unit, correct?

22 A. Correct.

23 Q. Is Exhibit 14 a structure map of the Wolfcamp?

24 A. Yes. The structure map is on the top of the
25 Wolfcamp. The contour interval is 50 feet. The map

1 shows dipped -- a less than 1 degree dip in the area.
2 The structure map shows that there is no faulting in the
3 area, no pinch-outs and no geologic impediments to
4 drilling horizontal wells.

5 **Q. And in Exhibit 15, you've put a line of**
6 **section, correct?**

7 A. Yes. This is a cross section, A to A prime
8 from north to south, showing the wells that are
9 representative of the geology of this area.

10 **Q. And this corresponds to Exhibit 16, correct?**

11 A. Correct.

12 This is a stratigraphic cross section. The
13 purple line is the top of the 3rd Bone Spring Sand. The
14 red line is the top of the Wolfcamp Formation. It is
15 hung on top of the Wolfcamp Formation. The green
16 bracket is the location of the Wolfcamp target interval.
17 This cross section shows that the geology is consistent
18 across the area and has a similar thickness of the Upper
19 Wolfcamp in the area.

20 **Q. What conclusions have you drawn based on your**
21 **study of this area?**

22 A. There are no geologic impediments to developing
23 this area with two-mile horizontal wells. The area can
24 be efficiently and economically developed by horizontal
25 wells, and the proposed nonstandard units will

1 contribute, on average, more or less equally to the
2 production of the wells.

3 Q. In your opinion, is granting COG's application
4 in the best interest of conservation, for the prevention
5 of waste and the protection of correlative rights?

6 A. Yes.

7 Q. Were Exhibits 13 through 16 prepared by you or
8 compiled under your direction and supervision?

9 A. Yes.

10 MS. KESSLER: Mr. Examiners, I'd move
11 admission of Exhibits 13 through 16.

12 EXAMINER JONES: 13 through 16 are
13 admitted.

14 (COG Operating, LLC Exhibit Numbers 13
15 through 16 are offered and admitted into
16 evidence.)

17 CROSS-EXAMINATION

18 BY EXAMINER JONES:

19 Q. So did you pick the location?

20 A. Yes.

21 Q. And can you talk about the lithology in the
22 Upper Wolfcamp?

23 A. Yes. The target interval is a shale, a high
24 organic red shale, within the area. It's actually
25 similar to the target in the Wheatfield producing well,

1 so the target was chosen because of the existing
2 production of the producing well.

3 Q. So that's a pretty good well?

4 A. Yes.

5 Q. And so you're going to drill a two-mile well
6 right next to it --

7 A. Yes.

8 Q. -- or close to it?

9 So it's a deep -- deep sea off-the-shelf
10 type environment?

11 A. Yes. Yes. We are in the high organic-rich
12 shale interval, you know, off of the extra basin
13 platform. We're in kind of the deepest part of the
14 Delaware Basin.

15 Q. So it's kind of a source rock?

16 A. Yes.

17 Q. And as far as what you would tell your
18 completions engineer, as far as the fracking goes, are
19 there any barriers to the fracs vertically above and
20 below this target?

21 A. We don't see barriers. As you go towards the
22 bottom of the Wolfcamp A, there is a carbonate that is
23 potentially a barrier below this interval.

24 Q. Okay. It's a low -- low -- low porosity,
25 low permeability type --

1 A. Correct, very tight below the Wolfcamp.

2 Q. It's a dolomite?

3 A. It's a limestone.

4 Q. Limestone.

5 And where are we located here? Is this --
6 I don't know. There is probably a locator map here
7 somewhere, but I didn't see it. Is it -- it's Lea
8 County. I know that.

9 A. Yeah. We are probably one township from the
10 Texas state line.

11 Q. North of the Texas state line?

12 A. North of the Texas state line, right north of
13 Loving County.

14 Q. Okay. Yeah, 25 South, 35 East, way down below
15 Jal then; is that correct?

16 A. I think we are east of Jal.

17 Q. Just a bit east of Jal.

18 A. Yes.

19 Q. And no faults, though?

20 A. No. We are in the area that we don't see a lot
21 of faulting to the area. We are also west to the
22 deep-seated faults in the area.

23 Q. Were those -- what age were those faults?

24 A. Some of the fault are deep-seated Devonian age
25 faults. We don't see a lot faults in this area that

1 penetrate up into the Wolfcamp.

2 Q. So above the Woodford would not be broken up by
3 faulting?

4 A. We don't see any in this --

5 Q. Area at all.

6 A. -- particular area at all.

7 Q. Okay. Okay. Thank you.

8 EXAMINER WADE: I have no questions.

9 EXAMINER JONES: Thank you very much.

10 MS. KESSLER: I'll call my next witness.

11 JAYNE JUNELL,

12 after having been previously sworn under oath, was
13 questioned and testified as follows:

14 DIRECT EXAMINATION

15 BY MS. KESSLER:

16 Q. Would you please state your name for the record
17 and tell the Examiners by whom you're employed and in
18 what capacity?

19 A. Yes. Jayne Junell. I work for COG Operating,
20 LLC as a reservoir engineer over the southeast New
21 Mexico area.

22 Q. Have you previously testified before the
23 Division?

24 A. Yes.

25 Q. Were your qualifications and credentials as a

1 **petroleum engineer -- reservoir engineer accepted and**
2 **made a matter of record?**

3 A. Yes.

4 **Q. Are you familiar with the applications filed in**
5 **this case?**

6 A. Yes.

7 **Q. And are you familiar with the reservoir in the**
8 **subject area?**

9 A. Yes.

10 MS. KESSLER: Mr. Examiner, I would tender
11 Ms. Junell as an expert in reservoir engineering.

12 EXAMINER JONES: Reservoir engineering?

13 MS. KESSLER: (Indicating.)

14 EXAMINER JONES: She is so qualified.

15 **Q. (BY MS. KESSLER) Ms. Junell, why does COG seek**
16 **to drill four wells in the Wolfcamp in this area?**

17 A. Well, two wells in each spacing area are
18 required to develop the reserves.

19 **Q. Does that mean that you leave fewer reserves in**
20 **the ground?**

21 A. Yes.

22 **Q. Why does COG seek to simultaneously complete**
23 **two wells for spacing unit?**

24 A. Well, pad drilling and completion has
25 operational and economic efficiencies, but moreover,

1 when you complete wells simultaneously, you get a better
2 frac job, better frac efficiency.

3 **Q. Is simultaneous completion part of the**
4 **industrywide trend?**

5 A. It is. And there are some technical papers
6 that show the average is about 30 percent increase in
7 EUR through simultaneous completion.

8 **Q. And you brought some exhibits to discuss and**
9 **review with the Examiners today?**

10 A. Yes.

11 **Q. Can you please start with Exhibit 17 and**
12 **identify this for the Examiners?**

13 A. Okay. Yes. Exhibit 17 is an example of a
14 typical frac distribution in virgin rock. This is
15 actual data from a well, but it is not from a Concho
16 well. We got this from service company. And it's just
17 illustrating how in virgin rock in a homogeneous
18 reservoir, you would expect the frac wings to be
19 basically equivalent on both sides and, hence, the
20 stimulated reservoir volume to be equivalent on both
21 sides.

22 **Q. What is Exhibit 18?**

23 A. Exhibit 18 is a similar slide that shows the
24 frac distribution when you are offsetting an older well
25 that's been completing for some time. On the left side

1 of the slide, you see the initial well in the section,
2 which is the parent well. The green kind of blob shows
3 the depleted pressure zone after that initial well has
4 been producing for a while.

5 The next horizontal well to the right is
6 the child well that is being completed. The two
7 vertical wells to the right are the monitor wells that
8 are listening to the microseismic data. And you can see
9 on here, we get asymmetrical frac growth towards the
10 area of lower pressure, and so the area on the other
11 side of the lateral is not being stimulated and, hence,
12 producing less, getting less reserves.

13 **Q. Does Exhibit 19 show production from wells that**
14 **are not simultaneously completed?**

15 A. Let's see. Yes. 19 is that very thing. In
16 the orange line are the original wells out of eight
17 wells within the two half-section areas. The purple
18 lines are -- those were completed and have been
19 producing a year and a half before the remaining six
20 wells were drilled and completed at the same. The
21 interior wells, which are the purple lines, have
22 basically the same production profile as the original
23 wells. The red production lines are the child wells
24 offsetting those original parent wells, and you can see
25 that their performance is much less than the other

1 wells.

2 Q. The child wells have a much lower performance?

3 A. Yes.

4 Q. What is Exhibit 20?

5 A. Exhibit 20 shows four wells in a section that
6 were drilled and completed simultaneously, and you can
7 see that they have virtually the same production
8 profile.

9 Q. Has COG experienced positive results when wells
10 are simultaneously completed?

11 A. Yes.

12 Q. Why is that?

13 A. That's because we get more stimulated reservoir
14 volume because we have a more effective frac when we
15 complete them simultaneously.

16 Q. And what is COG's preferred timing for
17 completion?

18 A. Simultaneous.

19 Q. In your opinion, is drilling and simultaneously
20 completing original and development wells, is that a
21 method to optimize production from all wells?

22 A. Yes.

23 Q. In your opinion, does drilling and
24 simultaneously completing original and development wells
25 prevent waste?

1 A. Yes.

2 Q. In your opinion, will reserves be left in the
3 ground if COG does not simultaneously complete two wells
4 in the space --

5 A. Yes.

6 Q. -- in this area?

7 A. Yes.

8 Q. Were Exhibits 17, 18, 19 and 20 either prepared
9 by you, compiled under your direction or compiled with
10 company business records?

11 A. Yes.

12 MS. KESSLER: Mr. Examiner, I'd move
13 admission of Exhibits 17 through 20.

14 EXAMINER JONES: Exhibits 17 through 20 are
15 admitted.

16 (COG Operating, LLC Exhibit Numbers 17
17 through 20 are offered and admitted into
18 evidence.)

19 CROSS-EXAMINATION

20 BY EXAMINER JONES:

21 Q. So the follow-up wells are slower producing,
22 but the initial wells -- in other words, if you take the
23 higher initial well and the lower subsequent well versus
24 the two wells that are drilled and fracked
25 simultaneously, they might be -- to get closer together,

1 but are they lower in production than the original well?

2 A. Yes. Yes.

3 Q. Okay. But the sum total of both pairs is to
4 the advantage of simultaneous fracking?

5 A. Yes, together. Well, no. No. I misunderstood
6 your first question. I thought you were talking about a
7 parent and a child well, which by definition have a lag
8 time.

9 Q. Yeah.

10 A. If they're completed simultaneously, you expect
11 full reserves from each one of those. They aren't
12 draining each other's reserves. You're getting a better
13 frac so that they get more stimulated reservoir volume
14 around their own wellbore.

15 Q. Okay. I just wondered if, you know -- I see
16 these curves where they're similar production if you
17 frac them simultaneously --

18 A. Uh-huh.

19 Q. -- they're the same stages simultaneously.

20 A. Uh-huh.

21 Q. But I just wondered if the sum total of adding
22 up those two versus sum total of adding up the other
23 two, doing it in a different method, would be --

24 A. No. You get full reserves when you do it
25 simultaneously. Whereas, if you have a lag time, you

1 get full reserves from the first one and something less
2 from the second one.

3 **Q. Okay. What about percent of oil in place**
4 **recovered? You're a reservoir engineer, so I have to**
5 **ask you that.**

6 A. It depends on -- we haven't done those studies
7 for this area yet because it's new, but we've looked at
8 5 to 15 percent. It really depends on the reservoir.

9 **Q. Okay. So this is kind of just -- how would you**
10 **do the studies?**

11 A. Well, you can do, you know, just the typical
12 volumetrics, which is subject to a lot of
13 interpretation. Right? But you can just do modeling
14 with the production, with a history that can pin it down
15 a little better.

16 **Q. Yeah.**

17 A. So --

18 **Q. That --**

19 A. And oftentimes you just have a range, right,
20 which would be a smell test of what your recovery is?

21 **Q. Right.**

22 A. You never know until you've completed
23 everything.

24 **Q. Is the initial potential test of any use out**
25 **here, or is the first month's production indicative of**

1 **what the well's going to make or --**

2 A. It depends on the operation. So if you have
3 sized your facilities correctly and you have enough room
4 to take the full IP for that whole month, then yes, that
5 can give you an idea what it's going to do. If, for
6 whatever reason, you get more than you expect or your
7 facilities aren't big enough, you may have to pinch it
8 back, and so whatever formula you're using to calculate
9 reserves based on that IP is skewed because it's flat
10 for a while because you've had to pinch it back.

11 **Q. Okay. Before I forget, the casing design for**
12 **these Wolfcamps versus the Bone Spring in this area, is**
13 **there a difference?**

14 A. I do not know the answer to that.

15 **Q. You don't know if they're setting an**
16 **intermediate above the Wolfcamp and then drilling in the**
17 **Wolfcamp?**

18 A. I'm not sure.

19 **Q. Okay.**

20 A. Yeah.

21 **Q. The pricing I saw was real similar to what was**
22 **being proposed for a Bone Spring, so I thought I better**
23 **ask that.**

24 A. Well, when you're looking at a 12,000-foot TVD
25 and a two-mile lateral, 400 extra feet in the TVD, it's

1 not very significant.

2 Q. Speaking of the two-mile lateral, are you a
3 proponent of that?

4 A. Yes.

5 Q. Are you a drilling person, too?

6 A. Well, no. But my area is economics -- is
7 evaluating the economics of a well. So if you are
8 getting more completed lateral length per dollar, you
9 get better economics. You prevent waste by being able
10 to complete that part of the lateral that crosses the
11 lease line, and you don't have to drill another vertical
12 section to get those reserves. So yes, absolutely.

13 Q. You're pumping, for that first frac job, about
14 20,000 feet. Is that four miles you're pumping fluid to
15 actual frac --

16 A. It's a long way.

17 Q. -- the formation?

18 A. Yes (laughter).

19 Q. So is that a ways to do it? Your friction
20 alone would reduce your pressure at the bottom of your
21 well so that -- it's hard to say you would get such a
22 good frac job on a two-mile lateral.

23 A. Well, it seems that way, but I think they
24 really do it. They have friction reducers that they
25 use, and some of the microseismic you see, you see as

1 many fracs out at the toe as you do at the heel.

2 Q. You don't burst your casing up at the top?

3 A. Not yet.

4 Q. Okay. I guess you don't -- are you keeping
5 pressure data on your wells that you operate?

6 A. Yes. We have -- these, we start with
7 submersible pumps, which have pressure intake data.

8 Q. Okay. So you can keep track that way of your
9 reservoir performance?

10 A. Uh-huh. Yes.

11 Q. What about risk?

12 A. What kind of risk? What do you mean?

13 Q. Yeah. I mean, the geologist says it's a source
14 rock, so obviously you've got a source, and obviously
15 you've got a trap because it's a stratigraphic trap.
16 And reservoir-wise, you say you've got a reservoir
17 because you're creating your reservoir with your frac
18 job, right?

19 A. Uh-huh. Or your access to it, yes.

20 Q. Access to it.

21 A. Uh-huh.

22 Q. And then you've got commerciality risk to look
23 at. So, I mean, these compulsory poolings we're
24 charging a big risk factor --

25 A. Uh-huh.

1 **Q. -- so I just wondered if you had an idea about**
2 **that.**

3 A. Well, yes. I mean, they're expensive wells,
4 and there is a lot of technology involved. But I think
5 that's normal. For the owners and the parties who are
6 willing to assume the financial risk of drilling and
7 completing this well and spending that before you get
8 results, yes, they deserve --

9 **Q. You've got a lot of money up front --**

10 A. -- compensation for that.

11 **Q. -- tied up?**

12 A. Uh-huh.

13 **Q. And the facilities are not cheap either, are**
14 **they?**

15 A. Nothing is, is it?

16 **Q. Okay. Thank you very much.**

17 A. Thank you.

18 MS. KESSLER: Ask these cases be taken
19 under advisement.

20 EXAMINER JONES: Okay. Case Numbers 15812
21 and 15813 are being taken under advisement.

22 And please give a write-up of your
23 arguments about the marketable title.

24 MS. KESSLER: By what date would you like
25 those?

1 EXAMINER JONES: We won't have the
2 transcript for two to three weeks, so maybe three weeks
3 at the latest.

4 MS. KESSLER: I would ask maybe two weeks
5 because I think there are some deadlines.

6 EXAMINER JONES: Oh, your client is in a
7 hurry.

8 MS. KESSLER: And I can convey that to
9 Mr. Hall.

10 EXAMINER JONES: Will you please?

11 MS. KESSLER: sure.

12 EXAMINER WADE: Are these essentially
13 consolidated cases now, all four of the cases? Is that
14 how we're treating them?

15 MS. KESSLER: In essence, it involves the
16 same lands but different geology, so I didn't
17 consolidate them for that purpose.

18 EXAMINER JONES: Different formation.
19 That's about it. Okay.

20 (Case Numbers 15812 and 15813 conclude,
21 10:33 a.m.)

22
23
24
25

1 STATE OF NEW MEXICO
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, Certified Court
6 Reporter, New Mexico Certified Court Reporter No. 20,
7 and Registered Professional Reporter, do hereby certify
8 that I reported the foregoing proceedings in
9 stenographic shorthand and that the foregoing pages are
10 a true and correct transcript of those proceedings that
11 were reduced to printed form by me to the best of my
12 ability.

13 I FURTHER CERTIFY that the Reporter's
14 Record of the proceedings truly and accurately reflects
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither
17 employed by nor related to any of the parties or
18 attorneys in this case and that I have no interest in
19 the final disposition of this case.

20

21

22 MARY C. HANKINS, CCR, RPR
23 Certified Court Reporter
24 New Mexico CCR No. 20
25 Date of CCR Expiration: 12/31/2017
Paul Baca Professional Court Reporters

25