

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES

FOR APPLICANT HPPC, INC.:

JAMES G. BRUCE, ESQ.
Post Office Box 1056
Santa Fe, New Mexico 87504
(505) 982-2043
jamesbruc@aol.com

FOR INTERESTED PARTY NEW MEXICO STATE LAND OFFICE:

KATHERINE "KITTY" MOSS, ESQ.
NEW MEXICO STATE LAND OFFICE
Office of General Counsel
301 Old Santa Fe Trail
Santa Fe, New Mexico 87501
(505) 827-5872
kmoss@slo.state.nm.us

1	INDEX	
2		PAGE
3	Case Number 16455 Called	5
4	HPPC, Inc.'s Case-in-Chief:	
5	Witnesses:	
6	Rajan Prasad:	
7	Direct Examination by Mr. Bruce	6
	Cross-Examination by Examiner Goetze	22
8	Cross-Examination by Examiner McMillan	25
	Recross Examination by Examiner Goetze	27
9		
10	State Land Office's Case-in-Chief:	
11	Niranjan Khalsa:	
12	Direct Examination by Ms. Moss	28
13	Anchor E. Holm:	
14	Direct Examination by Ms. Moss	32
	Cross-Examination by Examiner McMillan	41
15		
16	HPPC, Inc.'s Rebuttal Case:	
17	Witnesses:	
18	Rajan Prasad:	
19	Direct Examination by Mr. Bruce	44
	Cross-Examination by Ms. Moss	48
20	Cross-Examination by Examiner McMillan	50
21	Proceedings Conclude	53
22	Certificate of Court Reporter	54
23		
24		
25		

	EXHIBITS OFFERED AND ADMITTED	
		PAGE
1		
2		
3	HPPC, Inc. Exhibit Numbers 1 through 5	21
4	State Land Office Exhibit Numbers 1 through 7	43
5		
6		
7		
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 (10:32 a.m.)

2 EXAMINER McMILLAN: I'll call this hearing
3 back to order.

4 The next case that's going to be heard is
5 Case Number 16455, application of HPPC, Incorporated for
6 a lease pressure maintenance project, Lea County, New
7 Mexico.

8 Call for appearances.

9 MR. BRUCE: Mr. Examiner, Jim Bruce
10 representing the Applicant. I have one witness.

11 EXAMINER McMILLAN: Are there any other
12 appearances?

13 MS. MOSS: Katherine Moss with the
14 New Mexico State Land Office.

15 EXAMINER McMILLAN: Okay. Do we have
16 opening statements?

17 MR. BRUCE: No.

18 MS. MOSS: No.

19 EXAMINER McMILLAN: Please proceed.

20 And Phillip Goetze will be assisting in
21 this case.

22 RAJAN PRASAD,
23 after having been first duly sworn under oath, was
24 questioned and testified as follows:

25

DIRECT EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. BRUCE:

Q. Would you please state your name and city of residence?

A. Rajan Prasad, Midland, Texas.

Q. Could you spell your first and last name for the court reporter?

A. R-A-J-A-N; last name, P, like Paul, R-A-S, like Sam, A-D, like David.

Q. And who do you work for?

A. I'm vice president of HPPC, Incorporated.

Q. And have you previously testified before the Division?

A. No, I have not.

Q. Could you summarize your educational and employment background for the examiner?

A. I have a Bachelor of Science from Texas Tech in chemical engineering, and I have a master's from University of Texas at Austin. And I have -- sorry.

Q. And what are your degrees in?

A. Bachelor of Science was in chemical engineering. Master's was in petroleum engineering.

Q. And could you explain your employment background?

A. Sure. I've primarily worked as a reservoir

1 engineer in waterflood studies and mainly assimilation
2 engineering. I've worked for OXY and Era for about ten
3 years, and then I joined HPPC in 2008 and have been with
4 the company since then.

5 **Q. And what have your duties been at HPPC?**

6 A. I'm primarily management of operations for the
7 company, which operates properties in Lea County and in
8 Texas.

9 **Q. Do you analyze the reservoir properties for the**
10 **companies -- excuse me -- the properties you operate?**

11 A. Yes. Yes. We have -- I do the in-house
12 studies for the company as well.

13 **Q. So you've been doing that for something like 16**
14 **years?**

15 A. Yes. Yes.

16 **Q. And are you familiar with the engineering and**
17 **operational matters related to this application?**

18 A. Yes, I am.

19 MR. BRUCE: Mr. Examiner, I tender
20 Mr. Prasad as an expert reservoir engineer.

21 EXAMINER McMILLAN: Any objections? Any
22 objections?

23 MS. MOSS: No objection. Sorry.

24 EXAMINER McMILLAN: So qualified.

25 **Q. (BY MR. BRUCE) Could you identify just briefly**

1 **what Exhibit 1 is?**

2 A. Exhibit 1 is a Form C-108, an application for
3 authorization to inject. We want to convert the Lea
4 State #1 into an injection well.

5 **Q. And let's go down to -- I've numbered the pages**
6 **on this, for once in my life. Could you identify pages**
7 **4 and 5 and discuss the current state of the Lea #1 and**
8 **the proposed completion of the well?**

9 A. The currently Lea State #1 is a producing well,
10 and it was drilled in 1965 and has been producing since
11 then as an oil and gas producer. So the proposal is to
12 run in with IPC tubing and packer set at 100 feet above
13 the perforations and circulate packer fluid in the
14 casing annulus and complete this as an injection well.

15 **Q. Okay. And your injection will be into the Abo**
16 **Formation?**

17 A. Correct.

18 **Q. And the wells that you say will benefit from**
19 **this are obviously Abo wells also?**

20 A. It'll be the three updip Abo wells that we have
21 producing on the lease.

22 **Q. Okay. What is the current producing rate of**
23 **the #1?**

24 A. Currently, the well is making two barrels of
25 oil a day and 70 barrels of water.

1 Q. I'll ask some questions about that later.

2 Turning to page 6, does that list all of
3 the wells within the area of review?

4 A. Yes, sir, it is.

5 Q. And there are a number of P&A'd wells, correct?

6 A. Correct.

7 Q. And starting with page 7, are those wellbore
8 diagrams and other data on the P&A'd wells in the area
9 of review?

10 A. Yes, it is.

11 Q. And looking at these PA'd wells, are they
12 sufficiently plugged so there will be no -- they will
13 not act as a conduit of the injection water to other
14 zones?

15 A. Yes, they are.

16 Q. Turning to page 16, the Lea State lease, the
17 946 lease, occupies the northwest quarter of -- what is
18 that? -- Section 2 and the northeast quarter of Section
19 3?

20 A. Yes.

21 Q. And HPPC owns that lease as to the Abo
22 Formation, correct?

23 A. That is correct.

24 Q. And the injection well is in the southwest
25 quarter-northwest quarter of Section 2?

1 A. Yes, it is.

2 **Q. And what you hope to do is benefit the #2, 3**
3 **and 5 wells by injection of water into the Abo zone?**

4 A. Yeah. The Lea #1 is structurally in the
5 downdip location to benefit these wells.

6 **Q. Okay.**

7 MR. BRUCE: Now, Mr. Examiner, for pressure
8 maintenance projects, you're supposed to have a project
9 area. As I read the regulations -- it's been a while
10 since I've done one of these -- is that the project area
11 would be the entire northwest of Section 2 and the east
12 half-northwest quarter of Section 3, which is every
13 quarter-quarter section that touches upon the 40 acres
14 that the injection well is in. And I believe that's
15 correct. I'll verify that for you. It's a technical
16 deal, but it's required by the statute. That's all.

17 **Q. (BY MR. BRUCE) As to the other wells --**
18 **producing wells in the area of review, are they properly**
19 **drilled and completed so that they won't act as a**
20 **conduit of fluids to other zones?**

21 A. Yes, they are.

22 **Q. And starting at page 20, you've got a well log.**
23 **Page 22, does that show the injection interval?**

24 A. Yes, it does.

25 **Q. And, again, that is solely in the Abo zone?**

1 A. Correct.

2 Q. And when you go to -- correction. Page 23,
3 could you summarize your injection parameters and
4 injection pressures?

5 A. Yeah. We plan to use the least produced water,
6 which is about 250 barrels a day, to inject in this
7 well. Initially we expect the water to be taken on a
8 vacuum and maximum pressure, we expect, is not more than
9 1,777 psi.

10 Q. And that would correlate with the 0.2 psi per
11 foot of depth --

12 A. Yes.

13 Q. -- as set forth in Division regulations?

14 A. Yes.

15 Q. Is there a proposed stimulation program for the
16 injection well?

17 A. If it needs it, we will use 15 percent HCL as
18 the -- as a small acid job to clean up the perforations.
19 We'll evaluate that once the well has been put on
20 injection.

21 Q. Okay. And as to the rest, there are -- turning
22 to page 24, there is the water analysis, correct?

23 A. Correct.

24 Q. And since you're using produced water, there
25 will be no problem between the injection water and the

1 formation water?

2 A. Correct.

3 Q. And there's also a water analysis for the
4 potential makeup water, if you use it?

5 A. Yes.

6 Q. Okay. And going on to pages 35 through 37, did
7 Mr. Ben Stone who prepared -- he prepared this
8 application under your supervision, correct?

9 A. That's correct.

10 Q. Did he locate all of the parties who were
11 entitled to notice?

12 A. Yes, he did.

13 Q. And is that shown on pages 36 and 37?

14 A. Yes.

15 Q. Moving on to Exhibit 1A, what is that?

16 A. This is the water sample report from Cardinal
17 Laboratories that tested the fresh water with the
18 samples of wells that are within a half-mile from the
19 produced injection well.

20 Q. Okay. So you have a baseline of water quality
21 at this point?

22 A. Yes.

23 MR. BRUCE: Mr. Examiner, Exhibit 2 is my
24 notice letter. I received green cards back from
25 everybody except ConocoPhillips. The OCD -- excuse

1 me -- the post office website shows that ConocoPhillips
2 did receive notice, but I never received a green card
3 back. So at the end of this, we'll have to continue it
4 to the next hearing.

5 EXAMINER McMILLAN: Okay.

6 Q. (BY MR. BRUCE) But, Mr. Prasad, I believe that
7 Mr. Stone sent out notice of the C-108 when he
8 originally prepared it, correct?

9 A. Yes.

10 Q. And then I sent out notice.

11 A. Yes.

12 Q. Did you receive any objections from any of the
13 working interest owners offsetting the injection well?

14 A. No, we did not.

15 Q. Not even a phone call?

16 A. No, sir.

17 MS. MOSS: For the record, can I object at
18 this time to proceeding on the basis of notice?

19 MR. BRUCE: For what reason?

20 MS. MOSS: If we don't -- if -- notice was
21 not properly given.

22 MR. BRUCE: It was properly given. I just
23 haven't gotten a green card back.

24 MS. MOSS: Is there something in the record
25 that shows what you refer to on the post office website?

1 MR. BRUCE: I can get that to you. I
2 didn't copy it, but there is a green card -- there is --
3 there is a white card, and you can track it through the
4 post office website. I will get you that to show that
5 everybody --

6 MS. MOSS: Okay. Thank you.

7 MR. BRUCE: -- and I'll send you the other
8 six green cards.

9 MS. MOSS: Okay.

10 Q. (BY MR. BRUCE) Have you conducted an
11 engineering study on the benefits of this project?

12 A. Yes, I have.

13 Q. And is that Exhibit 3?

14 A. Yes, it is.

15 Q. Could you run through it and discuss the
16 benefits of injection into the #1 well for the purpose
17 of the other wells on your lease?

18 A. Sure. So what we did was we created a
19 mathematical model using geologic maps, log analysis,
20 well test data, performance data. And we -- based on
21 this data, the three-phase model was created, which was
22 used to predict the recovery from converting Lea State
23 946 well to injection. And from the study, what we
24 conclude is that there will be an incremental benefit of
25 60,000 barrels recovered by converting this well to

1 injection. This is -- you can see this is on page --
2 well, it's the --

3 MR. BRUCE: It's the first graph.

4 THE WITNESS: -- the fourth page of Exhibit
5 3.

6 And what I show here is the green line is
7 the base case of continuing operations. This is the
8 predicted recovery from that -- from just continuing
9 with all four producing wells producing.

10 The red line is the effect of converting
11 946 Well #1 to injection. And the model predicts that
12 we would gain an incremental of 60,000 barrels a day --
13 I mean 60,000 barrels of cumulative recovery from
14 converting this well.

15 Q. (BY MR. BRUCE) and based on the cost of
16 converting that well and additional production, will
17 this result in substantial increase in the recovery of
18 reserves in the Abo Formation?

19 A. Yes. It'll be not only -- it'll be
20 economically beneficial as well.

21 Q. And let me say this. You've already said that
22 the #1 well is producing at two barrels a day. By
23 converting that to injection, will that benefit the
24 overall lease production?

25 A. Yes. Yes, it will.

1 **Q. At this point are you disposing of water**
2 **off-lease?**

3 A. Yes.

4 **Q. And this way you'll be able to dispose it in**
5 **your own well. Will that substantially reduce the cost**
6 **of water injection?**

7 A. Yes, sir. Yes.

8 **Q. And will the cost savings from water injection**
9 **overcome that two barrels a day that is currently being**
10 **produced from the #1 well?**

11 A. Yes. Yes.

12 So the structure map, which is in that
13 Exhibit 3, shows that the #1 well is the -- is
14 structurally the downdip-most well in this -- in this
15 lease, so it would be in the best position to push oil
16 updip towards the three producing wells, the #3, the #5
17 and the #2 well.

18 **Q. And what does the next chart show?**

19 A. The next map is an isopach that took all the
20 data from any wells that penetrated the Abo, and as you
21 can see, going southeast, the porosity pinches out as
22 you go towards the southeast, and it becomes pretty much
23 a high thickness in the middle of the lease.

24 **Q. Okay. So the porosity decreases, so there's**
25 **really no purpose of flooding to the south of you is**

1 what you're saying?

2 A. No, sir. No.

3 Q. And are the project costs set forth on the
4 second to the last page of this exhibit?

5 A. Yes, it is.

6 Q. And it's not really an expensive project to do?

7 A. No.

8 Q. And obviously, the 60,000 extra barrels will
9 pay for it?

10 A. More than -- more than -- yeah. It will more
11 than pay off.

12 Q. Next let's move to Exhibit 4. The State Land
13 Office objected to this application, correct?

14 A. Yes.

15 Q. And were you in touch with the State Land
16 Office explaining what you're trying to do and hoping
17 they withdraw their objection?

18 A. Yes.

19 Q. Could you run through this exhibit? And was
20 this data provided to the State Land Office?

21 A. Yes, it was.

22 So this is an analysis of the well, Lee #1,
23 which originally, back in 1981, had been perforated in
24 the Abo zone between -- the depths were 9,010 to 9,080
25 feet. And they had tested this zone on April 1st, 1981,

1 and it tested 100 percent water, which is consistent
2 with our structure map of being -- where the structure
3 plunges downdip. So you would expect primarily water
4 from that well.

5 **Q. And let me explain. The Lea State 946 #1 is**
6 **your well?**

7 A. Correct. Yes.

8 This is L-E-E #1.

9 **Q. But the Lee, L-E-E, #1 well is on State Land**
10 **Office lands to the south of the -- of your injection**
11 **well, south or southeast?**

12 A. Sorry. Say that again.

13 **Q. The Lee #1 --**

14 A. The L-E-E #1?

15 **Q. Yeah.**

16 A. Okay.

17 **Q. -- is not your well, but that is to the**
18 **south --**

19 A. Yes. It's to the south. Yes.

20 **Q. -- of your project area?**

21 A. Correct.

22 **Q. So go ahead.**

23 A. So this zone -- you know, initially this well
24 was perforated in the Abo zone, and then it was
25 abandoned with a cast-iron bridge plug and cement on top

1 set at 8,760. So then this -- this Lee #1 was then
2 perforated at 8,688 to 8,710 feet, which is in the Bone
3 Spring and came in at 95 percent oil cut. So in
4 conclusion, the Lee #1 is producing from the Bone Spring
5 and not the Abo zone. And we have provided a log which
6 would show where the Abo zone is located and where the
7 Bone Spring is located. And so, therefore, there is
8 absolutely no way, in our opinion, that oil could be
9 pushed towards this Lee #1 for one reason that it's not
10 producing from the same zone and it's structurally lower
11 than the Lea State #1 well.

12 MR. BRUCE: Mr. Examiner, the cross section
13 is the second page -- or not the cross section, the well
14 logs.

15 THE WITNESS: The well logs. So let me
16 explain this well log a little bit further. The log on
17 the left-hand side is the L-E-A, the one that we're
18 proposing converting. And the red rectangle is where
19 the perforations are for the Lee #1, and then there is
20 an Abo -- Abo line marker marking where the Abo top is.

21 And then the next two logs that are next to
22 it, to the Lee #1. This is for the Lee #1, L-E-E #1,
23 and it's showing where -- the red rectangle is showing
24 where the current perforations are for this well. And
25 the Bone Spring marker is also marked showing the top.

1 The reason we have two logs is that they
2 didn't cover the entire depth interval. That's why we
3 had to grab another log for the same well and put it on
4 there.

5 **Q. (BY MR. BRUCE) So you're injecting into the**
6 **Abo, which is below the Bone Spring?**

7 A. Correct.

8 **Q. And they are separated stratigraphically?**

9 A. Yes.

10 **Q. And so injecting water into the Abo will not**
11 **affect the Lee, L-E-E, #1 well, which is producing from**
12 **the Bone Spring?**

13 A. Correct.

14 **Q. And then the final page is a cross section**
15 **again?**

16 A. This is a cross section of all the wells that
17 are producing from the Abo, and then this also includes
18 OXY's Lee #1, L-E-E #1, and it's just a cross section
19 across all these wells.

20 **Q. Okay. So in your opinion, injecting into your**
21 **#1 well will not affect any -- adversely affect any**
22 **offset well to the south of your lease?**

23 A. Correct. It will all be pushed updip towards
24 the three producing wells that are currently producing
25 from Abo, and we will benefit -- all parties will

1 benefit from this increased revenue.

2 Q. And is Exhibit 5 simply from the State Land
3 Office website showing that the State -- the SLO owns
4 not only your leased acreage but also the acreage to the
5 south?

6 A. Correct. Yes.

7 Q. And, again, notice was given to all of the
8 working interest owners of the state leases in the area
9 of review, and none of them objected?

10 A. Correct.

11 Q. Were Exhibits 1 through 5 prepared by you or
12 under your supervision?

13 A. Yes, sir.

14 Q. And in your opinion, will the granting of this
15 application be in the interest of conservation and the
16 prevention of waste?

17 A. Yes.

18 MR. BRUCE: Mr. Examiner, I move the
19 admission of Exhibits 1 through 5, HPPC exhibits.

20 MS. MOSS: I'm not going to object.

21 EXAMINER McMILLAN: Okay. Exhibits 1
22 through 5 may now be accepted as part of the record.

23 (HPPC, Inc. Exhibit Numbers 1 through 5 are
24 offered and admitted into evidence.)

25 MR. BRUCE: I'm finished questioning this

1 witness.

2 EXAMINER McMILLAN: Cross?

3 MS. MOSS: I don't have any cross.

4 EXAMINER McMILLAN: Go ahead, Phil.

5 CROSS-EXAMINATION

6 BY EXAMINER GOETZE:

7 Q. Okay. Where do we start? Let's go to Exhibit
8 3. In your picture of the simulation model, could you
9 bring some clarity to what -- are these the well
10 locations?

11 A. The well locations, the W3 is the Lea State #3.

12 MR. BRUCE: In the northeast corner?

13 THE WITNESS: This is just simulating our
14 lease. Yes, sir.

15 Q. (BY EXAMINER GOETZE) So the four wells are on
16 here. And what I am seeing with the color variation is
17 what units?

18 A. Oh, sorry. This is thickness. It's in feet.

19 Q. For the simulation model?

20 A. Yes.

21 Q. Okay. So we're not looking at a pressure
22 generation?

23 A. Oh, no, no, no.

24 Q. So essentially what you're doing is
25 accentuating the isopach map.

1 And in defining the structure of the Abo,
2 what was the pick for the top of the Abo? What
3 stratigraphic horizon was chosen? Just the contact of
4 the Abo -- Upper Abo, or does it use a bed?

5 A. The -- it's -- as we indicated on the cross
6 section -- are you asking the top of the Abo?

7 Q. Yes, whatever this -- what is this tied to?

8 A. Yeah, the top of the Abo.

9 Q. Okay. And this is something that someone
10 looked at and correlated?

11 A. Yes, sir. Yes. Yes.

12 Q. Okay. And since I can't read it, the contour
13 interval is what, 20 feet? And I'm assuming this is sea
14 level?

15 A. Yes. Subsea depth, yes. Correct.

16 Yeah. The contour interval is like
17 every --

18 Q. It's okay. It's a quiz, isn't it?

19 A. Yeah. It looks like it's every 200 feet, the
20 major contours.

21 Q. I would ask that be verified by someone who has
22 better glasses or a better --

23 A. We have this electronically. I can send you an
24 email to that effect.

25 Q. That would be nice.

1 MR. BRUCE: I think the examiner's eyes
2 might be worse than mine, which is pretty --

3 EXAMINER GOETZE: That's right. So is his
4 brain.

5 Q. (BY EXAMINER GOETZE) With this in mind, we have
6 dedicated just -- we're going to keep this on the lease,
7 which will essentially be the northwest quarter of 2 and
8 only part of a lease on Lot 1 and the southeast of the
9 northeast? So we're not going to have any migration off
10 to the south?

11 A. No, sir, because it's structurally dipping, and
12 there are no pressure sinks to the south.

13 Q. Okay. Are you aware of the presence of the Abo
14 Reef in this area?

15 A. The Abo Reef?

16 Q. Yeah. It's a feature to the north. It's a
17 change in the lithology, becoming more of a carbonate
18 series, quite productive and also a good place to dump
19 water. So I have concerns about your modeling here and
20 its ability to stay on laterally.

21 A. If you turn the page to the isopach, you can
22 see that the reservoir does pinch out to the north and
23 south.

24 Q. Okay. And that's based upon correlation of
25 logs in the area?

1 maps are legible. So plan on presenting that when this
2 case is continued.

3 A. Okay.

4 Q. Using -- simply put, using a 200-foot contour
5 is very vague. I want a smaller contour interval.

6 A. Okay.

7 MR. BRUCE: We'll do that.

8 EXAMINER McMILLAN: You'll do that.

9 Q. (BY EXAMINER McMILLAN) And my question is:
10 Where is the analog to this?

11 A. The analog water flood to this?

12 Q. Yes, in this area.

13 A. I can search nearby water floods in the Abo.
14 I'm not sure -- I haven't -- I can research that.

15 Q. Yeah, you will.

16 A. Okay.

17 Q. Yeah. And let's get some geologic testimony of
18 the depositional environments of this.

19 A. Okay.

20 Q. Because everyone knows a productive facies is a
21 back reef facies, and the reef is actually tight, from
22 what I've seen in Texas. I've done a lot of work in the
23 Abo, actually, in Texas. So you'll present that.

24 A. Yes.

25 EXAMINER McMILLAN: Well, let's just make

1 it a point to bring a geologist back.

2 MR. BRUCE: Okay.

3 EXAMINER McMILLAN: And then with that, you
4 should be able to better define whether or not your
5 proposed injection will stay within the proposed unit
6 area.

7 MR. BRUCE: Okay.

8 EXAMINER McMILLAN: Do you have any
9 questions?

10 EXAMINER GOETZE: Can I throw one more --

11 EXAMINER McMILLAN: Absolutely.

12 RECROSS EXAMINATION

13 BY EXAMINER GOETZE:

14 Q. The location of your water samples, could we
15 either get a State Engineer's number for the version or
16 a legal description other than the Windmill South?

17 A. Yeah. We'll do that.

18 Q. And just go ahead and spud, because we share
19 these with other people, especially our Environmental
20 Bureau, so they need to know where --

21 A. Okay.

22 Q. Thank you.

23 MS. MOSS: I think it would be useful for
24 us to present our case or at least a portion of it,
25 although --

1 EXAMINER McMILLAN: You can present as much
2 as you want.

3 MS. MOSS: Okay. Well, then we're going to
4 do it. I anticipate problems.

5 (Ms. Khalsa and Mr. Holm sworn.)

6 MS. MOSS: The first witness we're going to
7 call is Niranjana Khalsa, and here's her card, if you
8 need it for spelling or other purposes.

9 NIRANJANA KHALSA,
10 after having been first duly sworn under oath, was
11 questioned and testified as follows:

12 DIRECT EXAMINATION

13 BY MS. MOSS:

14 Q. Ms. Khalsa, have you testified before the OCD
15 or the OCC before?

16 A. No.

17 Q. Could you please state your name for the
18 record?

19 A. Niranjana Khalsa.

20 EXAMINER McMILLAN: Excuse me. Could you
21 please face the court reporter for the questions?

22 MR. HERRMANN: I think it might be easier
23 for you to swap.

24 EXAMINER GOETZE: That's what happens when
25 you get this change of venue.

1 EXAMINER McMILLAN: Please proceed.

2 MS. MOSS: Thank you.

3 Q. (BY MS. MOSS) Would you be good enough to
4 summarize your education?

5 A. I have a bachelor's degree in geology from New
6 Mexico Tech.

7 Q. And after you graduated from New Mexico Tech,
8 what was the first position that you held?

9 A. I was a drill rig geologist for Strathmore
10 Minerals, a uranium mining company. We were drilling
11 water-monitoring wells in the San Juan Basin. I was a
12 mud logger and core logger and wrote geologic reports
13 and collected background information for NEIS, stuff
14 like that.

15 Q. And how did the degree that you received assist
16 you in that position?

17 A. Well, it was an essential part of having a
18 background understanding of geology so that I could do
19 my job as a mud logger, identifying rocks and helping
20 design wells and overseeing drilling operations.

21 Q. How long did you hold that position?

22 A. Two years.

23 Q. And where did you go next?

24 A. The State Land Office.

25 Q. And what was the position you were hired for at

1 **that time?**

2 A. I was originally hired to pick lands for lease
3 sales, to do an analysis on different areas of the state
4 to figure out petroleum reserves, trends and nominate
5 lands for lease sales so that oil and gas companies
6 could -- could lease them and produce hydrocarbons for
7 the generation of revenue for the State Land Office.

8 **Q. And for how long did you do that?**

9 A. I did that for a year.

10 **Q. And then what was your next position?**

11 A. The current position that I have now. I'm a
12 petroleum specialist supervisor. I do communitization
13 agreements, saltwater disposal, easements, water
14 easements. I do the mineral evaluations. I write
15 geologic reports for lands exchanges, and I oversee a
16 couple of engineering positions.

17 **Q. And is Mr. Holm one of the people that you**
18 **oversee?**

19 A. Yes, he is.

20 MS. MOSS: I would like to tender
21 Ms. Khalsa as an expert in geology.

22 EXAMINER McMILLAN: Any objections?

23 MR. BRUCE: No objection.

24 EXAMINER McMILLAN: So qualified.

25 **Q. (BY MS. MOSS) Okay. Ms. Khalsa, what I'd like**

1 to ask you is how you became aware of this case?

2 A. Anchor Holm sent an email with his concerns
3 regarding the proposed pressure maintenance project, and
4 he and I discussed it and decided that we had an
5 objection to the project.

6 Q. And at that time, did he show you any diagrams
7 or --

8 A. Correct.

9 Q. Okay. And was this one of them (indicating)?

10 A. That's right.

11 Q. So I would just point to Exhibit 1, and I'm
12 going to allow Mr. Holm to discuss this.

13 But is this the exhibit that he got to you?

14 A. That's the exhibit. Yes.

15 Q. And the two of you decided to proceed?

16 A. Correct.

17 MS. MOSS: These are all the questions I
18 have for Ms. Khalsa.

19 EXAMINER McMILLAN: Cross?

20 MR. BRUCE: None.

21 MS. MOSS: So now you move.

22 THE WITNESS: Okay.

23 MS. MOSS: I'd like to call Anchor Holm.

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ANCHOR E. HOLM,

after having been previously sworn under oath, was questioned and testified as follows:

DIRECT EXAMINATION

BY MS. MOSS:

Q. Mr. Holm, would you state your name for the record?

A. Anchor E. Holm.

Q. And would you tell us about your education?

A. I'm a -- have a degree in geological engineering from the University of Arizona, and I've subsequently been registered as a professional petroleum engineer by the State of Texas back in 1976. I've worked both as a drilling engineer, a production engineer, a reservoir engineer and an evaluation engineer, as far as a petroleum engineering background is concerned, over the first 20 years of my career. It's been a very interesting career.

I've been at the State Land Office now for six years primarily doing review of information or applications as they come into the land office regarding protection and utilization of the resources of the State Mineral Trust. The majority of all my work has been subsurface.

Q. And have you testified before the OCD before?

1 A. Yes, I have.

2 **Q. And at that time, were you tendered an expert?**

3 A. Yes, I was.

4 **Q. Okay. Before we go --**

5 EXAMINER McMILLAN: So you want --

6 Any objections, Jim?

7 MR. BRUCE: No.

8 EXAMINER McMILLAN: So qualified.

9 MS. MOSS: Thank you.

10 **Q. (BY MS. MOSS) Now, have you reviewed the**
11 **exhibits submitted by HPPC?**

12 A. Yes, I have.

13 **Q. Okay. And were you here listening to the**
14 **testimony of Mr. Prasad?**

15 A. Yes, I did.

16 **Q. And when you heard the testimony today of**
17 **Mr. Prasad, did you identify a problem with the well**
18 **Mr. Prasad referred to?**

19 A. He referred to a well -- it's called the L-E-E,
20 Lee #1 -- as being located south of the proposed area
21 for the water injection maintenance -- pressure
22 maintenance project. Based upon the OCD records and our
23 records, that particular well is actually located due
24 east of the proposed water injection well and to the
25 southeast of the two of the three producing wells that

1 are on the lease, the 946 lease, I believe.

2 Q. Now, for the record, are you looking at what we
3 have submitted as Exhibit 1?

4 A. Exhibit 1, and all the area in blue are wells
5 that we own -- that we have direct interest in as far as
6 minerals are concerned.

7 Q. This is the map (indicating) which you heard
8 Ms. Khalsa identify as the document you brought to her
9 to show your concerns about this case. Can you just
10 explain what you showed her for the record?

11 A. Part of the process of reviewing a C-108
12 saltwater disposal application, which includes water
13 pressure maintenance wells -- the process we go through
14 is we first establish where the well is located and who
15 owns them, who owns the minerals, who owns the surface
16 and whether or not we have any data on those, how they
17 historically have been completed, as well as produced.
18 And I'm the one who wrote the markup on this as I was
19 gathering the data from each individual well to better
20 understand the facts of the situation.

21 Q. And what did you conclude when you created
22 this?

23 A. I concluded that the L-E-E Well #1 was
24 completed in three different times. The first time was
25 what was called the Abo. The second time was in the Abo

1 Reef, and then the third time was recompletion back into
2 the Abo. There was no discussion in the OCD records of
3 it being Bone Spring. When I looked at the proposed
4 water injection well, it was proposed as being Abo Reef,
5 and it subsequently changed to Abo, and it was in the
6 same perforated interval as the original perforations of
7 the L-E-E #1. So they correlate depthwise.

8 I also looked at the other wells in the
9 vicinity and determined that same type of information to
10 see what was realistic, and I also had at my disposal
11 the isopach map that was presented by the Applicant.

12 **Q. I'd like to point your attention to Exhibit**
13 **Number 5. Was this something which we originally**
14 **received from HPPC?**

15 A. We have received this from HPPC. Whether it
16 was in the first group or the second email, I've
17 forgotten which one that is. But we received both of
18 them, and we reviewed both.

19 **Q. And pursuant to that review, what did you**
20 **determine?**

21 A. Based upon this cross section, on the left-hand
22 side, there is a well. It's called the Lea 946 #3,
23 which is -- that's what I have marked as A?

24 EXAMINER McMILLAN: Yeah.

25 THE WITNESS: Correct. And it is located

1 northeast of the proposed injection well.

2 The one I have marked as B, the 946 #5, is
3 more due north of the water injection well. C is a
4 water injection well. D would be the well to the west,
5 and it's the 946 #2. And it would west of the proposed
6 water injection well. So this is an east-to-west cross
7 section until you get to the Lee #1, L-E-E #1, well,
8 which actually is closest to the A well, which is the
9 Lea 946 #3.

10 **Q. (BY MS. MOSS) Let me interrupt you just for a**
11 **second. Is what you're saying that what you've marked**
12 **as E would better and for better understanding be placed**
13 **over to the left of A?**

14 A. Yes, because then it would be a true
15 east-to-west cross section instead of zigzag.

16 **Q. Please continue.**

17 A. Looking at the correlation which was prepared
18 by HPPC, if you moved the well log of the Lee #1 to the
19 same position but over on the left-hand side, it would
20 show that it's completed in the same interval as the Lea
21 946 #3 and the Lea 946 #5 wells, which are the two
22 closest updip wells to the proposed water injection well
23 that they have modeled as showing that there are no
24 hydraulic barriers between the perforations in the two
25 wells to the north and the proposed water injection

1 well. So there is no vertical containment of any water
2 to be injected there. Since these other two wells are
3 also closer to the Lee, L-E-E, #1 well, we would
4 anticipate that it would be in communication with the
5 water injection well.

6 **Q. To further understand this project, did you**
7 **then create Exhibits 2, 3 and 4?**

8 A. Yes, I did. I prepared those.

9 **Q. So looking at Number 2, how can this better**
10 **inform the process that's occurring?**

11 A. Exhibit Number 2 is the production performance
12 since 2004 of the Lee, L-E-E, #1. And the orange lines
13 at the top are the gas-oil ratio, the GOR, and the red
14 line is the MCF-per-month line. The black line is the
15 barrels-of-oil-per-month line, all based on the same
16 scale on the left-hand side. What this shows is that
17 the gas-oil ratio is running between 2- and 3,000 to 1.
18 This is on a well that has been producing for a very
19 long period of time and is -- you would anticipate that
20 if it were a volumetric reservoir separate, that it
21 wouldn't have this high of a GOR. It would be deleted
22 down lower. So there must be something else maintaining
23 the reservoir pressure, thereby keeping the gas and
24 solution for the GOR at 3,000 to 1.

25 **Q. Now moving to Exhibit 3.**

1 A. Exhibit Number 3 is the same graph prepared,
2 but it's just for the Lea, L-E-A, 946 State #3 well.
3 The orange lines in there are also in the 2- to 3,000
4 range, 2- to 4,000, about the same range as the L-E-E 1
5 GOR. The water and oil -- water production is
6 significantly higher than in the Lee #1, but the oil and
7 gas production are similar.

8 **Q. And now looking at Number 4 -- Exhibit 4.**

9 A. Exhibit Number 4 is the proposed water
10 injection well, the Lea 946 State #1. It also has
11 gas-oil ratios that bounce between 2,000 and 3,000, as
12 much as 4,000 GOR. So it's roughly the same gas-oil
13 ratio, which says it's in the same pressure environment
14 as the Lee #1 well. It's also making some water.
15 Whereas, the Lee #1 really didn't make much water at all
16 but is making some.

17 **Q. Number 4 is L-E-A?**

18 A. Number 4 is L-E-A #1, the first exhibit.
19 Number 2 -- Exhibit Number 2 is L-E-E.

20 MR. HERRMANN: Can we just refer to the
21 Lee, L-E-E, #1 as the OXY well?

22 THE WITNESS: Yes, we can. That might be
23 simpler. Yes. I do believe OXY is the operator of that
24 lease.

25 **Q. (BY MS. MOSS) So having looked at Exhibits 5,**

1 **2, 3 and 4, what conclusion did you reach?**

2 A. The conclusion is that the OXY well, the Lee,
3 L-E-E, #1, is likely completed in the same reservoir.
4 But when you look at the vertical separation of the
5 perforations in the OXY well from the Abo, that suggests
6 that if there is water in the Abo beneath the
7 perforations in the Lee, L-E-E, #1, the OXY well, that
8 that is isolated because there is no water being
9 produced at the Lee 1. So where is this more recent
10 water coming from? It is probably coming from water
11 that has migrated up through the system to the west and
12 is now being produced at the OXY well.

13 **Q. If you look at Exhibit Number 7, this was an**
14 **exhibit which we received from HPPC. Was there**
15 **something within this exhibit, which is labeled**
16 **"Executive Summary," that you were particularly**
17 **interested in speaking about here today?**

18 A. Yes. In the Executive Summary, the fourth
19 bullet item says, "The model predicts that remaining oil
20 on the lease" -- that's the state lease -- "will be
21 pushed from the Lea State 946 #1 well towards the three
22 updip producing wells on the lease which are all located
23 on State Lands...thereby improving recovery."

24 This statement demonstrates that even
25 though the water injection well is completed low in the

1 Abo, it is going to be influencing the wells that are
2 completed all the way up into the same interval as the
3 OXY well. Therefore, there is nothing to impede any
4 injected waters from eventually pushing oil to the Lee
5 #1 well; that's OXY's.

6 **Q. Now, if you recall, was there a solution that**
7 **you suggested which would have addressed the State Land**
8 **Office's objection?**

9 A. We suggested that maybe a unit ought to be
10 considered to bring that well in to the unit so that
11 they would all benefit rather than have the trust -- the
12 beneficiary of the State Land Trust to suffer loss.

13 **Q. This is my last question, but was there**
14 **anything else in these exhibits, particularly Number 6,**
15 **which we didn't look at, which you feel is important to**
16 **highlight today?**

17 A. On Exhibit Number 6, it is the isopach map
18 prepared by HPPC, and they show on that map that the --
19 what I have marked as E, which is the L-E-E #1, the OXY
20 well, does have a position within the reservoir that's
21 modeled. So, therefore, you would expect it to see
22 benefit from that, and it would cause loss to the trust.

23 MS. MOSS: That's all the questions that I
24 have.

25 EXAMINER McMILLAN: Cross?

1 MR. BRUCE: I think I prefer to bring
2 Mr. Prasad back up and have him address these issues
3 very briefly.

4 EXAMINER McMILLAN: Okay.

5 CROSS-EXAMINATION

6 BY EXAMINER McMILLAN:

7 Q. My question is referring to Figure -- Figures 1
8 and 5. Going from -- okay. So I can figure out where
9 the State -- I'm trying to understand where your cross
10 section goes. I can figure out where the State Lea 946
11 3 is, the #5, the #1, the 946 #2. And where do you
12 believe the OXY well is located?

13 A. Well, referring to what we have as Exhibit 6, I
14 have drawn a cross-section line of A, B, C, D and then E
15 that might help to point out --

16 Q. That's my question.

17 A. Yeah. That is -- I have drawn the
18 cross-section line for the data that was presented on
19 Exhibit Number 5.

20 Q. Okay. So your take on it is that the OXY well
21 is -- it's due east of the proposed injection well?

22 A. That's correct. And that matches the data that
23 I have.

24 Q. Okay. Well, that answers --

25 A. Now, there are two wells to the south. The one

1 that's -- that is marked as zero -- in a zero dashed
2 line for the edge of the reservoir, that's a shallow gas
3 well which did not penetrate the Abo. What's called
4 the -- I think it's the Superior State well, which is
5 due south of the proposed water injection well, is a
6 P&A'd well that was completed, but it early watered out,
7 and they plugged that well. So there is no production
8 to the south of the proposed water in injection well.

9 Q. Okay. So what about the well that's 2,310 from
10 the north, 660 from the east? It looks like -- it
11 says -- I'm looking at Figure 6. Is that where it says
12 "45"? Right below D.

13 A. Right below B?

14 Q. No. D, as in dog.

15 A. D, as in dog? That #45 well is one that I
16 believe has been plugged.

17 Q. Okay. And did they test the Abo in that well?

18 A. I don't remember on that. I was focused on
19 what they were doing. I don't remember looking at that
20 particular well other than I think I did look at the
21 production data on it.

22 Q. And what did --

23 A. And it early watered out.

24 Q. Oh, it did water out in the Abo?

25 A. Yes.

1 EXAMINER GOETZE: You've been thorough, but
2 are you going to enter these exhibits into record?

3 MS. MOSS: I am going to enter the exhibits
4 into record -- the entire notebook of exhibits into the
5 record.

6 Did you want to ask questions?

7 EXAMINER GOETZE: No. I'm quite happy with
8 what has been presented so far. Thank you.

9 MS. MOSS: Okay.

10 EXAMINER McMILLAN: Enter the exhibits.

11 MS. MOSS: I'd like to enter this notebook
12 as -- do I enter them as a whole?

13 MR. BRUCE: Exhibits 1 through 7.

14 EXAMINER McMILLAN: Do you have any
15 objections?

16 MR. BRUCE: No.

17 (Laughter.)

18 EXAMINER McMILLAN: Exhibits 1 through 7
19 may now be accepted as part of the record.

20 (State Land Office Exhibit Numbers 1
21 through 7 are offered and admitted into
22 evidence.)

23 EXAMINER GOETZE: We just don't do "the
24 whole notebook." Mr. Bruce puts numbers on it.

25 MS. MOSS: We have numbers, 1 through 7.

1 MR. HERRMANN: Mr. Bruce has asked that I
2 provide the court reporter with my copy of the exhibits,
3 so I have provided her with your exhibits as well.

4 MS. MOSS: Thank you.

5 MR. BRUCE: I have some redirect.

6 EXAMINER McMILLAN: Let's swap so --

7 RAJAN PRASAD,
8 after having been previously sworn under oath, was
9 re-called, questioned and testified as follows:

10 DIRECT EXAMINATION

11 BY MR. BRUCE:

12 Q. Just a few things, Mr. Prasad. Looking at
13 their Exhibit 1, on the white block, which is not state
14 land, they're talking about the L-E-E #1, the OXY well,
15 correct?

16 A. Yes.

17 Q. Looking at your -- at your Exhibit 3 and going
18 to the picture of the simulation model --

19 A. Now, that's the thickness. Yes.

20 Q. Oh, thickness. Excuse me. Maybe they're all
21 in here. Or just the -- the Abo structure. So what
22 they're talking about is just to the east of the orange
23 area. In the yellow area, they're talking about the
24 well. Number one, is that substantially lower in the
25 Abo than your injection well in your proposed producing

1 **wells?**

2 A. Yes. So when you look at the -- the OXY
3 well -- and these are in the OCD reports -- the first
4 interval that they perforated was at 9,010 to 9,080.
5 And if you look at Exhibit 4 and look at the second page
6 of Exhibit 4, that is in what we are calling the Abo,
7 you know, 9,010 to 9,088. And there was a test, as
8 reported in OCD, of 100 percent water. And if you look
9 at the gamma ray curve on this log and you look at the
10 gamma ray curve on our 946 #1 well where the Abo is
11 marked, above the Abo, there is a shift in the gamma ray
12 log, which would indicate there is some barrier. That
13 is -- by gamma ray, that is showing that there is a
14 barrier.

15 Then a bridge plug was placed at 8,760
16 feet, and then the zone above that was perforated, and
17 the OXY well came in at 95 percent oil cut. So it was a
18 5 percent water cut at the time of initial completion.
19 So I believe that it's still producing at the same water
20 cut.

21 And the fact that there is a barrier -- the
22 barrier we're referring to is based on the gamma-ray
23 log, which would separate the Abo zone from the Bone
24 Spring zone.

25 **Q. But also what you're saying is that the initial**

1 **production from the OXY well was 100 percent water cut?**

2 A. Yes. And it was -- and if you look at the
3 where the Abo is marked, it is structurally lower than
4 the 946 #1 well.

5 **Q. So, again, you wouldn't expect any --**

6 A. It's possible to push -- yeah. It's impossible
7 to push oil downdip.

8 So I think that, you know, looking at
9 Exhibit 4, on the second page of it, we would have to
10 examine, you know, where the OXY well was initially
11 perforated, where the bridge plug was placed and where
12 it's currently producing? I don't think we can take
13 the -- the GOR and the production of it and simply
14 compare it. We need to look at the logs to look at
15 where our #1 well -- 946 #1 well is proposed to be
16 injected and where they're currently producing.

17 **Q. Okay. So if the OXY well is downdip and it had**
18 **100 percent water cut --**

19 A. In the Abo.

20 **Q. -- in the Abo --**

21 A. Uh-huh.

22 **Q. -- are there going to be any reservoirs pushed**
23 **off of state lands onto fee lands into that well?**

24 A. No, because the other three wells are acting as
25 pressure sinks. So as long as you're producing those

1 wells, there is no way to cross-flow oil into another
2 zone.

3 Q. And they are basically strati- --
4 stratigraphically equal with the injection well?

5 A. They're in the same zone as the injection well.

6 Q. In the same zone?

7 A. Yes.

8 Q. And that's where the --

9 A. They're updip from --

10 Q. -- hydrocarbons are going to be pushed?

11 A. Yes.

12 Q. Not onto the fee land?

13 A. It's impossible. And I can -- if there is
14 belief that the Lee #1 is in the same zone, which, if
15 you look at Exhibit 4, page 2, I don't see how that is
16 possible -- if there is, we can put that in our
17 simulation model to see what the effect would be. But I
18 think from the log standpoint, it is impossible to see
19 how that well is producing from the same zone as the Lea
20 946 well.

21 Q. Thank you.

22 EXAMINER McMILLAN: Are you finished?

23 MR. BRUCE: Yes.

24 THE WITNESS: With regard to that, yes.

25 MS. MOSS: So may I ask a question?

1 EXAMINER McMILLAN: It's cross. Yes.

2 CROSS-EXAMINATION

3 BY MS. MOSS:

4 Q. So if you look at your exhibit, the exhibit
5 that we call Number 5, are you able to reach the same
6 conclusion or do you come to a similar conclusion by
7 looking at what we've called A, so State Lea 946 #3 and
8 State Lea 946 #5?

9 A. And your -- repeat -- please repeat your
10 question. What is your -- these two wells -- what is
11 the question with regards to these two wells?

12 Q. My understanding is that you took Exhibits 3, 4
13 and 5 and claimed that they either did not show
14 different zones or --

15 A. I'm saying that the 946 #1 well, where we had
16 proposed to put this well on injection, the zone that we
17 plan to inject in is not in the same zone as the OXY
18 well.

19 Q. Can you say the same thing about the wells that
20 are identified by us as A and B --

21 A. I don't -- I don't plan on making those
22 injection wells. I mean, the -- I guess --

23 Q. I can ask. What were the purposes of including
24 these in the cross section? I'm just going to take a
25 step back.

1 A. The A and B well?

2 **Q. Yes.**

3 A. It was just to show how the Abo zone is tied
4 across the producing wells, but our intention is to
5 inject water in the 946 #1 well. If you look at Exhibit
6 4, page 2, you know, these are putting the 946 1 well
7 next to the OXY well. There is clearly a barrier that
8 separates the Abo zone from the zone that the OXY well
9 is producing from. I'm talking about our Exhibit 4.

10 **Q. I know. I know. I'm just giving my expert a**
11 **minute to see if that is sufficient.**

12 A. It's hard to see on this cross section because
13 it's not zoomed in.

14 **Q. Do you see the same vertical separation in A**
15 **and B as you do in C?**

16 A. Yes. The Abo zone that is in the #3, the #5
17 and the #2 --

18 MR. BRUCE: 946.

19 THE WITNESS: -- 946, the gamma ray logs
20 are showing the same character as the #1 well.

21 **Q. (BY MS. MOSS) If instead of asking you to**
22 **compare C to A and B, I ask you to compare the barriers**
23 **in E to A and B, would you still come to the conclusion**
24 **that there are sufficient barriers?**

25 A. Yes, I would. I would have to -- you know, I

1 think it would be better if we put a zoomed-in log,
2 but -- to demonstrate that, but we're looking at --
3 we're looking at the Lea 946 #1 as the proposed
4 injection well.

5 Is the concern that the oil will cross-flow
6 in these other wells, the A and B, to somehow get to the
7 OXY #1 well?

8 **Q. Well, the concern clearly is that the project**
9 **you propose is going to push reserves away from the**
10 **State Land Office.**

11 A. I don't see how because -- I mean, that's what
12 I've been trying to say, is that the Lea 946 #1 well --
13 you can clearly see that the perforated interval of that
14 well -- this is a barrier that separates that zone from
15 the upper zones.

16 MS. MOSS: Okay. If I'm not wrong, I think
17 what we've reached is that when there are more detailed
18 records that come in the next time, this will be
19 clearer.

20 CROSS-EXAMINATION

21 BY EXAMINER McMILLAN:

22 **Q. Okay. Who's kidding who? It's nearly**
23 **impossible to tell lithologies when you're dealing with**
24 **dolomites because, remember, dolomites are formed by a**
25 **dolitizing fluid replacing the lime.**

1 A. Yes.

2 Q. It's blatantly obvious. Everybody knows that.

3 And you can't -- it's extremely difficult
4 to use a gamma ray as a barrier. You need a geologist
5 to get in here and -- I've seen productive facies in
6 dolomites with a very high gamma ray -- allow me to
7 finish.

8 A. Sorry. Sorry.

9 Q. -- that has a very high -- the gamma ray is
10 very hot, and it's a dolomite. And you think it's a
11 barrier, and it's highly productive. So you're going to
12 have to bring a geologist back here for your geologic
13 presentation. Simply put, your geologic presentation is
14 insufficient.

15 A. How about the fact that -- I'm sorry.

16 Q. Go ahead.

17 MR. BRUCE: We're going to, Mr. Examiner.

18 THE WITNESS: How about the fact that the
19 OXY well was tested at 100 percent water in that Abo
20 zone and then put a bridge plug and then perforate in
21 that upper zone and it came in at 95 percent oil?

22 Q. (BY EXAMINER McMILLAN) But, you know --

23 A. That would separate --

24 Q. As I stated earlier, you are not an expert in
25 geology, and you're attempting to make geologic

1 **assumptions, which you are not an expert on. Therefore,**
2 **when you come back, you're going to bring a geologist.**

3 A. Sure. Yeah. That's no problem. I'm just
4 basing it on the well test.

5 Q. Okay. But then I disagree with you trying to
6 **use a gamma ray in a dolomite, which is extremely**
7 **difficult, as a barrier.**

8 EXAMINER McMILLAN: Any objections to that?

9 MS. MOSS: No.

10 MR. BRUCE: No.

11 EXAMINER McMILLAN: Okay. Do you have
12 anything else?

13 EXAMINER GOETZE: No. It's been very
14 exciting so far.

15 (Laughter.)

16 MS. MOSS: I think it's still incumbent
17 upon me to ask --

18 EXAMINER McMILLAN: Please proceed.

19 MS. MOSS: -- just to ask that you
20 determine that this project should not be granted.

21 EXAMINER McMILLAN: You know what, the case
22 has to be continued. And there is additional
23 information expected from the Applicant, and this case
24 has to be continued until the 10th. It cannot be taken
25 under advisement or anything of that nature until there

1 is more testimony, and certainly you will have the
2 opportunity to cross.

3 MR. BRUCE: Ask that the case be continued.

4 EXAMINER McMILLAN: Okay. This case
5 shall -- Case 16455 shall be continued until January
6 10th.

7 Let's come back at 1:15. Let's do it this
8 way, let's do your notice cases.

9 (Case Number 16455 concludes, 11:45 a.m.)

10 (Recess, 11:47 a.m. to 1:15 p.m.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF NEW MEXICO
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, Certified Court
6 Reporter, New Mexico Certified Court Reporter No. 20,
7 and Registered Professional Reporter, do hereby certify
8 that I reported the foregoing proceedings in
9 stenographic shorthand and that the foregoing pages are
10 a true and correct transcript of those proceedings that
11 were reduced to printed form by me to the best of my
12 ability.

13 I FURTHER CERTIFY that the Reporter's
14 Record of the proceedings truly and accurately reflects
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither
17 employed by nor related to any of the parties or
18 attorneys in this case and that I have no interest in
19 the final disposition of this case.

20 DATED THIS 18th day of December 2018.

21

22

23 MARY C. HANKINS, CCR, RPR
24 Certified Court Reporter
New Mexico CCR No. 20
Date of CCR Expiration: 12/31/2018
Paul Baca Professional Court Reporters

25