

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES

FOR APPLICANT PERMIAN OILFIELD PARTNERS, LLC (POP, LLC):

DEANA M. BENNETT, ESQ.
MODRALL, SPERLING, ROEHL, HARRIS & SISK, P.A.
500 4th Street, Northwest, Suite 1000
Albuquerque, New Mexico 87102
(505) 848-1800
deanab@modrall.com

FOR INTERESTED PARTY NEW MEXICO STATE LAND OFFICE:

ANDREA ANTILLON, ESQ.
NEW MEXICO STATE LAND OFFICE
OFFICE OF GENERAL COUNSEL
310 Old Santa Fe Trail
Santa Fe, New Mexico 87501
(505) 827-5702
aantillon@slo.state.nm.us

FOR INTERESTED/PROTESTOR PARTY TROVE ENERGY, LLC
(Case Number 20573):

JAMES G. BRUCE, ESQ. (Present at 2:37 p.m.)
Post Office Box 1056
Santa Fe, New Mexico 87504
(505) 982-2043
jamesbruc@aol.com

1	INDEX	
2		PAGE
3	Case Numbers 20571, 20572, 20573 and 20574 Called	4
4	Permian Oilfield Partners, LLC's Case-in-Chief:	
5	Witnesses:	
6	Sean Puryear:	
	Direct Examination by Ms. Bennett	7, 29
7	Cross-Examination by Mr. Bruce	28
	Redirect Examination by Ms. Bennett	47
8	Recross Examination by Mr. Bruce	49
9	Gary Fisher:	
	Direct Examination by Ms. Bennett	51, 69
10	Cross-Examination by Mr. Bruce	67, 78
11	Redirect Examination by Ms. Bennett	81
12	Statement by Mr. Bruce	89
13	Statement by Ms. Antillon	89
14	Proceedings Conclude	90
15	Certificate of Court Reporter	91
16		
17	EXHIBITS OFFERED AND ADMITTED	
18		PAGE
19	Permian Oilfield Partners, LLC Tab Numbers 1	
20	through 4 and Exhibits A and B in each tab	
	in each case	89
21		
22		
23		
24		
25		

1 (1:54 p.m.)

2 EXAMINER GOETZE: So the last item on the
3 docket is Case Number 20571, application of Permian
4 Oilfield Partners, LLC for approval of a saltwater
5 disposal well in Lea County, New Mexico.

6 Now, let's go ahead -- we wish to
7 consolidate this with Case Numbers 20572, 20573, 20574,
8 and that's it.

9 MS. BENNETT: That's it. I would ask that
10 those four cases be consolidated for hearing only.

11 EXAMINER GOETZE: Call for appearances
12 other than her.

13 MS. ANTILLON: Andrea Antillon on behalf of
14 the State Land Office.

15 And we would concur that we would like all
16 the cases to be consolidated and heard together.

17 MS. BENNETT: I should mention my name is
18 Deana Bennett, Modrall Sperling, on behalf of Permian
19 Oilfield Partners, LLC.

20 EXAMINER GOETZE: We'll get it all in
21 there.

22 So we did have an appearance entered by
23 Trove. And I haven't been able to keep up with this
24 series of cases. Did they get it in timely, or was
25 it --

1 MS. BENNETT: Well, according to Mr. Bruce,
2 it's timely. It's not timely enough to -- or to present
3 technical evidence, but according to Mr. Bruce, he can
4 enter his appearance even as of today if he'd like. And
5 that's consistent with the rule.

6 EXAMINER GOETZE: I know.

7 MS. BENNETT: I don't want to disparage
8 that.

9 EXAMINER GOETZE: Mr. Bruce is not here.

10 MS. BENNETT: No. So I'm taking some
11 liberties.

12 EXAMINER GOETZE: Mr. Bruce takes some
13 liberties, too.

14 With that in mind, let's go ahead and
15 proceed with the cases.

16 MS. BENNETT: And the Case that Mr. Bruce
17 has entered his appearance in is Case Number 20573,
18 which is the third case.

19 EXAMINER GOETZE: The JDAM Federal --

20 MS. BENNETT: Yes. That's correct. So it
21 could very well be that Mr. Bruce may return in time for
22 that case.

23 EXAMINER GOETZE: Oh. Well, he just can't
24 pop in and pop out. That's not how we work around here.
25 You have to suffer through everything.

1 (Laughter.)

2 EXAMINER GOETZE: Realizing it's only one
3 of the cases that he's interested in, we'll proceed.

4 MS. BENNETT: Thank you.

5 EXAMINER GOETZE: How many witnesses?

6 MS. BENNETT: I have two witnesses with me
7 today.

8 EXAMINER GOETZE: Will the witnesses please
9 stand, identify yourself and be sworn in?

10 MR. FISHER: Gary Fisher.

11 MR. PURYEAR: Sean Puryear.

12 (Mr. Puryear and Mr. Fisher sworn.)

13 MS. BENNETT: At this time I'd like to call
14 my first witness, Mr. Gary Fisher -- I'm sorry --
15 Mr. Sean Puryear.

16 EXAMINER BROOKS: She only has two
17 witnesses and --

18 MS. BENNETT: I know. I'm going to blame
19 it on the carne adovada.

20 EXAMINER GOETZE: Of course, we don't know
21 if Mr. Bruce will object to his qualifications. I'll
22 let him answer that question.

23 MS. BENNETT: Yeah. Okay.

24

25

1 SEAN PURYEAR,
2 after having been first duly sworn under oath, was
3 questioned and testified as follows:

4 DIRECT EXAMINATION

5 BY MS. BENNETT:

6 Q. Mr. Puryear, can you state your name for the
7 record, please?

8 A. My name is Sean Puryear.

9 Q. And for whom do you work?

10 A. I work for Permian Oilfield Partners.

11 Q. And in what capacity?

12 A. I'm the chief executive officer.

13 Q. How long have you worked for Permian Oilfield
14 Partners?

15 A. Since April of 2019.

16 Q. Now, you-all -- it's my understanding that
17 you-all have met with -- have met with the Division; is
18 that right?

19 A. We have.

20 Q. And you've introduced the company to the
21 Division?

22 A. We have.

23 Q. And you were able to answer any questions and
24 present some materials to the Division about Permian
25 Oilfield Partners' plans of development and your

1 long-term goals for this area?

2 A. We have.

3 Q. What are your responsibilities at Permian
4 Oilfield Partners?

5 A. I oversee the management of the drilling of
6 saltwater disposal wells and the design and construction
7 of produced water structures in southeastern New Mexico.

8 Q. Have you previously testified before the Oil
9 Conservation Division?

10 A. I have not.

11 Q. This is your first time before the Division?

12 A. It is.

13 Q. Can you provide a summary of your educational
14 background and professional qualifications?

15 A. Sure. I graduated from Texas Tech University
16 with a Bachelor of Science in Petroleum Engineering,
17 after which I've held several positions with a major
18 area operator in southeastern New Mexico as a
19 senior-level drilling engineer and operations
20 supervisor, a senior production engineer and operations
21 supervisor, a completions engineer, the senior water
22 systems manager and engineer, along with several field
23 engineering positions where I was directly involved in
24 the drilling and completion of over 100 horizontal oil
25 and gas wells in southeastern New Mexico, as well as

1 several saltwater disposal wells, deep Devonian disposal
2 wells. I also contributed to the permitting -- the
3 engineering for the permitting of several of these
4 high-capacity Devonian disposal wells.

5 Q. When you say "several of these," do you mean
6 Permian Oilfield Partners --

7 A. No.

8 Q. -- or prior applications?

9 A. Prior -- from the prior employment.

10 Q. So is it fair to say, then, that in your --
11 before coming to Permian Oilfield Partners, you had
12 worked for other companies that did deep Devonian --
13 Siluro-Devonian SWDs, and you were involved in the
14 design, operation -- well, from start to finish,
15 permitting, design, operation?

16 A. That is correct.

17 Q. Are you familiar with the four applications
18 that Permian Oilfield Partners filed in these matters?

19 A. I am.

20 Q. Are you familiar with the status of the lands
21 that are the subject of these applications?

22 A. I am.

23 Q. Are you familiar with the saltwater disposal
24 wells that are the subject of these applications?

25 A. I am.

1 MS. BENNETT: At this time I would like to
2 tender Mr. Puryear as an expert in SWD operations and
3 engineering matters.

4 EXAMINER GOETZE: Ms. Antillon?

5 MS. ANTILLON: No objection.

6 EXAMINER GOETZE: He is so qualified.

7 MS. BENNETT: Thank you.

8 What I'd like to do for the hearing today
9 is start out with some general questions, and then we'll
10 look at each application individually with Mr. Puryear,
11 and then we'll turn to Mr. Fisher.

12 Q. (BY MS. BENNETT) So starting more generally,
13 sort of big picture, how many applications are being
14 heard today?

15 A. Four.

16 Q. And are they commercial applications --

17 A. They are.

18 Q. -- for commercial wells?

19 A. They are.

20 Q. Are these all new proposals, or are these
21 extensions or existing wells?

22 A. These are all new proposals.

23 Q. Now, Permian Oilfield Partners originally filed
24 these as administrative applications; is that right?

25 A. That is correct.

1 Q. And did you supply all of the information
2 required by the C-108 when you submitted these
3 administratively?

4 A. We did.

5 Q. Did you get any information or comments from
6 OCD saying that your applications were incomplete?

7 A. We did not.

8 Q. What happened after you filed your
9 administrative applications?

10 A. We received notice that the State Land Office
11 was in protest of those applications.

12 Q. And what did you do after that?

13 A. We contacted the State Land Office.

14 Q. And what did they say, essentially?

15 A. They were concerned with the proximity to State
16 Trust Land.

17 Q. And so you agreed to file these for examiner
18 hearing?

19 A. We did.

20 Q. To your knowledge, were there any other
21 protests?

22 A. Not to my knowledge at that time.

23 Q. Okay. Let's start with Tab 1 then of the
24 materials. If you look behind Tab 1 at the very first
25 exhibit, is that Exhibit A?

1 A. It is.

2 **Q. And can you briefly tell the examiners what**
3 **Permian Oilfield Partners is seeking today?**

4 A. Permian Oilfield Partners seeks the authority
5 to inject produced water into the Devonian-Silurian
6 Formation at depths of 17,453 feet to 18,880 feet.

7 **Q. And what pressure do you seek -- the maximum**
8 **pressure?**

9 A. We seek 3,491 pounds or psi, which is the .2
10 gradient times the deepest casing string.

11 **Q. And so the .2 gradient is following the**
12 **Division's requirements?**

13 A. That is correct.

14 **Q. How about the volume? How much does Permian**
15 **seek to inject per day?**

16 A. We seek to inject the maximum of 50,000 barrels
17 a day.

18 **Q. Thank you.**

19 **Now, behind Exhibit A is the C-108 that**
20 **starts with page 4. Do you see that --**

21 A. Yes, ma'am.

22 **Q. -- page 4?**

23 **And is this the C-108 that was prepared**
24 **when you submitted the application administratively?**

25 A. It is.

1 Q. And so I used the C-108 that you've prepared as
2 the C-108 for the hearing examiner hearing; is that
3 right?

4 A. It is, yes.

5 Q. Okay. Let's turn then to pages 8 and 9 of the
6 C-108. And I think I might have your packet here in
7 front of me.

8 EXAMINER GOETZE: Does his have the cheat
9 sheet?

10 THE WITNESS: That's okay.

11 Q. (BY MS. BENNETT) Okay. Turning now to pages 8
12 and 9, are those -- is that the well construction
13 data -- I'm sorry. This is the Bullseye application; is
14 that right?

15 A. This is the Bullseye application. Yes, ma'am.

16 Q. And what type of land is the -- what's the
17 surface ownership for Bullseye?

18 A. It is BLM-owned surface.

19 Q. And so the well construction data that's on
20 pages 8 and 9, that's the well instruction date and
21 wellbore diagram for the Bullseye; is that right?

22 A. That is correct.

23 Q. Now, can you just take us through the casing
24 design and what you anticipate each depth will do?

25 A. Sure. This is a four-string casing job with

1 the surface intermediate one and intermediate two
2 strings being brought all the way to surface and
3 cemented to surface. The surface string should isolate
4 any known freshwater zones. The first intermediate
5 string will isolate the salt section, and the second
6 intermediate string will isolate the lower-pressure
7 reservoir rock above the Wolfcamp. The liner -- the
8 fourth string, which is a liner, will be set to the top
9 of the Devonian and tied back into the 9-5/8 200 feet,
10 and this string will isolate the shales above the
11 Devonian and below the 3rd Bone Spring.

12 **Q. In your view, are these casings designed to be**
13 **protective of underground sources of drinking water, as**
14 **well as protective of -- or eliminating or preventing**
15 **communication with hydrocarbons?**

16 A. Yes, they are.

17 **Q. Now, you mentioned that these -- the casings**
18 **will be circulated to the surface. Is that right for**
19 **all of them?**

20 A. For the first three, yes.

21 **Q. For the first three.**

22 **And is Permian Oilfield Partners seeking to**
23 **use a larger tubing size here?**

24 A. We are.

25 **Q. And what size is that?**

1 A. That will be a 7-inch-by-5-1/2 tapered string.

2 Q. And in your opinion, is this -- the casing that
3 you propose here -- that Permian Oilfield Partners is
4 proposing here, is that consistent with what you
5 understood -- or what you did at your prior jobs where
6 you were in charge of SWD permitting?

7 A. It is.

8 Q. Is it consistent with what you understand other
9 operators to be submitting in their applications right
10 now --

11 A. It is.

12 Q. -- for these types of deep Siluro-Devonian
13 SWDs?

14 A. It is.

15 Q. In your opinion, is the tubing that you're
16 using -- well, what type of tubing is that?

17 A. This is a 7-inch ultra-flush joint tubing with
18 an insert fiberglass liner. It crosses over to a
19 5-1/2-inch ultra-flush joint tubing as well with the
20 same type of fiberglass insert liner.

21 Q. In your opinion, is that tubing considered
22 industry standard?

23 A. In my opinion, this tubing exceeds industry
24 standard.

25 Q. Now, what sort of tests will you do -- or what

1 **sort of assurances will you do to test the cement's**
2 **integrity?**

3 A. We will -- are you talking about on the casing
4 strings?

5 **Q. Yes.**

6 A. On the casing strings, after running, we plan
7 to circulate cement all the way to surface. In the
8 event that we do not circulate to surface, we plan to
9 run a temperature survey, verify the top and do remedial
10 work in that regard if it's needed. And this would be
11 for the -- for the surface intermediate one and
12 intermediate two.

13 On the 7-5/8 liner, we intend to circulate
14 cement off of the liner top and run a cement bond log to
15 verify bond.

16 **Q. Thank you.**

17 **What will you do in terms of monitoring**
18 **after the well is operational?**

19 A. We intend to employ a SCADA system that will
20 constantly monitor the tubing pressure and the annular
21 pressure outside of the tubing to ensure continuous
22 mechanical integrity.

23 **Q. Thank you for that.**

24 **Is there anything else you'd like to say**
25 **about the wellbore design before we move to the next**

1 **series of questions I have for you?**

2 A. No, ma'am.

3 Q. Thank you.

4 Let's turn to page 10 then behind the same
5 tab.

6 A. Maybe I do.

7 Q. Okay.

8 A. Let me back up a little bit.

9 We will also --

10 (Laughter.)

11 Q. I think you should go to law school. It's been
12 confirmed.

13 A. We will also employ an inconel permanent-set
14 packer that will help ensure the isolation of
15 hydrocarbons and fresh water.

16 Q. Thank you.

17 Now, let's turn to page 10.

18 A. Okay.

19 Q. At the top of page 10, you discuss whether
20 there are any wells within the proposed well area of
21 review that penetrate the Devonian Formation. Are there
22 any?

23 A. There are none.

24 Q. Okay. Let's turn to page 12. On page 12, you
25 discuss whether there are any freshwater wells located

1 **within the one-mile area of review. Are there any?**

2 A. According to the New Mexico Office of the State
3 Engineer, there is one freshwater well within the well's
4 one-mile area of review. We made efforts to sample this
5 well, and upon visiting that location, we determined
6 that that well is capped, and there was no sample to be
7 obtained.

8 **Q. Thank you.**

9 **And the map showing the one-mile area of**
10 **review for that water well, is that on page 17?**

11 A. It is. Yes, ma'am.

12 **Q. And does that show that it's capped off?**

13 A. It does.

14 **Q. And then you've included some information on**
15 **pages 18, 19, 20 and 21 from the OSE's, Office of State**
16 **Engineer, website. What is that information included in**
17 **your C-108 for?**

18 A. That is information regarding the average depth
19 of water for the surrounding townships. We included
20 this information to ensure that the Division understood
21 that our surface setting depth was deeper than any known
22 sources of fresh water.

23 **Q. Thank you.**

24 **Let's turn to page 32. On page 32, at the**
25 **bottom of the page, does your application, your C-108,**

1 identify the closest permitted Devonian disposal well to
2 your proposed well?

3 A. Yes, ma'am, it does.

4 Q. And how far away is it?

5 A. It is just over four miles.

6 Q. Thank you.

7 When you filed this application
8 administratively, this Bullseye application, did you
9 send notice letters to the affected parties?

10 A. We did.

11 Q. And are the addresses of those affected parties
12 on page 33, the names and addresses?

13 A. Yes, they are.

14 Q. Did you publish notice of your administrative
15 application?

16 A. Yes, we did.

17 Q. Is that on page 34?

18 A. It is.

19 Q. How did you determine to whom to send notice?

20 A. We followed the New Mexico Administrative Code
21 for the definition of an affected party, which is any
22 designated operator within that one-mile radius. In the
23 event that there is not a designated operator, any
24 leaseholder in that one-mile radius, and in the event
25 that there is not a leaseholder, any mineral owner in

1 that one-mile radius. We also notified the surface
2 landowner.

3 Q. And in this case, that was the BLM?

4 A. That was the BLM.

5 Q. And you also identified -- did you identify --
6 yes. You did give notice to the State Land Office as
7 well?

8 A. We did. Yes, ma'am.

9 Q. Let's turn back a few pages, and I apologize I
10 skipped over this. I meant to ask you about the AORs.
11 Are those on page 15?

12 A. Yes, they are.

13 Q. And there are two circles on page 15. Could
14 you describe what the outside circle is and what the
15 inside circle is?

16 A. Sure. The inside circle is a one-mile radius
17 area of review in which we notified all the affected
18 persons and also identified the freshwater wells
19 present. And the outside circle is a two-mile radius to
20 indicate the two-mile map that's requested on the
21 administrative application checklist.

22 Q. And so you used the one-mile AOR here instead
23 of the half-mile AOR that's in the C-108 based on the
24 instruction from the Division for high-volume, deep
25 Devonian wells?

1 A. That is correct.

2 Q. Can you turn to Exhibit B behind Tab 1? Is
3 Exhibit B an affidavit that I prepared discussing that
4 notice was sent to the affected parties?

5 A. It is.

6 Q. And this is notice of today's hearing that I
7 sent to affected parties. If you turn to page 2 of my
8 affidavit, is that a list of the parties to whom
9 notice -- does that reflect, as far as you can recall,
10 the same names that you provided notice to?

11 A. It does.

12 Q. And it also includes the BLM and State Land
13 Office?

14 A. It does.

15 Q. And then is the next page a copy of the status
16 of those mailings showing that most of them were
17 delivered?

18 A. It is, yes.

19 Q. And then is the final page, page 4, behind my
20 affidavit an Affidavit of Publication from the "Hobbs
21 News-Sun" showing that notice of this hearing was
22 published on May 31st, 2019?

23 A. It is, yes.

24 MS. BENNETT: My next plan of attack would
25 then be to turn with Mr. Puryear to the exhibits we have

1 for the next case and then run through -- so run through
2 all of the land exhibits with Mr. Puryear and then run
3 through all the geology and seismology with Mr. Fisher.

4 EXAMINER GOETZE: That would be good.

5 MS. BENNETT: I have no further questions
6 for Mr. Puryear on Case Number 20571.

7 EXAMINER GOETZE: Thank you.

8 Ms. Antillon?

9 MS. ANTILLON: No questions.

10 EXAMINER BROOKS: No questions?

11 I have no questions for him in regards to
12 the 20571.

13 MS. BENNETT: Thank you.

14 **Q. (BY MS. BENNETT) Let's turn then to Tab 2,**
15 **please. Can you describe for the examiners what**
16 **Exhibit A behind Tab 2 is?**

17 A. This is the application for Permian Oilfield
18 Partners to seek the authority to inject produced water
19 into the Devonian-Silurian Formation for the Carpet Bomb
20 Federal SWD Well No. 1 at a depth of approximately
21 17,615 to 19,006 feet.

22 **Q. And for this well, what is your proposed**
23 **maximum psi?**

24 A. The proposed max for this well is 3,525 psi.
25 And, again, that is calculated using the .2 gradient.

1 Q. And how about your average -- or your maximum
2 injection well? What does Permian Oilfield Partners
3 seek?

4 A. We seek a 50,000-barrels-a-day maximum
5 injection well.

6 Q. And in this application, you also -- well, you
7 intend to use the larger -- I say larger, but it's sort
8 of the industry-standard tubing size now, right?

9 A. That is correct.

10 Q. Let's then turn to pages 8 and 9 behind Tab A,
11 Exhibit A. Is this well construction data and the
12 wellbore schematic for the Carpet Bomb Federal SWD
13 No. 1?

14 A. It is.

15 Q. Is it the same, essentially, as the wellbore
16 and well construction data for the Bullseye?

17 A. Mechanically, it is the same. The only
18 difference would be the depth and the volume of cement.

19 Q. And so you have made changes to the depth and
20 to the volume of cement based on the change in location?

21 A. Yes, ma'am.

22 Q. In your opinion, do you feel that the casing
23 that you're proposing for this well, the Carpet Bomb
24 Federal SWD No. 1, is consistent with industry
25 standards?

1 A. It is, yes, ma'am.

2 Q. Is it consistent with what you did at your
3 prior employment?

4 A. It is.

5 Q. Is it consistent with what you understand
6 operators to be proposing for similar Siluro-Devonian
7 high-volume SWDs?

8 A. It is.

9 Q. In your opinion, is this casing designed -- is
10 this casing designed to protect freshwater resources?

11 A. It is.

12 Q. Does this have the fiberglass-lined tubing that
13 we discussed earlier?

14 A. Yes, ma'am, it does.

15 Q. Is this tubing -- or do you consider it to
16 exceed industry standards?

17 A. I do.

18 Q. Let's turn to page 10.

19 Oh, I'm sorry. These will all be
20 circulated to the top, too, right?

21 A. It will all be circulated to the top, and the
22 tubing will utilize an inconel permanent-set packer.

23 Q. And then will you also have a SCADA system for
24 this well?

25 A. We will. We will have constant monitoring of

1 the tubing and annulus pressure giving us a continuous
2 indication of mechanical integrity.

3 Q. And how about a cement bond log?

4 A. We will run a cement bond log after we cement
5 the liner in place.

6 Q. Thank you.

7 Turning to page 10 at the top, Roman
8 numeral VI is where you discuss whether there are any
9 wells within the proposed area of review that penetrate
10 the Siluro-Devonian Formation. Are there any?

11 A. There are not.

12 Q. Let's look at page 12. On paragraph two,
13 that's where the C-108 discusses freshwater wells within
14 the one-mile area of review. Are there any?

15 A. According to the State Engineer, there is one
16 freshwater well within the one-mile area of review.
17 Attempts were made to sample this well. It is located
18 inside a secured crude oil tank battery. Access was
19 requested and denied.

20 Q. Thank you.

21 Is the location of that well identified on
22 page 17?

23 A. It is.

24 Q. And you noted on that page that there was no
25 access?

1 A. That is correct.

2 **Q. And what is page 18?**

3 A. Page 18 is a query from the New Mexico State
4 Engineer's website identifying the average water
5 table -- or the water table depth for the well -- the
6 freshwater wells located in Township 25, Range 33 East.

7 **Q. What is the depth, just out of curiosity?**

8 A. 625 feet is the deepest well depth there.

9 **Q. Let's turn now to the one-mile and two-mile AOR**
10 **maps that you prepared. Those are on page 15. Did you**
11 **prepare -- or use the one-mile AOR rather than the one**
12 **half-mile AOR because it's a high-volume deep injection**
13 **well?**

14 A. We did.

15 **Q. Are the parties that you identified within the**
16 **one-mile area of review listed on page 16?**

17 A. They are.

18 **Q. Let's turn to page 20. At the bottom of page**
19 **20, you discuss the closest active or permitted Devonian**
20 **disposal well. Do you see that?**

21 A. I do.

22 **Q. Where is the closest active or permitted**
23 **Devonian disposal well?**

24 A. It's approximately 3.3 miles away.

25 **Q. Thank you.**

1 When you filed this application
2 administratively, did you send notice letters to the
3 affected parties?

4 A. We did.

5 Q. And briefly, again, how did you determine to
6 whom to send notice?

7 A. We followed the New Mexico Administrative Code
8 definition of an affected party. Do we need the
9 definition?

10 Q. No. Thanks.

11 Let's turn to page 30. Is this the letter
12 that you sent providing notice of the administrative
13 application?

14 A. It is.

15 Q. And then on page 33, is that the Affidavit of
16 Publication where Permian Oilfield Partners gave notice
17 of its administrative application?

18 A. It is.

19 Q. Let's turn to Exhibit B. Is Exhibit B an
20 affidavit prepared by me?

21 A. It is.

22 Q. Is page 2 of Exhibit B a list of parties to
23 whom I sent notice?

24 A. Yes, ma'am, it is.

25 Q. And Exhibit 3, is that the summary of the

1 **status of those mailings?**

2 A. Yes, it is.

3 **Q. And they all show delivery?**

4 A. They do.

5 **Q. And is Exhibit 4 an Affidavit of Publication**
6 **showing notice of this hearing was published in the**
7 **"Hobbs News-Sun"?**

8 A. It is.

9 **Q. One thing I meant to ask you about this, which**
10 **I think is self-evident from the name, but what is the**
11 **status of the lands at issue in this application?**

12 A. This is on BLM surface.

13 **Q. Thank you.**

14 MS. BENNETT: With that, I don't have any
15 more questions for Mr. Puryear on Case 20572, and I pass
16 the witness for questions others may have.

17 EXAMINER GOETZE: Thank you.

18 Any questions?

19 MS. ANTILLON: The State Land Office
20 doesn't have any questions.

21 EXAMINER BROOKS: No questions.

22 CROSS-EXAMINATION

23 BY EXAMINER GOETZE:

24 **Q. So the well you couldn't get into, the water**
25 **well, that was EOG?**

1 A. What's the question?

2 Q. The pod, the water, C2373, that well of which
3 the water sample was denied access, that's EOG?

4 A. Inside of the battery?

5 Q. Yeah.

6 A. To my knowledge, yes, sir.

7 Q. Okay. I just wanted to see what other people
8 are doing in the neighborhood, especially the State
9 Engineer.

10 EXAMINER GOETZE: No other questions for
11 this witness. Thank you.

12 MS. BENNETT: Thank you.

13 CONTINUED DIRECT EXAMINATION

14 BY MS. BENNETT:

15 Q. In that case let's turn to Tab 3 and to Exhibit
16 A behind Tab 3. Mr. Puryear, can you please describe to
17 the examiners what Permian Oilfield Partners seeks in
18 Case Number 20573, which is the JDAM Federal well
19 application?

20 A. Permian Oilfield Partners seeks the approval --
21 correction -- seeks the authority to inject produced
22 water into the Silurian-Devonian Formation at a depth of
23 approximately 15,573 feet to 19,043 feet.

24 Q. And what's the maximum pressure psi that
25 Permian Oilfield Partners requests?

1 A. We request 3,515 psi, following the 0.2-
2 psi-per-foot gradient.

3 **Q. Thank you.**

4 **And how about the maximum injection rate?**

5 A. 50,000 barrels per day.

6 **Q. And you're also seeking to use the larger**
7 **tubing size?**

8 A. We are.

9 **Q. Is this federal surface, federal land as well?**

10 A. It is.

11 **Q. Let's turn to pages 8 and 9, please. Are pages**
12 **8 and 9 the well construction data form and the wellbore**
13 **schematic that you prepared for the JDAM Federal SWD**
14 **No. 1?**

15 A. It is.

16 **Q. Is this similar to the well construction data**
17 **and wellbore schematic that you discussed in the**
18 **Bullseye application?**

19 A. That is correct.

20 **Q. It is?**

21 A. (Indicating.)

22 **Q. Does it have different depths than the**
23 **Bullseye?**

24 A. The depths are different, but the general
25 casing design is the same, as well as the tubing design,

1 packer design and SCADA monitoring.

2 Q. So with this well, you intend to circulate the
3 cement to the top and run the test again?

4 A. We do. We intend to circulate cement to
5 surface on the first three strings. We intend to
6 circulate cement off of the liner top and also run a
7 cement bond log.

8 Q. And in your opinion, is the casing that Permian
9 Oilfield Partners is proposing in this application for
10 each depth, is that consistent with industry standards?

11 A. It is.

12 Q. Is it consistent with what you did in your
13 prior work experience?

14 A. It is.

15 Q. Is it consistent with what you understand other
16 operators to be proposing for other high-volume SWDs?

17 A. It is.

18 Q. In your opinion, is the casing designed to
19 protect freshwater resources?

20 A. It is, yes, ma'am.

21 Q. And are you using the fiberglass-lined tubing
22 here as well?

23 A. We are.

24 Q. And it's your opinion that that exceeds
25 industry standards?

1 A. That is my opinion.

2 Q. Let's turn to page 10. Are there any wells
3 within the proposed area of review for this well to
4 inject into the Devonian Formation?

5 A. There are none.

6 Q. Or penetrate, I should say, the Devonian
7 Formation?

8 A. There are none.

9 Q. How about freshwater wells? Let's look at page
10 number 12.

11 A. There are no freshwater wells within the
12 one-mile area of review according to the State
13 Engineer's website.

14 Q. Thank you.

15 Let's turn then to page 15. Is page 15 the
16 diagram or the map showing the one-mile and two-mile
17 areas of review?

18 A. It is.

19 Q. And did you use the one-mile area of review
20 here rather than the one-half mile given that this is a
21 high-volume injector into the Devonian?

22 A. It is -- or we did.

23 Q. Are the wells that are identified within the
24 one-mile radius listed on page 16?

25 A. Yes, ma'am, they are.

1 Q. Let's turn to page 29. At the bottom of page
2 29, did you identify where the closest active or
3 permitted Devonian disposal well is to your proposed
4 well?

5 A. At the time we did, and that was two miles
6 away.

7 Q. And it's your understanding, right, that Trove
8 has asked their lawyer to enter its appearance in this
9 case?

10 A. That is my understanding. Yes.

11 Q. And did you know of Trove's proposal when you
12 submitted your application?

13 A. We did not.

14 Q. When did you first find out about the Trove
15 location?

16 A. Tuesday of this week.

17 Q. And that was after I told you that Trove had
18 entered its appearance; is that right?

19 A. That is correct.

20 Correction. That was Wednesday.

21 Q. Wednesday. That's what I thought.

22 You were here a moment ago when the State
23 Land Office -- and you've actually spoken with the State
24 Land Office about their concerns with your wells being
25 proximate to state lands and state minerals; is that

1 correct?

2 A. That is correct.

3 Q. Do you know whether the Trove well that's being
4 proposed is close to state lands?

5 A. The Trove well is 750 feet away from this well,
6 approximately.

7 Q. So it's fair to say that it's probably close to
8 State Trust Lands or state minerals?

9 A. Yes, ma'am, I believe so.

10 Q. Do you know that the State has protested that
11 application?

12 A. To my knowledge, the State has not.

13 Q. When you filed the application
14 administratively, did you send notice to the affected
15 parties?

16 A. We did.

17 Q. And obviously you didn't send Trove a letter.
18 But would Trove have been entitled to a letter as an
19 offset SWD applicant?

20 A. According to the New Mexico Administrative
21 Code, no, they would not.

22 Q. So in your opinion, did you make a good-faith
23 effort here to identify and give notice to all affected
24 parties of your proposed application?

25 A. We did.

1 Q. And did you -- again, you followed the New
2 Mexico Administrative Code's definition of affected
3 party and the regulations when you determined to whom to
4 send notice?

5 A. We did.

6 Q. Are those parties listed on page 30?

7 A. They are.

8 Q. And did you also publish notice of the
9 administrative application?

10 A. We did.

11 Q. And that's on page 31?

12 A. It is.

13 Q. Let's turn to Exhibit B, please. Is Exhibit B
14 an affidavit prepared by me discussing notice that was
15 provided for this hearing?

16 A. It is.

17 Q. If you look at page 2 of Exhibit B, does that
18 show the names and addresses of the parties to whom I
19 sent notice?

20 A. It does.

21 Q. And looking at page 3, does that show the
22 status of the mailing to those same parties?

23 A. It does.

24 Q. And does it show that they were all delivered?

25 A. It does.

1 Q. And if you look at Exhibit 4, is Exhibit 4 an
2 Affidavit of Publication stating that notice of this
3 hearing was published in the "Hobbs News-Sun" on May
4 31st, 2019?

5 A. It does. It is.

6 Q. Thank you.

7 MS. BENNETT: At this time I have no
8 further questions for Mr. Puryear on Case Number
9 20573 -- oh, actually I do have one question. I'm
10 sorry.

11 Q. (BY MS. BENNETT) A moment ago when we talked
12 about the Trove application and its proximity to your
13 application, do you intend to withdraw your application
14 at this time, the JDAM application?

15 A. We do not.

16 Q. And do you just intend to let the process play
17 out, and if the Trove application is approved, then
18 you'll consider your alternatives at that time?

19 A. That's correct.

20 Q. And why wouldn't you withdraw your application
21 at this time?

22 A. In the event that the Trove application is not
23 granted, we would -- we would ask to have our
24 application remain.

25 Q. And you don't want to lose your spot in the

1 **queue, essentially?**

2 A. That is correct.

3 **Q. Okay.**

4 MS. BENNETT: With that, I have no more
5 questions for Mr. Puryear on this case, 20573.

6 EXAMINER GOETZE: Ms. Antillon?

7 MS. ANTILLON: No questions.

8 EXAMINER BROOKS: No questions.

9 EXAMINER GOETZE: And I have no questions
10 on this case either, so the next one.

11 MS. BENNETT: Thank you.

12 **Q. (BY MS. BENNETT) Let's turn then to Tab 4 and**
13 **in Exhibit A. Mr. Puryear, is this the application that**
14 **was filed on Permian Oilfield Partners' behalf in Case**
15 **Number 20574 for the Vortex Federal SWD No. 1?**

16 A. It is.

17 **Q. And could you briefly describe to the examiners**
18 **what Permian Oilfield Partners seeks in this**
19 **application?**

20 A. Permian Oilfield Partners seeks the authority
21 to inject produced water into the Silurian-Devonian
22 Formation at a depth of 16,619 feet to 18,427 feet. We
23 seek to utilize a 7-inch-by-5-1/2 injection tubing
24 string at a maximum daily injection rate of 50,000
25 barrels per day and a maximum pressure of 3,324 psi

1 corresponding with the 0.2-psi-per-foot gradient.

2 Q. Thank you.

3 Let's turn then to Tab -- I'm sorry --
4 pages 8 and 9. Are pages 8 and 9 the well construction
5 data and the wellbore schematic that you prepared for
6 the Vortex Federal SWD No. 1?

7 A. Yes, they are.

8 Q. Are these similar in terms of design and
9 protectiveness as to the Bullseye, JDAM and Carpet
10 Bomb --

11 A. Yes.

12 Q. -- diagrams that we previously looked at?

13 A. Yes, they are. The difference being depths and
14 cement volumes.

15 Q. And so you calculated the amount of cement
16 needed based on a change in depth?

17 A. That is correct.

18 Q. So your calculations are -- respond to changes
19 in depth as between each well?

20 A. That is correct.

21 Q. In your opinion, is the casing that Permian
22 Oilfield Partners is proposing to use for this well, the
23 Vortex Federal SWD No. 1, consistent with industry
24 standards at each depth?

25 A. It is, yes.

1 Q. It is consistent with what you have done in
2 your prior experience?

3 A. It is.

4 Q. Is it consistent with what you understand other
5 operators are using or proposing for similar high-volume
6 SWDs in the Devonian with this similar tubing size?

7 A. It is.

8 Q. In your opinion, is this casing designed to
9 protect freshwater resources?

10 A. Yes, it is.

11 Q. What type of tubing are you using here?

12 A. We're using a 7-inch HCP 110 ultra-flush joint
13 casing -- correction -- ultra-flush joint tubing by
14 5-1/2-inch 17-pound HCLE ultra-flush joint tubing. This
15 tubing will have a fiberglass insert liner. It will
16 employ a permanent-set inconel packer. We will -- we
17 will continuously monitor the tubing pressure and the
18 backside pressure -- or correction -- the annular
19 pressure with a SCADA system to ensure continuous
20 mechanical integrity.

21 Q. And will you be using a cement bond log in this
22 well as well?

23 A. We will.

24 Q. Let's turn to page 10 for something new and
25 unusual. On page 10, you discuss whether there are any

1 wells within the one-mile area of review that penetrate
2 the Devonian Formation. Is there one?

3 A. There is one.

4 Q. And what well is that?

5 A. That is the Brinninstool Deep Unit No. 1.

6 Q. And what is the status of that well?

7 A. That well is plugged and abandoned.

8 Q. And do you have information -- or did you
9 include information with your C-108 about the status of
10 that well?

11 A. We did.

12 Q. Is that at pages 30 to 32?

13 A. Yes.

14 Q. And could you briefly just walk through pages
15 30, 31 and 32 for the examiner?

16 A. Sure. Page 30 is the wellbore schematic that I
17 prepared using the well file that was loaned to us from
18 Bettis, Boyle & Stovall. This shows the original
19 plugging of this well when it was -- when it belonged to
20 Pure and then the subsequent plugging when it belonged
21 to Bettis, Boyle & Stovall.

22 Page 31 identifies the plugging
23 operation -- the last plugging operation when the well
24 belonged to Bettis, Boyle & Stovall. This was accepted
25 by the OCD.

1 And page 32 outlines the plugging procedure
2 when the well was owned by Pure.

3 **Q. So in your opinion, then, this well has been --**
4 **it has been plugged and abandoned. I guess that's not**
5 **your opinion. That's a fact (laughter).**

6 A. This well has been plugged and abandoned. And
7 it is my opinion that it was plugged and abandoned
8 correctly so as not to provide a conduit for any type of
9 produced water to risk any surface-water incursion or
10 any mineral damage.

11 **Q. Thank you.**

12 **Now, with respect to this application, the**
13 **Vortex application, let's turn back to page 10. Let's**
14 **start at page 10.**

15 EXAMINER GOETZE: Well, look who showed up.

16 (Mr. Bruce enters the room, 2:37 p.m.)

17 EXAMINER GOETZE: One moment.

18 MS. BENNETT: Sorry.

19 EXAMINER GOETZE: Let's go ahead, for the
20 benefit of Mr. Bruce, and describe where we are in your
21 review process for -- this will be the JDAM?

22 MS. BENNETT: Actually, this is the Vortex.
23 We went through the JDAM land.

24 EXAMINER GOETZE: I know. They're so
25 confusing.

1 So we will revisit it.

2 MS. BENNETT: Yes, we will.

3 EXAMINER GOETZE: Okay. Thank you.

4 MR. BRUCE: And, Mr. Examiner, I'm here on
5 behalf of Trove Energy & Water.

6 EXAMINER GOETZE: Thank you.

7 MS. BENNETT: Right. And just to recap, we
8 have -- or I asked to present these cases consolidated,
9 and you indicated to me you had no problem with that.

10 MR. BRUCE: I have no problem with that.
11 Yeah.

12 MS. BENNETT: And I have tendered
13 Mr. Puryear as an exhibit --

14 MR. BRUCE: I have no objection.

15 MS. BENNETT: -- I mean as an expert.
16 Okay? And I have gone through the JDAM, which is the
17 case that you're interested in.

18 MR. BRUCE: Okay.

19 MS. BENNETT: I've gone through the JDAM
20 initial discussion of wellbore design and proximity to
21 other wells in the area.

22 MR. BRUCE: Sounds good.

23 MS. BENNETT: And I did raise with our
24 witness affirmatively the fact that the JDAM well is
25 proposed fairly close to the Trove well.

1 MR. BRUCE: Fine. Let's proceed.

2 Q. (BY MS. BENNETT) So looking at page 12 --

3 MS. BENNETT: And right now we're behind
4 Tab 4 of Exhibit A.

5 Q. (BY MS. BENNETT) Looking at page 12, paragraph
6 two, does this discuss whether there are any freshwater
7 wells within your proposed well's one-mile area of
8 review?

9 A. According to the New Mexico Office of the State
10 Engineer, there are no freshwater wells within the
11 proposed well's one-mile area of review.

12 Q. Let's turn now to page 15. Is page 15 the
13 one- and two-mile areas of review that you prepared for
14 the Vortex Federal well?

15 A. It is.

16 Q. And does the one-mile area of review identify
17 all of the wells within that one mile?

18 A. It does.

19 Q. And did you use a one-mile area of review
20 rather than the one-half-mile area of review based on
21 your understanding that that's what the Division has
22 been requesting for high-volume Siluro-Devonian SWDs?

23 A. Yes, we did.

24 Q. Are the wells within the one-mile area of
25 review listed on page 16?

1 A. They are.

2 Q. Let's turn to page 29. Does the bottom
3 paragraph of page 29 identify where the closest active
4 or permitted Devonian disposal well is to your proposed
5 well?

6 A. It does. It's 2.3 miles away.

7 Q. Thank you.

8 When you filed this application
9 administratively, did you send notice letters to the
10 affected parties?

11 A. We did.

12 Q. How did you determine to whom to send notice?

13 A. We followed the New Mexico Administrative
14 Code's definition of an affected party.

15 Q. And you also sent notice to the surface owners;
16 is that right?

17 A. We did indeed.

18 Q. Or surface owner. Is it the BLM?

19 A. Yes. This is BLM surface.

20 Q. Let's look at page 33. Is page 33 a copy of
21 the notice letter that you sent out about your
22 administrative application?

23 A. It is.

24 Q. Did you publish notice of having filed an
25 administrative application?

1 A. We did.

2 Q. Is that on page 34?

3 A. It is.

4 Q. Could you please turn to Exhibit B? Is Exhibit
5 B an affidavit prepared by me outlining the notice that
6 I gave for this hearing?

7 A. It is.

8 Q. Is page 2 of Exhibit B a list of the names and
9 addresses of parties to whom I sent notice for this
10 hearing?

11 A. It is.

12 Q. Is Exhibit -- I mean is page 3, then, a list of
13 the status of those mailings?

14 A. It is.

15 Q. And does it show that almost all of them were
16 delivered except for one?

17 A. Almost all of them except for one.

18 Q. And is page 4 an Affidavit of Publication from
19 the "Hobbs News-Sun" stating or confirming that
20 publication notice of this hearing was published on May
21 31st, 2019?

22 A. It is.

23 Q. Thank you.

24 MS. BENNETT: At this time I don't have any
25 further questions for Mr. Puryear on this application,

1 which is application 20574, the Vortex application.

2 EXAMINER GOETZE: Ms. Antillon?

3 MS. ANTILLON: No questions.

4 CROSS-EXAMINATION

5 BY MR. BRUCE:

6 Q. I don't care whether I ask it now or later, but
7 I'm here for the JDAM well only, sir.

8 A. Okay.

9 Q. And I apologize for being late. I work by
10 myself and I had to deal with a few crazies.

11 Approximately how far away -- you're aware
12 that Trove has a pending application --

13 A. I am.

14 Q. -- for a WLC MID Fed SWD No. 2?

15 A. I am.

16 Q. And approximately how far apart is the JDAM
17 from the WLC well?

18 A. Approximately 750 feet.

19 Q. Okay. And when was the JDAM well application
20 filed?

21 MS. BENNETT: That's Tab 3, Exhibit A.

22 THE WITNESS: Looks like April 25th, 2019.

23 MR. BRUCE: April 25th? Thanks.

24 Really that's all the questions I have.

25 MS. BENNETT: Okay.

1 EXAMINER GOETZE: Mr. Brooks?

2 EXAMINER BROOKS: No questions.

3 EXAMINER GOETZE: And I don't have any
4 questions for this witness as far as the 20574 case.

5 MS. BENNETT: Thank you.

6 I just had a few other questions that are
7 general questions. They're more general questions just
8 about -- these apply to all of the wells rather than the
9 specific applications.

10 REDIRECT EXAMINATION

11 BY MS. BENNETT:

12 Q. Did you consider the ability or your ability to
13 conduct fishing operations if necessary in these wells?

14 A. We did.

15 Q. And what did you determine?

16 A. We determined that the casing and tubing design
17 is consistent with standard fishing operations and
18 standard fishing equipment that can be sourced locally
19 in Hobbs. This is off-the-shelf fishing tools. We can
20 utilize any of the rigs that we intend to drill these
21 wells with to fish these strings. We considered
22 overshot operations, spear operations, inside cutters,
23 outside cutters. We also considered, in the event that
24 we needed to abandon a well, a plugging procedure. All
25 of this was reviewed by Steve Nave of Nave Oil & Gas and

1 confirmed that this was, in fact, an appropriate
2 procedure.

3 Q. Thank you.

4 We've talked a lot about the locations for
5 these SWDs. And let's set aside JDAM for the moment
6 because this is a relatively new development, from your
7 perspective anyway, because you only recently found out
8 about the JDAM-proposed location. But in general and
9 specifically for the three other wells, the Vortex,
10 Carpet Bomb and Bullseye, how did you choose the
11 location for those three wells?

12 A. We identified locations that were well outside
13 the one-and-a-half mile well-to-well spacing or the
14 three-quarter-mile area of review that the OCD has
15 requested and put those locations -- or put those wells
16 in a favorable location to satisfy that.

17 Q. So your goal was to avoid encountering wells
18 within a 1.5-mile area of review?

19 A. That is correct.

20 Q. Do you intend to drill these wells if approved?

21 A. We do.

22 Q. And are you waiting for any other permits?

23 A. As soon as the drilling permits are approved
24 and these permits are approved, we intend to drill all
25 three of these -- or all four of these wells.

1 Q. Given your experience that you've had with
2 other operators and especially your experience that you
3 had with the SWD side of operations, are you familiar
4 with the regulatory requirements for operating and
5 maintaining a well?

6 A. I am.

7 Q. And in your opinion, does Permian Oilfield
8 Partners have the technical, operational and other
9 experience and qualifications to comply with these
10 requirements?

11 A. We do.

12 Q. And do you intend to?

13 A. We do.

14 MS. BENNETT: Those are all the questions I
15 have at this time.

16 EXAMINER GOETZE: You're back.

17 MR. BRUCE: I'm back. We both are.

18 Could I ask one more question?

19 EXAMINER GOETZE: You may ask your
20 question.

21 RE CROSS EXAMINATION

22 BY MR. BRUCE:

23 Q. Are both the JDAM wells -- well -- excuse me --
24 and Trove's WLC well both applications to inject into
25 the Devonian-Silurian?

1 A. They are.

2 **Q. Thank you, sir.**

3 EXAMINER GOETZE: And since you both have
4 had -- we'll offer the State Land Office an opportunity.

5 MS. ANTILLON: No questions.

6 EXAMINER GOETZE: Okay. Thank you.

7 So we are done with this witness?

8 MS. BENNETT: We are. Yes. And I
9 apologize for any confusion about the way I did the
10 questioning.

11 EXAMINER GOETZE: No. It keeps us on our
12 toes.

13 MS. BENNETT: Okay. Good. Good for a
14 Friday afternoon, right?

15 EXAMINER GOETZE: Yes.

16 (Laughter.)

17 MR. BRUCE: I don't know if that's good or
18 not. That's just me. Okay?

19 MS. BENNETT: Silver lining.

20 At this time I'd like to call my next
21 witness, Gary Fisher.

22 GARY FISHER,

23 after having been previously sworn under oath, was
24 questioned and testified as follows:

25

DIRECT EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MS. BENNETT:

Q. Good afternoon, Mr. Fisher.

A. Good afternoon.

Q. Will you please state your name for the record?

A. Gary Fisher.

Q. And for whom do you work?

A. Permian Oilfield Partners.

Q. How long have you worked for Permian Oilfield Partners?

A. November of 2018.

Q. And what are your responsibilities at Permian Oilfield Partners?

A. I'm officially the president, dealing with -- well, anything that needs to happen, operations, permitting, geology, organizing vendors, procurement, invoicing, all of the above.

Q. Do your responsibilities then include management and oversight of drilling saltwater disposal wells?

A. Yes, ma'am.

Q. This is the first time you've ever testified before the Division; is that right?

A. That's correct.

Q. But were you here when Permian Oilfield

1 **Partners met with the Division?**

2 A. Yes, I was.

3 **Q. Could you briefly provide a summary of your**
4 **educational background and professional qualifications?**

5 A. Sure. I've got 28 years in oil and gas. I
6 went to school at the University of Southern California,
7 got a degree in mechanical engineering.

8 When I got out of school, I went to work
9 for Schlumberger where I did open-hole logging, log
10 analysis, extensive geology, you know, log
11 interpretation geology for customers basically.

12 After that, I was at Newmar Corporation,
13 basically Halliburton, once again doing logging and log
14 analysis, geology, geologic interpretations for
15 customers.

16 After that, I was at Core Labs where I was
17 more involved in fracture diagnostics, especially as
18 related to hydraulic fracturing and correlation with
19 microseismic.

20 And then previous to Permian Oilfield
21 Partners, Pioneer Energy Services where I did open-hole
22 log analysis, geology, instruction, basically
23 instructing -- internal instruction for the employees
24 and also to other customers on log interpretation,
25 geology, doing completion designs for customers, quite a

1 few, in fact, regarding saltwater disposal.

2 While there, I also had some special
3 projects. One included an induced seismicity study in
4 Oklahoma regarding all the Arbuckle injection problems
5 that they've had up there. The end result of a lot of
6 that study is I ended up writing the saltwater disposal
7 logging and the MIT, or mechanical integrity test,
8 procedures. They actually ended up incorporated in the
9 Oklahoma Corporation Commission guidelines.

10 I've also done just a small amount of --
11 small amount of research into the solution mining realm,
12 mainly in regards to diagnostics of caverns and fluid
13 levels and things like that and then mechanical
14 integrity testing, especially as related to groundwater
15 protection.

16 **Q. When you did the -- oh, sorry.**

17 A. Also -- sorry (laughter).

18 **Q. Do tell (laughter).**

19 A. Also I've been a member of the SPWLA, the
20 Society of Petrophysicists and Well Log Analysts, the
21 Society of Petroleum Engineers for 21, been a
22 contributing editor to the AESC green book. It's a
23 service-oriented deal. And also I've been a member
24 presenter with the SPWLA Nuclear Special Interest Group.

25 **Q. Great.**

1 One thing I recall you telling me about of
2 your experience was fracturing propagation.

3 A. Uh-huh.

4 Q. Was that only for hydraulic fracturing, or did
5 you study and have experience with fracturing
6 applications for other things?

7 A. At the time of that, it was all related to
8 hydraulic fracturing initiation and propagation. Later
9 on down the road, when we started doing the induced
10 seismicity studies regarding Oklahoma, that was more of
11 a structural seismicity topic.

12 Q. And would that have related to saltwater
13 disposal wells?

14 A. Yes. That's what it was related to.

15 Q. So that's what it was related to?

16 A. Yes.

17 Q. So you've studied hydraul- -- I'm sorry --
18 fracturing with respect to saltwater disposal wells?

19 A. That's correct:

20 EXAMINER GOETZE: And please speak up for
21 her (indicating).

22 Q. (BY MS. BENNETT) Does your area of
23 responsibility at Permian Oilfield Partners include the
24 area of southeastern New Mexico?

25 A. Yes, it does.

1 Q. Are you familiar with the applications that
2 we're discussing here today, the four applications?

3 A. Yes, ma'am.

4 Q. Are you familiar with the saltwater disposal
5 wells that Permian Oilfield Partners is proposing in
6 these four applications?

7 A. Yes, I am.

8 MS. BENNETT: I would now like to tender
9 Mr. Gary Fisher as an expert in geology log analysis and
10 fault slip analysis by virtue of his experience with
11 fracture propagation.

12 MR. BRUCE: No objection.

13 EXAMINER GOETZE: No objection, Mr. Bruce.

14 MS. ANTILLON: No objection.

15 EXAMINER GOETZE: He is so qualified.

16 MS. BENNETT: Thank you.

17 Q. (BY MS. BENNETT) Today -- or this afternoon
18 you'll be testifying about the same four applications
19 that Mr. Puryear testified about earlier?

20 A. Yes, ma'am.

21 Q. And did you review and provide input on these
22 four applications?

23 A. I did.

24 Q. I'd like to start with some overall
25 information -- some overall questions about all four

1 applications.

2 Did you review the geology of this area?

3 A. Yes, I did.

4 Q. What is the proposed injection interval for all
5 of these wells?

6 A. The Devonian-Silurian.

7 Q. What is your conclusion about this injection
8 zone?

9 A. That it would be an excellent saltwater
10 disposal zone.

11 Q. And what is your conclusion based on?

12 A. Well, number one, you can look at regional
13 success in the area. Number two, it's got a very strong
14 upper bound in the Woodford Shale. And number two
15 [sic], it's got very good lower bounds. We're not
16 proposing to go into the Montoya, which is very, very
17 tight lined. We'll stay above that. Below that, you
18 have the Simpson, which is mostly shale, as an
19 additional barrier to keep from getting down into the
20 Cambrian or Bliss or Precambrian rocks.

21 Q. And the target injection zone, is it relatively
22 thick?

23 A. Yes, it is.

24 Q. So you'll have a lot of area to work with as
25 well?

1 A. Yes. In these wells, it ranges from 1,400 to
2 1,800 feet.

3 Q. In your opinion, do you think that this
4 injection zone is well suited even at the volume and the
5 rate that you're requesting for these four applications?

6 A. Yes, ma'am.

7 Q. So a moment ago, you talked about the Woodford
8 being a permeability barrier, then the Montoya, and
9 below the Montoya, the Simpson. And you consider those
10 to be solid or good permeability barriers above and
11 below?

12 A. Sorry. I forgot to mention the Ellenburger,
13 which is not a barrier.

14 Q. And so those are, in your opinion, permeability
15 barriers above and below?

16 A. Yes, ma'am.

17 Q. And those will confine the fluids that you
18 propose to inject in the injection zone?

19 A. Yes, ma'am.

20 Q. Now, another general question before we dive
21 into the applications. Did you prepare a fault slip
22 analysis for all of the applications?

23 A. Yes, I did.

24 Q. And we'll talk about each fault slip analysis
25 separately, but before we do, can you explain to the

1 **examiners what background or experience you have that's**
2 **relevant to your statement regarding seismicity?**

3 A. Well, it would -- it goes back to my
4 investigations on fracture propagation. While I'm a
5 mechanical engineer, really fracture mechanics on a
6 geologic scale is just a large mechanical engineering
7 problem, so my educational training kind of sent me that
8 direction. And then also when you start looking at
9 fracture propagation, you know, a lot of the stresses
10 have similar effects. It may be a larger scale versus a
11 smaller scale, but a lot of the causes and effects and
12 directions and all that have definite crossover.

13 **Q. Thank you.**

14 **Did you use a publicly available version of**
15 **the Stanford University fault slip probability analysis**
16 **tool?**

17 A. Yes, I did.

18 **Q. And what sort of inputs did you put into that,**
19 **just generally speaking?**

20 A. Generally speaking, there's -- specifically
21 speaking --

22 **Q. Yes (laughter).**

23 A. -- there is thickness of the zone. There's
24 input injection rate. There's porosity permeability,
25 friction coefficients, fluid densities, viscosities.

1 And a big one is the actual location of the fault versus
2 location of the injection and the angle of the -- of
3 the -- of the horizontal stress in the area.

4 Q. Uh-huh. The orientation of the fault is
5 important?

6 A. Yes. Yes.

7 Q. And so for each application, you identified the
8 closest faults?

9 A. That's correct.

10 Q. And you looked at their orientation -- their
11 stress orientation?

12 A. That's correct.

13 Q. Did you review historic seismic activity in
14 this area?

15 A. Yes, I did.

16 Q. When you were using the Stanford University FSP
17 and otherwise to do your seismic study, did you use
18 publicly available data?

19 A. Yes, I did.

20 Q. And publicly available software?

21 A. Yes.

22 Q. Okay. With that background, then, let's turn
23 to the individual applications, if that's okay with the
24 folks in the room.

25 EXAMINER GOETZE: Well, yeah. Case by

1 case, and they'll have the opportunity to question.

2 Q. (BY MS. BENNETT) So let's turn to Exhibit A
3 behind Tab 1. Exhibit A is the application for the
4 Bullseye Federal SWD No. 1, Case Number 20571, right?

5 A. Yes.

6 Q. Let's turn to page 13. Is page 13 the
7 affirmative statement that's required by the C-108?

8 A. Yes, it is.

9 Q. Did you prepare this affirmative statement?

10 A. Yes, I did.

11 Q. Could you read the affirmative statement that
12 you prepared?

13 A. Yeah. "Permian Oilfield Partners, LLC has
14 examined available geologic and engineering data and
15 find no evidence of open faults or any other hydrologic
16 connection between the disposal zone and any underground
17 sources of drinking water."

18 Q. And is that still your understanding and your
19 conclusion as of today?

20 A. Yes. There's 16,000 feet, give or take,
21 between our injection zone and any -- any sources of
22 fresh water.

23 Q. Let's turn to pages -- back to pages 11 and 12.
24 Are pages 11 and 12 your geologic study or prognosis for
25 the Bullseye well?

1 A. Yes, ma'am.

2 Q. And what did you determine -- if we're looking
3 at page 12 specifically, the geology prognosis --

4 A. Yes.

5 Q. -- what did you determine is the thickness of
6 the injection zone in this area for this well?

7 A. The Devonian and the Silurian combined, the
8 Devonian and Fusselman combined is 1,487 feet thick.

9 Q. How thick is the Woodford in this area?

10 A. Approximately 210 feet.

11 Q. How about the Montoya?

12 A. 649.

13 Q. And the Simpson?

14 A. 572.

15 Q. What formation is the fresh water in?

16 A. It's up in the -- in the quaternary fill. It's
17 much shallower up above the Rustler, about 500 to 600
18 feet.

19 Q. And so a moment ago --

20 A. I'm sorry. This one, 750 feet in this area.

21 Q. Okay. But it's still quite a ways away from
22 the injection zone?

23 A. Yes. Absolutely.

24 Q. In your opinion and based on your review of the
25 materials that you prepared, do you think that there is

1 a risk to freshwater resources or underground sources of
2 drinking water in any of these wells -- or if this well
3 is drilled?

4 A. No.

5 Q. Why not?

6 A. Number one, there is a very large vertical
7 separation. There are many zones, not just the
8 Woodford -- there are numerous zones up above at 16,000
9 feet, and also the well design has multiple strings of
10 casing with cement circulated to surface through all of
11 them to provide a good hydraulic seal.

12 Q. Thanks.

13 And one of the things we did talk about
14 with Mr. Puryear is that the surface casing is designed
15 to be -- intentionally to be thicker, is that right, to
16 add more protection --

17 A. Yes, it is.

18 Q. -- for surface waste -- or sorry -- freshwater
19 resources?

20 A. Yes.

21 Q. Are you aware of any productive shales in this
22 injection interval?

23 A. No.

24 Q. In your opinion, is there a risk to
25 hydrocarbons above the injection interval like in the

1 **Bone Spring or Wolfcamp?**

2 A. No.

3 **Q. And why not?**

4 A. Well, one, we have an upper seal in the -- even
5 in the form of the Woodford acting as an upper hydraulic
6 seal to the injection, and also the casing design takes
7 that into account, and the cement job will seal that
8 off.

9 **Q. Thank you.**

10 **So in your opinion, would the drilling of**
11 **this well impact the correlative rights of mineral**
12 **owners?**

13 A. No.

14 **Q. Let's turn now to your statement regarding**
15 **seismicity, and that's found on page 31 to 32. Now, did**
16 **you prepare this statement regarding seismicity?**

17 A. I did.

18 **Q. And what documents -- what desk review did you**
19 **do for this?**

20 A. Well, I looked at the various USGS fault data
21 and then correlated it with Ron Broadhead's book, which
22 we have all heard about, and then also the Snee and
23 Zoback paperwork obviously where this fault slip
24 analysis is regarding.

25 **Q. Did you determine where the closest fault is**

1 **that's available in publicly available information?**

2 A. Yes, it is. It's approximately four miles to
3 the east.

4 **Q. And when we talked about your study generally,**
5 **we discuss the fact that you looked for historic seismic**
6 **activity?**

7 A. Yes, I did.

8 **Q. Was there any historic seismic activity in this**
9 **area?**

10 A. On page 31, I found -- in less than 30 miles, I
11 found three seismic events, one of them a 2.9, seven-
12 and-three-quarters miles away off to the north, and then
13 you can see the other two, which were considerably
14 farther away, over towards Jal.

15 **Q. So your area of review that you used for this**
16 **is 30 miles?**

17 A. 30 miles.

18 **Q. And that's not 30 square miles. It's 30**
19 **miles --**

20 A. Yeah, a 30-mile radius.

21 **Q. And in paragraph 4A, B, C, does that identify**
22 **the factors for the parameters that you used for**
23 **modeling?**

24 A. Yes. Yes. All the databases that I looked in
25 for faults did not show any faults in the Devonian. So

1 I wanted to use a worst-case scenario, so I purposely
2 set some of the specifications to show the maximum
3 pressure, say, if we dumped all of the fluid straight
4 down through the Montoya, through the Simpson, through
5 the Ellenburger, all the way down into the basement,
6 what the potential fault slip would be in the basement
7 faults.

8 **Q. So you essentially modeled a catastrophic**
9 **failure?**

10 A. That's correct.

11 **Q. And it looks like you modeled using a full**
12 **proposed capacity of 50,000 barrels per day?**

13 A. That's correct, for 30 years.

14 **Q. How about the millidarcies and frac gradient?**

15 A. Yes. I used a 12-1/2 millidarcy. I know
16 granite -- granular granite is less than that, but I
17 assumed there would be some sort of permeability due to
18 fractures in the granite, and 3 percent porosity is
19 typical for a lot of granites. And then the other --
20 the other features, such as the direction and your
21 A-T factors, I pulled straight from the -- the Snee and
22 Zoback maps.

23 **Q. Thank you.**

24 **What was your conclusion of the likelihood**
25 **of an induced seismic event?**

1 A. Very low.

2 Q. And, again, that is based on the analysis run
3 and the publicly available --

4 A. That's correct.

5 Q. -- and the fault slip probability analysis
6 tool?

7 A. That's correct.

8 Q. The color insets here on page 32, is that sort
9 of a screenshot of the modeling through year 2049?

10 A. Yes, it is.

11 Q. And I see over on this side that there are ten
12 faults and they all show --

13 A. They all show green, meaning no probability of
14 slip.

15 Q. And that's modeled out all the way to 2049?

16 A. That's correct.

17 Q. Okay. Thank you.

18 MS. BENNETT: Those are the only questions
19 I have for Mr. Fisher for Case Number 20571, and I
20 tender the witness for questions on Case Number 20571.

21 EXAMINER GOETZE: 571 or 572?

22 MS. BENNETT: 571.

23 EXAMINER GOETZE: A binder (laughter).

24 MS. BENNETT: Sorry. We were told not to
25 use binders anymore --

1 EXAMINER GOETZE: I know. I know.

2 MS. BENNETT: -- but I will bring a binder
3 for you, Phil -- I mean, Mr. Goetze.

4 EXAMINER GOETZE: Just staple it to my
5 forehead.

6 (Laughter.)

7 MS. BENNETT: I'll bring a special.

8 EXAMINER GOETZE: A very pink one.

9 At this time, questions?

10 MR. BRUCE: I don't have any questions with
11 respect to this one.

12 MS. ANTILLON: No questions.

13 EXAMINER BROOKS: No questions.

14 CROSS-EXAMINATION

15 BY EXAMINER GOETZE:

16 Q. I don't have any questions, but do you have an
17 expanded version of the Stanford model? You went
18 through a ten, 20, 30 years --

19 A. Yes.

20 Q. -- and then 40?

21 A. Yes.

22 Q. Could you submit those and make them available
23 as part of the --

24 A. Absolutely.

25 Q. And seeing that this pattern is carried through

1 in each of them, I would also request that you provide
2 those.

3 A. We'll do it for all of them.

4 Q. Okay. Thank you.

5 MS. BENNETT: At ten-year intervals is what
6 you're requesting?

7 EXAMINER GOETZE: Whatever he chose. It's
8 not ours. Ten years tends to be a good indicator,
9 whether it's acid gas or disposal, but let's see the
10 sequence in how you got there.

11 MS. BENNETT: Thank you.

12 MR. BRUCE: And I would like copies.

13 EXAMINER GOETZE: You'll get copies, and
14 I'll give you a notebook, too.

15 MR. BRUCE: Do I want it?

16 EXAMINER GOETZE: I don't know (laughter).
17 I don't care.

18 So in Case 20571, we have completed that
19 one.

20 MS. BENNETT: Yes. And I would -- I'd like
21 to ask for all the cases to be taken under advisement at
22 the end, if that's okay, and admit all the exhibits at
23 the end, if that's okay.

24 EXAMINER GOETZE: Yes.

25 MS. BENNETT: Okay. Thank you.

1 CONTINUED DIRECT EXAMINATION

2 BY MS. BENNETT:

3 Q. So let's move on to Case Number 20572, the
4 Carpet Bomb case, and the materials for that are behind
5 Tab 2. And in the interest of efficiency, we'll be a
6 little faster going through the subsequent --

7 EXAMINER GOETZE: It is a similar
8 process --

9 MS. BENNETT: Very similar.

10 EXAMINER GOETZE: -- and we're going to
11 have the same parameters, and we understand that. So
12 reiterate what is different about this operation or
13 anything that's unique to it.

14 MS. BENNETT: We will, definitely. Thank
15 you.

16 Q. (BY MS. BENNETT) So the application behind Tab
17 2, Exhibit A is the application for the Carpet Bomb
18 Federal SWD No. 1 well; is that right?

19 A. Yes.

20 Q. Did you prepare the affirmative statement on
21 page 13?

22 A. Yes.

23 Q. Would you read the affirmative statement for
24 the examiners?

25 A. "Permian Oilfield Partners, LLC has examined

1 the available geological and engineering data and find
2 no evidence of open faults or other hydrologic
3 connection between the disposal zone and any underground
4 sources of drinking water."

5 Q. Thank you.

6 And is that still your opinion today?

7 A. Yes.

8 Q. Let's turn to -- turn back to pages 11 and 12.

9 Is this your geologic study for the Carpet Bomb well?

10 A. Yes, it is.

11 Q. Looking at page 12 specifically, does that have
12 your geology prognosis?

13 A. Yes.

14 Q. In this area for this well, what is the
15 thickness approximately of the Devonian-Silurian
16 injection area?

17 A. Okay. Approximately 1,400 feet and change.

18 Q. How about the Woodford?

19 A. Just shy of 200.

20 Q. The Montoya?

21 A. 478.

22 Q. And the Simpson?

23 A. 694.

24 Q. Where would the fresh water be in relation
25 to -- or where is the freshwater formation in relation

1 to these?

2 A. In the shallower, less than 625 feet.

3 Q. So there is quite a vertical offset between
4 where you're proposing to inject --

5 A. Yes. There is approximately 16,700 feet.

6 Q. Okay. Based on your review of the geologic
7 materials, do you think that there is a risk to
8 freshwater resources or underground resources if this
9 well is drilled?

10 A. No, ma'am.

11 Q. And why not?

12 A. Number one is the vertical separation and the
13 various shales in between acting as hydraulic barriers,
14 and then the well design takes that into -- takes that
15 into account with the positioning of -- of the casing
16 strings and cementing to the surface.

17 Q. Are you aware of any productive shales in the
18 injection interval here?

19 A. No.

20 Q. Is there any risk, in your opinion, to
21 hydrocarbons above the injection interval?

22 A. No.

23 Q. And why is that?

24 A. Number one is vertical separation, and then
25 also there are hydraulic barriers between the injection

1 zone and sources of oil and gas in the area.

2 Q. In your opinion, then, will the drilling of
3 this well impact the correlative rights of any mineral
4 interest owners?

5 A. No.

6 Q. Let's discuss your seismicity at this point.
7 Can you turn to page 19? Did you prepare this statement
8 regarding seismicity?

9 A. I did.

10 Q. And did you look for seismic -- historic
11 seismic activity in the area?

12 A. I did.

13 Q. And did you identify any?

14 A. Yes, I did.

15 Q. And is that noted under --

16 A. Yeah. It's noted in the first paragraph.

17 Q. And, again, your area of review here is 30
18 miles, and the nearest is 8.27?

19 A. That's correct.

20 Q. How about the nearest fault?

21 A. The nearest fault is 2 kilometers away.

22 Q. For this fault slip probability analysis, did
23 you use the same parameters that we discussed for Case
24 Number 20571?

25 A. Yes, I did.

1 Q. And for this fault slip probability analysis,
2 did you use publicly available data?

3 A. Yes, I did.

4 Q. What is your conclusion based on the fault slip
5 probability analysis that you ran?

6 A. That there is very little risk of fault slip.

7 Q. And, again, does the color slide in the inset
8 represent a screenshot of your study?

9 A. Yes, it does.

10 Q. And it shows zero fault slip probability for
11 all the faults?

12 A. That's correct.

13 Q. Thank you.

14 MS. BENNETT: I have no further questions
15 for Mr. Fisher on this application.

16 EXAMINER GOETZE: Ms. Antillon?

17 MS. ANTILLON: No questions.

18 EXAMINER GOETZE: I'm not going to ask
19 Mr. Bruce.

20 Mr. Brooks?

21 EXAMINER BROOKS: No.

22 EXAMINER GOETZE: And I don't have any
23 questions regarding this, so that takes care of Case
24 20572.

25 Q. (BY MS. BENNETT) Then turning to Case 20573,

1 **which is the JDAM application, that's behind Tab 3.**

2 **Exhibit A is the application; is that right?**

3 A. That's correct.

4 **Q. Did you prepare an affirmative statement for**
5 **this application as well?**

6 A. Yes, I did.

7 **Q. Is that affirmative statement on page number 13**
8 **behind Tab 3?**

9 A. Yes, it is.

10 **Q. Would you mind reading that affirmative**
11 **statement for the examiners, please?**

12 A. "Permian Oilfield Partners, LLC has examined
13 available geological and engineering data and find no
14 evidence of open faults or any other hydrologic
15 connection between the disposal zone and any underground
16 sources of drinking water."

17 **Q. Thank you.**

18 **Is that still your opinion today?**

19 A. Yes, it is.

20 **Q. Will you turn back to pages 11 and 12? Do**
21 **pages 11 and 12 contain your study about the injection**
22 **zone geology?**

23 A. Yes, it does.

24 **Q. And looking specifically at the geology**
25 **prognosis on page 12, does that include the depths for**

1 the Devonian-Fusselman-Silurian injection zone?

2 A. Yes, it does.

3 Q. And about how thick is that in this area?

4 A. The Devonian and Fusselman, approximately 1,500
5 feet.

6 Q. And then we've been talking about the Woodford
7 being an upper permeability barrier. About how thick is
8 that here?

9 A. 200 feet.

10 Q. And then the Montoya, how thick is that here?

11 A. A little over 700 feet.

12 Q. And the Simpson?

13 A. 557.

14 Q. So it's about 1,300 feet below --

15 A. Yes. Correct.

16 Q. -- the targeted injection zone?

17 A. That's correct.

18 Q. Where would the freshwater resources be in
19 relation to the injection zone?

20 A. Much shallower, up above 625 feet.

21 Q. And so, again, there is approximately more than
22 how many thousands of feet?

23 A. 17,000 feet, roughly.

24 Q. So based on your review of the geologic
25 materials, do you think that there is a risk to fresh

1 water or underground sources of drinking water if this
2 well is drilled?

3 A. No.

4 Q. And why not?

5 A. Number one, the vertical separation, and then
6 the multiple shale barriers in between acting as
7 hydraulic seals. And then the actual wellbore or the
8 casing design, multiple strings circulating cement to
9 surface takes care of that.

10 Q. Thank you.

11 Are you aware of any productive shales in
12 this injection interval?

13 A. No.

14 Q. In your opinion, is there any risk to
15 hydrocarbons above the injection interval?

16 A. No.

17 Q. And why not?

18 A. Once again, because of the shale seals up above
19 and the design of the well. The well is designed to
20 prevent that.

21 Q. In your opinion, will the drilling of this well
22 impact the correlative rights of mineral interest
23 owners?

24 A. No.

25 Q. Let's turn to your statement regarding

1 seismicity, which is on page 28 to 29. Did you prepare
2 this statement regarding seismicity?

3 A. I did.

4 Q. Did you look at USGS and TexNet seismic
5 activity databases to determine whether there has been
6 historic seismicity in this area?

7 A. I did.

8 Q. And, again, you're looking at a 30-mile area?

9 A. That is correct.

10 Q. And you found some historic seismicity in the
11 area?

12 A. Yes. The closest was a little under 11 miles
13 away.

14 Q. Okay. So the closest was just under 11 miles
15 away?

16 A. Yes.

17 Q. Now, did you prepare a fault slip probability
18 analysis for this well as well?

19 A. I did.

20 Q. And did you use the same monitoring or the same
21 parameters for the modeling that we've discuss --

22 A. I did.

23 Q. -- in the earlier applications?

24 Does the color insert on page 29 represent
25 the conclusions that you reach, or is that a screenshot

1 of your conclusions?

2 A. Yes, it is.

3 Q. And what did you conclude from your modeling?

4 A. That there is very low probability of fault
5 slip.

6 Q. And, again, this one was run through 2049,
7 right?

8 A. That's correct.

9 Q. And this one also has the green [sic]
10 information about all faults in the right -- or
11 left-hand side of the screen?

12 A. Yes.

13 Q. Is that zero for all of them?

14 A. That is zero for all of them.

15 Q. Through 2049?

16 A. Yes.

17 MS. BENNETT: That's all the questions I
18 have for Mr. Fisher on Case Number 20753.

19 EXAMINER GOETZE: Very good.

20 Mr. Bruce.

21 CROSS-EXAMINATION

22 BY MR. BRUCE:

23 Q. So looking at this -- it's Mr. Fisher; is that
24 right?

25 A. That's correct.

1 Q. Sorry. I'm bad on names.

2 This well is in Section -- the JDAM well is
3 in Section 23 of 25-32, correct?

4 A. 23 of 25-33, I believe.

5 Q. 33. Excuse me. Excuse me.

6 And you believe that a well in that area is
7 a good candidate for Siluro-Devonian injection?

8 A. Yes.

9 Q. And when you are looking at all of the
10 injection zones, you're looking at somewhere close to
11 3,000-foot thickness, right?

12 A. For the Silurian-Devonian, it's on the order of
13 1,500 feet.

14 Q. Well, I think you said the Devonian and
15 Fusselman is 1,500 feet?

16 A. Yes.

17 Q. And then there are additional depths of about
18 1,400, 1,500 feet in the Woodford, Montoya and Simpson
19 combined?

20 A. Yeah. We wouldn't inject into the Woodford or
21 the Montoya or the Simpson.

22 Q. Okay. Thank you.

23 Now, in looking at all four of your
24 proposed wells, all four of them combined are miles
25 away -- quite a number of miles away from any other

1 wells?

2 A. Yes.

3 Q. Why would you place yours right next to Trove's
4 proposed WLC well?

5 A. We didn't know that Trove had a WLC well at
6 that that location until Tuesday.

7 MS. BENNETT: Wednesday.

8 THE WITNESS: Wednesday.

9 Q. (BY MR. BRUCE) Do you think there should be two
10 wells in that particular proximity?

11 A. No, sir.

12 Q. And on your JDAM well, you are proposing a
13 maximum injection rate of 50,000 barrels a day, correct?

14 A. That's correct.

15 Q. Do you know what the proposed injection rate is
16 on the Trove well?

17 A. No, I do not.

18 Q. And I know you mentioned this before, but what
19 is the frac gradient?

20 A. .75.

21 Q. Okay. Thank you very much, Mr. Fisher.

22 A. You're welcome.

23 EXAMINER GOETZE: Ms. Antillon?

24 MS. ANTILLON: No questions.

25 EXAMINER GOETZE: Mr. Brooks?

1 EXAMINER BROOKS: No questions.

2 EXAMINER GOETZE: I do not have any
3 questions with regards to Case 20573.

4 MS. BENNETT: May I ask a follow-up
5 question or two?

6 EXAMINER GOETZE: I'm sure you can.

7 REDIRECT EXAMINATION

8 BY MS. BENNETT:

9 Q. When Mr. Bruce was just asking you just now
10 about when you learned about this -- about the Trove
11 application, that was after I informed you that Trove
12 had entered their appearance, right?

13 A. That's correct.

14 Q. And that was the first time you knew about
15 Trove's application?

16 A. That's correct.

17 Q. You didn't get a copy of that application in
18 the mail --

19 A. No.

20 Q. -- or any other information?

21 A. No.

22 Q. And you know that that application was filed
23 before yours, right?

24 A. Yes.

25 Q. And when you mentioned the frac gradient of

1 .75, that's different than the .2 psi, right?

2 A. That's correct.

3 Q. Okay. Thanks.

4 MS. BENNETT: I have no further questions
5 on this case.

6 EXAMINER GOETZE: Are you going to shoot
7 back, or are you --

8 MR. BRUCE: (Indicating.)

9 EXAMINER GOETZE: Okay. Thank you.

10 In that case, please proceed.

11 MS. BENNETT: Thank you.

12 Q. (BY MS. BENNETT) Let's turn now to Tab 4,
13 please.

14 EXAMINER BROOKS: If you're not going to
15 take a break at this point --

16 EXAMINER GOETZE: Well, let's take a break.
17 I feel that my lawyer's going to abandon me and tell me
18 that I have no manners. So let's take a 15-minute
19 break.

20 (Laughter.)

21 (Recess, 3:22 p.m. to 3:43 p.m.)

22 EXAMINER GOETZE: Let's go back on the
23 record.

24 MS. BENNETT: Thank you.

25 Q. (BY MS. BENNETT) At this time we're turning to

1 Case Number 20574, which is behind Tab Number 4. Let's
2 look at Exhibit A, please. Is Exhibit A the application
3 that POP filed for the Vortex SWD No. 1?

4 A. Yes, it is.

5 Q. And did you prepare a statement -- an
6 affirmative statement on this case -- for this
7 application?

8 A. Yes, I did.

9 Q. Turn to page 13, please. Is page 13 your
10 affirmative statement that you prepared?

11 A. Yes, it is.

12 Q. Would you mind reading that for the examiners?

13 A. "Permian Oilfield Partners, LLC has examined
14 available geologic and engineering data and find no
15 evidence of open faults or any other hydrologic
16 connection between the disposal zone and any underground
17 sources of drinking water."

18 Q. Thank you.

19 And is that still your opinion today?

20 A. Yes, it is.

21 Q. Let's turn back to pages 11 and 12, please.
22 Are pages 11 and 12 your injection zone geology study?

23 A. Yes.

24 Q. Let's look at page 12 specifically. And the
25 injection zone here is the Devonian-Fusselman/Silurian;

1 is that right?

2 A. That's correct.

3 Q. Can you describe how thick that is in this
4 area?

5 A. A little over 1,800 feet.

6 Q. And how about the Woodford?

7 A. 714 feet.

8 Q. How about the Montoya?

9 A. 466.

10 Q. And the Simpson?

11 A. 850.

12 Q. What's the depth where the freshwater resources
13 will be?

14 A. Up shallower than 600 feet.

15 Q. So what's the vertical offset approximately
16 between the freshwater resources and the injection zone?

17 A. Approximately 16,000 feet.

18 Q. Based on your review of the geologic materials,
19 do you think that there is a risk to freshwater
20 resources or underground sources of drinking water if
21 this well is drilled?

22 A. No.

23 Q. And why is that?

24 A. Number one is the vertical separation and the
25 various zones in between the various shale breaks, which

1 will create hydraulic seal against upward migration of
2 water, and then the well design with the multiple
3 strings of casing and the cement circulated to surface
4 coming up the back side of the wellbore.

5 **Q. Great.**

6 **So the casing design, the permeability**
7 **barriers and the vertical offset?**

8 A. That's correct.

9 **Q. Are you aware of any productive shales in the**
10 **injection interval?**

11 A. No.

12 **Q. In your opinion, is there a risk to**
13 **hydrocarbons above the injection interval?**

14 A. No, there is not.

15 **Q. Why is that?**

16 A. Because we have the permeability barriers right
17 above up the injection zone, and also the wellbore
18 design cases off and cements any oil and
19 gas-producing --

20 **Q. And is there a vertical offset?**

21 A. Yes. There is vertical offset as well.

22 **Q. In your opinion, then, will the drilling of**
23 **this well impact the correlative rights of mineral**
24 **interest owners?**

25 A. No.

1 Q. Let's turn to your statement regarding
2 seismicity. Is that found on page 28 to 29? Well, it
3 is found on pages 28 and 29. Let's turn to pages 28 to
4 29, shall we? Is this your statement regarding
5 seismicity?

6 A. Yes.

7 Q. And you prepared this statement?

8 A. Yes.

9 Q. And did you consider the location of the
10 closest fault?

11 A. Yes.

12 Q. And what is the location of the closest fault?

13 A. Approximately -- approximately five miles. I
14 do see I made a typographical error in the text where I
15 said 1 kilometer, but the math is correct, which shows
16 about five miles.

17 Q. About five miles?

18 A. Yes.

19 Q. And for study, did you also do desktop
20 survey -- or review of USGS and TexNet seismic databases
21 to determine if there is historic seismic activity in
22 the area?

23 A. Yes, I did.

24 Q. Is there minimal historic seismic activity in
25 the area?

1 A. Minimal.

2 Q. And was the closest seismic activity more than
3 13 miles away from your proposed wells?

4 A. Yes, it is.

5 Q. Did you use the same parameters for this fault
6 slip probability analysis that you used in the prior
7 applications that we discussed today?

8 A. Yes, I did.

9 Q. Did you also use the Stanford University fault
10 slip probability analysis tool?

11 A. Yes.

12 Q. What did your analysis -- or what conclusions
13 do you draw from your analysis?

14 A. That there is very low probability of fault
15 slip.

16 Q. And is the colored slide in the middle -- or
17 the colored material in the middle of this page a
18 screenshot, essentially, of your analysis run out
19 through the year 2049?

20 A. Yes, it is.

21 Q. And does it show zero percent for fault slip
22 probability for all fault slip models?

23 A. Yes. Correct.

24 Q. And that's through year 2049?

25 A. Yes.

1 Q. Were the exhibits that we've looked through
2 today -- the exhibits behind Tab 1 for the Bullseye
3 well, the exhibits behind Tab 2 for the Carpet Bomb
4 well, the exhibits behind Tab 3 for the JDAM well and
5 the exhibits behind Tab 4 for the Vortex well --
6 prepared by you, under your supervision or compiled from
7 company business records?

8 A. Yes.

9 MS. BENNETT: At this time I'd like to move
10 the admission of Exhibits 1 through 4, Tabs 1 through 4,
11 and the exhibits behind that in their respective cases.

12 EXAMINER GOETZE: Okay. And before we get
13 carried away with that, do you have any questions with
14 regard to the Vortex wells?

15 MS. ANTILLON: No questions.

16 EXAMINER GOETZE: Thank you.

17 Now, let's go to the exhibits.

18 Mr. Bruce, any objections?

19 MR. BRUCE: Absolutely not.

20 EXAMINER GOETZE: Ms. Antillon?

21 MS. ANTILLON: No objections.

22 EXAMINER GOETZE: And Exhibits Tab 1
23 through Tab 4 for Cases 20571, 20572, 20573 and 20574
24 are entered into the record.

25 (Permian Oilfield Partners, LLC Tab

1 Numbers 1 through 4, with Exhibits A and B
2 in each, for each case are offered and
3 admitted into evidence.)

4 EXAMINER GOETZE: Now, at this time you
5 have nothing to present, Mr. Bruce?

6 MR. BRUCE: I have nothing to present, just
7 a very brief statement.

8 EXAMINER GOETZE: Okay.

9 MS. BENNETT: I'd ask these cases be taken
10 under advisement, Case Numbers 20571, 20572, 20573 and
11 20574.

12 EXAMINER GOETZE: Okay. Mr. Bruce, you
13 have the floor.

14 MR. BRUCE: Mr. Examiner, simply, I'd ask
15 the Division to take administrative notice that the
16 application for Trove's WLC MID Fed SWD No. 2 well was
17 filed in late March. I know it's simplistic, but they
18 were the first to file, and the witness said there
19 shouldn't be two wells in that close proximity. And I'd
20 ask that the application in Case 20573 be denied and
21 that Trove's application move forward.

22 That's it.

23 EXAMINER GOETZE: Thank you.

24 Ms. Antillon.

25 MS. ANTILLON: With regard to Case Numbers

1 20571, 20572, 20573 and 20574, the State Land Office is
2 reviewing all those applications and has concerns with
3 the saltwater disposal well spacing of those wells and
4 their close proximity to State Trust Land.

5 EXAMINER GOETZE: Okay. With all that on
6 the record, the Division will take Cases 20571, 20572,
7 20573 and 20574 under advisement.

8 And that is the end of the docket. Thank
9 you very much.

10 MS. BENNETT: Thank you.

11 (Case Numbers 20571, 20572, 20573 and 20574
12 conclude, 3:53 p.m.)

13

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF NEW MEXICO
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, Certified Court
6 Reporter, New Mexico Certified Court Reporter No. 20,
7 and Registered Professional Reporter, do hereby certify
8 that I reported the foregoing proceedings in
9 stenographic shorthand and that the foregoing pages are
10 a true and correct transcript of those proceedings that
11 were reduced to printed form by me to the best of my
12 ability.

13 I FURTHER CERTIFY that the Reporter's
14 Record of the proceedings truly and accurately reflects
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither
17 employed by nor related to any of the parties or
18 attorneys in this case and that I have no interest in
19 the final disposition of this case.

20 DATED THIS 28th day of June 2019.

21

22

23 MARY C. HANKINS, CCR, RPR
24 Certified Court Reporter
New Mexico CCR No. 20
Date of CCR Expiration: 12/31/2019
Paul Baca Professional Court Reporters

25