

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

APPLICATION OF BLACKBUCK RESOURCES, CASE NO. 20463
LLC FOR A SALTWATER DISPOSAL WELL,
LEA COUNTY, NEW MEXICO.

APPLICATION OF SOLARIS WATER MIDSTREAM, CASE NO. 20465
LLC FOR A SALTWATER DISPOSAL WELL,
LEA COUNTY, NEW MEXICO.

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

July 22, 2019

Santa Fe, New Mexico

BEFORE: WILLIAM V. JONES, CHIEF EXAMINER
MICHAEL McMILLAN, TECHNICAL EXAMINER
BILL BRANCARD, LEGAL EXAMINER

This matter came on for hearing before the
New Mexico Oil Conservation Division, William V. Jones,
Chief Examiner; Michael McMillan, Technical Examiner;
and Bill Brancard, Legal Examiner, on Monday, July 22,
2019, at the New Mexico Energy, Minerals and Natural
Resources Department, Wendell Chino Building, 1220 South
St. Francis Drive, Porter Hall, Room 102, Santa Fe,
New Mexico.

REPORTED BY: Mary C. Hankins, CCR, RPR
New Mexico CCR #20
Paul Baca Professional Court Reporters
500 4th Street, Northwest, Suite 105
Albuquerque, New Mexico 87102
(505) 843-9241

1 APPEARANCES

2 FOR APPLICANT BLACKBUCK RESOURCES, LLC:

3 ERNEST L. PADILLA, ESQ.
4 PADILLA LAW FIRM, P.A.
5 1512 South St. Francis Drive
6 Post Office Box 2523
7 Santa Fe, New Mexico 87504
8 (505) 988-7577
9 padillalaw@qwestoffice.net

10 FOR APPLICANT SOLARIS WATER MIDSTREAM, LLC:

11 JAMES G. BRUCE, ESQ.
12 Post Office Box 1056
13 Santa Fe, New Mexico 87504
14 (505) 982-2043
15 jamesbruc@aol.com

16 FOR PROTESTER NEW MEXICO OIL CONSERVATION DIVISION:

17 DAVID K. BROOKS, ESQ.
18 ENERGY, MINERALS & NATURAL RESOURCES DEPARTMENT
19 Office of General Counsel
20 1220 South St. Francis Drive
21 Santa Fe, New Mexico 87505
22 (505) 476-3415
23 davidk.brooks@state.nm.us

24 FOR PROTESTER AND INTERESTED PARTY NGL WATER SOLUTIONS
25 PERMIAN, LLC (Case Numbers 20463 and 20465);
FOR INTERESTED PARTY MESQUITE SWD, INC. (Case Number
20463 only):

DEANA M. BENNETT, ESQ.
MODRALL, SPERLING, ROEHL, HARRIS & SISK, P.A.
500 4th Street, Northwest, Suite 1000
Albuquerque, New Mexico 87102
(505) 848-1800
deanab@modrall.com

22
23
24
25

1	INDEX	
2		PAGE
3	Case Numbers 20463 and 20465 Called	6
4	Opening Statement by Mr. Padilla	10
5	Blackbuck Resources, LLC's Case-in-Chief:	
6	Witnesses:	
7	Nathan Alleman:	
8	Direct Examination by Mr. Padilla	12
	Cross-Examination by Mr. Bruce	33
9	Cross-Examination by Ms. Bennett	34
	Cross-Examination by Mr. Brooks	36
10	Cross-Examination by Examiner McMillan	40
	Cross-Examination by Examiner Brancard	41
11	Thomas E. Tomastik:	
12	Direct Examination by Mr. Padilla	44
13		
14	Lunch Recess	60
15	Blackbuck Resources, LLC's Case-in-Chief (Cont'd):	
16	Witnesses:	
17	Thomas E. Tomastik (Cont'd):	
18	Cross-Examination by Mr. Brooks	61
	Cross-Examination by Examiner Jones	63
19	Cross-Examination by Examiner McMillan	72
	Cross-Examination by Examiner Brancard	73
20	Recross Examination by Examiner Jones	78
	Redirect Examination by Mr. Padilla	83
21	Cross-Examination by Ms. Bennett	85
	Recross Examination by Mr. Brooks	86
22		
23		
24		
25		

1	INDEX (Cont'd)	
2		PAGE
3	Blackbuck Resources, LLC's Case-in-Chief (Cont'd):	
4	Witnesses:	
5	James Daniel Arthur:	
6	Direct Examination by Mr. Padilla	87
	Cross-Examination by Examiner McMillan	120
7	Cross-Examination by Examiner Jones	130
	Recross Examination by Examiner McMillan	143
8		
	Blackbuck Resources, LLC Rests	146
9		
	Opening Statement by Mr. Bruce	146
10		
	Solaris Water Midstream, LLC's Case-in-Chief	
11	Witnesses:	
12	Landon Drew Dixon:	
13	Direct Examination by Mr. Bruce	148
14	Cross-Examination by Mr. Padilla	159
	Cross-Examination by Ms. Bennett	160
15	Cross-Examination by Examiner Jones	160
	Cross-Examination by Examiner Brancard	161
16		
	Brian Wood:	
17	Direct Examination by Mr. Bruce	163
18	Cross-Examination by Mr. Padilla	170
	Cross-Examination by Examiner Jones	173, 175
19	Cross-Examination by Ms. Bennett	173
	Cross-Examination by Examiner Brancard	176
20	Cross Examination by Examiner McMillan	177
21	Cory Walk:	
22	Direct Examination by Mr. Bruce	179
	Cross-Examination by Ms. Bennett	182
23	Cross-Examination by Mr. Brooks	185
	Cross-Examination by Examiner Jones	186
24		
	Proceedings Conclude	190
25	Certificate of Court Reporter	191

1	EXHIBITS OFFERED AND ADMITTED	
2		PAGE
3	Blackbuck Resources, LLC Exhibit Numbers 1 and 2	32
4	Blackbuck Resources, LLC Exhibit Numbers 3 through 7	60
5	Blackbuck Resources, LLC Exhibit	
6	Numbers 5 and 9 through 13	119
7	Blackbuck Resources, LLC Exhibit Number 14	146
8		
9	Solaris Water Midstream, LLC Exhibit Numbers 1 through 8	159
10	Solaris Water Midstream, LLC Exhibit	
11	Numbers 9 and 9A through 9C	169/170
12	Solaris Water Midstream, LLC Exhibit; Number 9, pages 28 through 37	182
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 (9:32 a.m.)

2 EXAMINER JONES: We're ready to go this
3 morning. This is a special examiner hearing on Monday,
4 July the 22nd, 2019. They've labeled it Docket 26-19.

5 I'm William V. Jones.

6 Bill Brancard is our -- has graciously
7 agreed to sit as counsel for the examiner and
8 co-examiners in these cases, and Michael McMillan is
9 here also.

10 There are two cases that I see on the
11 docket, Case Numbers 20463 and 20465.

12 Is there anything preliminarily anybody
13 wants to --

14 MR. BROOKS: Yes, Mr. Examiner, Honorable
15 Examiners. I have another appointment, which I was
16 pledged to before this case was set, which is at 11:00,
17 which means I need to leave about quarter to 11:00. And
18 I realize that means we only have one hour to go on this
19 case before a break. And I don't anticipate it will be
20 finished in that period of time, so that means we'll
21 come back this afternoon, if I'm excused for that
22 purpose, which I request to be.

23 EXAMINER JONES: Your clients would not
24 want to proceed without an attorney, I suppose? That's
25 not proper?

1 MR. BROOKS: Well, it would be okay with me
2 except it is somewhat irregular for one of the
3 counsel -- for one of the parties not to be present at
4 the hearing.

5 EXAMINER JONES: When would you be back?

6 MR. BROOKS: I can be back by 12:30.

7 EXAMINER JONES: Does that fit with
8 everybody else's schedule?

9 Mr. Bruce?

10 MR. BRUCE: I'm available. I was praying
11 to God that we would be done with these matters this
12 morning. We've sat for three days, and we have never
13 gotten -- neither Ernie's client nor mine have gotten to
14 put on their cases, and we have just been spinning our
15 wheels.

16 EXAMINER JONES: Mr. Padilla?

17 MR. PADILLA: I have the same sentiments,
18 but I think that if we have an early lunch, maybe we
19 could get back at 12:30 and continue. But I certainly
20 don't want to be at the end of 5:00 or 4:30 with not
21 having finished. And I think that Jim and I are going
22 to be much quicker than the Mesquite cases, so we'll get
23 right to the heart of the matter without unduly
24 prolonging these cases.

25 EXAMINER JONES: These cases are going to

1 be combined, or do you guys want to hold them
2 separately?

3 MR. BRUCE: Well, I mean, Ernie can present
4 his case first, and I'll present mine second, but
5 combine them, yeah. Might as well.

6 EXAMINER JONES: I'm going to call the
7 cases, and I'm going to ask the counsels to briefly
8 state what they're going to talk -- why they're here and
9 what they're going to talk about today.

10 Let's call Case Number 24063, application
11 of Blackbuck Resources, LLC for approval of a saltwater
12 disposal well in Lea County, New Mexico.

13 Call for appearances in that case.

14 MR. PADILLA: In Case 20463, Ernest L.
15 Padilla. I have three witnesses.

16 MR. BRUCE: And Jim Bruce representing
17 Solaris Water Midstream in that case.

18 MR. BROOKS: David Brooks, assistant
19 general counsel, Energy, Minerals and Natural Resources
20 Department, appearing for the Oil Conservation Division.

21 EXAMINER JONES: Any other appearances?
22 Any other appearances that anyone is aware of?

23 MR. BRUCE: I think Deana Bennett entered
24 an appearance. She objected to at least Solaris'
25 application, then withdrew that objection. And I don't

1 know if she was entering an appearance for NGL also.

2 But there is an email I just saw that said she's going
3 to be late and proceed without her.

4 EXAMINER JONES: Okay. We'll let her make
5 that appearance when she arrives.

6 Let me call the other case also, Case
7 20465, application of Solaris Water Midstream, LLC for
8 approval of a saltwater disposal well in Lea County, New
9 Mexico.

10 Call for appearances.

11 MR. BRUCE: Mr. Examiner, Jim Bruce of
12 Santa Fe representing the Applicant, and I have three
13 witnesses.

14 EXAMINER JONES: Other appearances?

15 MR. PADILLA: Ernest L. Padilla for
16 Blackbuck Resources.

17 MR. BROOKS: David Brooks for OCD.

18 EXAMINER JONES: Any others?

19 Okay. We'll let Ms. Bennett pipe up when
20 she shows up.

21 Will the witnesses who are going to testify
22 today please stand?

23 Mr. Brooks, do you have a witness today?

24 MR. BROOKS: We might, but we'll only use
25 him for rebuttal, if any. I guess he should be sworn.

1 EXAMINER JONES: Will the court reporter
2 please swear the witnesses?

3 (Mr. Alleman, Mr. Tomastik, Mr. Arthur,
4 Mr. Walk, Mr. Wood, Mr. Dixon and
5 Mr. Goetze sworn.)

6 EXAMINER JONES: Okay. Mr. Padilla, can
7 you tell us why we got to this point and what you're
8 going to show us today?

9 OPENING STATEMENT

10 MR. PADILLA: What we're going to show
11 today is the typical C-108 application for a deep
12 saltwater disposal well that will dispose into the
13 Devonian Formation and associated stringers within an
14 approximately 1,000-foot disposal interval. You will
15 hear what the upper and lower containment strata is
16 going to be. You will also hear engineering and
17 geologic testimony about -- including seismicity and
18 that this well should be approved and that any notions
19 in terms of site specificity are just not present and
20 wouldn't pose a danger to faulting or any of that sort
21 that has been brought up by the Division's presentation
22 here. So that's basically our case.

23 In the interest of time, I don't want to go
24 into a big, long opening statement, but, again, this is
25 state-of-the-art. We have very good witnesses who I

1 think are, in my opinion, very impressive in terms of
2 the technical presentation that we will be making.

3 EXAMINER JONES: Okay. And this case, did
4 it get protested? Is that why it got set for hearing?

5 MR. PADILLA: It got protested by the
6 Division. And, of course, Solaris and Blackbuck have
7 competing applications because their proposed wells are
8 very close to each other, as the evidence will show.

9 EXAMINER JONES: Mr. Bruce?

10 MR. BRUCE: Maybe before I begin my
11 presentation, but right now, let's get into it.

12 EXAMINER JONES: Okay.

13 MR. BROOKS: We'll only be presenting
14 rebuttal.

15 EXAMINER JONES: Okay. We're ready to
16 proceed.

17 EXAMINER BRANCARD: May I raise a
18 procedural point? At the last hearing, because this is
19 a different hearing, there was an assumption by the
20 parties that the testimony of Mr. Goetze in the Mesquite
21 cases can be placed in the record for these two cases.
22 Is that still the assumption of the parties?

23 MR. BRUCE: Yes.

24 MR. PADILLA: Yes.

25 EXAMINER JONES: Thank you.

1 Mr. Padilla, would you like to proceed with
2 your case?

3 MR. PADILLA: Mr. Examiner, call Nate
4 Alleman.

5 NATHAN ALLEMAN,
6 after having been previously sworn under oath, was
7 questioned and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. PADILLA:

10 Q. Mr. Alleman, for the record, please state your
11 name.

12 A. Nathan Alleman.

13 Q. By whom are you employed?

14 A. ALL Consulting.

15 Q. And what do you do for ALL Consulting?

16 A. I'm a project manager and regulatory specialist
17 and have been helping oil and gas clients throughout the
18 nation for the last 11 years with various environmental
19 and regulatory issues.

20 Q. You have testified before the Oil Conservation
21 Division before today?

22 A. That's correct.

23 Q. And have your credentials as a regulatory
24 specialist been accepted by the Division?

25 A. Yes.

1 **Q. Let me ask you to acquaint the examiners with**
2 **your educational background before we move on.**

3 A. I have a bachelor's in biology from Pittsburgh
4 State University and a master's in environmental policy
5 and management from the University of Denver.

6 **Q. And give us a short synopsis of your background**
7 **in the oil and gas industry and what you've done in**
8 **connection with regulatory matters.**

9 A. For the last 11 years, as I mentioned, I've
10 been helping oil and gas operators with regulatory
11 environmental issues. We've done due diligence on over
12 1,500 oil and gas well sites, usually for acquisition
13 assessments. I have managed the -- managed disposal
14 facility audits for over 150 saltwater disposal
15 facilities and solid waste disposal facilities. I've
16 permitted over 500 oil and gas wells and have been
17 involved in stray gas investigations and do seismicity
18 investigations and supported those efforts in the
19 midcontinent.

20 **Q. In connection with this case, did you -- what**
21 **did you do for preparation of the C-108?**

22 A. I was the project manager for this -- the Olive
23 Branch Saltwater Disposal Well application and compiled
24 a team of experts -- landmen, geologists, engineers
25 geophysicists -- to prepare the necessary information,

1 and then I oversaw the completion and preparation of the
2 application and its submission to OCD.

3 Q. So when we look at the C-108 that has been
4 marked as Exhibit Number 1 -- I won't have you refer to
5 that -- you had -- you managed all of the information to
6 put in that; is that right?

7 A. That's correct.

8 Q. Okay.

9 MR. PADILLA: Mr. Examiner, we tender
10 Mr. Alleman as a regulatory specialist to testify here
11 today.

12 EXAMINER JONES: Any objections?

13 MR. BRUCE: No objections.

14 EXAMINER JONES: Mr. Brooks?

15 MR. BROOKS: No objection.

16 EXAMINER JONES: Mr. Alleman is so
17 qualified as a regulatory expert.

18 Q. (BY MR. PADILLA) Mr. Alleman, let's jump into
19 Exhibit Number 1, which is the C-108. Is that your
20 signature on the first page?

21 A. It is.

22 Q. And you submitted this to the OCD on -- by
23 letter dated March 15th, 2019?

24 A. That's correct.

25 Q. What happened to the administrative application

1 **as it was filed with the OCD?**

2 A. In terms of -- so we filed it, and then we
3 received notice of protest from -- from NGL and then
4 OCD.

5 **Q. And that's why we're here?**

6 A. That's why we're here today.

7 **Q. Let's go to page 2 of that application. What**
8 **does that contain? That's just a cover sheet; is that**
9 **right?**

10 A. That's correct. That's the administrative
11 application checklist.

12 **Q. Okay. Where does the meat of this application**
13 **start?**

14 A. The C-108 starts on page 3. We began
15 responding to the information request in the C-108 on
16 page 5.

17 **Q. Okay. And who is Mr. Oliver who signed this**
18 **third page?**

19 A. Samuel Oliver is the chief commercial officer
20 for Blackbuck Resources.

21 **Q. And you tendered this to Mr. Oliver for his**
22 **signature, I take it?**

23 A. That's correct.

24 **Q. Okay. Let's go on to page number 5. Is that**
25 **where the meat of the application starts?**

1 A. That's correct.

2 **Q. What's on page 5 of this Exhibit 1?**

3 A. Page 5 generally goes over the location of
4 the -- of the well being 979 feet from the south line
5 and 2,620 feet from the west line of Section 17,
6 Township 24 South, Range 32 East in Lea County, New
7 Mexico. It also provides the proposed injection
8 interval of 16,825 feet to 18,290 feet. And then it
9 moves down into the casing information and then just
10 general well construction, showing how the well will be
11 constructed. Our engineer can talk more about that
12 later, about the appropriateness of that construction.

13 **Q. Okay. And anything else significant on page 5?**

14 A. We do have a -- again, it'll be open-hole
15 injection between 16,825 and 18,290 into the
16 Devonian-Silurian Formations.

17 **Q. And that's a little over 1,000 feet; is that**
18 **right?**

19 A. That's correct.

20 **Q. Let's go on to page 6. Tell us what's on that**
21 **page.**

22 A. Page 6 generally lists the information that's
23 going to be provided. Later in the application, there
24 is supplemental information with maps and such. It
25 gives -- it states that our proposed maximum injection

1 rate is 30,000 barrels of water per day, with an
2 estimated average of 15,000 barrels of water per day.
3 It'll be a closed system with a proposed maximum
4 injection pressure of 3,365 feet, which is based on the
5 .2-pound-per-foot gradient. That's OCD's regulation.

6 **Q. Now, with respect to the geologic description**
7 **on Part A, you're going to defer to our geologist,**
8 **right?**

9 A. Yeah. Our geologist can talk more in depth
10 about that.

11 **Q. Will you move on to the attachment portion of**
12 **the C-108? Yes?**

13 A. Yes.

14 **Q. What's Attachment 1, which is on page --**
15 **starting on page 9?**

16 A. Attachment 1 shows the wellbore diagram for the
17 Olive Branch Saltwater Disposal Well. It shows the
18 general well construction. And, again, our engineer can
19 talk more about the specifics and the appropriateness of
20 that well construction.

21 **Q. It's cemented all the way down, correct?**

22 A. That's correct.

23 **Q. Okay. And that shows the location of the**
24 **packer, too, correct?**

25 A. That's correct.

1 **Q. Anything else?**

2 A. Not specific to this at this time.

3 **Q. Okay. What's on page 11?**

4 A. Page 11 and page 12 give general information
5 about a representative packer that might be used in this
6 well, not the exact one, but just to give a
7 representation of the type that we might use.

8 **Q. Okay. What's on Attachment Number 2 starting**
9 **on page 13?**

10 A. Attachment 2 has several maps, including oil
11 and gas well lease maps -- oh, sorry -- oil and gas well
12 maps, lease maps, deep saltwater disposal maps and the
13 potash lease map.

14 **Q. Okay. Let's start out with the first map on**
15 **page 14. What does that -- tell us about that one.**

16 A. Sure. Page 14 shows all of oil and gas wells
17 that are within a one-mile radius, which is our AOR for
18 this well and also the notification radius, and it also
19 includes a two-mile buffer to document that we showed
20 all wells out to two miles, which is per OCD's
21 requirements.

22 **Q. Do any of these wells have any significance in**
23 **terms of risk?**

24 A. No. None of these wells penetrated the top of
25 our injection zones, and there are no deep saltwater

1 disposal wells into the Devonian or Silurian within this
2 one mile or within a mile and a half.

3 Q. Now, you used one mile because?

4 A. Because that was the requirement for the deep
5 saltwater disposal wells.

6 Q. You heard Mr. Goetze's testimony the other day
7 about something that he brought up -- I forget what the
8 exhibit was -- and it's some kind of checklist or
9 something like that. Were you aware of that?

10 A. Checklist?

11 Q. Yes.

12 A. We received the permitting --

13 Q. In the C-108.

14 A. I'm not aware of another checklist aside from
15 the administrative checklist that was at the beginning
16 of the C-108.

17 Q. You met with Mr. Goetze at some point --

18 A. Correct.

19 Q. -- through this application process, right?

20 A. That's correct.

21 Q. Were you told that there was a new requirement
22 of a 1.5-mile AOR?

23 A. At the time that we made this application, we
24 did know that there was a screening tool or a guideline
25 for a 1.5-mile setback between deep saltwater disposal

1 wells.

2 Q. Was that in the form of a rule?

3 A. No, it was not.

4 Q. Was that in the form of the C-108 or part of
5 the C-108?

6 A. No.

7 Q. Did Mr. Goetze at that time tell you you had to
8 follow that?

9 A. He did not say that we had to follow that. He
10 did reiterate that that was the guideline that they were
11 using -- that OCD would be using as a screening tool.
12 But that did not change -- that did not change the
13 one-mile AOR requirement.

14 Q. Okay. Let's go to page 15. What is that map
15 about?

16 A. Page 15 shows the oil and gas leases within --
17 within two miles of the Olive Branch SWD location, and
18 it has a buffer -- a radius showing -- it's a one-mile
19 radius that indicates the leases that are within --
20 within one mile where those leaseholders would need to
21 be notified.

22 Q. Okay. Where did you get this information?

23 A. We had a landman prepare this information from
24 available data, and some of it came from OCD's own
25 database.

1 **Q. Now, your lease is on federal minerals,**
2 **correct?**

3 A. That's correct.

4 **Q. Or your application, I should say.**

5 A. Right. Yes.

6 **Q. Anything else on this map?**

7 A. No. I think we've covered the salient points.

8 **Q. Page 16, what does this show?**

9 A. This is a one-and-a-half-mile radius around the
10 Olive Branch Saltwater Disposal Well location, and it
11 shows that there are no active deep saltwater disposal
12 wells within that one-and-a-half-mile radius. There are
13 two deep saltwater disposal wells shown on the map, but
14 they were both outside the radius.

15 **Q. Page 17, what is that?**

16 A. Page 17 is a list of the oil and gas wells that
17 are within a one-mile radius of the Olive Branch
18 location, and it indicates that none of these wells
19 within a mile -- within a mile penetrate our injection
20 zone.

21 **Q. So on the last column -- the last column of**
22 **page 17 is where you show that there are no penetrations**
23 **to the disposal zone?**

24 A. That's correct.

25 **Q. Let's go on to page 18.**

1 A. Page 18 just shows the proximity of the Olive
2 Branch location to the Secretarial Order Potash Area,
3 and it simply indicates that we are not within the
4 potash area.

5 **Q. Where is the potash area?**

6 A. The potash area -- there is a rectangle up in
7 the northwest portion of the map. It's kind of colored
8 gray on this copy of the application.

9 **Q. It's crosshatched, right, on the northwest**
10 **corner?**

11 A. On the northwest corner, I only see shaded gray
12 for that.

13 **Q. Okay.**

14 A. The potash leases themselves would have been
15 crosshatched if they were in there, but the SOPA, the
16 Secretarial Order area, is just the gray portion.

17 **Q. Okay. Let's go to Attachment 3. What's**
18 **contained in Attachment 3?**

19 A. Attachment 3 shows the source water -- the
20 representative samples of the source water that would be
21 injected into the -- injected into the Olive Branch
22 disposal well, and we have an analysis of a Wolfcamp and
23 a Bone Spring produced water.

24 **Q. Okay. And in terms of -- does that show**
25 **compatibility with what's in the reservoir at the**

1 **disposal interval?**

2 A. Yes. We've seen no issues with the
3 compatibility of the formation water.

4 **Q. So what's the likelihood that you would be**
5 **disposing of the water in the Wolfcamp?**

6 A. Both the Wolfcamp and Bone Spring are likely --
7 likely formations that our produced water -- that the
8 produced water, the injectate, would come from.

9 **Q. Let me ask that a different way. Is there a**
10 **big market for that?**

11 A. Yes. There is plenty of saltwater disposal
12 demand in this area based on the -- based on the
13 production -- current production and the future
14 production within a five-mile radius.

15 **Q. Okay. Page 21 just simply Bone Spring, right?**

16 A. That's correct.

17 **Q. Attachment 4, what's there?**

18 A. This is the injection water analysis for the
19 Devonian Formation. We were unable to find analysis for
20 the Fusselman nearby. But, again, using this with
21 the -- the source water from the Bone Spring and the
22 Wolfcamp produced water, we don't anticipate any -- any
23 interactions that would cause problems in our well.

24 **Q. Okay. Let's go to Exhibit 5, Attachment 5.**
25 **What is this?**

1 A. Attachment 5 is simply a -- it's a water well
2 map showing the water wells from the Office of the State
3 Engineer and indicates that there are no water wells
4 within one mile. Therefore, we're not required to
5 sample any water wells as part of this application,
6 based on OCD's requirement.

7 **Q. And that's on page 26, right?**

8 A. Yes. We go ahead -- even if we do not have any
9 water within a mile, we go ahead and prepare a table,
10 and we insert a note at the bottom. The bottom note of
11 that table says that there are no water wells present.

12 **Q. Turn to Attachment 6 dealing with the induced**
13 **seismicity assessment letter, and tell us, first of all,**
14 **who wrote that letter.**

15 A. This letter was prepared by Dan Arthur, who
16 will be speaking later, one of our experts.

17 **Q. And as far as you understand, what is his**
18 **conclusion in this letter?**

19 A. The general conclusion of this induced seismic
20 potential letter was that the Olive Branch Saltwater
21 Disposal Well does not -- does not pose a risk for
22 induced seismicity based on proximity to faults and the
23 orientation of any faults that are within the region.

24 **Q. And Mr. Arthur will go into more detail as to**
25 **the guts of this letter; is that right?**

1 A. That's correct.

2 Q. Let's move on to what you have. You have
3 attached exhibits to this application on page 32. What
4 are they designed to do? Let's go to page 33. What is
5 on there?

6 A. Page 33 is a map showing the proximity of
7 seismic events and faults to the Olive Branch Saltwater
8 Disposal Well location.

9 Q. And this Exhibit 1 is part of the letter,
10 right?

11 A. That's correct.

12 Q. Okay. And Mr. Arthur will go into further
13 detail on this particular information?

14 A. That's correct.

15 Q. All right. And then page 34 is something we've
16 seen very often in these cases, and that's the Snee and
17 Zoback mapping for southeast New Mexico --

18 A. Correct.

19 Q. -- correct?

20 And you'll have our geologist talk about
21 this one as well; is that correct?

22 A. Correct.

23 Q. And page 35, same thing, right?

24 A. Yes. It's just a strat column showing the
25 formations in the area. And, again, our geologist will

1 discuss that in more depth.

2 Q. Okay. Attachment 7 is your Affidavit of
3 Publication and the publication requirements, and let's
4 go through that. On page 37, what is that?

5 A. This is our public notice affidavit just
6 showing that we -- we did publish a public notice in the
7 newspaper of general circulation in the county of -- Lea
8 County.

9 Q. And then the rest of this, page 38, is the same
10 thing, right?

11 A. It's a copy of the actual -- the actual public
12 notice.

13 Q. Okay. And page 39 is what?

14 A. Page 39 shows the -- the parties that were --
15 that were notified, both the operators and leaseholders
16 within a mile.

17 Q. And this corresponds to one of the maps that
18 you talked about earlier. Let me see. Is that the one
19 on page 15?

20 A. It was page 14, the operators of the oil and
21 gas wells within one mile on the map on page 14 and then
22 the leaseholders within one mile that are shown on page
23 15. All of those parties were included in our -- in our
24 table on page 39 to indicate that they all received
25 notice.

1 Q. And attached to that are all the green cards
2 that you received back from giving notice by certified
3 mail?

4 A. That's correct.

5 Q. Mr. Alleman, do you have anything further on
6 Exhibit Number 1?

7 A. I do not.

8 Q. Okay. Let's go on to Exhibit Number 2 and tell
9 us what that is.

10 A. Exhibit 2 is a -- is a map that shows the Olive
11 Branch location. There is a -- there is a red
12 one-and-a-half-mile circle around the Olive Branch
13 location that shows the location of pending applications
14 within -- within that mile and a half, and then there
15 are also some active deep saltwater disposal wells.
16 When I say the pending applications, these are pending
17 deep saltwater disposal applications within a mile and a
18 half.

19 Q. Why did you choose a mile and a half?

20 A. Again, the mile and a half was the guideline or
21 screening tool that was -- the OCD indicated they would
22 use in considering the applications.

23 Q. So are there any wells within the mile and a
24 half deep-water applications or -- well, you've already
25 testified that there are no existing disposal wells --

1 **deep-water disposal wells within a mile and a half,**
2 **correct?**

3 A. That's correct. There are no -- no active deep
4 saltwater disposal wells within a mile and a half of the
5 Olive Branch.

6 **Q. What applications are before the Division at**
7 **this point as shown on this exhibit?**

8 A. The data that we received from the OCD
9 indicated that we have -- .6 miles to the north is
10 Solaris' Predator Federal 17 SWD No. 1. 1.3 miles to
11 the southwest is PSE Trove --

12 **Q. Let me stop you there. You have that**
13 **exhibit -- well, let me ask you first: Where did you**
14 **get this exhibit?**

15 A. So this map was made -- was prepared based on
16 the data provided by OCD.

17 **Q. Okay. So with respect to the Predator Federal**
18 **17 well application, when was -- does this indicate when**
19 **that was received by the OCD?**

20 A. Yes. OCD's data indicated that the Solaris'
21 Predator Federal 17 was received on April 2nd, 2019.

22 **Q. Okay. And that would be the administrative**
23 **application?**

24 A. That's correct.

25 **Q. Okay. And looking at your Olive Branch Federal**

1 **right below it, what is the date of receipt by the OCD?**

2 A. Again, OCD's data indicated that the Olive
3 Branch Federal SWD No. 1 application, administrative
4 application, was received on March 22nd, 2019.

5 **Q. Okay. Let's go down to the southwest, to the**
6 **PSE Federal SWD No. 4 of the Trove Energy and Water.**
7 **When was that received?**

8 A. OCD's data indicated that was received on April
9 8th, 2019, which was also after our Olive Branch
10 application was received.

11 **Q. Let's move on further to the west, the Cotton**
12 **Draw SWD No. 1. When was that received?**

13 A. OCD's data indicated that that application was
14 received on October 25th, 2018.

15 **Q. Last year?**

16 A. Yes. That was last year.

17 **Q. So that predates your application and the**
18 **Solaris application, correct?**

19 A. It does.

20 **Q. But based on the existing rule of one mile,**
21 **that's outside the one-mile rule, right -- area of**
22 **review?**

23 A. Yes. It is outside of our one-mile area of
24 review.

25 **Q. Okay.**

1 A. One of things I'd like to note with regard to
2 that Cotton Draw SWD No. 1 that's to the southwest of
3 the Olive Branch, there is -- there is an active deep
4 saltwater disposal well located 1.2 miles northwest
5 of -- 1.2 miles northwest of the Cotton Draw application
6 location. And based on -- based on the 1.5-mile
7 guideline, we believe that this Cotton Draw application
8 would not be viable, if we use the 1.5-mile screening
9 tool.

10 **Q. Do you have anything further on Exhibit 2?**

11 A. On Exhibit 2, Solaris' Predator Federal 17 is
12 shown as having an active deep saltwater disposal well.
13 It's 1.4 miles to the -- to the northwest, so it's
14 within the 1.5-mile radius. And then there was also an
15 active deep saltwater disposal well that's right around
16 1.5 miles to the east of Solaris' Predator Federal 17.

17 **Q. Okay.**

18 A. But using -- looking at both Solaris' C-108
19 application and with the map that was provided by OCD as
20 part of the -- entered as an exhibit in our previous --

21 **Q. Which exhibit are you referring to?**

22 A. There's -- this map (indicating) was put
23 together by OCD. It says "Cases 20463," which is our
24 case, and "20465," Division Exhibit Number 1, Figure 3."

25 **Q. And what does it show?**

1 A. Similar to Solaris' C-108 application, this map
2 shows that the active deep saltwater disposal well that
3 is to the east of Solaris' Predator Federal 17 is
4 actually within 1.5 miles. So OCD's data and Solaris'
5 application data show that they have two active deep
6 saltwater disposal wells within 1.5 miles. Whereas, the
7 Blackbuck -- the Olive Branch location does not have any
8 deep saltwater disposal wells within 1.5 miles.

9 EXAMINER JONES: Mr. Alleman, is there a
10 date on the bottom of that, the date that that --

11 THE WITNESS: The date here says "May 22nd,
12 2019."

13 EXAMINER JONES: Thank you.

14 Sorry. Go ahead.

15 **Q. (BY MR. PADILLA) Mr. Alleman, do you have any**
16 **further testimony with regard to Exhibits 1 and 2?**

17 A. I do not.

18 MR. PADILLA: And, Mr. Examiner, the OCD
19 exhibit has been already entered into evidence, so we'll
20 ask for admission of Exhibits 1 and 2.

21 EXAMINER JONES: Before we start,
22 Ms. Bennett --

23 MS. BENNETT: Good morning. I apologize
24 for being late.

25 My name is Deana Bennett. I'm here from

1 Modrall, Sperling on behalf of NGL for both the
2 Blackbuck Predator -- I'm sorry -- Blackbuck Olive
3 Branch case and the Solaris Predator case.

4 And, again, I apologize for being late.

5 EXAMINER JONES: For NGL?

6 MS. BENNETT: For NGL in both cases.

7 EXAMINER JONES: So you're going to be here
8 all day, and you're in these cases. Do you mind coming
9 up?

10 MS. BENNETT: No. I just didn't want to
11 disrupt the hearing when I got here.

12 EXAMINER JONES: Any objection to the
13 exhibits?

14 MR. BRUCE: No.

15 EXAMINER JONES: Mr. Brooks, any objection?

16 MR. BROOKS: No objection.

17 EXAMINER JONES: Ms. Bennett, any
18 objection?

19 MS. BENNETT: No.

20 May I have a packet?

21 MR. PADILLA: Yes.

22 EXAMINER JONES: Exhibits 1 and 2 for
23 Blackbuck in Case 20463 are admitted.

24 (Blackbuck Resources, LLC Exhibit Numbers 1
25 and 2 are offered and admitted into

1 evidence.)

2 MR. PADILLA: We tender Mr. Alleman for
3 cross.

4 EXAMINER JONES: Okay.

5 CROSS-EXAMINATION

6 BY MR. BRUCE:

7 Q. Just very briefly, looking at your C-108,
8 toward the end of the notice materials, was -- did you
9 send a letter giving notice of an actual hearing date to
10 any of these parties?

11 A. So Mr. Padilla sent the -- sent the notices to
12 the affected -- affected persons.

13 MR. PADILLA: And I haven't tendered my
14 affidavit yet.

15 MR. BRUCE: Okay.

16 Q. (BY MR. BRUCE) And, Mr. Alleman, the only other
17 question: Your C-108 is dated March 15, 2019. It was
18 this C-108 which was received by OCD on March 22nd?

19 A. That's what OCD's data indicated. Yes.

20 Q. What date was an application for hearing filed?

21 A. I'm unclear on that. I'll let Mr. Padilla
22 respond.

23 MR. PADILLA: April 2nd, 2019.

24 MR. BRUCE: That's all I have.

25 EXAMINER JONES: Ms. Bennett, any

1 questions?

2 MS. BENNETT: Yes. Thank you. Just a
3 couple of questions.

4 CROSS-EXAMINATION

5 BY MS. BENNETT:

6 Q. Good morning, Mr. Alleman.

7 A. Good morning.

8 Q. And I apologize. I haven't had a chance to
9 look over your exhibits, and you might have answered
10 this question. But is the Olive Branch located on
11 federal lands?

12 A. It is.

13 Q. And do you know if those federal lands are on
14 the exterior boundaries of the NGL McCloy Ranch?

15 A. I don't have that information in front of me,
16 but I believe -- I believe that they may be.

17 Q. And is NGL's -- the boundary of NGL's McCloy
18 Ranch, is that identified on any of your materials?

19 A. It is not. We did not have that data available
20 to us at the time.

21 Q. And you mentioned that the Olive Branch well is
22 .6 miles to the north of Predator; is that right?

23 A. The Olive Branch location is .6 miles to the
24 south-southwest.

25 Q. To the south. Okay. Thank you.

1 And you also mentioned that it was 1.3
2 miles away from Trove's application?

3 A. That's correct.

4 Q. Do you know the status of Trove's application?

5 A. I do not know specifically the status of that
6 application.

7 Q. Do you know if it was set for a special
8 hearing?

9 A. I do not know that.

10 Q. Do you know how close the Olive Branch is to
11 any of NGL's active or proposed wells?

12 A. No, I do not. We didn't -- we were not
13 required to -- to map those because they were not within
14 the AOR, so I'm not familiar with how close those are.

15 Q. When you did -- when you prepared your C-108 or
16 in the materials you're presenting today, is there a
17 study by the reservoir engineer showing how far the
18 plume will travel over time?

19 A. We do have a -- we have a volumetric fill-up
20 analysis that we will -- that we will present later by
21 one of our experts.

22 Q. Thank you.

23 EXAMINER JONES: Mr. Brooks?

24

25

1 CROSS-EXAMINATION

2 BY MR. BROOKS:

3 Q. Yes. First of all, you said something about a
4 one-mile requirement that was existing -- I forget
5 exactly how you characterized it -- for SWDs at the time
6 you planned this well; did you not?

7 A. So the one-mile requirement -- as far as we are
8 aware, the one-mile AOR where we're required to look for
9 penetrating wells within a one-mile area of review and
10 notify affected persons within one mile.

11 Q. That correctly characterizes what I believe
12 there was, but did you interpret that as being a well
13 separation requirement?

14 A. No. To my knowledge, it is not a well -- it's
15 not a well separation requirement. It's simply an area
16 of review and notification requirement.

17 Q. And are you aware that OCD has no well
18 separation distance that's prescribed by rule?

19 A. That's my understanding. Yes.

20 Q. And are you also aware that the Environmental
21 Protection Agency, in connection with the Underground
22 Injection Control Program, has no such requirement of a
23 specific distance?

24 A. I'm not aware of such a requirement, but we
25 have UICs experts that can testify to that if they need

1 to.

2 Q. Okay. Thank you.

3 So you're not contending that this is a
4 situation where the case is governed by the law enforced
5 at the time the application was filed and that it was
6 different from the law being applied by the Division
7 now?

8 A. I'm not sure that I understand the question.

9 Q. Well, there is a rule in judicial proceedings
10 that decided in accordance with the law in force at the
11 time that the case was filed. Now, what I'm trying to
12 make clear is that you're not arguing -- or you're not
13 presenting any evidence for an argument that there was a
14 rule in force at the time you planned this well or at
15 the time you filed the application that allowed a
16 one-mile -- that required a one-mile separation or
17 implicitly did not require a larger separation?

18 A. Right. We are not trying to make the point
19 that there is a rule -- that there is a regulation for a
20 one-mile separation.

21 Q. Okay. Thank you.

22 I had one other question, but this has to
23 do with my antics. Probably everyone noticed that I
24 dropped my exhibits -- my copies of the exhibits. There
25 was a map somewhere that you talked about about the

1 potash area. Can you find that for me --

2 A. Yes, sir.

3 Q. -- and tell me what page it's on?

4 A. The potash map is shown on page 18 of Exhibit
5 1, which is the C-108.

6 Q. Page 18. Okay. Yes. I was trying to find
7 that when I dropped my exhibits.

8 But there was a discussion of the northwest
9 portion of the map and the northeast portion of the map,
10 and there was a discussion of crosshatched and dirty
11 gray. I don't think you meant to say dirty gray, but I
12 don't hear very well so that's what I interpreted. In
13 the northwest -- is it not correct to say that in the
14 northwest portion of the map, there is an area that is
15 in a fuzzy gray that is partly within one and a half --
16 is partly within two miles of the proposed location?

17 A. That's correct.

18 Q. And that is not the crosshatched area?

19 A. That's correct.

20 Q. And that is the potash area?

21 A. That is the Secretarial Order Potash Area.
22 Yes.

23 Q. Yeah.

24 And the crosshatched areas in the northeast
25 corner of the map are not what you were referring to in

1 **your testimony?**

2 A. That's correct.

3 **Q. Thank you. That's just a point of**
4 **clarification.**

5 MR. BROOKS: Nothing further.

6 EXAMINER JONES: Mike?

7 EXAMINER McMILLAN: Go ahead.

8 CROSS-EXAMINATION

9 BY EXAMINER JONES:

10 **Q. Well, you do applications in other states also,**
11 **right, for SWDs?**

12 A. That's correct.

13 **Q. Do you ever do have the ZEI calculation?**

14 A. I don't personally, but we have -- we have done
15 those in certain situations as needed.

16 **Q. I just have a comment on your -- your newspaper**
17 **notice. It's really well done. I like the digital**
18 **presentation there. But we also -- for future ones, we**
19 **ask that you also include a layman's -- a layman's**
20 **location, like so many miles from -- southeast of**
21 **Eunice, something like that.**

22 A. A general location? Sure. We'll make that
23 change.

24 EXAMINER JONES: That's all the questions I
25 have.

1 Mr. Brancard?

2 EXAMINER BRANCARD: No questions.

3 CROSS-EXAMINATION

4 BY EXAMINER McMILLAN:

5 Q. I'm on page 15. If I'm understanding -- tell
6 me when you're there.

7 A. I've got it.

8 Q. If I'm understanding, it looks like in the east
9 half of Section 16 is EOG Resources, correct?

10 A. That is correct.

11 Q. And there's the State Land Office. Am I
12 reading that correctly?

13 A. Yes. That looks to be correct.

14 Q. And I need to be -- if I'm understanding the
15 regulations, which I want to make sure I'm clear on,
16 doesn't the State Land Office have to be notified?

17 A. Yes. We -- we did not notify the State Land
18 Office as a part of this initial application, but they
19 have since been notified.

20 Q. Where is it?

21 A. Where is the notification?

22 Q. Yeah.

23 A. Do we have -- did we bring --

24 MR. PADILLA: I don't have it. When I sent
25 notifications, I didn't include the State Land Office,

1 but the State Land Office has entered appearances in
2 every case where they felt they needed to be in and have
3 contested, I think, three of our saltwater disposal
4 wells.

5 EXAMINER McMILLAN: But aren't they
6 supposed to be notified for affected persons?

7 EXAMINER BRANCARD: Yes.

8 CROSS-EXAMINATION

9 BY EXAMINER BRANCARD:

10 Q. Looking at 19 -- state regulation 19.15.2.7 --

11 EXAMINER McMILLAN: Yeah.

12 Q. (BY EXAMINER BRANCARD) -- A.(8), the
13 definition of "affected persons," D, "if the United
14 States or the State of New Mexico owns mineral estate in
15 the spacing unit or identified tract or any part
16 thereof," you have to notify the BLM or the State Land
17 Office as applicable.

18 A. So we don't have that confirmation in front of
19 us here today, but they have been notified. And we
20 can -- we will -- we can send that. We can follow up
21 with that.

22 Q. And it's hard to read this page 15 because we
23 don't have the colors here -- there are a lot of
24 different colors on there. But I'm assuming that the
25 entirety of Section 16 is the State Land Office section.

1 So both the EOG and the OXY half sections are both state
2 minerals. The State normally owns Section 16's.

3 A. That's correct.

4 Q. So they're within not only the mile but the
5 half-mile radius.

6 A. Right. They are -- they are within the
7 one-mile notification radius.

8 Q. Well, also within a half mile.

9 EXAMINER JONES: Any more questions?

10 EXAMINER McMILLAN: Those are all my
11 questions, were notification.

12 THE WITNESS: We'll send that to you to
13 make sure that you --

14 EXAMINER McMILLAN: You have to notify --
15 you have to send it to all affected parties.

16 And send the map in color. This is
17 extremely difficult to read.

18 THE WITNESS: Yes, sir. The map that
19 was -- the application that was submitted to OCD for the
20 actual application submission was in color, but we'll
21 make sure to do that on future hearings.

22 EXAMINER JONES: And just a reminder to all
23 parties here today that where exhibits are admitted,
24 please send PDF versions of those in to Kathleen.

25 Is that it for this witness?

1 MR. PADILLA: That's all I have.

2 But in terms of the State Land Office
3 notification, I would interpret that rule to say
4 unleased -- unleased minerals. The rule doesn't say
5 that. I don't want to argue about it, but after
6 Mr. Brancard read it, it occurred to me that the lessees
7 of the State Land Office did receive notice.

8 EXAMINER BRANCARD: We modified this rule
9 last year. We changed the definition of affected
10 person. And so the first three portions of that
11 definition are determining if you're an operator. If
12 you don't have an operator, then it's a leasehold
13 interest, et cetera. But then when you get to the end
14 of the third, it says "and if the U.S. or State of New
15 Mexico owns the minerals," they get notice.

16 EXAMINER JONES: That was in the horizontal
17 well rule, during that proceeding.

18 EXAMINER BRANCARD: And the injection rule
19 refers back to this definition.

20 EXAMINER JONES: They took it out of the
21 injection, Part 26, and moved it up to Part 2, I think.

22 EXAMINER BRANCARD: Right, the definition
23 section.

24 EXAMINER JONES: Okay. Is that it for this
25 witness?

1 MR. PADILLA: That's it.

2 EXAMINER JONES: Okay. Please call your
3 next witness.

4 MR. PADILLA: We'll call Tom Tomastik.

5 THOMAS E. TOMASTIK,
6 after having been previously sworn under oath, was
7 questioned and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. PADILLA:

10 Q. Mr. Tomastik, please state your name.

11 A. Thomas E. Tomastik.

12 Q. How do you -- how do you spell your last name?

13 A. T-O-M-A-S-T-I-K.

14 Q. Mr. Tomastik, you're a geologist, correct?

15 A. Yes.

16 Q. You also do a lot of work with underground
17 injection control projects, correct?

18 A. Yes.

19 Q. You've testified before the Oil Conservation
20 Division as a geologist and as a UIC expert?

21 A. Yes.

22 Q. Tell us when you did that.

23 A. That would be at the Goodnight Midstream
24 hearings, which I believe were in early July. I'm
25 trying to remember when that was. It kind of all runs

1 together.

2 Q. Mr. Tomastik, tell us a little bit about your
3 educational background.

4 A. Yes. I have a bachelor's and a master's degree
5 from Ohio University in geology. I have 37 years of
6 diverse experience in the energy sector, government and
7 consulting.

8 The first five years of my career I spent
9 as a consultant geologist drilling and completing oil
10 and gas wells and Class II injection wells. And then I
11 spent 25-and-a-half years as senior geologist in the
12 Underground Injection Control Section for the Ohio
13 Department of Natural Resources where I oversaw issuance
14 and regulatory authority over Class II and Class III
15 injection wells. I also served seven years on the U.S.
16 EPA National Technical Work Group for the Underground
17 Injection Control Section and was involved with the
18 Induced Seismicity Report for Class II injection that
19 was published by U.S. EPA in the fall of 2014. I've
20 done hundreds of groundwater investigations related to
21 oil and gas and mining complaints. I've done stray gas
22 investigations and have permitted, you know, hundreds of
23 wells.

24 And then for the last almost five years,
25 I've been a senior geologist and regulatory specialist

1 with ALL Consulting. And I've done work in expert
2 witness induced seismicity, seismic monitoring and
3 mitigation, oil and gas stray gas investigations, gas
4 storage, and have worked with litigation on -- ongoing
5 expert witness work on induced seismicity in Oklahoma
6 and Ohio.

7 **Q. Have you published any papers?**

8 A. I've presented or published papers over 61
9 times both internationally and within the U.S.,
10 everything from oil and gas to gas storage to
11 groundwater investigations, Class II injection. I've
12 done Class II injection workshops. I've done induced
13 seismicity workshops, published on seismic monitoring
14 and mitigation.

15 **Q. Have you familiarized yourself or worked in**
16 **southeast New Mexico in the area of the application of**
17 **the Blackbuck well?**

18 A. Yes.

19 **Q. Have you prepared exhibits for introduction**
20 **here today?**

21 A. Yes.

22 MR. PADILLA: Mr. Examiner, we tender
23 Mr. Tomastik as a geologist and a UIC expert.

24 EXAMINER JONES: Any objection?

25 MR. BRUCE: No objection.

1 EXAMINER JONES: Mr. Brooks?

2 MR. BROOKS: No objection.

3 EXAMINER JONES: I remember you from the
4 GWPC meetings.

5 THE WITNESS: Thank you.

6 EXAMINER JONES: Did Ohio ever get their
7 Class VI primacy?

8 THE WITNESS: No. That would have been
9 Ohio EPA, and they were not pursuing Class VI.

10 EXAMINER JONES: He's qualified as stated.

11 Q. (BY MR. PADILLA) Mr. Tomastik, let's look at
12 Exhibit 3.

13 A. All right.

14 Q. What's on Exhibit 3?

15 A. Exhibit 3 is the evaluation of the Devonian and
16 the Silurian injection reservoir and the confinement
17 zones. The type of confining zone obviously is the
18 Woodford Shale. In the area looking at the deep
19 Devonian-Silurian, there was about approximately 25
20 wells within a ten-mile radius. The Woodford Shale
21 ranges from about 100 to 200 feet thick as a confining
22 unit for an upper confining zone.

23 The injection zone in the Devonian-Silurian
24 is the Thirtyone Formation, which is predominantly in
25 Lea County. And then the Wristen Formation and the

1 Fusselman Formation, the injection zone in that area
2 runs from about 1,200 to 1,500 feet thick. And then the
3 lower confining zone would be the Montoya and the
4 Simpson Group.

5 But I would also mention, in evaluation
6 that I've done on geophysical logs within the Devonian
7 and Silurian, the bottom part of the Fusselman Formation
8 is fairly tight, so in itself, it will act as a lower
9 confining zone within the reservoir.

10 **Q. Let's look at the second page of this exhibit.**
11 **Is that helpful in explaining your description of the**
12 **injection zone?**

13 A. Yes. This is a generalized stratigraphic
14 section that was published by Broadhead at the New
15 Mexico Bureau of Geology and Mineral Resources.

16 **Q. What other papers did you rely on for your**
17 **analysis of the confining zones?**

18 A. There were multiple papers that we relied upon:
19 Broadhead, his paper from 2005; Carol Hill's 1996 paper
20 from the geology of the Delaware Basin; and Steve
21 Ruppel's paper on the Fusselman in the Permian Basin and
22 Steve Ruppel's paper on the Devonian-Thirtynine Formation
23 in the Permian Basin.

24 **Q. What conclusions do you draw from your study of**
25 **whether or not the upper and lower confining zones here**

1 are going to be -- are going to actually contain the
2 injection fluid?

3 A. Based on our geologic evaluation and
4 assessment, the Woodford Shale will operate as an upper
5 confining zone to prevent fluid -- injection fluid from
6 migrating upward. And then the lower confining zone not
7 only will be the Montoya and the Simpson Group but
8 perhaps the lower part of the Fusselman Formation that
9 is fairly tight with no porosity and permeability
10 development.

11 Q. Is there any difference here between -- you've
12 heard the testimony of Dr. Zeigler with regard to the
13 geology in the area --

14 A. Yes.

15 Q. -- correct?

16 Is there any mystery about what's down
17 there more or less?

18 A. No. It's fairly consistent with what she
19 testified to.

20 Q. There's been some notion, as I understand the
21 testimony from Mr. Goetze, that maybe the lower
22 confining zones would not hold the fluid -- the
23 injection fluids. Do you have an opinion as to -- in
24 more detail about the confining -- lower confining
25 zones?

1 A. Based on the published works that have been
2 done, it looks like there is very little porosity and
3 permeability development. Unfortunately, we do not have
4 a lot of deep penetration wells into the Montoya and
5 Simpson Groups. But, again, my analysis of the
6 geophysical logs in the lower part of the Silurian
7 indicates that we have a fairly tight zone that is going
8 to act as a lower confining zone within the injection
9 zone.

10 **Q. When you say fairly tight, what do you mean by**
11 **that?**

12 A. Basically no porosity or permeability
13 development.

14 **Q. Okay. Anything else on Exhibit 3? Anything**
15 **else on Exhibit 3?**

16 A. No.

17 **Q. Let's go on to Exhibit 4. What is that?**

18 A. Exhibit 4 was the ten-mile radius map that we
19 did around the Olive Branch -- proposed Olive Branch SWD
20 Fed No. 1 to evaluate all of the other penetrations into
21 the Devonian and Silurian wells within that ten-mile
22 radius.

23 **Q. Are there any wells that you found that**
24 **actually penetrate the Devonian-Silurian Formation?**

25 A. There was a number of wells that penetrate into

1 the -- into the Devonian-Silurian based on predominantly
2 the well completion records. There were three
3 Devonian-Silurian wells that actually had geophysical
4 logs that were open-hole geophysical logs that provided
5 evaluation. Either many of these wells are not logged
6 through the Devonian and Silurian, or there are some
7 partial penetrations that have been logged so they don't
8 log the entire section. Some of the oil and gas
9 expiration wells would be partial penetration into the
10 Devonian-Silurian.

11 **Q. So what does all of this tell us in simple**
12 **words that I can understand?**

13 **A.** Based on the analysis of the data that we have
14 pulled from these deep Silurian -- Devonian-Silurian
15 injection wells and oil and gas wells, we were able to
16 provide a geologic assessment that we have sufficient
17 reservoir capacity for disposal in porosities ranging
18 from about 2 to 15 percent.

19 **Q. Now, let's talk about the wells that do**
20 **penetrate the Devonian-Silurian. Are those the ones on**
21 **the second page that have numbers at the end? For**
22 **example, let's take the eighth well down. There is**
23 **number 1,369 on the last column.**

24 **A.** Yes.

25 **Q. What does that mean?**

1 A. That's the thickness of the Devonian-Silurian
2 section at that well site.

3 **Q. And what does the first column tell us in terms**
4 **of Woodford top?**

5 A. That basically tells -- tells me that the
6 information came from a well completion report, and the
7 top of the Woodford was not reported, as the Woodford
8 thickness was not reported in that well either. There
9 was no geophysical log available to perform a net
10 evaluation on that.

11 **Q. Let's go on to -- let's skip Exhibit 5. Let's**
12 **go to Exhibit Number 6. What is Exhibit 6?**

13 A. Exhibit Number 6 is a graph that was prepared
14 by ALL Consulting showing the total volume injected
15 since 2009 through 2018 versus actual seismicity that
16 was reported in that area of Eddy and Lea Counties
17 during that time frame.

18 **Q. What's the blue line about?**

19 A. The blue line is the Lea County injection rates
20 over that time period.

21 **Q. And the black is the Eddy County, right?**

22 A. Correct.

23 **Q. And tell us about the orange colors. What do**
24 **they -- how are they relevant in this case?**

25 A. The orange -- the orange bar graphs are the

1 number of seismic events that had occurred in the 2009
2 to 2012 time frame, and there has not been any seismic
3 activity since 2012 in Lea or Eddy Counties. And what
4 this graph shows is we've had a significant increase in
5 injection volumes in both Lea and Eddy Counties since
6 that time, and we have not seen any additional seismic
7 activity from that.

8 **Q. Does that mean that injection is not creating**
9 **increased seismicity?**

10 A. Correct.

11 **Q. And what this shows is injection rates have**
12 **actually increased in Lea and Eddy Counties?**

13 A. Correct.

14 **Q. Anything further on Exhibit 6?**

15 A. No.

16 **Q. Let's go on to Exhibit Number 7. What is that?**

17 A. Exhibit 7 is a map prepared by ALL Consulting
18 showing the distances of seismic events and the closest
19 known fault in relation to the Olive Branch SWD
20 location.

21 **Q. How is that relevant to this case?**

22 A. That's relevant to the case to provide evidence
23 that we are significantly away from any known seismic
24 event or any known faulting within the Precambrian
25 basement.

1 Q. For this to be relevant, how close would you
2 have to be, I mean, to where we would then be concerned
3 about faulting in the area? How close would that fault
4 have to move west in order to --

5 A. Obviously, I would -- we would be concerned if
6 it moved a lot closer to the well location, but
7 Mr. Arthur will testify as to the fault slip analysis
8 that ALL performed based on the information that we
9 input for potential, for known faulting, if it were to
10 occur within the area of the Olive Branch SWD.

11 Q. Did you prepare this exhibit?

12 A. It was prepared by ALL staff with my review and
13 input.

14 MR. BROOKS: Mr. Examiner, at this time I
15 need to leave to go to my appointment. If Mr. Brancard
16 does not object, I have no objection, in view of the
17 limited amount that -- and the examiner does not object,
18 I have no difficult -- I have no objection to allowing
19 my client to remain here as the only representative of
20 OCD without my presence. However, I do recognize it's
21 irregular, and if there is any objection to it, I will
22 ask for a recess. Otherwise, I have no objection to the
23 rest of the parties continuing the hearing.

24 EXAMINER BRANCARD: How much further do we
25 have of this witness, Mr. Padilla?

1 MR. PADILLA: I'm pretty much done.

2 EXAMINER BRANCARD: Well, let's see if we
3 can get through with this witness.

4 MR. PADILLA: I have one more exhibit,
5 actually.

6 EXAMINER BRANCARD: Okay.

7 EXAMINER JONES: Can you stay to ask
8 questions of this witness?

9 MR. BROOKS: No, because I have to leave --

10 EXAMINER BRANCARD: Why don't we get
11 through the direct examination of this witness?

12 EXAMINER JONES: Okay.

13 MR. BROOKS: I don't think -- so far, I
14 wouldn't think I have any questions of this witness,
15 although I haven't had a chance to confer with my client
16 and he might think otherwise. Yeah. I should have the
17 opportunity to cross-examine this witness if there are
18 any questions. Thank you.

19 EXAMINER JONES: Back at 12:30.

20 EXAMINER BRANCARD: At 12:30, we're going
21 to restart.

22 (Mr. Brooks exits the room, 10:46 a.m.)

23 Q. (BY MR. PADILLA) Mr. Tomastik, do you have
24 anything further on Exhibit 7?

25 A. No, I do not.

1 **Q. Let's go to Exhibit 8. We've seen that many**
2 **times in this type of hearing. Is that the Snee and**
3 **Zoback map?**

4 A. Correct.

5 **Q. What does this show in terms of this case?**

6 A. Basically this is from the paper published by
7 Snee and Zoback in 2018 from Stanford University
8 utilizing their fault slip analysis tool that was
9 developed by Stanford with the input from the oil and
10 gas industry. This map shows basically the majority of
11 known faulting in the area is oriented in the
12 north-south direction. And based on Snee and Zoback's
13 analysis, these faults are not oriented in the
14 critically stressed direction, so there is very, very
15 low potential for fault slip potential from these faults
16 that are known in the area.

17 **Q. Anything else?**

18 A. No.

19 **Q. Let's go back to Exhibit -- I'm reminded, on**
20 **Exhibit 5, you have something to say about that.**

21 A. Oh.

22 **Q. Correct?**

23 A. Yes.

24 **Q. That's labeled "Volumetric Fill-Up Analysis."**
25 **But on the second page of that, there are some**

1 **assumptions and methodology. Did you work on that?**

2 A. Yes. I participated with additional ALL
3 Consulting geologic staff in coming up with some of the
4 formation characteristics and the injection rates and
5 the equations that we used to assume the volumetric
6 calculations.

7 **Q. What kind of assumptions did you make on this?**

8 A. Basically on these assumptions, we're assuming
9 homogeneous and isotropic conditions within the Devonian
10 and Silurian. Based on my analysis of the geophysical
11 logs, we used an average of 8 percent. The porosity in
12 the Devonian and Silurian is predominantly secondary
13 porosity from fracture and vugs and dissolution
14 features. And then based on the interval thickness,
15 again, and the evaluation of the porosity feet within
16 the 12- to 1,500 feet of the three geophysical logs, we
17 used a porosity interval thickness of 20 percent.

18 And then we went in and evaluated injection
19 rates from volumes that have been submitted to OCD
20 through March of 2019, and we used existing deep-well
21 calculated daily injection rate data over the lifetime
22 of the well. We used the average rates on the permit
23 application for Blackbuck Olive Branch and for Solaris
24 Predator, and then 15,000 barrels a day, we used as the
25 pending SWD applications.

1 The maximum injection rates, we also used
2 and ran calculations on that, and we actually included
3 an annual injection decline rate of 5 percent based on
4 the fact that in all reality, the injection operations,
5 supply and demand and the potential for formation damage
6 in that can cause a decline in injection rates over
7 time.

8 Q. And that's an assumption?

9 A. Correct.

10 Q. Okay. As far as the calculations, Mr. Arthur
11 prepared those?

12 A. Correct.

13 Q. Do you have anything further on Exhibit Number
14 5?

15 A. No, I don't.

16 Q. Okay. Let's now jump back to Exhibit
17 Number -- or I don't know if we talked about it, Exhibit
18 Number 9, of the fault slip potential analysis. What
19 part of that exhibit did you work on in terms of the
20 conclusions that will be made by Mr. Arthur in terms of
21 the methodology of calculating fault slip potential?

22 A. Yes. I worked directly, again, with an ALL
23 staff geologist in coming up with the parameters that we
24 needed to use for the inputs into the fault slip, the
25 potential model that is used.

1 Again, we used an injection interval
2 thickness ranging from 100 to 200 feet -- 250 feet, a
3 porosity from 5 to 10 percent, a permeability of 10 to
4 100 millidarcies. And then a lot of the stress gradient
5 and the stress direction, fault slip, minimum dip, that
6 is all derived from Stanford's fault slip potential
7 model and from the Snee and Zoback report.

8 **Q. And you're looking at page 3 now of Exhibit**
9 **Number 9?**

10 A. Correct.

11 **Q. And those are the parameters you worked on to**
12 **make the evaluation as to whether or not this**
13 **application should be granted, correct?**

14 A. Correct.

15 **Q. Okay. And you took that information from Snee**
16 **and Zoback or other papers?**

17 A. Other papers and other expert witness
18 testimony. Mr. Reynolds provided a lot of that data
19 that we reviewed and utilized what we needed.

20 **Q. When you say Mr. Reynolds, you're talking about**
21 **Todd Reynolds --**

22 A. Correct.

23 **Q. -- who testified for Mesquite, right?**

24 A. Correct, and Mr. Wilson who testified for
25 Mesquite.

1 Q. All right. And the rest of the information on
2 this is prepared by Mr. Arthur?

3 A. Correct.

4 Q. Okay. Anything further that you have to add to
5 your testimony concerning Exhibit Number 9?

6 A. No.

7 MR. PADILLA: Mr. Examiner, we offer
8 Exhibit 5, to the extent that Mr. Tomastik's
9 testimony as to how -- as to the assumptions and
10 methodology, which is basically on page 2 of that
11 exhibit, Exhibits 6 and 7, Exhibit 4 and Exhibit 3 and
12 8.

13 EXAMINER JONES: Okay. What I hear is
14 you're moving for Exhibits 3, 4, 5, 6, 7 and 8, but 5
15 only to the extent that he's testified to.

16 MR. PADILLA: Right.

17 EXAMINER JONES: Any objection?

18 MR. BRUCE: No objection.

19 MS. BENNETT: No objection.

20 EXAMINER JONES: Okay. We're admitting
21 them right now, and we'll break for lunch until 12:30.

22 (Blackbuck Resources, LLC Exhibit Numbers 3
23 through 7 are offered and admitted into
24 evidence.)

25 (Recess, 10:54 a.m. to 12:36 p.m.)

1 MR. PADILLA: I think we had tendered
2 Mr. Tomastik for cross-examination.

3 EXAMINER JONES: Okay. Ms. Bennett?

4 MS. BENNETT: I don't have any questions.

5 EXAMINER JONES: Okay.

6 MR. BRUCE: I have no questions for
7 Mr. Tomastik.

8 MR. BROOKS: I've got a couple.

9 CROSS-EXAMINATION

10 BY MR. BROOKS:

11 Q. Good afternoon. I'm sorry. I've forgotten
12 your name already.

13 A. Tom Tomastik, T. T.

14 Q. Mathis?

15 A. Tomastik.

16 MR. BRUCE: Like fantastic.

17 THE WITNESS: Tomastik is fantastic. There
18 you go.

19 (Laughter.)

20 Q. (BY MR. BROOKS) Okay. On page 7 of the C-108
21 application --

22 A. Yup.

23 Q. -- there is a statement made that there is no
24 evidence of a hydrologic connection between the disposal
25 zone and any underground source of drinking water.

1 A. Yes.

2 Q. Did you affirm that statement?

3 A. Yes.

4 Q. And what underground sources of drinking water,
5 if any, did you consider in connection with that
6 affirmation?

7 A. The 25 feet into the Rustler anhydrite.

8 Q. That's quite a long way above this.

9 A. Correct.

10 Q. Is it correct that you found no underground
11 sources of drinking water anywhere close?

12 A. You mean deeper geologic formations?

13 Q. In the deeper formations.

14 A. No.

15 Q. Okay. Let's look at page 10 --

16 A. Yes.

17 Q. -- the well construction diagram. What casing
18 will insulate the Salado Formation or salt [sic]?

19 A. That would be 13-3/8. That will be set into
20 the top of the Permian Delaware Mountain Group.

21 Q. Is that 13-5/8? No. It's --

22 A. 3/8.

23 Q. -- 13-3/8. I see what you're talking about.

24 A. Yeah. Right.

25 Q. 13-3/8.

1 A. Yeah.

2 Q. Okay. And also on page 10, the well
3 construction diagram, the placement of the diverter tool
4 for cementing of 9-5/8-inch casing is proposed at 3,300
5 feet. Typically, the Division requires placement of DV
6 tool below the shoe of the intermediate casing. In this
7 case the 13-3/8 casing is to ensure the circulation of
8 the cement to the surface while covering the shoe of the
9 intermediate casing. Now, do you understand those --
10 those -- what I just read?

11 A. Yes. Yes. And we can -- we can obviously
12 change the depth setting of the DV tool to, you know,
13 comply with the regulations.

14 Q. Okay. I was asking about the recommended
15 placement, as you did --

16 A. Yeah. We -- we can -- we can move that farther
17 down.

18 Q. Okay. I believe that's all my questions.

19 A. Okay.

20 EXAMINER McMILLAN: Go ahead.

21 EXAMINER JONES: You want me to go ahead?

22 EXAMINER McMILLAN: (Indicating.)

23 CROSS-EXAMINATION

24 BY EXAMINER JONES:

25 Q. Okay. The coverage of the -- looks like the

1 formation is covering the salt and the Delaware. To me
2 it's 13-3/8. Is that -- it seems like 4,680 ought to be
3 basically the base of the Delaware. Is that the base of
4 the Delaware or the top of the Delaware?

5 A. That would be into the top of the Delaware.
6 Yes.

7 Q. Okay. So that -- so that's covering --

8 A. Yeah. So the Salado would be -- that would be
9 covered also within that, and then the Delaware Mountain
10 Group, Bone Spring and Wolfcamp will be covered by the
11 9-5/8.

12 Q. Okay. So you've got almost 3,000 feet of
13 salt -- or salt interbedding anhydrites here; is that
14 correct?

15 A. Again, that's based on the evaluation of the
16 well completions. I mean, obviously you're not going to
17 find many, if anybody, running shallow geological
18 physical logs. I would like to see a lot more of those
19 (laughter). It would be nice. I mean, that obviously
20 is based on mostly the well completion records and doing
21 the subsea elevations, subtracting at ground levels.

22 Q. Yeah.

23 You've talked to geologists with Blackbuck,
24 correct?

25 A. No, we didn't, not with Blackbuck.

1 Q. So Blackbuck isn't really staffed up with the
2 normal staffing of a team that would be doing
3 development or exploration? They just -- they're a
4 saltwater disposal company; is that correct?

5 A. I don't know as much of what their internal
6 expertise is.

7 Q. Okay. This Exhibit Number 6, where there are
8 the seismic events, the last one -- the last year was
9 showing 2012. Is it not available, the seismic events,
10 in the other years?

11 A. From our investigation, we did not see any
12 seismic activity that was recorded since 2012 in Lea and
13 Eddy Counties.

14 Q. And the source, it says here, is U.S.
15 Geological Survey.

16 A. Right.

17 Q. Okay. So say again. You're saying there is no
18 seismic activity that happens since 2012?

19 A. None that have been recorded in those two
20 counties.

21 Q. Okay. Do you remember the level on the Richter
22 scale of these -- I guess that's the scale we're going
23 by still.

24 A. Right.

25 Q. -- of this level -- of these numbers? In other

1 **words, was it 3 or above or --**

2 A. Yeah. I would -- some of them were, I think,
3 in the lower 2 range of magnitude. I would have to go
4 back and look.

5 **Q. USGS found -- they can measure those.**

6 A. Yeah. I mean, again it depends on the
7 placement of the seismic monitoring stations around the
8 state and what's recording as to how low of a reading
9 they can get on magnitude.

10 **Q. Okay.**

11 A. I mean, typically below 2, without actually
12 having a very dense seismic monitoring network, is going
13 to be hard to pick up below a 2.

14 **Q. Okay. Have you seen any seismic -- process**
15 **seismic in this area of this proposed well that would --**
16 **that you could look at to see if there are any faults?**

17 A. We have not seen any 2D or 3D in this general
18 area. I have seen 2D seismic in the area where
19 Goodnight was doing their applications.

20 **Q. Okay. So you haven't seen it here because,**
21 **just to date, you haven't really paid for obtaining a**
22 **look at it; is that correct?**

23 A. Correct.

24 **Q. And how much would that cost, and what is --**
25 **what is the process of that? You approach one of**

1 **these -- one of these seismic brokerage companies and --**

2 A. Correct. If -- if -- if it's seismic 2D or 3D
3 shoots that have been available, then you obviously
4 contact them and then purchase that. Obviously, 3D
5 seismic is far more expensive than 2D. Seismic
6 reflection work, again, is subject to a lot of
7 interpretation, reprocessing. Our experience,
8 particularly with dealing with a lot of the induced
9 seismicity in Oklahoma and Ohio, a lot of these end up
10 being strike-slip faults that you may not even see with
11 seismic reflection work. So that --

12 **Q. In Oklahoma.**

13 A. In Oklahoma and Ohio, yes. But we have not at
14 this point inquired about acquiring any 2 or 3D seismic
15 reflection work.

16 **Q. Do you think that's a prudent thing to do here**
17 **or not, and why not?**

18 A. I mean, one -- one of the things -- and
19 Mr. Arthur will testify to that also -- is -- is the
20 Silurian -- Devonian-Silurian injection zone, in this
21 area, we're approximately 1,000 to 1,200 feet above the
22 Precambrian basement where -- the majority of your
23 seismic activity is going to occur in the Precambrian
24 basement rocks. So the farther you are away from the
25 Precambrian, the more lower the level of potential for

1 an induced seismicity event. Everything that we see in
2 Oklahoma, Ohio, Texas has all been related to injection
3 into formations that sit directly above the
4 Precambrian -- sit on top of the Precambrian basement
5 rocks. So I think with the fact that we are 1,000 to
6 1,200 feet above that is just an added layer of
7 protection that will help us, you know, not have any
8 induced seismicity events.

9 **Q. Before I forget to ask, this -- this**
10 **separation -- you had mentioned the Lower Fusselman**
11 **being also kind of a low-permeability barrier?**

12 A. Yes. Based on my analysis of the geophysical
13 logs that I've been able to look at, you're seeing that
14 lower -- you may have one zone in there that's 4 to 6
15 feet that has some porosity. But, I mean, I looked at a
16 zone of over 100 feet thick in the Lower Fusselman that
17 resistivities were up to 2,000 ohms, which means
18 literally it's very, very tight. Nothing is going to
19 move through that.

20 Additionally, in carbonate rocks -- and
21 I've done a lot of work, when I was with the Ohio
22 Department of Natural Resources, with quarry dewatering,
23 so I dealt with fractured carbonate rocks extensively in
24 quarries and also in groundwater investigations with
25 downhole video camera. Bedding planes act as sufficient

1 barriers to flow. We'll see fluid and gas moving
2 vertically through fractures, but the bedding planes
3 actually will act as a barrier. So there is -- there --
4 tight carbonate rocks, particularly the limestones of
5 the Church [sic], will act as a barrier for fluid flow.

6 Q. Okay. So what I hear you saying is the ratio
7 of vertical to horizontal permeability is really low,
8 and so you end up --

9 A. Yes.

10 Q. -- you end up inverted along bedding planes?

11 A. Correct.

12 Q. Okay. So that would be -- basically, the Lower
13 Fusselman would be basically the Ordovician?

14 A. Uh-huh.

15 Q. So the Ordovician; Montoya below that and the
16 Simpson. Can you talk about those rocks and --

17 A. Well, they're just -- with a little bit of the
18 data that we've been able to acquire, there is not a lot
19 of wells penetrating those formations and particularly
20 not a lot of geophysical logs that are available for
21 review. So there's -- it's pretty scant information
22 other than what's been published on those formations to
23 evaluate.

24 Q. And what are the publishing documents saying?
25 What -- what were they -- what was the focus of these

1 **published documents? Was it just a geologic description**
2 **of stratigraphy?**

3 A. It would be -- I, mean obviously -- maybe
4 they're doing some -- they've had some core evaluations
5 to look at. So obviously you're looking at the changes
6 in the types of the geologic facies in the rocks. And,
7 you know, the porosity -- like I said, the porosity is
8 predominantly going to be secondary development. So
9 your matrix porosity within those limestones are
10 literally hardly nothing from that standpoint. And
11 that's pretty common with carbonates. So, I mean,
12 unless you have dolomitization that then allows the
13 development of that secondary porosity, most carbonate
14 rocks are pretty tight.

15 Q. Okay. So is the carbonate -- you're talking
16 the Lower Fusselman and the Montoya being carbonate?

17 A. Yes.

18 Q. And the Simpson, what is that?

19 A. Simpson does have some shales mixing in with
20 it.

21 Q. Okay. So the shales, it's not -- it's not like
22 the Woodford, right? I mean, it's not --

23 A. Correct. It's not a continuous 100 or 200 feet
24 of the black shale.

25 Q. Is it fractured up any, or has it metamorphosed

1 **any?**

2 A. That, I don't know.

3 **Q. Okay. Are there any cores available like at**
4 **the New Mexico Geological Library to look at on this?**

5 A. I haven't really looked into this, but I think
6 there may be some available at New Mexico Tech.

7 **Q. Okay. The business about how far -- okay. It**
8 **seems like everybody's -- everybody says stay away from**
9 **the faults and stay away from the basement rock. But**
10 **the big question seems to be how close can you put these**
11 **wells together and cause issues? Well, what is your**
12 **take on that? Have you got any concern about that?**

13 A. No. I don't see any concerns. I mean -- I
14 mean, where you would get into -- potentially where you
15 would have well interference, you're going to impact
16 your ability to inject fluids more than anything.

17 **Q. How would you do that? How would that happen?**

18 A. Basically, if -- if we had a pore pressure
19 front that migrated and both wells interfered -- like,
20 you know, I've seen well interference in groundwater
21 wells where you have two wells pumping and your cone of
22 depression overlaps, and you can impact both water wells
23 from that. And that's -- that's obviously the reverse
24 scenario of injecting in.

25 But on the injection side of it, if you

1 have well interference -- and I've seen this in Ohio,
2 where you would -- maybe you drill a second well and the
3 well -- you have a pressure front and drill into it.
4 But at a mile and a half, that's unlikely in this
5 scenario at this case.

6 And based on -- which Mr. Arthur will
7 testify on the volumetric calculations and fill-ups
8 we've done, which are fairly conservative-based. We do
9 not see the potential for well communication within a
10 mile and a half.

11 Q. Okay. I guess the engineer will -- we'll be
12 able to talk to him some more --

13 A. Yes.

14 Q. -- about that.

15 EXAMINER JONES: I think I may have a
16 couple more, but Mike --

17 CROSS-EXAMINATION

18 BY EXAMINER McMILLAN:

19 Q. My only comment is on your Exhibit Number 8,
20 your well location is in the wrong county.

21 EXAMINER BRANCARD: I don't think there is
22 a well location in Exhibit 8.

23 Q. (BY EXAMINER McMILLAN) Isn't Exhibit 8 the Snee
24 map?

25 A. Right.

1 **Q. That's actually in Eddy County. Isn't this in**
2 **Lea County?**

3 A. I don't -- I don't believe we put the well on
4 here.

5 EXAMINER JONES: There's a circle there.

6 THE WITNESS: That's a seismic event.

7 EXAMINER McMILLAN: Okay.

8 EXAMINER BRANCARD: We don't have the
9 location on Exhibit 8.

10 EXAMINER McMILLAN: Okay. That was my only
11 question then.

12 EXAMINER BRANCARD: You guys are stealing
13 my questions.

14 CROSS-EXAMINATION

15 BY EXAMINER BRANCARD:

16 **Q. So just to clarify on -- I get to ask the**
17 **really dumb questions being a lawyer.**

18 **So on Exhibit 6, in response to the**
19 **examiner, I didn't really get a definition of what a**
20 **seismic event is. Did you give us a definition? You**
21 **say that you have seismic events here. What's the**
22 **definition of a seismic event?**

23 A. It depends on which -- I mean, the U.S.
24 Geological Survey considers an earthquake of a magnitude
25 of 2.5 or greater. Below that, they would consider it a

1 microseismic event. But you see a lot of published
2 papers that they call everything earthquakes, even below
3 magnitude 1. But I think if you look at the USGS
4 standard, typically a magnitude 2.5 and then below is
5 considered microseismic events versus an actual
6 earthquake.

7 **Q. Okay. You have a chart here and you're getting**
8 **data from somewhere, and you're calling it seismic**
9 **events. So the USGS --**

10 A. Right. This is based predominantly on the USGS
11 data from their website.

12 **Q. So do you think to qualify as a seismic event,**
13 **for the purpose of this chart, it had to be a 2.5 or**
14 **higher?**

15 A. No. That would be an earthquake. A seismic
16 event would be -- probably the lowest magnitude that the
17 USGS seismic monitoring stations can pick up is
18 magnitude 2.

19 **Q. So these are probably 2. --**

20 A. 2 and above, correct.

21 **Q. Okay. So you're saying that in the last five**
22 **years -- six years, there have been no seismic events in**
23 **Eddy or Lea Counties of 2.0 or higher?**

24 A. That's based on the evaluation of the USGS
25 data, yes.

1 Q. All right.

2 Okay. Exhibit 5, "Assumptions &
3 Methodology."

4 A. Yes.

5 Q. Under "Maximum Injection Rates," you list the
6 Olive Branch as 15,000 barrels per day. Isn't it 30,000
7 barrels per day maximum injection rate?

8 A. Maximum injection rate, was it 30?

9 MR. ARTHUR: 15 is the average.

10 THE WITNESS: 15 is the -- well, we've got
11 it as maximum and average.

12 So that should be 30, right, Nate?

13 MR. ALLEMAN: 30 would be the maximum.

14 THE WITNESS: Okay.

15 So that's a typo.

16 Q. (BY EXAMINER BRANCARD) That's a typo?

17 A. Yes.

18 Q. So the data that follows in these fill-up
19 charts here, you think is based on the 30, or do I need
20 to ask Mr. Arthur?

21 A. Yeah. That's based on the 30, the maximum.
22 Yes. Correct.

23 Q. I think you indicated Mr. Arthur is the one to
24 talk to about these.

25 A. Correct.

1 Q. That's good. Save you some questions there.

2 So Exhibit 7 and Exhibit 8 -- you know, I
3 am not a scientist and I don't pretend to be one, but
4 the testimony at the last hearing -- well, the prior
5 date, the testimony focused on faults and the need to
6 have faults as indicators of potential induced
7 seismicity. And that was what -- Mr. Reynolds?

8 EXAMINER JONES: Mr. Reynolds.

9 Q. (BY EXAMINER BRANCARD) -- testified to.

10 A. Correct.

11 Q. So when I look at these maps on Exhibits 7 and
12 8 and I see where the fault lines are and then I see
13 where the seismic events are, to my untrained eye, I
14 don't see a correlation. I see lots of fault lines that
15 have no seismic events attached to them and lots of
16 seismic events that are well away from fault lines.

17 A. Yes.

18 Q. Or am I missing something here?

19 A. No. That's -- that's correct. Again, the Snee
20 and Zoback map is based on known faults. The thing
21 that -- the discussion of well, you have to have a
22 fault, but you have to have a fault that is critically
23 stressed, ready to fail and optimally oriented to induce
24 an event. So not every fault is going to induce
25 seismicity, even if you were near it. If that fault is

1 not critically stressed and optimally oriented into the
2 stress field, it will not potentially fail from an
3 injection operation. So do we have to know where every
4 exact fault is?

5 I mean, it's -- again, the 2 and 3D seismic
6 reflection work is going to be based on interpretation,
7 reprocessing, but it's very possible that these seismic
8 events are related to unmapped faults at this point.
9 Depending on your seismic monitoring network that is
10 used to detect these events and the place -- the surface
11 location and the depth of the seismic event, if your
12 monitoring stations are quite a ways away, you induce an
13 error ratio into your actual locations and your depth of
14 your seismic events. I mean, if you look at the USGS
15 website, typically their default for depth is five
16 kilometers because they really don't know how deep the
17 seismic event is, unless you have a fairly dense seismic
18 network that will be able to pick up that a lot more
19 accurately.

20 And I don't know, you know, what the scale
21 of this was. I mean, obviously, it's published and we
22 use this, but we don't know particularly, you know, how
23 they -- I assume they pull it from the USGS data, too.
24 So --

25 **Q. And I don't think your testimony disagrees with**

1 **Mr. Reynolds because I think in the end, under**
2 **questioning, he also admitted that there are probably a**
3 **lot of unmapped faults.**

4 A. Correct.

5 Q. Okay. So who is going to testify here about
6 who should win?

7 **(Laughter.)**

8 EXAMINER JONES: That was my question.

9 MR. PADILLA: That's for --

10 EXAMINER BRANCARD: We've got Solaris
11 versus Blackbuck. Who is going to win?

12 MR. PADILLA: Blackbuck, of course.

13 **(Laughter.)**

14 EXAMINER BRANCARD: Who is going to be the
15 witness on that?

16 MR. PADILLA: Mr. Arthur.

17 RECROSS EXAMINATION

18 BY EXAMINER JONES:

19 Q. Okay. I guess to clarify these faults that are
20 mapped here on your exhibits --

21 A. Yes.

22 Q. -- what -- they're areally located. So what --
23 what depth are they areally located? I assume they have
24 some dip to them. So if you go -- in other words, you
25 go down, they would move over depending which --

1 A. And, again, go back to looking at the Snee and
2 Zoback paper. You know, a lot of the information is
3 based off of that, and most -- in the case, north-south
4 normal type faulting. So the maps, you know, that we
5 pulled the known faults off of is either from published
6 literature or from, you know, New Mexico Tech's websites
7 or wherever that data is coming from, from that
8 standpoint.

9 **Q. Okay. Because -- but if they're normal faults,**
10 **they have a dip to them and --**

11 A. Correct. And we've used some of that from Snee
12 and Zoback's paper in our fault plane -- or slip
13 analysis.

14 **Q. Okay. But nobody marks the strike and dip. I**
15 **mean, obviously, the strike is along the fault, the way**
16 **it's mapped here.**

17 A. Correct.

18 **Q. But the dip is not on any of these -- any of**
19 **these maps, it seems like. We don't see that.**

20 A. I don't know whether, in the published
21 literature, if that's known or assumed or -- I mean,
22 I've seen seismologists guesstimate on dips and things
23 from seismic events, but based on -- I'd have to go back
24 and look at the published papers to see if there is any
25 reference to the dip -- of the known dip of the fault,

1 obviously. So --

2 Q. So when you say it's a normal fault, you're
3 talking about either it's a purely normal fault or it's
4 a partial strike slip and the rest normal? And we don't
5 know that here either, but we -- in other words, if you
6 have a strike-slip fault, I can imagine it would have a
7 lot of the drag faults along the side. In other words,
8 it might -- they might split the rock quite a bit out
9 away from the fault --

10 A. Most of the strike slips that we've seen in
11 other states that have induced a seismicity, you
12 probably wouldn't even see on the seismic reflection
13 data.

14 Q. Okay.

15 A. Those are very, very difficult to pick up.
16 It's not like you have a lot of displacement where you
17 can see it.

18 Q. Okay. So there are not a lot of drag faults?

19 A. Correct.

20 Q. What about on these normal faults?

21 A. I mean, obviously --

22 Q. How far away from the fault, in other words, is
23 this affecting --

24 A. Again, I'm assuming a lot of the published data
25 is based on some seismic reflection work. Again, I

1 would have to go back and see where Snee and Zoback
2 has -- you know, obviously, I think they used all public
3 accessible data to do that work. And I know they're
4 still obviously working on a new actual -- a new model
5 is being developed and going to be released that's more
6 based on heterogeneity versus homogeneous isotropic
7 conditions. So --

8 **Q. Okay.**

9 A. Stanford has funded a lot of money from the oil
10 and gas industry to do a lot of this research.

11 **Q. Okay. But it does -- it really was a pertinent**
12 **question that Mr. Brancard had asked about. If little**
13 **seismic events are happening but there are no faults**
14 **mapped around those, what's up with that?**

15 A. I mean, obviously, it's got to be a fault.

16 **Q. Right. Or a little --**

17 A. I mean, you could have splitters or branches
18 off of a main fault that's mapped that we don't -- that
19 we don't see, and that could be where the seismic event
20 picks up. I mean, for instance, at the Prague magnitude
21 5.7 in Oklahoma, those earthquakes actually occurred on
22 a splitter that was not mapped on the major fault that
23 was there and everybody knew about. So, I mean,
24 that's -- can happen.

25 **Q. Okay. When you said 1,000 feet or so --**

1 A. 1,000 to 1,200 feet of separation between,
2 yeah.

3 Q. You're not talking 1,000 feet to 1,200 feet to
4 the Ellenburger, right? It would be --

5 A. No. That's to the top of the -- top of the
6 Precambrian, yes.

7 Q. Okay. So how much would the -- a high-stress
8 barrier would you have underneath this injection
9 interval? In other words, the Simpson --

10 A. Right, Montoya Group, the Simpson Group.

11 Q. How many feet?

12 A. Again, not a lot of penetrations that we've
13 seen. I did not look at all -- all we looked at was the
14 depth between the bottom of the Fusselman -- the base of
15 the Fusselman and the top of the basement on a couple
16 of -- we didn't look at what kind of thicknesses of the
17 Simpson or the Montoya Groups.

18 Q. Okay. So geologically speaking, which well
19 would you approve, the well proposed by Solaris or the
20 well proposed by Blackbuck or both of them?

21 A. I mean, based on the analysis of the 1.5 mile,
22 it's -- you know, we don't see -- see that's based on
23 any kind of technical assessment at this point. But --

24 Q. Okay. Thank you.

25 A. Uh-huh.

1 EXAMINER JONES: Any other questions of
2 this witness?

3 MR. BROOKS: I have one follow-up. You
4 want -- you want to go ahead?

5 MR. PADILLA: Sure.

6 REDIRECT EXAMINATION

7 BY MR. PADILLA:

8 Q. You were asked about correlation between the
9 well site and the faults shown on Exhibit 7, and you
10 said there is no information to suggest there is any
11 correlation between that fault and the proposed well,
12 right? Is that your testimony?

13 A. It's -- it's -- our testimony is it's
14 sufficient distance away from our proposed injection
15 well that it shouldn't have any impact. And, again,
16 Mr. Arthur will testify to the fault slip potential and
17 how we went about that to demonstrate -- even putting
18 faults within the area, that there is an extremely low
19 potential for fault slip.

20 Q. In terms of correlation between Oklahoma
21 seismic events in this area of the proposed well, is
22 there any correlation?

23 A. No.

24 Q. Is there any correlation between any of the --
25 well, the Raton Basin that Mr. Goetze testified about?

1 A. I'm not totally familiar with a lot of the
2 seismicity. Mr. Arthur maybe can testify on that. The
3 information I looked at, at the Dagger Draw that's in
4 the same area, was injection in the Ellenburger, which
5 sits atop the Precambrian Basin. Again, that's the
6 scenario that we see that is more likely to induce
7 seismicity, is an injection zone that sits directly
8 above the Precambrian basement rocks.

9 **Q. And how far away is that from this area?**

10 A. The Raton?

11 **Q. No, no. The Dagger Draw.**

12 A. Oh. Don't know that either for sure.

13 **Q. Different county, I believe, right?**

14 A. Yes.

15 **Q. Okay.**

16 MR. PADILLA: That's all I have.

17 EXAMINER JONES: Ms. Bennett?

18 MS. BENNETT: This is a bit unorthodox, but
19 may I enter my appearance on behalf of Mesquite in this
20 case to ask a question to follow up on Mr. Brancard's
21 question about Mr. Reynolds's testimony?

22 EXAMINER JONES: Are you entering on both
23 cases for Mesquite?

24 MS. BENNETT: Just this case.

25 EXAMINER JONES: Just this case. Now, what

1 case are we on?

2 MS. BENNETT: This is the Blackbuck Olive
3 Branch case. I don't know the case number.

4 EXAMINER JONES: It's 20463.

5 MS. BENNETT: And I just want to ask one
6 follow-up question based on Mr. Brancard's question on
7 Mr. Reynolds testimony in the prior case, if that's
8 acceptable.

9 EXAMINER JONES: Okay.

10 MS. BENNETT: Do you mind if I sit here?

11 MR. PADILLA: Go ahead.

12 CROSS-EXAMINATION

13 BY MS. BENNETT:

14 Q. Good afternoon.

15 A. Hi.

16 Q. Were you here all day on June 28th when we had
17 the follow-up hearing on the Mesquite application?

18 A. With Mr. Goetze's --

19 Q. Yes.

20 A. No, I was not.

21 Q. Were you -- was anyone else from your team here
22 that day?

23 A. Yes. Mr. Arthur and Alleman were here.

24 Q. Okay.

25 MS. BENNETT: I'll reserve my question for

1 the folks that were here when Mr. Reynolds testified.

2 EXAMINER JONES: Mr. Brooks?

3 RECROSS EXAMINATION

4 BY MR. BROOKS:

5 Q. Yeah. Something you said in your last answer
6 to Mr. Brancard's question -- no. It was from the
7 examiner's question, of the separation from the base of
8 the injection zone to the top of the -- of the
9 Precambrian.

10 A. Yes.

11 Q. That was what you measured, right?

12 A. Correct.

13 Q. And that includes the Ellenburger?

14 A. Correct.

15 Q. And you did not measure from the base of the
16 injection zone to the top of the Ellenburger?

17 A. No, we did not.

18 Q. And you will concede, will you not, that the
19 Ellenburger is not a barrier?

20 A. Most likely, it's not.

21 Q. Okay. Thank you.

22 A. Uh-huh.

23 EXAMINER JONES: Okay. Thank you,
24 Mr. Tomastik.

25 MR. PADILLA: We'll call Dan Arthur at this

1 time.

2 JAMES D. ARTHUR,

3 after having been previously sworn under oath, was
4 questioned and testified as follows:

5 DIRECT EXAMINATION

6 BY MR. PADILLA:

7 Q. Mr. Arthur, please state your name for the
8 record.

9 A. James Daniel Arthur.

10 Q. And you're with ALL Consulting here?

11 A. Yes, sir.

12 Q. And what is it that you do for ALL Consulting?
13 What discipline do you -- are you involved with in terms
14 of your expertise as an engineer?

15 A. My title is president and chief engineer for
16 ALL Consulting. I'm a petroleum engineer.

17 Q. And you're hired by Blackbuck as --

18 A. As a professional registered engineer, it's my
19 responsibility to say who I'm representing. Today I'm
20 representing Blackbuck Resources.

21 Q. Okay. You've testified before the Oil
22 Conservation Commission before, haven't you?

23 A. Yes, during the PIT hearings.

24 Q. The PIT hearings?

25 A. (Indicating.)

1 Q. Okay. And for whom did you testify?

2 A. New Mexico Oil and Gas Association.

3 Q. Have you since testified as a petroleum
4 engineer before the Division?

5 A. No, sir.

6 Q. Tell us what your educational background is as
7 a petroleum engineer.

8 A. I've got a petroleum engineering degree from
9 the University of Missouri, Rolla.

10 Q. And what is your experience in the oil and gas
11 industry?

12 A. I'm a registered professional petroleum
13 engineer in 34 states, including the state of New
14 Mexico, and I also hold a professional petroleum
15 engineering registration through the Society of
16 Petroleum Engineers, which also allows me to practice on
17 an international basis, which I have in a couple dozen
18 countries. I'm a certified project manager and have
19 been sworn as an expert on several dozen various types
20 of disciplines, including petroleum engineering, induced
21 seismicity. In fact, I was the first engineer in the
22 United States to be certified as an expert on induced
23 seismicity during a hearing.

24 Q. Where was that?

25 A. In Ohio.

1 And I also served as a national expert in
2 the Underground Injection Control Program while I was
3 employed with the U.S. Environmental Protection Agency.

4 **Q. What has been your activity of work in**
5 **Underground Injection Control projects?**

6 A. So that's a great question but one that is
7 awfully broad based on the discussion that we've seen
8 during this hearing. So I started my career with
9 Halliburton doing cementing, acidization. And those, as
10 you're aware of, are very critical aspects of any
11 injection well or disposal well or underground injection
12 control type activity. I worked in the oil and gas
13 industry, permitted my first injection well in 1979. So
14 that was in the state of Oklahoma. Tim Baker was not
15 there yet, if you know Tim.

16 And then after getting my degree, I went to
17 work for the U.S. Environmental Protection Agency in the
18 Enforcement Program. I served for about three years on
19 the National Technical Working Group where we developed
20 several new tests for mechanical integrity testing. I
21 got to be involved in several new regulatory development
22 programs. I got to --

23 **Q. Are these for underground injection?**

24 A. For the Underground Injection Control Program
25 specifically, including working with a lot of the

1 researchers early in the program. At that time the
2 US EPA was spending a lot of research dollars. So back
3 in mid-1980s, I got to work with a couple of the
4 national labs on a variety of issues, including the
5 potential for induced seismicity, the zone of
6 endangering influence, which you referred to earlier,
7 and countless other things in preparing for the
8 program's midcourse correction effort. I got to work
9 with a lot of senior researchers and consultants from a
10 variety of areas.

11 In that, I've also participated in the
12 Class I Injection Well Land Ban Program and the
13 development of those regulations and looking at things
14 like pressure buildup in injection reservoirs, injectate
15 compatibility. I actually responded to a well in
16 Illinois that had an injectate incompatibility that
17 wound up being a blowout.

18 I also have worked with a number of states
19 on issuing their -- their primacy for the UIC Program
20 under both 1422 and 1425. I have assisted in managing
21 directly the UIC programs for Class II in Indiana and
22 Michigan while I was at EPA and the Class I programs
23 outside of there, as well as doing program reviews
24 through that.

25 I will also note that during that time

1 frame -- this was early in the UIC Program. At that
2 time EPA really didn't think they needed petroleum
3 engineers. They didn't produce oil. So for about a
4 year and a half, I was actually the only petroleum
5 engineer employed by EPA on a national basis, so I got
6 brought into a lot of other regions to help on things.
7 So I got to work on some of the issues at Rocky Mountain
8 Arsenal and a number of other places, including the
9 midcontinent and some of the geothermal stuff and gas
10 storage and a lot of waterflooding and other sorts of
11 issues that were -- that were active at the time.

12 **Q. Mr. Arthur, you worked on the exhibits that we**
13 **have for introduction here today, correct?**

14 **A. I did.**

15 **Q. And did you participate in the filing of the**
16 **C-108 in this case?**

17 **A. So I served, essentially -- in my role for the**
18 **application is what I would say would be essentially**
19 **equivalent to the engineer of record for this. So --**

20 **Q. Okay.**

21 **MR. PADILLA:** Mr. Examiner, we tender
22 Mr. Arthur as an expert in underground injection control
23 and as a petroleum engineer.

24 **EXAMINER JONES:** Any objections?

25 **MR. BRUCE:** No.

1 EXAMINER JONES: Mr. Brooks?

2 MR. BROOKS: No objection.

3 EXAMINER JONES: He's so qualified.

4 Q. (BY MR. PADILLA) Before we start, the question
5 was asked earlier about whether -- essentially who
6 Blackbuck is in terms of the way your connection is to
7 whether there is any expertise at Blackbuck other than a
8 water well or an injection well operator. Can you tell
9 us about the internal composition of --

10 A. Blackbuck has a variety of staff members.
11 They're a growing company. So some of their staff are
12 former oil and gas people, former people that have dealt
13 with water infrastructure and water disposal. For these
14 projects, with the permitting and so forth of this, is
15 that they have looked to ALL Consulting to essentially
16 be their technical arm on these issues.

17 As -- as a mind-set -- and I know we're
18 already past that, but from ALL's perspective, we've
19 been in business 20 years, and over that 20-year period,
20 we've permitted a little over 2,000 injection wells in
21 the United States. So I'd probably put those numbers up
22 against Chevron or EOG or most anybody.

23 Q. Okay. Let's turn to Exhibit Number 5 and tell
24 us what contribution you made in preparing Exhibit
25 Number 5.

1 A. So I oversaw the preparation of Exhibit 5
2 from -- from working with Tom and others on some of our
3 assumptions and methodologies, as well the approach used
4 in doing this, and a little bit based on discussions
5 that I had had in the past with both Mr. Goetze and Mike
6 here.

7 Q. Did you meet with Mr. Goetze at some point?

8 A. I did.

9 Q. And when was that? A couple of months ago,
10 three months ago more or less?

11 A. Oh, probably three or four or five months ago.
12 I'm an old guy where time runs together pretty quick.

13 Q. What was the nature of your meeting with
14 Mr. Goetze?

15 A. Essentially what we were hoping to do was to
16 talk about not only this Olive Branch application but
17 some of the other applications that we had put in place.
18 We were trying to understand the Division's position
19 and, you know, and look towards solutions that we could
20 work with them on and be able to move forward with
21 permits. So through that discussion, I think that Mr.
22 Goetze and I got to know one another but then talked
23 about some of the solutions and things that we were
24 looking at from a regulatory program, as well as some of
25 his priorities like the mile-and-a-half kind of de facto

1 regulation.

2 Q. When you say de facto regulation, what do you
3 mean by that?

4 A. So -- so -- so what -- in that -- in that
5 discussion, OCD had worked with industry. Industry had
6 done some modeling. And -- and -- and Mr. Goetze
7 explained that in that modeling, for the Devonian
8 injection horizon, that fluids -- that what that
9 modeling resulted in was fluids could get as far as a
10 mile and a half away from that. He was also concerned,
11 with kind of the activity and the permitting activity
12 that was going on, was that -- one of his concerns was
13 that the Devonian was starting to look almost like a
14 waterflood unit as opposed to what would be or had been
15 maybe a more typical disposal well horizon out there.
16 And he was concerned about a lot of things that have
17 been being expressed here through his testimony but have
18 been brought up even today, you know, pore pressure,
19 confinement, induced seismicity, et cetera.

20 Q. You were here for both prior hearings --

21 A. Yes, sir.

22 Q. -- on the Mesquite and the Division's
23 presentation?

24 What's your opinion of the Division's
25 presentation in terms of how it affects this specific

1 **area of Lea County?**

2 A. So -- so that's a broad question, so -- so
3 please let me provide you with my opinion.

4 So first off, I think that Mr. Goetze
5 has -- has a rough job here with essentially, in his
6 words during our meeting, a land run going on with
7 regard to disposal wells, which I agree with. At the
8 same time, that's trying to be managed with a division
9 who is 55 percent understaffed. So that -- that alone
10 makes it a very, very difficult situation.

11 Mr. Goetze, admittedly, including during
12 the last hearing, is not an expert on induced seismicity
13 but certainly presented a lot of information, has read a
14 lot of information, I think made some great points
15 during his -- during his testimony and even during
16 that -- through the cross-examination.

17 Part of the challenge is that -- you know,
18 from my perspective, I was involved in supporting
19 industry on the EPA National Technical Committee that
20 did the -- the -- the guidance document on that.
21 Mr. Tomastik of my office participated in that and
22 throughout a lot of the other stuff that's going on.
23 I'm also personally serving as a testifying expert on
24 about 100 different induced seismicity litigation cases,
25 so I've seen a lot of testimony from a lot of different

1 sides and worked with industry on that. And I've
2 studied a lot of the initial induced seismicity events
3 like in Arkansas at VFW and Pecos and many in Oklahoma,
4 West Virginia, Ohio. So we've seen a lot of those
5 similarities. A lot of what's happening, I've been to a
6 lot of those events where we've had technical workshops
7 on induced seismicity.

8 And what I think Mr. Goetze did is he
9 looked at the fear of that and he has done his best at
10 trying to create a proactive regulatory program.

11 For the most part, regulatory programs --
12 and speaking as a former regulator and not only at EPA,
13 I served a year as the UIC director on a contract basis
14 for the state of the Montana after I helped them get
15 their regulatory program. But most regulatory programs
16 are reactive. You know, something happens. Horizontal
17 drilling comes in or hydraulic fracturing or public
18 disclosure of hydraulic chemicals. You name it.
19 Usually something happens and then that prompts an
20 action.

21 And what Mr. Goetze is trying to do here --
22 and I appreciate that -- is trying to be proactive,
23 because they don't want to -- they don't want to have
24 the seismic events that, say, Oklahoma has or that
25 you've had in a variety of other areas. So what he's

1 done is taken information provided by industry. He's
2 taken an approach that he believes he can develop, at
3 least to my understanding of what he described to me
4 through listening to him, that he could implement on an
5 understaffed basis, and that's, you know, a
6 mile-and-a-half separation.

7 And, furthermore, you know, with all the
8 applications coming in, he's looking at this like, you
9 know -- and what he also expressed to us is it's whoever
10 gets their application in first, you know, that's --
11 that's the pathway that he can take. And I understand
12 that logic.

13 The challenge I have is when we went to
14 talk to Mr. Goetze and what we can talk about more here
15 is some of the concerns that the Division has raised
16 about, you know, is the Montoya-Simpson a good confining
17 unit, and will it confine from below? Will the bottom
18 of the -- you know, that lower part of the Fusselman, is
19 that a confining zone? You know, is the separation
20 adequate? You know, are we going to build up pressure?
21 You know, what all is going to happen? Those are
22 reasonable questions, but those are not new questions.
23 Those are questions that have been asked of the UIC
24 Program, the types of questions, elsewhere.

25 So what we tried to propose to Mr. Goetze

1 was to do pressure falloff testing, you know, like you
2 do in the Class I injection well program, and you can do
3 that on an annual basis and then see how the reservoir
4 is reacting from a pressure standpoint so you can find
5 out if it's building pressure, not building pressure,
6 what's happening.

7 We can do radioactive tracer surveys at the
8 well to be able to see is that fluid that I'm
9 injecting -- where is it going down? Is it going down?
10 Is it going out in the formation? Where? You know,
11 there's a number of -- you know, we actually also
12 proposed doing -- putting seismic monitors in. So like
13 one of the things that we could do, as Mr. Tomastik
14 talked about, that is a bit of an issue is the accuracy
15 and so forth is difficult. So, you know, I'd be looking
16 at least to have a seismic monitor on-site and also an
17 accelerometer so we can -- you know, we can look at
18 ground motion movement. So that's one of the things --
19 like, if you go to the USGS "I Felt It" map -- you know,
20 we might get a 2.0 earthquake in New Mexico that
21 somebody in New York says they felt it because they saw
22 something on the news. Well, if I have an
23 accelerometer, I can go back to Mr. Goetze and say,
24 "Well, you know, you didn't feel that."

25 And the challenge is if I have a 3.0

1 earthquake that occurs, you know, really deep, I'm not
2 going to feel it at the surface. But if I have one that
3 occurs pretty shallow, I might, you know. So that depth
4 is significant, you know. So a lot of those things, you
5 know, we could look at.

6 We also talked about doing a monitoring and
7 mitigation plan that's been talked about in this hearing
8 in the past by, I believe, one of the Mesquite experts,
9 you know, like the stoplight program. That got put in
10 place initially in the geothermal environment, you know,
11 because you'd get a lot of events there. But during the
12 States' first initiative -- and I can't remember if
13 New Mexico participated in that, but it was an
14 IOGCC-GWPC event. Mr. Tomastik and I, again,
15 participated in that. And that was part of the issue,
16 was having a stoplight program, having a monitoring and
17 mitigation program. And that's essentially even what
18 Oklahoma is doing now. A number of states got together
19 and looked at with experts from around the country. We
20 even had some international guys in there looking at
21 this. You know, the U.K. has got issues, you know,
22 Alberta, British Columbia. But nonetheless, there are
23 options.

24 So one of the things, as an example --

25 **Q. Options aside from just simply --**

1 A. Saying no.

2 **Q. -- arbitrarily --**

3 A. Yes.

4 **Q. -- going to the 1.5 miles?**

5 A. So, for instance, we worked with the
6 Pennsylvania DEP to develop their induced seismicity
7 rules and how they implement that program. And so we
8 looked at a systemic monitoring program, having an
9 accelerometer, development of a monitoring and
10 mitigation program so that not only you but the State
11 would know what you're going to do in different
12 circumstances. And we felt that would be -- would be
13 very effective and -- and allow you to know.

14 Because if you get into the Devonian, I
15 mean, it's a carbonate reservoir. And I know there
16 are -- you know, we don't -- you know, it's not like
17 there are a billion penetrations into it, right? So
18 when you -- when you think about that, we know about it.
19 We don't know everything about it. But that's not any
20 different than, say, a groundwater remediation program.
21 That's not any different than the air program. That's
22 not any different than a lot of environmental programs
23 that are implemented by the State of New Mexico, by
24 every other state in the country, by the U.S.
25 Environmental Protection Agency, the BLM, the Forest

1 Service, et cetera. So what you do is you look at the
2 things that you want to do, and then you put things in
3 place to help make sure that you don't -- you don't
4 cause a problem.

5 So if I know -- if I'm -- if I'm measuring
6 what my pressure buildup in the reservoir is, that might
7 account for the fact that -- when we do, you know,
8 volumetric fill-ups or pressure buildups, we're
9 primarily assuming that this is a homogeneous reservoir
10 with isotropic flow, which is wrong. You know, we
11 talked about this with Phil. And I said, "You know that
12 that's not right," and he agreed, you know. We all know
13 that's not right.

14 Like, we're making circles on this Exhibit
15 5. It's not going to be that way. Right? You're going
16 to have preferential flow paths and more. You're going
17 to have -- you know, the porosity that we're looking at
18 in this formation is primarily secondary porosity. You
19 know, it's got primary porosity, but mostly it's
20 secondary porosity.

21 So when we start looking at what's going to
22 happen, it's heterogeneous. It's not a homogeneous
23 reservoir. And what you see in a lot of homogeneous
24 reservoirs that have fracturing like this, they have a
25 lot more capacity to take in water than you might think.

1 I've been seeing this over 35 years, including in
2 New Mexico and the Permian Basin. It -- it -- it works
3 that way. And when we look at the idea of, say, a zone
4 of endangering influence calculation, where we're seeing
5 problems in an area of review that might contaminate
6 groundwater, generally that's been when people have gone
7 into shallow zones and are overpressuring these. This
8 is a deep zone, 16- to 18,000 feet deep. If we really
9 ran a zone of endangering influence, it's going to be
10 about a foot from that wellhead, you know.

11 So -- so that goes back to the days when
12 the U.S. Department of Energy worked with us on doing
13 the area of review Variance Program, if you remember
14 that. So that was where they said the whole area of
15 review like that in a lot of areas is really a waste of
16 money to industry. This is different than that. But if
17 we're concerned about this going down, let's put things
18 in place so that we can look at that.

19 We can present the data that we have here,
20 you know, on volumetric fill-up, but it's -- it's making
21 improper assumptions just like the model made there. We
22 don't know. And when we look at that and having that
23 strict one-and-a-half-mile setback, it really has no
24 technical basis, you know. It's an assumption. It's a
25 conservative policy.

1 So when I look at this, in my opinion, you
2 know, you've got -- you ask: Who is going to say --
3 should it be Blackbuck or Solaris? I don't think that
4 there is technical justification to say is that. You
5 know, what you -- what you should be doing is you should
6 be issuing Blackbuck's permit application and Solaris'
7 permit application and having them collect data, and you
8 could do that with -- with assumptions. That's how most
9 regulatory programs work. This is what you think. This
10 is what the data is showing. But if you start building
11 up pressure or you start, you know, seeing issues,
12 you're going to have to cut back your rate, or you're
13 going to have to, you know, do something different. But
14 that's then based on real data, facts, things that we
15 can control. I can -- I can run logs to be able to show
16 that my fluid isn't going down.

17 And then, you know, to Mr. Brooks' point in
18 saying that, well, the Ellenburger isn't -- isn't a
19 confining unit -- right? -- well, it's not. It could be
20 an injection interval, and it has been in a lot of
21 different places.

22 But now let's look at that, you know. So
23 if we look at the point of injection -- and this is no
24 different than -- than Class I, II. You know, the basis
25 of the UIC Program, when I'm injecting, my highest

1 pressure is at the wellhead, is at the wellbore. And as
2 I move away from the wellbore, that pressure reduces
3 really fast. Right? So I may be filling things up in
4 that reservoir, but I'm not necessarily, you know,
5 building massive pressures. So the most critical point
6 where we're going to see that go down is near or at the
7 wellbore. So when I start looking at radioactive tracer
8 surveys or temperature decay logging, I can see. Is
9 my -- is my injection fluids moving down?

10 Now, what we saw in the logs and from
11 talking with Tom, the logs that we did have, they
12 weren't consistent of where we saw permeability, of just
13 the geology of like the -- of the injection interval.
14 So that gave us more of a lead that it was homogeneous
15 and that you're going to have things moving out.

16 Moreover, the liquid that we're going to be
17 injecting is a little bit lighter than the fluid that is
18 inherent in the Devonian Formation, so that alone is
19 going to be looking at it to come -- to move upward or
20 stay about where it is.

21 **Q. Let's -- let's look at your circles on Exhibit**
22 **5. First of all, injection rate is going to be 30,000**
23 **barrels per day, right? You're proposing maximum**
24 **injection rates of 30,000?**

25 **A. Of 30,000 barrels a day, with an average of 15.**

1 **Q. An average of 15?**

2 A. Uh-huh.

3 So what we did here is -- is, as I think
4 Nate and Mr. Tomastik looked at, is -- is over those
5 three time periods, what would that do assuming the
6 maximum injection rate, and for our well and the
7 proposed ones, as well as looking at data for the
8 existing ones in the area? And in that time period,
9 even if we go out to the 30-year volumetric fill-up
10 analysis, we don't get out from the Olive Branch well --
11 we don't get out to the one-and-a-half-mile radius from
12 the proposed well.

13 **Q. How far do you go out?**

14 A. We get out a little over a mile. What this
15 showed, I believe, was about 6,100 feet -- or 6,000
16 feet. Sorry.

17 **Q. Both wells, the Predator and the Olive Branch,**
18 **were injecting at the same time?**

19 A. So what we did on this -- this is -- that is a
20 relatively simplistic analysis. We didn't run a true
21 reservoir model from that. So if -- if -- if assuming
22 this homogeneous isotropic analysis and, you know, the
23 model that we did, which is a rather simplistic
24 arithmetic model -- we didn't try to calculate a dual
25 injection of what that would be. But I would suggest it

1 still would be less than a mile and a half.

2 Q. Somebody asked at the last hearing -- I think
3 it was Mr. Brancard -- about what happens at the end of
4 30 years. What happens at the end of 30 years?

5 A. So, you know, I've been -- I've been doing this
6 whole injection well stuff for 35 years and have seen
7 massive changes in both the producing wells that are
8 accepting -- that are delivering water-disposal wells
9 and what we see now. So in the past, you know, oil and
10 gas wells would turn into stripper wells and, you know,
11 would maybe produce a barrel of oil or a half barrel of
12 oil and 100 barrels of water, maybe more than that.
13 Certainly when we look at the other wells that have
14 produced in the Devonian, they produce gas and a massive
15 amount of water. But -- but what has happened with kind
16 of the unconventional development world that we're
17 seeing now is it's vastly different.

18 So we're using -- we're using, you know,
19 big fracs with a lot of water and a lot of sand so that
20 we can accelerate production. You know, we want to
21 fracture that formation around our horizontal-producing
22 wells like -- you know, like safety glass on a
23 windshield, so you get all these -- you know, this
24 complex fracture network, and then you want to produce
25 that as fast back as you can. So what you see is --

1 from a water perspective but also a hydrocarbon
2 perspective is you generally see a pretty big increase
3 in what those wells initially produce but then a pretty
4 sharp decrease. As opposed to historically where we
5 would start off producing a little bit of water and go
6 to massive volumes of water, now we'll get a lot of
7 water during flowback and then maybe water after that.
8 But over time, that water goes down.

9 So when I start looking at an area like we
10 looked at, a five-mile area, looking at is there a need
11 for disposal in this area and there is certainly even
12 now more water than there is disposal capacity, but that
13 doesn't last forever. This doesn't -- you know, this
14 massive waterline doesn't last for eternity, which is, I
15 think, one of the words I heard used in one of the prior
16 hearings. So certainly there will be, you know,
17 produced water that's going to need to be disposed of
18 but in far lesser amounts that you'll see early in the
19 development of these fields. So what you see is really
20 a big flush until development is gone -- or completed
21 and then over time, that water production from those
22 wells is going to go down and stabilize far less than it
23 was during the early production portion of the project.

24 **Q. Do you have anything else on Exhibit Number 5**
25 **in terms of calculations?**

1 A. I don't think so. I'm happy to take questions
2 about it.

3 **Q. Well, let's go on now to Exhibit Number 9, and**
4 **let's talk about the fault slip potential analysis. And**
5 **I take it you prepared this Exhibit 9?**

6 A. So I worked with our team on Exhibit 9 and the
7 fault slip potential modeling. I think that -- I think
8 that it's important to note what we did as we get
9 into -- into this modeling, is we went through a couple
10 of scenarios and different time durations. But what we
11 had to do to be able to arrive or -- or -- or have a
12 chance at arriving at some sort of number is we added
13 fictitious faults. And this isn't something that is --
14 I mean, this is pretty common. But when you do this FSP
15 model, if you don't have any faults, you get -- the
16 answer is zero. It just is.

17 Now, therein lies --

18 **Q. What is fault slip? We use that term, "fault**
19 **slip analysis." What is fault slip?**

20 A. So essentially what we're trying to assess is a
21 potential for injection through increased pore pressure
22 and so forth -- and it really has to do with a number of
23 issues that wind up getting into viscosity and other
24 things -- that would -- would cause a fault to slip,
25 thus creating some sort of seismic event.

1 **Q. Okay. It slips from its current position?**

2 A. Whether it's a strike-slip fault, a normal
3 fault or, you know, some combination therein.

4 **Q. Okay. So what did you do to -- I see on page**
5 **4, you have injection data.**

6 A. So we really ran -- we ran two scenarios that I
7 describe because we don't know the -- you know, the
8 exact details of what we're going to see at this well
9 because we haven't drilled it yet and we don't have that
10 data. So we did one with the permeability at ten
11 millidarcies, porosity at 5 percent and an injection
12 interval thickness of 100. And the second scenario, 100
13 millidarcies for permeability, 10 percent porosity and
14 an injection interval of 250 feet. So we're trying to
15 be very conservative even with both of these.

16 So if you look at, you know, some of the
17 past modeling in the hearings, they used the entire
18 interval, you know, for that assumption, so, say, 1,400
19 feet. Well, we're trying to use a smaller portion up
20 because we don't, you know -- 100 percent of our
21 injection interval isn't going to have porosity. So we
22 have high porosity zones and other stuff, and we're
23 still learning about it. But within all of the modeling
24 we did, we got an answer of zero. When we added
25 fictitious faults, we got an answer of zero. So we

1 saw -- we saw no -- no fault slip potential.

2 But I want to make sure to address a
3 question that I know is keen on the mind of the
4 Division, which is why we're here and why I think
5 Mr. Goetze is being cautious and proactive, is that we
6 don't know where all the faults are or where there could
7 be faults. And just like Mr. Tomastik said, a lot of
8 the fault we've seen in Oklahoma, Texas, West Virginia
9 and elsewhere, Alberta, the U.K. have been strike-slip
10 faults. They're just tough to detect on like 2D or 3D
11 seismic.

12 Moreover, the faults that we've seen -- or
13 the seismic events that we've seen created from
14 hydraulic fracturing, a lot of times we didn't know were
15 there. I've seen the 2D and 3D seismic, and you're
16 looking -- they kind of have waves in them, and you go,
17 "Okay. Is that wave -- is that a strike-slip fault; it
18 could be," you know. It's really hard to understand.
19 But what we've seen in some of the -- in some of the
20 litigation cases -- and even what, say, the Oklahoma
21 Geologic Survey did and what they're doing in Texas and
22 elsewhere is they're looking for those seismic events to
23 occur, and then they're mapping those faults.

24 Well, I think, you know, to be proactive is
25 we're seeing that based on the faults that we know about

1 or even putting some faults in there, we're feeling
2 pretty good that this case isn't -- doesn't have the
3 potential in this zone to cause a seismic event. I
4 think it's critical to think about the fact that in all
5 the cases that we're looking at here, the instances
6 where induced seismicity was initiated, was when
7 injection was occurring in the formation adjacent to the
8 basement, so the Ellenburger, the Arbuckle, the Mount
9 Simon, et cetera. So we can look at this and say,
10 "Well, we're really worried it could go through that
11 confinement and then just shoot down into the
12 Ellenburger and go down into the basement." Well, that
13 could happen, you know. It's possible. I can't say
14 that it can't. None of the -- none of the experts can
15 say that it can't.

16 But what we can say is the data we've
17 looked at suggests that that shouldn't happen. We can
18 do testing to be able to see if our fluid is going down.
19 We can -- we can also think about the fact that -- of
20 what I said a little bit ago, that we've got a pretty
21 massive formation that has demonstrated the capacity to
22 take a lot of fluid without a lot of pressure buildup,
23 from what we've seen so far, but it needs time to assess
24 that and proper monitoring to be able to have a course
25 of action that you could take in advance of seeing

1 seismic events. You know, let's just have a plan. We
2 want to have a plan.

3 And moreover, you're going to have that
4 highest pressure right at the well. So we do say:
5 Temperature decay logging, radioactive tracer logging,
6 pressure -- you know, pressure falloff testing. We can
7 know that. We can know that data. But that well,
8 that's going to be the main point. And, you know, just
9 assuming that well could go out a mile and a half, let's
10 just say, or a mile or whatever you want to assume and
11 that fluid at some distance, because we don't know
12 perfectly, 100 percent the geology of that lower
13 confining unit, that that means this is a failure is
14 just not correct. Because now I'm injecting fluid in
15 there that's actually a little fresher than the fluid in
16 the Devonian, so I shouldn't get that much seepage.
17 Most pressure is going to be right at the well. You
18 know, from a -- from a safety standpoint, this --

19 **Q. Let's go back to page 7 where you have an**
20 **injection interval thickness of 100 feet. What happens**
21 **if you multiply that ten times or 12 times, which is**
22 **actually the case here in terms of --**

23 **A.** So a smaller interval -- a smaller interval
24 with that rate is going to -- is going to provide me
25 with the greatest fault slip potential. So if I take a

1 bigger interval, my fault slip potential is going to go
2 down because that pressure is going to be spread out
3 over a thicker interval.

4 So this first -- you know, this first
5 example that we have, you know, in reality, provides the
6 greatest risking. And we see in both -- in both
7 instances, you know, we have -- we have zero fault slip
8 potential.

9 Q. And in Scenario 2, the same thing?

10 A. Correct.

11 Q. And you've increased the thickness interval to
12 250 feet on the second scenario. And that applies the
13 same based on the total length of the disposal interval
14 that's proposed, right?

15 A. Correct.

16 Q. Do you have anything else on Exhibit 9?

17 A. No, sir.

18 Q. Let's go on to Number 10. What is that?

19 A. So this is a map of disposal -- oil and gas
20 wells in the area, also showing the Olive Branch well in
21 the center. This is a five-mile radius of the -- of the
22 wells in this vicinity, shown in the lower left-hand
23 corner of the circle, a little less than five miles from
24 the well. Two wells that are shown, the Cotton Draw
25 Unit 84 and the Cotton Draw Unit 76, these are wells

1 that have produced out of the Devonian.

2 **Q. What kind of production out of the Devonian?**

3 A. I've got a couple of graphs here that --
4 that -- that come after this. But, you know, these are
5 wells that I would say, for most of their productive
6 life, did not do very well. They did have some
7 production that -- that IP'd, oh, in the, say, 400,000
8 MCF-per-month range but had very high water production.
9 I mean, which is not unexpected. So you see that in --
10 oh, like in parts of West Texas where they've produced
11 out of the Ellenburger. And why isn't there a rush on
12 Ellenburger-Devonian? Because the economics of it is
13 just rough because you produce massive amounts of water.
14 The water production goes up. The gas production goes
15 down real rapidly because there is just not a lot of
16 hydrocarbon resources available to produce.

17 In the case of these two wells, one was --
18 one of wells was plugged, and one was converted to a
19 disposal well.

20 **Q. In terms of impairing correlative rights in the**
21 **Ellenburger, how do you rate that?**

22 A. You know, I would guess that natural gas prices
23 would probably have to go up to something like \$100 an
24 MCF, and everything else, you know, would be dead
25 before -- if we're going to start making any kind of

1 rush to get the drippings left out of the Devonian here.
2 So from a correlative rights perspective, I see no issue
3 on correlative rights relative to hydrocarbons or the
4 Division's mission on not wasting hydrocarbons.

5 **Q. And right in the area of the Olive Branch, it**
6 **is very sparse production, right?**

7 A. That's correct, with everything else being much
8 shallower.

9 **Q. Let's go to Number 11. Actually, Numbers 11,**
10 **12 and 13 are pretty much the same, right?**

11 A. Yes.

12 **Q. What are they?**

13 A. Those are just from those two wells. Both
14 exhibits, 11 and 13, are production charts from those
15 two Cotton Draw wells. We actually worked on one of
16 these as a disposal well. But you could see a rapid
17 decline from production from both bells and water
18 production being pretty high.

19 **Q. Makes for poor economics, right?**

20 A. I'd say less than poor economics.

21 **Q. What's Number 13?**

22 A. So anytime -- anytime you're looking at a
23 disposal well, especially from a commercial disposal
24 well perspective, and recognizing that you may -- you
25 may service a particular area, you want there to be a

1 market. So if you're going to be spending money on
2 developing a commercial disposal well, you want to make
3 sure that there is a need.

4 And so we looked in a five-mile radius
5 here. We looked at current water production, and what
6 we saw in the area around the well was that there was
7 currently inadequate water disposal well capacity. Now,
8 why this is significant is water has -- has a -- has a
9 real problem. The biggest problem with water is that
10 it's heavy. And why I say that is that if you've got a
11 lot of water and you've got to get rid of it, you've got
12 to put it on a truck, and it's heavy and it costs you a
13 lot of money. So when you look at a lot of the costs
14 that it takes you to dispose of that water,
15 transportation is number one. And so the further you
16 have to transport that water as a producer, the bigger
17 economic impact it has on you and your development.

18 So you want to -- you want to find disposal
19 wells that are as close as possible. And so we looked
20 in -- you know, a five-mile radius is not -- I mean,
21 that's a pretty good area. But within that -- just
22 within that, there is currently inadequate disposal
23 capacity. And, you know, you're still seeing a lot of
24 permits issued for oil and gas wells and wells that
25 haven't yet been drilled. So from a -- from a need

1 basis, there is -- there is insufficient capacity.
2 There is a great need. It shouldn't be an issue with
3 even competition with other wells in the -- you know,
4 within miles from the Olive Branch well.

5 **Q. Would approval of the Olive Branch promote the**
6 **conservation of oil and gas?**

7 A. I think it would certainly help, because what
8 you're trying to do from the Division's standpoint is
9 not -- not necessarily add unnecessary economic burdens
10 so that more of those oil and gas resources are
11 producible. And so by putting the Olive Branch well in
12 and proving that in this particular area, I think would
13 be -- would be positive and in line with the Division's
14 objectives and goals.

15 **Q. So let me -- let me ask you to summarize your**
16 **testimony, and let me ask it in the form of a question.**
17 **Are you saying that approval of this application would,**
18 **number one, not cause any seismic events based on**
19 **your -- on your calculations? Number two, would promote**
20 **the conservation of oil and gas because water's got to**
21 **go somewhere, right? And anything else?**

22 A. So we've tried to, you know, look at -- and
23 even in our FSP modeling and our seismic analysis, not
24 only the faults are there but also the seismic events.
25 So USGS is only recording a 2.0 seismic event in the

1 data that they have -- in the data that they've
2 published, but we've tried to look at both of those
3 instances, where there is a known map fault versus, you
4 know, an event. And the events may not be exactly where
5 they actually occurred. The faults may be a little
6 different. There may be some other faults in there.
7 But from a seismic event potential, considering where we
8 are, separation from basement, the other things I've
9 testified on, I don't see a good -- I don't see a
10 significant seismic -- induced seismic potential caused
11 by the Olive Branch well. I believe that what we've
12 done with the construction of the well, that it's
13 protective of USCWs, which is part of the mission of the
14 UIC Program under the Safe Drinking Water Act, as well
15 as it's supportive of -- of -- of the Division's
16 mission.

17 MR. PADILLA: I have no further questions.

18 EXAMINER JONES: Okay. Let's take a
19 ten-minute break.

20 MR. BROOKS: Can we make it 15?

21 EXAMINER JONES: We can, but we're in a
22 rush today.

23 MR. BROOKS: Whatever you designate, I'll
24 conform.

25 (Recess, 2:04 p.m. to 2:23 p.m.)

1 EXAMINER JONES: Let's go back on the
2 record and get ready for cross-examination.

3 MR. PADILLA: Mr. Examiner, before I do
4 that, I'd like to tender Exhibits 5, 9, 10, 11, 12 and
5 13.

6 MR. BRUCE: No objection.

7 EXAMINER JONES: Any objections?

8 Mr. Brooks, any objections?

9 MR. BROOKS: No objections. No questions
10 and no objections to exhibits.

11 EXAMINER JONES: We're tendering Exhibit 5
12 for the second time, but also 9, 10, 11, 12 and 13 are
13 admitted.

14 (Blackbuck Resources, LLC Exhibit Numbers
15 5 and 9 through 13 are offered and
16 admitted into evidence.)

17 EXAMINER JONES: Ms. Bennett, any
18 questions?

19 MS. BENNETT: No. Thank you.

20 MR. BROOKS: No questions.

21 EXAMINER JONES: You're in a hurry.
22 Everybody's in a hurry.

23 MR. BROOKS: Everyone's in a hurry.

24

25 CROSS-EXAMINATION

1 BY EXAMINER McMILLAN:

2 Q. Okay. Let's see. The first question I've
3 got -- just for clarification, you said that -- this is
4 paraphrasing -- porosity and permeability was not
5 consistent. So are you saying that the porosity -- you
6 say the porosity occurred at different levels? Is that
7 kind of right?

8 A. So when we -- you know, we're looking at a
9 pretty massive formation.

10 Q. Yes.

11 A. Okay? And -- and when you look at things like
12 what has been done so far in the hearing, even what we
13 did -- because what else are you going to do -- we
14 assumed that things were homogeneous, you know, just to
15 do a model. That's pretty often done. Most models,
16 when you do them, you know they're going to be wrong,
17 but you're trying to see how wrong they're going to be.

18 And when Tom and I looked at the
19 geophysical logs for this, we didn't see that each log
20 through our proposed injection zone had the same, you
21 know, wiggles and squiggles at the same, you know,
22 portions of that, which kind of gave us the idea that
23 the high-porosity zones, for instance, occurred at kind
24 of different areas within that, which leads me to
25 believe that there is some heterogeneity.

1 Q. Okay. I think that answers that question.

2 And then the question that also I have: I
3 think you said that -- in who should be picked, you said
4 you should pick both. But then the problem you're
5 getting is what happens if there is an event? How, as a
6 regulator, can the Oil Conservation Division determine
7 the responsible party?

8 A. Okay. So let's -- let's look at that from a
9 broader picture. Let's first look at should you pick
10 Blackbuck. And I would say to do this from a very cards
11 on the -- faceup on the table sort of perspective. If
12 you look at this, who should you pick -- and this is
13 from me as a former regulatory guy and talking with you
14 and Phil based on the stuff that you guys explained to
15 me.

16 So if I look at this, the Blackbuck well
17 was kind of first in order, you know, so the first
18 received without having an issue with the
19 mile-and-a-half kind of de facto rule that you guys are
20 implementing. There is another one that was submitted
21 before, in '18, but it's within a mile and a half of an
22 active well. Moreover, the Solaris well is closer to
23 active wells. And if you are going to look at this from
24 a pure technical standpoint on pressure, it's going to
25 have more influences from an existing disposal well than

1 we would. So if you take out the proposed wells, we're
2 more than a mile and a half away from any other well.
3 So from that, based on the criteria that you guys
4 describe, Blackbuck would be the easy choice.

5 Now, with saying that -- so first, what you
6 did, was you jumped -- so next. That's kind of the
7 first part of my response to you.

8 **Q. Okay.**

9 A. So for the second response, you jump to what if
10 there is an event? Who would you find, you know,
11 responsible? What would you do as a division, a state
12 agency or whatever. So let's back up from that
13 perspective, because you're trying to have a proactive
14 regulatory program, right?

15 So the first thing you look at is not when
16 there is an event. You look at what can I do to make
17 the best decision I can at attempting to assume that
18 there -- that there shouldn't be an event or to prevent
19 an event or to get a warning of an event. So I realize
20 this is a little different than the question you asked,
21 but I'll answer that question, too.

22 So this is not unlike what you do in
23 Superfund or air or whatever. You put things in place.
24 You do monitoring. You use best management practices.
25 This is what we did with Saudi Aramco in developing best

1 management practices for their entire unconventional
2 program, including injection. But when you do that, you
3 do those things, and you look at things like, you know,
4 annual pressure falloff test. Am I building pressure?
5 You know, am I building pressure that is somehow
6 concerning? Am I seeing flow going down? Am I seeing
7 things that would give me pause? So irregardless of the
8 fact that we're not injecting in the Ellenburger,
9 irregardless of the fact that we've got
10 1,200-something -- you know, 1,000, 1,200 feet of
11 separation to the basement and that the risks are low,
12 we're trying to be very, very, very ultraconservative
13 even on that. So the thing -- the thing that I would
14 look at first is -- is what am I doing to be able to put
15 things in place so that I can try to operate either one
16 well, multiple wells in a fashion that is -- that would
17 be safe?

18 So what we talked about when I was in your
19 office talking with you and Phil, what you guys
20 explained to me -- or what Phil explained was that I
21 understand that, I'm familiar with it, but we don't have
22 the staff to be able to look at those things, to be able
23 to enforce those things, to be able to do anything with
24 those things, to be able to interpret those things. And
25 my response there is: It's not appropriate to be able

1 to not issue a permit or to deny a permit because of a
2 staffing issue. That doesn't seem fair. Now -- so one
3 is, I think, that if you do those things, you have
4 justification where you're at to issue the permits.

5 Now, let's just say that, worst case,
6 something happens. Right? We don't know where all the
7 faults are. It's the underground.

8 I tell people, as a petroleum engineer,
9 that I have the oddest engineering degree of any that
10 there is because all the other engineers get to build
11 something and look at it. Right? Geologists, too. You
12 might go to an outcrop, but everything that you're
13 doing, you're interpreting, and you can't get two
14 geologists to agree with the same data, right? So same
15 with a geophysicist or a seismologist, which really is
16 just a geophysicist with training or an engineer with
17 training.

18 So within those things, this is the
19 discussion that we had with the State of Pennsylvania,
20 that Tom had in Ohio, that we've had at the States'
21 first work group, is let's just say there is an event.
22 What do you do? And we're doing this not only on
23 injection but also hydraulic fracturing. So when you
24 think of hydraulic fracturing, hydraulic fracturing, by
25 its nature, you are causing at least a microseismic

1 event. You break that rock; that's a microseismic
2 event. Now, in general, those events are less than 1,
3 .1. Maybe they're a negative number. But sometimes
4 those events can spark other events. So we've seen
5 events from hydraulic fracturing spark events as high as
6 3.7 magnitude earthquakes. Right?

7 Now, within that, what do you do? So what
8 some regulatory agencies have chosen to do, including
9 the State of Ohio, State of Pennsylvania, and just as
10 examples and what we even talked to them about in
11 proposing injection, is if you want to do that, you
12 can -- you can do something to install either a seismic
13 monitoring network that is structured for the activity
14 being regulated so you could -- and so you could
15 triangulate what's happening. Right?

16 So with the current network -- and
17 Mr. Tomastik touched on this a little while ago. The
18 current network that's out there, it's difficult to
19 triangulate things. It's generally -- what the USGS has
20 historically done is set up a network where they can
21 find, you know, a 4.5, 5.0-something earthquake over
22 here. And the exact location of it isn't necessarily
23 critical. Even if you look at the 7.2 earthquake that
24 happened in Anchorage I think last year -- I have a
25 bunch of relatives there -- they moved the location of

1 that earthquake 12 times trying to -- you know, they
2 changed the magnitude of it three times. You know, they
3 changed the depth on it -- I don't know -- half a dozen
4 times? So being able to have -- you know, for the stuff
5 that we're talking about that might be a 2.0 magnitude
6 earthquake or something like that, it's difficult to
7 triangulate to find that. That's what Ohio found when
8 Tom was looking at the earthquake stuff there.

9 So if you have a proximal network of, I
10 would say, at least three but ideally four to five
11 monitors, you can do a really good job at triangulating
12 both the lateral and depths of that. Now, that's a
13 little bit of a challenge in the disposal well world
14 because where are you going to put these things, you
15 know? But you can put them -- like, we'll typically put
16 them on the well side of an injection well and then
17 maybe other well pads or something in the area. But I
18 believe that you have some operators here that are
19 putting monitors on their well pads, and you have the
20 existing network.

21 So if you have just one monitor on your
22 well pad, plus also having an accelerometer on your well
23 pad, if there is an event, you can, one, see what the
24 ground motion is, you know, what shaking you're seeing
25 at the surface right there where your well is, and you

1 can have an additional close proximal point of being
2 able to identify an earthquake. And the other thing
3 with that in being able to have a monitor so close is
4 that you're not going to be stuck with only being able
5 to detect, say, a 2.0 earthquake.

6 So one of the things in earthquake
7 mitigation is I want to be able to detect an event
8 that's maybe .5. Okay? So if I can detect a .5
9 earthquake -- nobody's going to feel that, but I can
10 start seeing that. And I can see it, and as I inject,
11 am I seeing more of these microseismic events? And then
12 what I can do is I can -- I can do things such as, you
13 know, adjusting my rate or, you know, looking more at my
14 fluid makeup. You know, one of the things that we're
15 working on right now for the disposal well industry is
16 realtime monitoring of scalability and some of those
17 factors so that you're assuring you're not damaging the
18 formation as the water's going into it. It's a real big
19 problem. How much scale inhibitor do I put in there?
20 How much frozen inhibitor do I add? You know, what
21 other kind of chemical program do I need to be able to
22 make this well operate as efficiently as possible and
23 not do that.

24 The other thing that I'll say, there is
25 just a real basic best practices. I'm giving a paper

1 here in a couple of weeks on disposal well best
2 practices. And when you look at some of those things,
3 some of the other things that are critical are having
4 realtime monitoring of your injection pressure as
5 opposed to what has been historically happening where I
6 go and put a gauge on it and I take a routine
7 measurement. I want to have realtime continuous
8 measurement of not only my injection pressure but my
9 flow, and ideally I'd like to have it of that specific
10 gravity, too, because that's going to allow me to make
11 some things, some determinations and calculations
12 downhole. So those are just a few of the things I can
13 do. But if I do those things and I have, say, a monitor
14 on-site at least or a monitoring network, if you want to
15 be real good, I can say, you know, "It's him, not me."
16 Or I can say, "This is me, not them."

17 Furthermore, what we do in some states,
18 like with the Pennsylvania DEP, we publish that up to
19 the Irish website, and it's just public knowledge. So
20 now I can take that data, combine it with any of these
21 other ones, these other monitors that are out there, and
22 use those to help me triangulate to get a real accurate
23 location of any event that might occur.

24 But, again, I want to make sure that it's
25 clear that we're getting real fired up about seismic

1 events in the Devonian that's 1,000 to 1,200 feet above
2 the basement. And if you've ever seen -- I don't know
3 if you've seen 2D or 3D seismic that shows basement. A
4 lot of the basement has faults going all over the place.
5 I mean, it's just been there for, you know, billions of
6 years, and it can be really messed up, and there could
7 be faults that are at risk. So a lot of the events that
8 we've seen have been not only injection into that
9 overlying strata but actually into the basement. So
10 that was one of the things that Oklahoma did, Ohio did
11 and Texas did, where people weren't keeping real good
12 track of even staying out of the basement.

13 You know, that was -- when the Barnett
14 Shale first came in, one of the issues they had is they
15 were fracturing from the Barnett into the Ellenburger
16 and producing a whole bunch of water. I mean, that was
17 a big issue. And then, you know, operators were like,
18 okay, we have to control our fracs, and we want to
19 create a more complex fracture network as opposed to big
20 fractures that are going to go right down the Ellenburger
21 and then I've got to pay to produce water up from my --
22 from my disposal zone.

23 So I don't know if I fully answered your
24 question, but if I look at those on kind of a
25 three-phase basis, that's how I would look at it. And

1 I'm really trying to answer your question as absolutely
2 clearly and good as I can.

3 CROSS-EXAMINATION

4 BY EXAMINER JONES:

5 Q. As far as the -- this permit that we're looking
6 at today, what would be the water coming in? The
7 flowlines? Flowlines coming in?

8 A. So the plan for Blackbuck is -- they're --
9 they're -- they're a developing midstream operating
10 company, so their -- their strategy -- and they're
11 already doing this. They have wells in Texas and doing
12 recycling. You know, we're doing this stuff for them
13 there, too. But their plan here is to, you know, own
14 the permit, drill the well, operate the well, manage the
15 well long term. And what their -- their strategy is and
16 what they've been talking with their customers about is
17 all pipelines in trying to minimize trucking to the
18 maximum extent possible.

19 Now, that could be hard sometimes, and I
20 would still think that they may have a truck unloading
21 station at the well just for instances where, you
22 know -- where something comes out of the pipeline. But
23 their primary method of getting water to the well is
24 going to be pipeline and saving money and long-term
25 contracts and all that.

1 Q. Okay. Do you know anything about the
2 rights-of-way or the progress on this pipeline to this
3 well, or is it all pending this action?

4 A. So a lot of the stuff that we're trying -- they
5 have -- they have some of that planned. We've talked to
6 BLM. So -- so we have -- we have plans for some of
7 that, but one of the challenges that we have is BLM is
8 saying, you know, hold on until you get that permit from
9 OCD, because when you start applying some of this stuff
10 to BLM, there are some pretty high costs that if you
11 need to change it, you've got to repay over. And, I
12 mean, this is -- this is not insignificant dollars.
13 This could add tens or hundreds of thousands of dollars
14 to the overall cost of the project.

15 Q. Yeah.

16 What about if something happens MIT-wise on
17 this well? Can the well be shut in, and could you
18 divert water? Do you have tankage? Are you going to
19 have tankage to that?

20 A. So the plan is to be able to have storage so we
21 could run necessary testing as needed. Now, we've
22 looked at a lot of -- I mean, so we do a lot of well
23 integrity stuff. I mean, that's kind of a big
24 background for both myself and Mr. Tomastik and several
25 other guys in our firm. We've done a lot of that

1 actually here in New Mexico. And we have a lot of these
2 wells that have hangers and stuff, and you've got a lot
3 of little zones on the way that aren't necessarily
4 production zones but will have a little bit of gas in
5 them.

6 And what we've seen on a number of
7 injection wells is that where you have those hangers,
8 you'll have maybe some gas coming in or something like
9 that. So we've run like temperature audio logs on some
10 of the wells around here, helping -- helping companies,
11 not necessarily in relation to the OCD but in trying to
12 evaluate that and what they do and build up testing and
13 that on those annular spaces and so forth.

14 So what we're trying to do here -- and some
15 of what we've seen are a little different on some of
16 those other wells like those Cotton Valley wells that I
17 said. One of them was converted to --

18 **Q. Cotton Draw?**

19 A. Cotton Draw, yeah, an injection. We're trying
20 to plan the cement program and cementing to surface on
21 stuff so that we can minimize some of those issues that
22 we've seen on other wells in the region. Okay? And --
23 and -- and looking at -- so like we're pretty anally
24 retentive on getting cement lab reports and just how we
25 do those things and so forth, trying to make sure we're

1 using the right cement and all that, to minimize that
2 but then to do the right testing so we can keep an eye
3 on it.

4 But let's just say we did have some sort of
5 shutdown or just had to do maintenance on the well, to
6 do an acid job or to change out a packer or something,
7 we've got storage that we should be able to accommodate
8 that for a short period. Now, if it went a long time,
9 they would be -- they'd have to be looking at notifying
10 their customers that, you know, the well blew up or, you
11 know, is going to be down for some extended period.

12 **Q. Or you can make a deal with a neighbor --**

13 A. Right. We could go to Solaris and say, "Hey,
14 you know" --

15 **Q. Yeah. In that case it would be good to have**
16 **them close together.**

17 (Laughter.)

18 A. Maybe it's better in the interest of the OCD to
19 have that.

20 **Q. Might be.**

21 The pressure buildups, would you have
22 enough storage to have a six-hour pressure buildup?

23 A. So are we talking on the annular spaces?

24 **Q. Oh, no. On the -- on the actual -- I'm talking**
25 **pressure.**

1 A. Are you talking about the pressure falloff --
2 pressure falloff test? Okay.

3 **Q. Yeah.**

4 A. So if we were going to do a pressure falloff
5 test -- the data -- the data you get from those really
6 depends. So if we're really trying to -- so,
7 essentially, you design those tests based on what you're
8 trying to determine.

9 **Q. Right.**

10 A. Right?

11 So if I'm -- if I'm on a well and I'm
12 trying to look at -- at -- at damage and determine --
13 get permeability or whatever, but typically you're going
14 to do those on more -- on like a sandstone op or
15 something. Here, you know, what we see is -- is the
16 Devonian, when you shut the well down, pressures decline
17 pretty quick. So I think that -- that probably a
18 six-hour test -- I think you probably chose a pretty
19 good number -- would probably get us a nice curve to be
20 able to see where that is and be able to compare that
21 over time. But my hope is that we would have storage
22 for at least 12 hours.

23 **Q. Okay. But you do see the value in doing**
24 **falloff testing on a periodic basis?**

25 A. I think so, especially with the -- especially

1 with the concern here from -- that OCD is expressing.
 2 And moreover, you know, getting data like that will, I
 3 think, really add to OCD's and industry's arsenal of
 4 understanding that injection horizon.

5 Q. Yeah. Well, we're worried about pressure
 6 buildup in the formation. That's the only way to get
 7 it.

8 A. Yeah. Then you've got data to come back at.

9 Q. Mr. Wilson's model that he set up and ran, were
 10 you here for him --

11 A. Yes, I was.

12 Q. -- presenting that?

13 What do you think the biggest takeaway from
 14 that was?

15 A. So when you start -- when you start looking at
 16 that, at models and pressure buildup models, I would say
 17 that part of my reference is that in a lot of the
 18 earthquake litigation cases that I've done, a lot of --
 19 a lot of the experts that I've opposed have done models.
 20 Okay? And in every case -- and if you look at a lot of
 21 the papers -- the technical papers that are out there on
 22 induced seismicity -- because that's why we're talking
 23 about his model -- will make assumptions, whether, you
 24 know, it's a homogeneous reservoir, isotropic analysis
 25 or some -- some input that they put in the model. And

1 generally what I find is that in those assumptions, if
2 you -- you can make assumptions to achieve what you want
3 to -- you know, what conclusion you want to make. I'm
4 more of a "let the data drive what we do."

5 So what he did is he did a model that
6 showed an unrealistic situation that we know is wrong,
7 that we have to take that model and say, Okay. If he --
8 if he made these assumptions -- which he's kind of being
9 conservative and he said that, I believe, in his
10 testimony -- we've learned something. But I don't
11 believe that that's it. So he did a -- he did a few
12 things, you know, and really a number of those -- a few
13 things that I think that are significant, worth
14 mentioning from all of Mesquite's experts.

15 So, for instance, if you look at some of
16 the papers that have been published, you'll see the same
17 Stanford guys that we're referring to say: Well, hey,
18 you can have -- you can have an injection well, you
19 know, induce an earthquake under the right scenario a
20 long distance away. You may have preferential flow
21 paths or other things that a well farther away may be
22 more of a threat to maybe an unknown fault or a known
23 fault than a well that's close by. But that's not
24 generally how we think because we don't get to see that
25 underground.

1 So my only point here is to realize that
2 what he presented, what I've presented is kind of a
3 scenario based on a whole bunch of assumptions in every
4 one of those cases, which are probably wrong, but that's
5 the best that -- that we can do. So I think within
6 that, he did an okay job at trying to come up with
7 different scenarios to be able to show that this would
8 be safe over that, say, extended 30-year time frame, if
9 I remember what he did.

10 **Q. Yeah.**

11 A. And I agree with that in general. I think that
12 what you're going to find is the pressure increase is
13 going to get a lot less, but, you know, that's just some
14 kind of my experience with these kind of reservoirs and
15 so forth. So let's get data over long term and see.

16 **Q. Yeah.**

17 It's kind of understood that you're always
18 going to do open-hole injection completions in the
19 Devonian, but you really don't know where the water's
20 going. And people are telling us they don't want to run
21 temperature tracer surveys. And, of course, they're
22 going to show different things depending on different
23 rates. And so how would you design a way to know where
24 your injection is really going or whether it's going out
25 the bottom of the hole, going down?

1 A. So I'll say this. Anytime you get into a
2 carbonate formation over, you know, a pretty big
3 injection interval is that you can have a risk of losing
4 a tool, you know. But what you can do in some of those
5 cases is -- that doesn't mean that -- that -- that can
6 be a -- that can be a fear and maybe it can be
7 substantiated. But as both an engineer and a former
8 regulator, what I'd say is let's -- let's evaluate that
9 and see if that's real. So do we want to run a wiper
10 run? Are we seeing a lot of -- like, in some of these
11 wells, I'll see a lot of fill-up at the bottom of the
12 hole, you know, that's maybe giving me an indication
13 that, you know, I'm getting some collapse or something
14 like that.

15 But if I am getting that, those things may
16 be negatively impacting my injectivity. So, you know,
17 from seeing where that's going to go, you know, I can
18 use spinner surveys, radioactive tracer surveys,
19 temperature logs, I can do those things. So now do I
20 want to make sure things are safe in doing that? Yeah,
21 I do. Do we want to look at, you know, potential
22 cased-hole completions? We could. But just in looking
23 at the logs, it's difficult, essentially like you just
24 noted, to be able to tell exactly where those are. We
25 picked some based on the data that we got, but we kind

1 of think that there could be a lot more than that, and
2 it's just hard to see that.

3 So what I would really like to be able to
4 see, you know, are some spinner surveys, some
5 temperature logs, radioactive tracer, some other logs
6 that we could run in that interval to make those
7 determinations, and we're prepared to do that.

8 **Q. Okay. Yeah. We had some testimony earlier**
9 **that the caliper was essentially a gun barrel going**
10 **down, so the calculations were pretty straightforward.**

11 A. That's what we've seen. And so which -- and I
12 think that -- I can't remember in the prior hearing, but
13 I think you're the one that mentioned it, that some of
14 the other -- the large producers didn't want to go below
15 the base of the casing for fear they'd lose a tool. And
16 just the caliper data we've seen in there, you know -- I
17 mean, I'm used to, like, thinking Louisiana or the
18 Florida Boulder Zone. I mean, I've worked in a bunch of
19 those, and we run logs routinely. But even in the
20 Arbuckle, there are times where we're seeing a lot of
21 fill-up, so we will run a wiper run and try to clean the
22 hole out and making sure we do not see the risk before
23 we run those tools. And if I'm seeing, you know,
24 problems, I'm going to be raising my hand going, "Okay.
25 Here's this data that we have showing that this is a

1 risk" as opposed to I'm looking at data going, "I'm not
2 seeing data that gives me that indication in this
3 injection zone."

4 Q. Are you ever -- in other states or in your
5 experience had some sort of pressure sensor down close
6 to the packer to be long-term installed that would
7 somehow transmit pressures to the surface? In other
8 words, you can't run a Hall Plot really on these surface
9 pressures because it's -- if it's on a vacuum?

10 A. So we've done this on producing wells, where
11 you can -- you know, you've got that technology that's
12 available, but it's pretty tough in a -- I mean, if you
13 look at the kind of well construction that we have here,
14 we've got hangers and that. It would be -- it would be
15 tough. But what you can do is, you know, you can -- you
16 know, we can do -- like, we could even modify a falloff
17 test to be able to do a falloff injection test, you
18 know. So there are some different things, you know,
19 that we can do once we do put a downhole pressure
20 transducer in there.

21 Moreover, even if you wanted to say, "Okay.
22 We're not -- we're going to do this and maybe not
23 every -- every annual test have downhole pressure
24 transducer. Let's monitor temperatures." Like in
25 Wyoming, you know, we'll have something down there where

1 we're monitoring not only -- not only downhole pressure
2 but also temperature. And this is not that inconsistent
3 with a lot of places. But -- but if I can do that
4 compared to my pressure to surface, I can do future --
5 like a step-rate test or something like that, you know,
6 without having to go to the trouble of putting a
7 downhole pressure sensor by then. If I'm measuring that
8 data and I can do the corrections, I have a lot better
9 way to be able to get that. But I've got to get some
10 kind of starting point. And we've done that even
11 without. So -- but usually every time we've done --
12 we've had at least one downhole pressure sensor specific
13 gravity and temperature.

14 **Q. You've got a nodal -- nodal analysis program,**
15 **or did you do any kind of friction calculations to see**
16 **if you can get 30,000 barrels a day in your design and**
17 **tubing and packer?**

18 **A.** We didn't do specific for this, but we've done
19 so many of these that -- I mean, we go from, I think, a
20 5-1/2 to a 4-1/2-inch tubing. And, you know -- and from
21 that perspective, I think we'll be fine. We're looking
22 at an average, you know, in the 15,000 range, you know.
23 So we may have maximums or whatever, but just in the
24 other data that we've seen out there, you know, and that
25 we've seen in countless other wells that we've been

1 engaged with or evaluated, you know, I think from a
2 4-1/2, we should be fine. I mean, we just did a well
3 for another large company with the same tubing and a
4 higher capacity.

5 Q. The Devonian would not be a constraint then as
6 far as your injection?

7 A. We don't believe so.

8 Q. So why not? How can it be such a good
9 injectivity zone? What are the parameters, as an
10 engineer?

11 A. So if you look at the -- and I'll just give you
12 an example. If you look at the Arbuckle, you know,
13 it's -- you know, it's a heterogeneous carbonate, you
14 know, with a lot of secondary porosity. I think the
15 Devonian has, you know, mostly secondary porosity, not
16 unlike the Arbuckle, but, you know, it has -- it has
17 other features in it that also add to that.

18 So I know we talked about -- I think Mike
19 asked during one of the prior hearings, Well, does vug
20 porosity, you know, transmit flow? And under certain
21 circumstances, it might not, but under a number of
22 circumstances, those kind of things do. So, you know, I
23 think we're on the beginning portions of exploring this,
24 and I think what we're finding is that the Devonian is a
25 massive fractured reservoir with good capacity for

1 injectivity. And when I say a fractured reservoir, I
2 don't mean big faults and all that. I mean, you know,
3 microfractures that allow it to take a lot of fluid.
4 It's not real pressured, so I can do this without, you
5 know -- you know, putting 10,000 psi at the surface. I
6 mean, this is just a good zone.

7 **Q. Thank you.**

8 EXAMINER JONES: Anybody else have any
9 questions?

10 RECROSS EXAMINATION

11 BY EXAMINER McMILLAN:

12 **Q. For your seismic monitoring network, would you**
13 **be willing to make it compatible with what the Railroad**
14 **Commission or New Mexico Tech is trying to do? My only**
15 **concern is that no one has discussed compatibility**
16 **differences. And would you be willing to make sure your**
17 **system is completely compatible with it?**

18 A. So what I was -- one of the things I mentioned
19 is like the stuff that we're doing in other places --
20 and we're actually -- our company has a seismic
21 monitoring system, so we put in and install seismic
22 monitors, accelerometers. And we upload those to IRA
23 [sic; phonetic]? So we use that national standard. So
24 the data that comes off of there can be used with the
25 USGS, with the Railroad Commission, and yes, it is

1 compatible.

2 Q. Okay. That is my overriding concern with this.
3 That's fine, if you're saying it. If it were required,
4 you'd be -- you're sure that it's compatible with what
5 the Railroad Commission or New Mexico Tech, both, are
6 going to be able to do?

7 A. Yes. But what we're going to do is we're going
8 to put in monitors to allow us to see those -- to see
9 more microseismic events. So it'll still be compatible
10 but we're going to be -- you know, a lot of the monitors
11 that are out there are really structured to see events
12 over a 3.0. So we want to be able to see those smaller
13 events. We want to see the 3.0s, but we want to see
14 those smaller events, too. So it will be compatible --
15 you know, we're -- it'll still have the compatibility.
16 So let's say if we put a monitor and accelerometer
17 outside, we can take those, you know, compare it -- pick
18 data from other monitors in the area, do our
19 triangulation and achieve the earlier question you --
20 you had on where is it at and who's -- who's the issue.

21 MR. BRUCE: Mr. Examiner, before there is
22 another question, I'm going to lodge a protest like I've
23 never done before. My clients been here
24 three-and-three-quarters days of hearings now.
25 Blackbuck has been up for three-and-a-half hours. There

1 are two hours left in the day. I'm really going to
2 object to any more questions until I can put my client's
3 case on. I'm sorry, but I do not want to come back with
4 my clients for another day's testimony.

5 EXAMINER JONES: We understand.

6 Do you have a quick question?

7 EXAMINER BRANCARD: Well, on the point that
8 Mike made -- and I'll just say this, which is part of
9 what I said at the end of the last hearing which is why
10 we wanted proposed findings -- why I wanted proposed
11 findings. If you've got proposed conditions that you
12 want to offer in lieu of a setback scenario, then you
13 better put them in your proposed findings and
14 conclusions. I mean, lay them out. I mean, rather than
15 us trying to figure out what a pressure falloff test
16 should look like and what a seismic monitor should look
17 like in this hearing, I think the onus is on you-all to
18 sort of say, "We're willing to accept the following
19 conditions in lieu of a more solid" --

20 THE WITNESS: We'd be happy to do that.
21 Okay? And tried to do that with staff already.

22 EXAMINER BRANCARD: Okay.

23 THE WITNESS: We actually offered to write
24 permit conditions for the permit.

25 MR. PADILLA: I don't have anything further

1 other than my Affidavit of Service, and that's Exhibit
2 14.

3 EXAMINER JONES: Thank you, Mr. Arthur.
4 Appreciate it.

5 EXAMINER McMILLAN: Actually, I do have
6 another point. I think Blackbuck tried to send me an
7 email of New Mexico State Land Office notice. That's
8 not acceptable. It's got to be done through the
9 respective attorneys. We're not going to honor that.
10 Is that perfectly clear?

11 MR. ALLEMAN: Got it. Yes, sir.

12 EXAMINER JONES: Okay. Exhibit 14. Any
13 discussion on this exhibit? Self-explanatory.

14 Are you moving Exhibit 14?

15 MR. PADILLA: Move Exhibit 14.

16 EXAMINER JONES: Any objection?

17 MR. BRUCE: No objection.

18 EXAMINER JONES: Exhibit 14 is admitted.

19 (Blackbuck Resources, LLC Exhibit Number 14
20 is offered and admitted into evidence.)

21 MR. PADILLA: We rest at this time.

22 EXAMINER JONES: Fair enough.

23 Okay. Mr. Bruce.

24 OPENING STATEMENT

25 MR. BRUCE: I was going to hold this off

1 until closing, but time is running short and I want to
2 put in perspective what my clients are going to testify
3 about.

4 I appreciated the testimony of Blackbuck's
5 witnesses, but we really have no issue with the
6 technical testimony, and we'll state that in the
7 hearing. We just want to run through our application.

8 Secondly, we're here today due to the
9 Division's objection primarily on the 1.5 policy.
10 Solaris has no particular objection to that policy.
11 They slightly violated -- obviously, the Blackbuck well
12 is close, but insofar as the other wells, they slightly
13 violate that, and there are reasons for that, which we
14 will go into.

15 But Mr. Arthur, when you started saying why
16 should their application be granted, he said -- he
17 started off with "first in time, first in right." The
18 evidence we will present will unequivocally show that's
19 Solaris was first in time in applying for approval of
20 its saltwater disposal well.

21 Secondly, using what Mr. Padilla got
22 admitted into evidence, which was already admitted into
23 evidence, Division Exhibit Number 1 in this case, Figure
24 3, shows that if we look at all the wells out here in
25 this area, the Solaris Predator well fits more in with

1 the existing wells and has minimal impact on all of the
2 other wells. It kind of just fills in a vacancy.
3 Whereas, if the Blackbuck well is approved and the
4 Solaris well isn't, it kind of messes up the development
5 on the northeast corner of this plat.

6 And one of the other things we'll go into
7 is that Solaris -- as I said, there are factors which
8 result in a slight imposition on that 1.5-mile rule.
9 Solaris' application minimizes surface use and really
10 makes things really quite easier to deal with.

11 EXAMINER JONES: Okay. We've already sworn
12 the witnesses so --

13 MR. BRUCE: Yeah.

14 LONDON DREW DIXON,
15 after having been previously sworn under oath, was
16 questioned and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. BRUCE:

19 Q. Would you please state your name for the
20 record?

21 A. Yes. My name is Landon Drew Dixon.

22 Q. And who do you work for and in what capacity?

23 A. I work for Solaris Water Midstream as the vice
24 president of land, regulatory and permitting.

25 Q. And have you previously testified before the

1 **Division?**

2 A. Yes, I have.

3 **Q. And were your credentials as an expert**
4 **petroleum landman accepted as a matter of record?**

5 A. Yes, they were.

6 **Q. And are you familiar with the land matters**
7 **involved in this application?**

8 A. Yes, I am.

9 MR. BRUCE: Mr. Examiner, I tender
10 Mr. Dixon as an expert petroleum landman.

11 MR. PADILLA: No objection.

12 MR. BROOKS: No objection.

13 MR. PADILLA: Mr. Examiner, my clients need
14 to catch a plane and -- my witnesses, so may they be
15 excused?

16 MR. BRUCE: Fine with me.

17 MR. BROOKS: Fine with me.

18 EXAMINER JONES: Thank you. Thank you-all
19 for coming.

20 **Q. (BY MR. BRUCE) Mr. Dixon, could you just**
21 **briefly identify Exhibit 1?**

22 A. Yes. Exhibit 1 is a map that we created off of
23 Google Earth that we typically use when trying to
24 preliminarily spot wells for our upcoming applications.

25 **Q. And you were here listening to all the**

1 **testimony, correct --**

2 A. Yes, I was.

3 **Q. -- Blackbuck's?**

4 And Mr. Alleman testified that Solaris'
5 **application was filed April 2nd. That's not quite**
6 **correct, is it?**

7 A. That's not correct.

8 **Q. Could you identify Exhibit 2 and discuss its**
9 **contents for us?**

10 A. Yes. Exhibit 2 is something that was prepared
11 under my direction that confirms the -- when we were
12 made aware of this by the OCD, we went through our own
13 kind of internal timeline. That's what this depicts.
14 It shows that as it relates to the Predator Fed 17,
15 which is our well, that legal notice was provided
16 11/15/2018. I can tell you well in advance of that, we
17 started contemplating this well back in the summer of
18 2018 actually. We had our federal on-site for this well
19 on October the 2nd of 2018, and so legal notice followed
20 from that point. And then the C-108 was delivered to
21 the OCD by our permit consultant on March the 4th,
22 2019 --

23 **Q. Okay.**

24 A. -- completed.

25 **Q. And I imagine that Mr. Wood will testify to**

1 that also; will he not?

2 A. Yes, he would.

3 Q. Now, on Blackbuck's exhibit -- I think it was
4 Exhibit 2 that had the April 2 filing date, once this
5 was protested -- once your administrative application
6 was protested, did you instruct me to file an
7 application with the Oil Conservation Division for a
8 hearing?

9 A. Yes, I did.

10 Q. Okay. Is Exhibit 2A a copy of the cover letter
11 which enclosed the application for hearing?

12 A. Yes, it is.

13 Q. And so that's the date that was on Blackbuck's
14 exhibits saying the filing date?

15 A. That is correct.

16 Q. Just because Solaris and NGL have been in a few
17 contests already, what is Exhibit 3?

18 A. So Exhibit 3 is a map that was put together
19 under my direction, once again, depicting the nearest
20 NGL fee-owned property to the Predator application
21 location.

22 Q. Okay. So they're a little more than a mile and
23 a quarter away?

24 A. Correct. They're 1.38 miles away.

25 Q. And what type of -- who owns the surface where

1 **the Predator well is located?**

2 A. So the Predator is located on federal lands, so
3 it's Bureau of Land Management.

4 **Q. Now, did Solaris cause the records -- pertinent**
5 **records to be searched, whether by Mr. Wood, our next**
6 **witness, or me or a landman that you hired, so that all**
7 **parties -- all affected parties received notice of this**
8 **application?**

9 A. Yes. So all affected parties received notice
10 of our original application for administrative approval
11 and, subsequently, notice for the hearing.

12 **Q. And does Exhibit 4 contain notice letters and**
13 **certified return receipts for the parties that were**
14 **determined to be affected parties?**

15 A. Yes, it does.

16 MR. BRUCE: There are only a couple of
17 things on here, Mr. Examiner. Attachment A was the
18 letter mainly to the oil and gas lessees or operators.
19 The second letter was to NGL, who protested the
20 application. And then there is a third letter --
21 Exhibit A, I'm going to have to send in. I just noticed
22 that. This one didn't copy properly, but it was letters
23 to other mineral owners such as the Commissioner of
24 Public Lands.

25 EXAMINER JONES: Okay. I'm not sure we --

1 I think we called for appearances in the first case.
2 I'm not sure we did in this case totally. Do you
3 remember us doing that? I want to make sure on the
4 record we've got all of the parties hearing in Case
5 20465.

6 MR. BRUCE: I think I entered my
7 appearance.

8 MR. PADILLA: Ernest L. Padilla for
9 Blackbuck Resources, LLC.

10 MR. BROOKS: David Brooks for the Division.

11 MS. BENNETT: Deana Bennett on behalf of
12 NGL Water Solutions, LLC.

13 EXAMINER JONES: How about Mesquite?

14 MS. BENNETT: Not Mesquite.

15 EXAMINER JONES: Sorry. Go ahead.

16 MR. BRUCE: And, Mr. Examiner, Exhibit 5 is
17 simply a publication from the Hobbs newspaper because
18 certain green cards never came back.

19 Q. (BY MR. BRUCE) Getting back to the timing of
20 the filing, what is Exhibit 6?

21 A. So Exhibit 6 is an email from the Oil
22 Conservation Division, in particular Mr. McMillan,
23 confirming that Occidental -- excuse me --

24 Q. No, no. Exhibit 6. Exhibit 6 (indicating).

25 A. Oh, I apologize. Sorry. Yes.

1 Exhibit 6 is an email from Occidental's
2 counsel to the NMOCD on November 30th objecting to the
3 placement of our well.

4 **Q. Okay. So did Solaris then spend a substantial**
5 **period of time trying to come to terms with OXY?**

6 A. That is correct. Immediately upon notification
7 of their objection, we commenced discussions with them
8 about what we could do to satisfy their concerns. We
9 worked, well, throughout the holidays into the upcoming
10 year, and we finally reached resolution, which is
11 evidenced by the letter attached as well that OXY
12 consented to our location.

13 **Q. So OXY is no longer protesting the application?**

14 A. That is correct.

15 **Q. And that letter is dated March 6th and signed**
16 **by representatives from OXY; is that correct?**

17 A. Yes. That's correct.

18 **Q. And this has been addressed by Blackbuck's**
19 **witnesses. But Exhibit 7 is the land plat. In your**
20 **opinion, is there a need for saltwater disposal in this**
21 **area?**

22 A. Yes. There absolutely is.

23 **Q. And this plat shows -- I don't know exactly if**
24 **they're all drilled or permitted wells, but there are a**
25 **substantial number of wells?**

1 A. That is correct.

2 Q. And probably will be a substantial --
3 substantially larger number of wells eventually?

4 A. Yes. That is correct.

5 Q. And then getting -- Solaris does spend time --
6 a lot of time and effort and care in placing its
7 saltwater disposal wells; does it not?

8 A. It does, yes.

9 Q. And this kind of plays into -- going back to
10 the OCD's plat, there are about 1.43 miles, I think the
11 plat shows, from a well to the northwest?

12 A. That is correct.

13 Q. If you look at Exhibit 8, it identifies the
14 Predator well and the well to the northwest, which is a
15 permitted well, correct?

16 A. That is correct.

17 Q. And then if you look at it over to the
18 east-southeast, there is another well, and then further
19 to the east, there is another well. They're all kind of
20 located right along the state highway; is that correct?

21 A. Yes, Highway 128.

22 Q. Is that one reason you placed the well where it
23 is?

24 A. Yes. It is one reason, among others.

25 Q. Will having it at that location minimize

1 **surface use and actual roads being built and pipelines**
2 **being built?**

3 A. That is correct. We also have pipelines in
4 that area as well that have already been granted by the
5 Bureau of Land Management.

6 Q. **So you have rights-of-way in place for this**
7 **well?**

8 A. We have rights-of-way on the south side of the
9 highway, and so as part of our APD, will be the short
10 [sic]. It's a few-hundred-foot well associated with
11 this particular well, and that would be obtained when
12 the APD is received.

13 Q. **And this not only minimizes surface use, but it**
14 **reduces well costs; does it not?**

15 A. Absolutely.

16 Q. **And as I said, other saltwater disposal**
17 **companies have done the same, placed their SWD wells**
18 **right along the state highway?**

19 A. Absolutely. There are a number of reasons for
20 that, but yes, that is correct.

21 Q. **Now, looking at this -- but you have to look at**
22 **it in conjunction with that OCD plat -- you could -- so**
23 **that you wouldn't be 1.43 miles away from the -- I**
24 **forget what the name of the well is.**

25 A. Mesaverde, I believe.

1 Q. It is the Station?

2 A. Oh, I'm sorry. Station.

3 Q. Station SWD.

4 If you had initially looked at this and
5 said, "Well, we can move it -- we could probably move
6 the Predator well, say, to the northeast a little bit,"
7 but then you're getting into -- you could potentially
8 impair well development up in that area. Is that a
9 point?

10 A. That is correct. Yes.

11 Q. And you already had some issues with OXY, and
12 you wanted to minimize that?

13 A. Yes. That is correct.

14 Q. So what you're asking here is for a slight
15 variance in that 1.5 mile?

16 A. Yes. In this instance, we are asking for a
17 slight variance.

18 Q. Maybe less than 5 percent?

19 A. Correct.

20 Q. And based on testimony that's been presented
21 not only today but in the prior two hearings, that
22 shouldn't have a big effect. You sat through all those
23 hearings, unfortunately --

24 A. (Indicating.)

25 Q. -- right?

1 A. Yes.

2 Q. That shouldn't have a big impact on the -- on
3 the -- whatever you want to call it, the pooling of the
4 reservoir?

5 A. Yes. That's my understanding from the experts
6 that have previously testified.

7 Q. And, again, Solaris isn't really here
8 contesting that generalized 1.5-mile rule?

9 A. That is correct.

10 Q. Were Exhibits 1 through 8 prepared by you or
11 under your supervision or compiled from company business
12 records?

13 A. Yes, they were.

14 Q. And in your opinion, is the granting of
15 Solaris' application in the interest of conservation and
16 the prevention of waste?

17 A. Yes, it is.

18 Q. And will it serve the need that oil and gas
19 operators have?

20 A. Absolutely. Yes.

21 MR. BRUCE: Mr. Examiner, I move the
22 admission of Exhibits 1 through 8.

23 EXAMINER JONES: Any objections?

24 MR. PADILLA: No objection.

25 MR. BROOKS: No objection.

1 EXAMINER JONES: Ms. Bennett?

2 MS. BENNETT: No objections.

3 EXAMINER JONES: Exhibits 1 through 8 are
4 admitted.

5 (Solaris Water Midstream, LLC Exhibit
6 Numbers 1 through 8 are offered and
7 admitted into evidence.)

8 MR. BRUCE: Pass the witness.

9 EXAMINER JONES: Mr. Padilla?

10 CROSS-EXAMINATION

11 BY MR. PADILLA:

12 Q. Mr. Dixon, did you change the public notice
13 that you filed with the administrative appeal -- with
14 your administrative application?

15 A. I don't know that I follow what you're asking.

16 MR. BRUCE: We will present that with the
17 next witness.

18 Q. (BY MR. PADILLA) Do you have a complete C-108
19 with the notices that you sent?

20 A. I have one in front of me.

21 Q. I'll defer that with --

22 MR. PADILLA: Is your other witness going
23 to testify about the C-108 and all that?

24 MR. BRUCE: Yeah. We'll have a witness who
25 will testify to the C-108.

1 MR. PADILLA: I don't have any further
2 questions.

3 EXAMINER JONES: Ms. Bennett?

4 MS. BENNETT: Thanks.

5 CROSS-EXAMINATION

6 BY MS. BENNETT:

7 Q. Let me get my bearings real fast.

8 Good afternoon, Mr. Dixon.

9 A. Good afternoon.

10 Q. Looking at Exhibit 3, which is your exhibit
11 that shows the distance from the Predator well --
12 proposed well to the NGL fee land --

13 A. Yes.

14 Q. -- this exhibit doesn't identify -- well, are
15 you aware that the Predator Fed SWD No. 13 is proposed
16 within the exterior boundaries of NGL's McCloy Ranch?

17 A. I believe that's correct. Yes.

18 Q. And so even though it's on federal land, it's
19 within the boundaries of the McCloy Ranch?

20 A. Most likely, yes.

21 Q. Thank you.

22 EXAMINER JONES: Okay. Mr. Brooks?

23 MR. BROOKS: No questions.

24 CROSS-EXAMINATION

25 BY EXAMINER JONES:

1 Q. I really don't have any questions.

2 You've got your federal on-sites done.

3 A. Yes.

4 Q. You've got rights-of-way lined up, or you've
5 got --

6 A. We filed for the category determination, as the
7 other folks pointed out, which is a significant expense
8 in the actual APD. So once the determination is made by
9 the Division, which we hope supports us, then we will
10 move forward with the filing of the formal APD.

11 Q. Okay. And OXY withdrew their protest, but
12 NGL's protest, I think, is still -- have you talked to
13 them?

14 A. We have attempted to speak with them. We still
15 don't have resolution or really a basis for why they
16 would have protested.

17 Q. That's all the questions I've got.

18 EXAMINER JONES: Mr. Brancard?

19 CROSS-EXAMINATION

20 BY EXAMINER BRANCARD:

21 Q. I got confused here. So you filed an
22 administrative application in November of last year?

23 A. No, sir. We made our public notice in
24 November. Shortly thereafter, we received from OXY some
25 indication of opposition, so we commenced working with

1 Occidental at that point in time. It took until roughly
2 the end of February before we received verbal agreement
3 with Occidental. As we papered it up, I directed our
4 consultants, who will speak in just a moment, to move
5 forward with filing the administrative application. We
6 filed it on March the 4th, and then we received, on
7 March 4th in the afternoon and March 5th, the morning,
8 notice from the OCD of the previous objections that had
9 been filed. So I guess we waited until our actual
10 application was filed for the -- for the -- because
11 that's when it became ripe -- the objections became
12 ripe, upon the filing of our application.

13 **Q. The objections by?**

14 A. Occidental and by NGL.

15 Occidental, within a few days, demonstrated
16 by this letter (indicating), that they had removed their
17 objection, and then that just left NGL remaining, at
18 which point in time at my direction, Mr. Bruce, our
19 counsel, filed for the hearing.

20 **Q. So this -- I realize it's not your exhibit, but**
21 **Exhibit 9 shows a C-108 with a date of November 2018.**

22 MR. BRUCE: I will -- the next witness will
23 address that.

24 EXAMINER BRANCARD: Okay. All right.

25 That's it.

1 EXAMINER JONES: Okay. Thanks.

2 Thank you very much.

3 BRIAN WOOD,

4 after having been previously sworn under oath, was
5 questioned and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. BRUCE:

8 Q. Would you please state your name and city of
9 residence?

10 A. Brian Wood, Santa Fe, New Mexico.

11 Q. And what is your relationship with Solaris in
12 this case?

13 A. I'm a contractor for Solaris. They asked me to
14 prepare the C-108 application package.

15 Q. Have you previously testified before the
16 Division?

17 A. Yes, I have.

18 Q. And were your credentials as an expert
19 regulatory affairs person accepted as a matter of
20 record?

21 A. Yes.

22 Q. And you are obviously looking at Exhibit 9. Is
23 that the C-108 you prepared for this hearing?

24 A. Yes. It's -- Exhibit 9A is the administrative
25 application checklist.

1 Q. Let's start just with Exhibit 9.

2 A. Okay. Yes.

3 MR. BRUCE: And the reason I say this,
4 Mr. Examiner, is I didn't -- Exhibit 9 is what I filed
5 with the Division for the hearing.

6 EXAMINER JONES: Okay.

7 Q. (BY MR. BRUCE) But let's get to that notice
8 issue first. The C-108 is dated November 15, 2018,
9 correct?

10 A. That is right.

11 Q. And when you prepared it last fall, did you
12 send out letters to all the pertinent parties who -- the
13 affected parties?

14 A. Yes.

15 Q. Okay. We'll get to that in a minute.

16 Because of protests, did you withhold
17 filing the completed C-108 with the Division until early
18 March?

19 A. Yes.

20 Q. And is Exhibit 9A the administrative
21 application checklist you filed -- you submitted with
22 the C-108?

23 A. Correct.

24 Q. Was that submitted on March 4th of this year?

25 A. Yes. Jeanettte Risenburg [phonetic], who is a

1 Permits West employee, delivered it to the Division on
2 March 4th.

3 Q. And then looking at Exhibit 9B, was that the
4 notice you published in the Hobbs newspaper regarding
5 the administrative application?

6 A. Yes.

7 Q. And I couldn't print up your notice letter.
8 But when you submitted your notice in November of
9 2018 -- in the middle of November 2018, did you include
10 a cover letter?

11 MR. BRUCE: And if necessary, Mr. Examiner,
12 Mr. Wood has that. I cannot print it off of my computer
13 for some reason.

14 Q. (BY MR. BRUCE) Did you submit the C-108 with a
15 cover letter stating that the people had 15 days to
16 object to the application?

17 A. Yes. It's Exhibit K in the C-108 application
18 package.

19 Q. Is Exhibit -- behind the publication list, are
20 they the white cards and the green cards from the
21 notices you mailed?

22 A. Yes.

23 MR. BRUCE: Mr. Examiner, I would merely --
24 on the very first page, there is some handwriting.
25 That's mine. Because certain -- what Mr. Wood submitted

1 to me showed that certain -- certain letters were
2 returned, and I looked up new addresses. I noted them
3 on his list. And at the top, the middle top one,
4 Kerr-McGee Oil & Gas, that is actually now part of
5 Anadarko, so instead of notifying Kerr-McGee, I notified
6 Anadarko.

7 EXAMINER JONES: Okay.

8 Q. (BY MR. BRUCE) So when you submitted your
9 application -- and finally, what is Exhibit 9C,
10 Mr. Wood?

11 A. That is an email from the Division regarding an
12 objection by OXY.

13 Q. Okay. So that's further proof that -- is that
14 further proof that you filed the application with the
15 Division on March 4th?

16 A. Yes.

17 Q. And in your opinion, was the application
18 complete when you filed it on March 4th?

19 A. Yes.

20 Q. Let's move on to Exhibit 9 itself, and let's
21 run through this pretty quickly. Could you -- I've
22 numbered the pages, and as unusual, I probably
23 misnumbered a page or two. Could you go to page 3 of
24 the exhibit and discuss the -- identify the well, the
25 well name, the location and maybe go over a little bit

1 **how the well is going to be drilled and completed?**

2 A. The proposed well is the Predator Fed SWD 17.
3 It's staked at 1,465 from the north line and 1,893 from
4 the east line, Section 17, Township 24 South, Range 32
5 East. Solaris is proposing three strings of casing that
6 will each be cemented to the surface. We're also
7 proposing a liner that'll have 200 feet of overlap, and
8 the well will be completed open hole to 1,000 -- excuse
9 me -- 16,965 feet to 18,149 feet.

10 **Q. And if you turn over to page 7, could you**
11 **describe the injection parameters, barrels of water per**
12 **day, et cetera?**

13 A. The maximum injection rate will be 30,000
14 barrels of water per day. The maximum injection
15 pressure will be 3,393 psi. That's calculated at the
16 standard 0.2 psi per foot measured at the top of the
17 open hole.

18 **Q. And where would most of the disposal water come**
19 **from?**

20 A. It's anticipated it's going to be coming from
21 the Bone Spring and Wolfcamp wells.

22 **Q. Okay. And there might be some Delaware wells**
23 **involved?**

24 A. Yes.

25 **Q. And will the well be stimulated?**

1 A. Yes, as needed.

2 Q. Moving on down the line to pages 13 and 14,
3 does this identify the wells in the area of review?

4 A. Yes. These are the wells that are either
5 existing or approved but not yet spudded. They're
6 within a one-mile radius.

7 Q. And do any of these wells penetrate the
8 Silurian or the Devonian?

9 A. No.

10 Q. And did you search the records for -- let me
11 take a step back.

12 If you go to pages 19 and 20, is that a
13 tabulation you compiled over the years regarding the
14 Bone Spring, et cetera, the water and the TDS, et
15 cetera?

16 A. Yes, from drill tech records.

17 Q. Yes.

18 In your opinion, will there be any
19 compatibility problems between formation water and the
20 injected water?

21 A. No.

22 Q. And did you try to track down any freshwater
23 wells in the area?

24 A. Yes, we did. The State Engineer's Office does
25 not show any water wells within a one-mile radius, but

1 we did field work, and we did find two water wells and
2 sampled them.

3 Q. And does the C-108 contain information of the
4 water analysis --

5 A. Yes.

6 Q. -- from the wells?

7 A. Yeah. That would be Exhibit H, like hotel.

8 Q. Over pages 21, et cetera.

9 And does the C-108 also contain a geologic
10 assessment?

11 A. Yes.

12 Q. And that starts at page 28 of Exhibit 9; does
13 it not?

14 A. Correct.

15 Q. And is Mr. Walk, who authored that assessment,
16 present today to testify?

17 A. Yes.

18 Q. Were Exhibit 9 through 9C prepared by you or
19 under your supervision?

20 A. Yes.

21 Q. And in your opinion, will the granting of this
22 application be in the interest of conservation and the
23 prevention of waste?

24 A. Yes.

25 MR. BRUCE: Mr. Examiner, I move the

1 admission of Exhibits 9 through 9C.

2 MR. PADILLA: No objection.

3 MS. BENNETT: No objection.

4 MR. BROOKS: No objection.

5 EXAMINER JONES: Exhibits 9, 9A, 9B and 9C
6 are admitted.

7 (Solaris Water Midstream, LLC Exhibit
8 Numbers 9 and 9A through 9C are offered and
9 admitted into evidence.)

10 MR. BRUCE: Pass the witness.

11 EXAMINER JONES: Mr. Padilla?

12 CROSS-EXAMINATION

13 BY MR. PADILLA:

14 Q. Mr. Wood, let me direct your attention to
15 Exhibit -- well, the Affidavit of Publication. It's
16 Exhibit 9B. And then I want you to take a look at
17 Exhibit 5.

18 A. Exhibit 5?

19 Q. Yes.

20 A. I don't have Exhibit 5.

21 Q. Let me show you that.

22 What do you have for the footage location
23 of the Predator well?

24 A. I've got 14 -- 1,465 from the north line and
25 1,893 from the west line of Section 17, Township 24

1 South, Range 32 East.

2 Q. And then the other Exhibit 5, what location do
3 you have there?

4 A. Identical.

5 Q. Identical?

6 A. Right.

7 Q. Isn't it different? Don't you have the -- on
8 9B, isn't that 1,993 from the west line?

9 A. Oh, okay. Yes.

10 Q. Do you know whether that was corrected?

11 A. Okay. I will tell you that it's not been
12 corrected.

13 Q. It's not been corrected, right?

14 A. Right. It's a typo.

15 Q. This is a legal notice. I'm not going to ask
16 you for a legal opinion, but they're different, right?

17 A. Yes.

18 Q. Okay. Now, let me go -- I would direct your
19 attention to Exhibit Number 9 and ask you to turn to
20 page 3.

21 A. Okay.

22 Q. In that schematic, you have the packer depth to
23 be set at 15,458, correct?

24 A. Yeah. That is a typo. It's actually 16,915,
25 and that's discussed in the text, as well as on the

1 following page.

2 Q. Okay. Who prepared the well schematic?

3 A. I did.

4 Q. You didn't get that information from Solaris?

5 A. Well, the way they drilled the well, I got that
6 from Solaris, as far as casing, setting depths, types of
7 casing, types of cement.

8 Q. Okay. So on page 4, where you have the packer
9 setting of 16,915, that is a correct depth?

10 A. That is correct.

11 Q. So on page 5 where you have the first
12 paragraph, the first paragraph of Exhibit 9, you have a
13 packer set at 6,967 or at least the proposed --

14 A. I'm sorry. I can't hear you.

15 Q. The top of the disposal interval is 6,967?

16 A. Right.

17 Q. Is that correct?

18 A. It's off by 3 feet.

19 Q. And that's a typo, too?

20 A. Right.

21 Q. Mr. Wood, in your list of wells on page 13, do
22 you know whether there is a well bearing API number
23 30-3025-42995?

24 A. 42995?

25 Q. Yes.

1 A. I do not.

2 **Q. Okay. If I told you there was a plugged well**
3 **within that distance, as shown on Exhibit 13, bearing**
4 **that API number, would you accept that?**

5 A. I'd want to see the records.

6 **Q. Okay. Can you verify that through the**
7 **Division, whether or not there is a plugged record?**

8 A. I'd have to see the records.

9 **Q. Okay.**

10 MR. PADILLA: I don't have any further
11 questions, Mr. Examiner.

12 EXAMINER JONES: Okay.

13 CROSS-EXAMINATION

14 BY EXAMINER JONES:

15 **Q. You could verify that for us, couldn't you?**

16 A. Oh, yeah. Sure. I'd be glad to. I just --

17 **Q. Send that through your attorney.**

18 A. Okay. 42995?

19 MR. PADILLA: Yes.

20 EXAMINER JONES: All right. Ms. Bennett?

21 MS. BENNETT: Thank you. I'll pull up
22 right here.

23 CROSS-EXAMINATION

24 BY MS. BENNETT:

25 **Q. Good afternoon.**

1 I just had a few quick follow-up questions
2 about the C-108. And my first question, though, just to
3 make sure I understand what happened with the Affidavit
4 of Publication or the notice -- publication notice, it
5 sounds like you originally published in November 2018
6 but didn't submit the administrative application for
7 about four more months; is that right?

8 A. We actually originally published in August of
9 last year, but there was a change in depth and a change
10 in the maximum volume, so we republished the ad in -- I
11 think it was November. Yes.

12 Q. Okay. But then you didn't actually submit the
13 administrative application until March?

14 A. Correct.

15 Q. And I wasn't exactly following the whole
16 conversation about the notice. Is the location of the
17 well proposed to be 1,893 feet from the west line or
18 1,893 feet from the east line?

19 A. Let me check.

20 It's from the east line.

21 Q. So the November 15th, 2018 notice was --

22 A. A typo.

23 Q. -- a typo.

24 Oh, you know, I was looking through the --
25 and maybe this is a question for your colleague. But I

1 was looking at the C-108, and I didn't immediately see
2 the -- a signed affirmative statement that's required by
3 Number 12 on the C-108. It says that applicants for
4 disposal wells must make an affirmative statement that
5 they have examined available geologic and engineering
6 data and find no evidence of open faults or hydrologic
7 connection. Is there a signed affirmative statement in
8 the C-108 about open faults or other hydrologic
9 connections?

10 A. That's best addressed by Cory.

11 Q. Thank you. I'll ask him that question. Thank
12 you very much.

13 EXAMINER JONES: Mr. Brooks?

14 MR. BROOKS: No questions.

15 EXAMINER JONES: Mike?

16 EXAMINER McMILLAN: Go ahead.

17 CROSS-EXAMINATION

18 BY EXAMINER JONES:

19 Q. The notice that went out to -- was it Anadarko?
20 That didn't get bought by OXY recently?

21 MR. BRUCE: Mr. Examiner, only because I do
22 title work, I'll testify. Kerr-McGee was purchased by
23 Anadarko years and years ago, probably more than a
24 decade ago, and it doesn't show up in the county
25 records. I confirmed that with an attorney at Anadarko.

1 EXAMINER JONES: Okay. That's good enough
2 for me.

3 Q. (BY EXAMINER JONES) But it was -- the open-hole
4 interval was -- was either a five or a seven.

5 A. Yeah. It's 16,965 through 18,149.

6 Q. Gotcha. Okay. Thank you.

7 EXAMINER JONES: Mr. Brancard?

8 CROSS-EXAMINATION

9 BY EXAMINER BRANCARD:

10 Q. I think it was mentioned earlier that there was
11 a letter sent with this notice.

12 A. Yeah. Well, in the C-108 -- in other words,
13 when we initially prepared the application package and
14 sent that to the public, Exhibit K is the cover letter.
15 In this case it's the letter that went to the BLM, the
16 surface owner.

17 Q. I'm not finding that.

18 A. It'll be in front of the return receipts.
19 You're getting real close.

20 Now, again, Exhibit 9 that Mr. Bruce
21 prepared may not have that in it because at that point,
22 it had transitioned to the exhibits for the hearing.

23 MR. BRUCE: Mr. Brancard, I did not include
24 that simply because -- I normally don't include that
25 because I'm sending out new notices to everyone.

1 EXAMINER BRANCARD: You didn't include the
2 notice from the original notice?

3 MR. BRUCE: Correct.

4 EXAMINER BRANCARD: Okay. I mean, it seems
5 like that has suddenly become an important issue. Since
6 the legal notice was incorrect, I'm wondering whether
7 the letter was incorrect, too.

8 MR. BRUCE: Well, we can submit --

9 THE WITNESS: Yes.

10 MR. BRUCE: I will gladly submit a letter.
11 I couldn't print it out.

12 THE WITNESS: And the C-102 was included in
13 the application package.

14 EXAMINER JONES: Is that it for Mr. Wood?

15 MR. BRUCE: That's all for this witness.
16 Yes.

17 CROSS-EXAMINATION

18 BY EXAMINER McMILLAN:

19 Q. I guess I'm not -- obviously, I put it in, but
20 I can't remember the dates. You said this application
21 was received on March the 4th?

22 A. Correct. That's when Jeanettte delivered it.

23 Q. Do you have the date stamp that shows that?

24 A. Do not.

25 Q. Did you receive any emails about a deficient

1 **application?**

2 A. Not deficiency. The same afternoon we did
3 receive an email from you regarding -- I believe it was
4 NGL.

5 **Q. I'm looking. That it was protested?**

6 A. Yeah. Yeah.

7 **Q. The question now becomes: Why is it logged as**
8 **April 2nd?**

9 EXAMINER JONES: That's when it came in for
10 hearing.

11 EXAMINER McMILLAN: Oh, it was?

12 MR. BRUCE: Both -- Mr. Padilla filed his
13 application for Blackbuck for hearing on April 2, as did
14 I for Solaris. That was just for the hearing itself.

15 EXAMINER McMILLAN: Okay. That's what
16 theirs showed in the previous case? I'm trying to
17 understand.

18 MR. BRUCE: Yes.

19 EXAMINER McMILLAN: I guess I'm having
20 trouble understanding the dates.

21 MR. BRUCE: Solaris' application was filed
22 administratively March 4th. Blackbuck's application was
23 filed administratively March 22. Both cases were filed
24 for hearing on April 2. That's it in a nutshell.

25 EXAMINER JONES: Okay.

1 EXAMINER McMILLAN: Okay.

2 EXAMINER JONES: Thank you, Mr. Wood.

3 CORY WALK,

4 after having been previously sworn under oath, was
5 questioned and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. BRUCE:

8 Q. Would you please state your name for the
9 record?

10 A. Yes. My name is Cory Walk.

11 Q. And where do you reside?

12 A. Here in Santa Fe, New Mexico.

13 Q. Who do you work for?

14 A. I work for Permits West. We're a consulting
15 and contract company assigned to do the permits for
16 the --

17 Q. And what are you by profession?

18 A. I'm a geologist.

19 Q. Have you previously testified before the
20 Division?

21 A. Yes.

22 Q. And were your credentials as an expert
23 petroleum geologist accepted as a matter of record?

24 A. Yes.

25 Q. And did you prepare the geologic assessment

1 that was at pages, roughly, 28 to 36 in the C-108 that
2 Mr. Wood just testified about?

3 A. Yes, I did.

4 Q. Get this up front. You sat here and listened
5 to the testimony from Blackbuck's technical witnesses.
6 Do you have any problem with what they were basically
7 saying?

8 A. No, none at all. In fact, they have a lot more
9 years' experience than I do (laughter). But yes, I
10 agree 100 percent with what they are saying technically.

11 Q. And just to be cut it short, you prepared this
12 letter. What did -- generally, what did you rely on?
13 What data did you use? What papers, et cetera, did you
14 use to prepare your geologic assessment?

15 A. Yeah. So it's very similar to what was
16 testified on earlier. I also -- I performed fault slip
17 modeling analysis using the data provided by the Snee
18 and Zoback of 2018, as well as many of the other sources
19 that they had used, and really found very similar
20 results in the sense of zero percent probability. We
21 are roughly ten miles away from the nearest Precambrian
22 fault. We have, as they said, roughly 1,000 to 1,200
23 feet displacement to the Precambrian. About 670 feet of
24 that is the Simpson Group, which is obviously known as
25 the impermeable boundary below the injection zone.

1 So what this assessment concludes with is
2 that there is no potential structural or stratigraphic
3 connection between the Silurian-Devonian injection zone
4 and any subsurface water resources, as well as the zero
5 percent probability of the fault slip based on the
6 data -- publicly available data that I have access to.

7 **Q. And you didn't have any -- again, just in**
8 **general, in looking at the Devonian Formation, you**
9 **didn't have any quarrel with Blackbuck's summarization**
10 **of the Devonian Formation?**

11 A. No.

12 **Q. You think it's a good candidate for injection?**

13 A. Yes.

14 **Q. People are not drilling the Devonian for oil**
15 **and gas production?**

16 A. No.

17 **Q. And in your opinion, as you just stated, will**
18 **water injected into the Silurian or Devonian stay within**
19 **that zone?**

20 A. In my opinion, yes.

21 **Q. In your opinion, is the granting of Solaris'**
22 **application in the interest of conservation and the**
23 **prevention of waste?**

24 A. Yes.

25 MR. BRUCE: Mr. Examiner, to the extent

1 necessary, I'd resubmit pages 28 through 37 of Exhibit 9
2 for admission into the record, since Mr. Walk has now
3 testified personally on this.

4 EXAMINER JONES: Okay. Any objections?

5 MR. PADILLA: No objection.

6 EXAMINER JONES: Mr. Brooks?

7 MR. BROOKS: No objection.

8 EXAMINER JONES: Exhibit 9, pages 28
9 through 37 are admitted.

10 (Solaris Water Midstream, LLC Exhibit
11 Number 9, pages 28 through 37, is offered
12 and admitted into evidence.)

13 MR. BRUCE: And I have no further questions
14 of the witness.

15 EXAMINER JONES: Mr. Padilla.

16 MR. PADILLA: I don't have any questions.

17 MS. BENNETT: Thank you.

18 CROSS-EXAMINATION

19 BY MS. BENNETT:

20 **Q. Good afternoon, Mr. Walk.**

21 A. Good afternoon.

22 **Q. I just had a question about the C-108**
23 **requirements. If you look at page -- well, it's the**
24 **first page of Exhibit 9.**

25 A. I don't have the exhibits with me. Sorry.

1 Q. That's okay.

2 Do you see Roman numeral XII there? It
3 says something like an affirmative statement about open
4 faults and probable hydrologic connection?

5 A. Yes.

6 Q. In your view, does your study cover that?

7 A. Yes. Yes, it does.

8 Q. So your study discusses the -- you examined the
9 available geologic and engineering data?

10 A. Yes.

11 Q. And you found no evidence of open faults or
12 other hydrologic connections between the disposal zone
13 and any underground drinking water?

14 A. That is correct. I clearly state that in my
15 conclusion.

16 Q. Can you show us where that is in your
17 conclusion?

18 A. Yes. I believe it's the first page, "Geologic
19 Data" -- sorry -- the first sentence of the Conclusions
20 paragraph on page 30.

21 Q. Okay.

22 A. Would you like me to read it aloud or --

23 Q. No. Thanks.

24 A. Yup.

25 Q. And you did, it looks like, sort of a modified

1 **fault slip probability analysis; is that right?**

2 A. Yes. Yes.

3 Q. Did you do any reservoir engineering studies?

4 A. I did not.

5 Q. Any pore pressure studies?

6 A. No. That is outside of my expertise.

7 Q. In looking at the materials prepared for the
8 hearing today, did you see any materials like that in
9 the exhibits?

10 A. Sorry. Could you repeat the question?

11 Q. Have you had a chance to look through all the
12 exhibits that were prepared for today's hearing?

13 A. In terms of the Blackbuck or the --

14 Q. For Solaris, just generally speaking.

15 A. Yes.

16 Q. Are there any reservoir engineering studies
17 that you saw in the materials?

18 A. I didn't notice any, but I wasn't looking for
19 it.

20 Q. Okay. And how about anything about pore
21 pressure?

22 A. Again, I wasn't looking for it, so I didn't
23 notice any when I skimmed through it.

24 Q. Okay. Thank you very much.

25 EXAMINER JONES: Mr. Bruce -- I mean

1 Mr. Brooks.

2 (Laughter.)

3 MR. BRUCE: I don't know who is more
4 insulted.

5 (Laughter.)

6 EXAMINER JONES: I could tell you a story.

7 CROSS-EXAMINATION

8 BY MR. BROOKS:

9 Q. I do have one question.

10 A. Yes, sir.

11 Q. It seems to me that you referred us to page 30,
12 the paragraph under Conclusions --

13 A. Yes.

14 Q. -- for your answer to Roman numeral XII?

15 A. Uh-huh.

16 Q. The way I interpreted it, that -- your
17 statement does not say the same thing as paragraph XII,
18 because paragraph XII says, "Applicants for disposal
19 wells shall make an affirmative statement that they have
20 examined available geologic and engineering data and
21 find no evidence of open faults." Well, you say
22 geologic data that you have evaluated -- geologic data
23 evaluated. You don't say what geologic data you
24 evaluated. "Show no potential structural or
25 stratigraphic connection." And I think that's a little

1 **different statement. How do you reconcile that?**

2 A. So I guess -- well, in response to the previous
3 question, I was simply stating -- you are correct. It's
4 not word for word what it says in Roman numeral XII.
5 But I think the way I understand Roman numeral XII is
6 whether or not I've done research to understand if there
7 is any problems with surrounding faults or subsurface,
8 you know, potable water, and that is, I guess, my
9 concluding statement.

10 **Q. Well, Roman numeral XII -- I would stipulate**
11 **that Roman numeral XIII is subject to some ambiguity**
12 **because it doesn't say "made an affirmative**
13 **statement" -- "examined all available geologic data."**

14 And did you examine all available geologic
15 data that you knew about?

16 A. Yes, sir.

17 **Q. Thank you.**

18 **CROSS-EXAMINATION**

19 BY EXAMINER JONES:

20 **Q. It's probably a good idea to sign these as a**
21 **geologist. But Mr. Wood signed it on top. You've got**
22 **the statement in here, but you don't have a signed**
23 **statement, you know.**

24 A. Yeah. I signed the cover page of the Geologic
25 Assessment. But it's correct; I don't have the

1 statement and then a signature right underneath.

2 Q. All right. You signed the --

3 A. Yeah, on page 28.

4 Q. -- Geologic Assessment.

5 What's the source for your wells that you
6 look for in the area of review? What source do you use?

7 A. The NMOCD database.

8 Q. Do you?

9 A. Uh-huh.

10 Q. And you got the design from Solaris?

11 A. Yes.

12 Q. The well design?

13 A. Uh-huh. Yes, sir.

14 Q. And did you end up talking to anybody else, the
15 OCD geologist or --

16 A. No.

17 Q. -- as you were preparing this?

18 A. No.

19 Q. No calls from NGL?

20 A. Not to me, no.

21 Q. Okay. Okay. Thanks.

22 EXAMINER JONES: Mr. Brancard?

23 EXAMINER BRANCARD: I don't have anything.

24 EXAMINER JONES: Any other questions for
25 this witness?

1 Thank you, Mr. Walk.

2 MR. BRUCE: I have nothing else to present.

3 MR. PADILLA: Nothing else.

4 EXAMINER JONES: Okay. Any rebuttal from
5 the Division?

6 MR. BROOKS: No. Thank you.

7 EXAMINER JONES: Okay. Mr. Brancard
8 reminded everyone about the proposed findings. And
9 instead of being so far away, you know, if you propose
10 what you would do to -- in the meantime -- what your
11 client is willing to do will be well received.

12 MR. PADILLA: In addition to the findings?

13 EXAMINER JONES: Well, as part of the
14 findings.

15 EXAMINER BRANCARD: Proposed conditions.

16 EXAMINER JONES: Proposed conditions.

17 MR. PADILLA: Right.

18 MR. BRUCE: Proposed conditions on what
19 now?

20 EXAMINER BRANCARD: I would assume you're
21 going to argue for approval.

22 MR. BRUCE: Yeah. But, I mean, what type
23 of -- and my first question is actually: Do you want a
24 proposed order, or do you just want some findings and
25 conclusions?

1 EXAMINER BRANCARD: I think it may be
2 helpful to have a proposed order.

3 MR. BROOKS: What is --

4 EXAMINER BRANCARD: Well, we need to
5 resolve that. Ms. Bennett has an issue about that also
6 because the transcript is not in yet from the
7 last hearing.

8 EXAMINER JONES: We did get the transcript
9 from the last one completely in.

10 MS. BENNETT: It's not uploaded.

11 EXAMINER JONES: Oh, it's not uploaded?

12 MS. BENNETT: No.

13 EXAMINER JONES: As of last week?

14 MS. BENNETT: No, as of today. And, I
15 mean, I emailed Marlene and Florene about it today, and
16 it will be uploaded tomorrow, for the Mesquite cases,
17 which is a different issue than these cases. But I
18 wanted to take a minute after the conclusion of these
19 cases and ask for perhaps an extension of time to do the
20 Mesquite findings of fact due to the fact that the
21 transcript will be available tomorrow. But that's a
22 different issue, a deadline.

23 (Discussion off the record.)

24 MR. BROOKS: Well, I have no objection to
25 extending it beyond -- (laughter).

1 EXAMINER JONES: Mr. Goetze might object to
2 that.

3 MR. BRUCE: But if we need more time, maybe
4 we'll request a few extra days.

5 EXAMINER BRANCARD: We're looking at August
6 2nd.

7 MR. BRUCE: The Friday, yeah.

8 EXAMINER JONES: If you want to do bullet
9 points, that sounds good to me.

10 MS. BENNETT: I would also like to request
11 that Mesquite's findings of facts also be due August
12 2nd. I'd like an extension of time to August 2nd to do
13 Mesquite's findings of fact.

14 MR. BROOKS: We do not object to that.

15 EXAMINER JONES: That's just another week
16 or so.

17 MR. BROOKS: No. August 2nd is one week.
18 It's Friday. Yes. We're getting very close to August.

19 EXAMINER JONES: Okay. Thank you very
20 much.

21 We're going to take these two cases under
22 advisement, 20463 and 20465.

23 This docket is closed.

24 (Case Numbers 20463 and 20465 conclude,
25 4:09 p.m.)

1 STATE OF NEW MEXICO
2 COUNTY OF BERNALILLO

3

4 CERTIFICATE OF COURT REPORTER

5 I, MARY C. HANKINS, Certified Court
6 Reporter, New Mexico Certified Court Reporter No. 20,
7 and Registered Professional Reporter, do hereby certify
8 that I reported the foregoing proceedings in
9 stenographic shorthand and that the foregoing pages are
10 a true and correct transcript of those proceedings that
11 were reduced to printed form by me to the best of my
12 ability.

13 I FURTHER CERTIFY that the Reporter's
14 Record of the proceedings truly and accurately reflects
15 the exhibits, if any, offered by the respective parties.

16 I FURTHER CERTIFY that I am neither
17 employed by nor related to any of the parties or
18 attorneys in this case and that I have no interest in
19 the final disposition of this case.

20 DATED THIS 31st day of July 2019.

21

22

23 MARY C. HANKINS, CCR, RPR
24 Certified Court Reporter
25 New Mexico CCR No. 20
Date of CCR Expiration: 12/31/2019
Paul Baca Professional Court Reporters