

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
OIL CONSERVATION COMMISSION
HEARING DAY 01

Agenda No. 11-23

Moderated by Dylan Fuge
Wednesday, November 8, 2023
9:09 a.m.

Pecos Hall Hearing Room
Wendell Chino Building, 1st Floor
1220 South Saint Francis Drive
Santa Fe, NM 87505

Reported by: James Cogswell
JOB NO.: 6304851

<p>1 APPEARANCES</p> <p>2 List of Attendees:</p> <p>3 Dylan Fuge, Commissioner/Chair - Oil Conservation</p> <p>4 Commission</p> <p>5 Greg Bloom, Commissioner - Oil Conservation Commission</p> <p>6 William Ampomah, Commissioner - Oil Conservation</p> <p>7 Commission</p> <p>8 Daniel Rubin, Attorney - Oil Conservation Commission</p> <p>9 Darin Savage, Attorney, Abadie & Schill PC - Cimarex</p> <p>10 Energy Company</p> <p>11 Adam Rankin, Attorney - Colgate Production LLC,</p> <p>12 Northwind Midstream</p> <p>13 Jesse K. Tremaine, Attorney - Oil Conservation</p> <p>14 Division</p> <p>15 Dana Hardy, Attorney, Hinkle Shanor LLP - Targa</p> <p>16 Northern Delaware LLC</p> <p>17 Deana Bennett, Attorney, Modrall Sperling - Chevron</p> <p>18 Earl DeBrine, Attorney, Modrall Sperling - Chevron</p> <p>19 Cody Comiskey, Chevron</p> <p>20 Bryce Taylor, Chevron</p> <p>21 Jason Parizek, Chevron</p> <p>22 Tom Merrifield, Chevron</p> <p>23</p> <p>24</p> <p>25</p> <p style="text-align: right;">Page 2</p>	<p>1 INDEX</p> <p>2 EXAMINATION PAGE</p> <p>3 By Ms. Bennett 39</p> <p>4 By Mr. Tremaine 55</p> <p>5 By Ms. Bennett 63</p> <p>6 By Mr. Tremaine 102</p> <p>7 By Ms. Hardy 106</p> <p>8 By Mr. DeBrine 123</p> <p>9 By Mr. Tremaine 158</p> <p>10 By Ms. Hardy 159</p> <p>11 By Ms. Hardy 176</p> <p>12 By Mr. DeBrine 178</p> <p>13 By Mr. Tremaine 210</p> <p>14 By Ms. Hardy 212</p> <p>15 By Ms. Bennett 238</p> <p>16 By Ms. Bennett 313</p> <p>17</p> <p>18 EXHIBITS</p> <p>19 NO. DESCRIPTION ID/EVD</p> <p>20 Exhibit A C108s 102/102</p> <p>21 Exhibit B Applications 102/102</p> <p>22 Exhibit 98-108 Slides 102/102</p> <p>23 Exhibit 109-123 Slides 158/158</p> <p>24 Exhibit 126-141 Slides 287/287</p> <p>25 Exhibit 142-162 Slides 209/209</p> <p style="text-align: right;">Page 4</p>
<p>1 CONTENTS</p> <p>2 PAGE</p> <p>3 Ms. Hardy 8, 36</p> <p>4 Mr. Rankin 9, 22</p> <p>5 Mr. Savage 12, 19</p> <p>6 Ms. Bennett 20, 28, 31</p> <p>7 Mr. Tremaine 23, 34</p> <p>8</p> <p>9</p> <p>10</p> <p>11</p> <p>12</p> <p>13</p> <p>14</p> <p>15</p> <p>16</p> <p>17</p> <p>18</p> <p>19</p> <p>20</p> <p>21</p> <p>22</p> <p>23</p> <p>24</p> <p>25</p> <p style="text-align: right;">Page 3</p>	<p>1 PROCEEDINGS</p> <p>2 MR. FUGE: I'm going to call the</p> <p>3 meeting, the November 8th and 9th meeting of the New</p> <p>4 Mexico Oil Conservation Commission to order.</p> <p>5 Welcome, everyone. This is the first</p> <p>6 meeting in a long time back in the Wendell Chino</p> <p>7 Building. We are in Pecos Hall. Still working on</p> <p>8 final tech filled out, but excited to be here.</p> <p>9 Just wanted to cover a couple of</p> <p>10 administrative things because we're new and we're</p> <p>11 getting to the agenda. If you need to get onto the</p> <p>12 wi-fi, it's "NMEMNRD public." And the password is</p> <p>13 "security first," all one word. You will need a</p> <p>14 pop-up screen that says you agree to the terms and</p> <p>15 conditions and responsible use. But that should get</p> <p>16 you on the wi-fi.</p> <p>17 For parties presenting cases, please</p> <p>18 log into the Webex meeting. That will enable you to</p> <p>19 share your material in the room on the large screen.</p> <p>20 With commissioners here and other -- I just ask that</p> <p>21 you mute your audio when you log in with those setups.</p> <p>22 And then the last item -- and I'll</p> <p>23 bring this up a little closer to -- because of some</p> <p>24 family commitments, I have a very hard stop at five.</p> <p>25 So I will checking in with parties if we are</p> <p style="text-align: right;">Page 5</p>

1 presenting testimony at four to just make sure we can
2 get through it within that hour. Otherwise, we'll
3 continue it to the next day. As everyone saw in the
4 notice, we made allowance for two days given that it
5 originally looked like this was going to be a
6 relatively large docket.
7 And with that, I'm going to send it
8 around to the first item on the agenda, which is
9 approval of the agenda for today.
10 And we'll see with my fellow
11 commissioners. Do you have any comments or changes to
12 the agenda?
13 DR. AMPOMAH: Did you read the roll
14 call already?
15 MR. FUGE: Oh, sorry. Forgot to do the
16 roll call.
17 Commissioner Ampomah.
18 DR. AMPOMAH: Present.
19 MR. FUGE: Commissioner Bloom.
20 MR. BLOOM: Present.
21 MR. FUGE: Let us reflect that the
22 entire Commission is present in person.
23 And then let's go to the agenda. Does
24 anyone have any comments on the agenda or changes?
25 DR. AMPOMAH: No.

Page 6

1 MR. BLOOM: No. Mr. Chair, I move to
2 adopt the agenda.
3 DR. AMPOMAH: I second.
4 MR. FUGE: Let the record reflect the
5 agenda was adopted unanimously.
6 Have my fellow commissioners had a
7 chance to review the October 12, 2023, meeting
8 minutes?
9 MR. BLOOM: Yes. Mr. Chair, I move to
10 adopt the minutes.
11 DR. AMPOMAH: I second.
12 MR. FUGE: Let the record reflect that
13 the minutes from the October 12th meeting were adopted
14 unanimously.
15 And we will move on to our active
16 docket. We've got some prior cases set for status
17 conference and some new cases for status conference.
18 And I know from Commission Counsel and
19 Commission Clerk that there were some filings that
20 were made, you know, within the last 24 hours. So we
21 may, when your case is called up, just ask the party
22 to kind of walk through some of those in case we
23 didn't have a chance to get through all of the pieces.
24 But the first case that's up is Status
25 Conference in Case Number 23727, Application of Targa

Page 7

1 Northern Delaware for Rehearing of Order R-13507-E,
2 and specifically a request that the Oil Conservation
3 Commission reconsider conditions included in Order
4 Number R-13507-E.
5 And from our last meeting, the parties
6 including the Division were potentially going to come
7 up with a sort of consensus or unopposed set of
8 condition revisions. So I'll turn it over to the
9 parties.
10 MS. HARDY: Thank you, Mr. Chair.
11 MR. FUGE: Please introduce yourself
12 for the court reporter.
13 MS. HARDY: Dana Hardy with Hinkle
14 Shanor on behalf of Targa Northern Delaware LLC.
15 MR. TREMAINE: Jesse Tremaine with Oil
16 Conservation Division.
17 MR. FUGE: Ms. Hardy.
18 MS. HARDY: Thank you.
19 MR. FUGE: What's the status of the
20 discussion regarding the order conditions?
21 MS. HARDY: We are still working with
22 the Division on the conditions. I suspect we'll be
23 able to reach an agreement. It's just a matter of
24 going back and forth a little bit more and making sure
25 that we have agreement on all the issues.

Page 8

1 So I don't think we will need a status
2 conference. And I don't think we need a contested
3 hearing date. I think we can just reach agreement on
4 an exhibit that we would attach to propose order,
5 provided the Commission says that's acceptable.
6 MR. FUGE: That's acceptable to me.
7 Do my fellow Commissioners have any
8 other concerns?
9 DR. AMPOMAH: I'm not sure.
10 MR. BLOOM: Yeah. That works.
11 MR. FUGE: Thank you, Ms. Hardy.
12 MS. HARDY: Thank you.
13 MR. FUGE: The next case up, and it's
14 up for final status conference because it's been
15 kicking around the docket for a while, is De Novo
16 Case 21744. And you know, it's -- in the commission
17 records. It was going to be heard along with Case
18 Number 22018 and 22019. Can I have parties in those
19 cases appear?
20 MR. RANKIN: Morning, Chair. Morning,
21 Commissioners. Adam Rankin, appearing in this case on
22 behalf of Colgate and here to answer any questions.
23 MR. FUGE: Can you give us an update on
24 sort of the status of these cases and I believe a
25 filing that you made last night in the cases?

Page 9

<p>1 MR. RANKIN: Yes. And I don't know if 2 you want to let Mr. Savage also introduce appearance. 3 MR. FUGE: Oh, Mr. Savage, please go 4 ahead. 5 MR. SAVAGE: Yes. Good morning, 6 Mr. Chair, Commissioners, Counsel. Darren Savage with 7 Abadie and Schill appearing on behalf of Cimarex 8 Energy Company. And I assume you can see me as well 9 hear me? 10 MR. FUGE: Yes, I can. 11 MR. SAVAGE: All right. Thank you. 12 MR. RANKIN: Mr. Chair, good morning. 13 In this case, this case has been pending for some 14 time. It took me a little while to review fully the 15 convoluted procedural history here. There is a matter 16 before the Commission for de novo review. And that 17 case was brought by Cimarex seeking de novo review of 18 an order approving compulsory pooling for Colgate. 19 Parties have had a double hearing in 20 that matter addressing whether or not Colgate was 21 within its rights to proceed and pool Cimarex. That 22 order was entered before the Commission. I believe 23 it's 21629C. 24 Cimarex filed a Motion for Rehearing. 25 Upon the filing and briefing and arguments on that</p> <p style="text-align: right;">Page 10</p>	<p>1 correct. I did file a Motion to Reconsider the 2 Commission's decision to amend Order 21629C and 3 pointing out that in our view, there were some 4 fundamental errors in the Commission's decision 5 granting the rehearing and modifying Order 21629C. 6 So with that, we had filed that Motion. 7 And it is our hope that the Commission will reconsider 8 its track in this case. We believe that the 9 Commission has gotten a little bit off track in its 10 decision there. In light of that, I think you may see 11 more what's happening here, which is an application by 12 Mewbourne to revoke an order that's been in place for 13 more than two years. And we think that's a little bit 14 off course. 15 So with that, Mr. Examiner -- I 16 apologize -- Mr. Chair, I'll let Mr. Savage respond 17 with any questions or concerns he may have. 18 MR. FUGE: Mr. Savage. 19 MR. SAVAGE: Mr. Chair, thank you. I'm 20 glad that Colgate talked about perceived being off 21 course. We feel that the last-minute Motion -- this 22 status conference was designed and stated as the final 23 status conference. And we were expecting to have a 24 contested hearing date set. All the Motions, all the 25 competing applications have been approved and in</p> <p style="text-align: right;">Page 12</p>
<p>1 Motion, the Commission issued a Revised Amended 2 Order 21629D. We, subsequently after some time that 3 that case was continued repeatedly Holland and Hart, 4 that entered appearance on behalf of Colgate I believe 5 in May of this year, substituted for counsel for 6 Colgate. 7 Parties have been in discussions since 8 we substituted, Mr. Chair. Mewbourne has filed a case 9 with the Division, Case 23688, in which it seeks to 10 revoke Colgate's order approving its compulsory 11 pooling and to pool itself some overlapping acreage 12 there. 13 So now we have a case pending before 14 the Division pursuant, I believe, to the Commission's 15 order that it should hear all these competing pooling 16 cases together. And that now is pending before the 17 Division. So Colgate has been in discussions with 18 Mewbourne trying to resolve that issue. 19 And that case is now before the 20 Division. It's set for a status conference on 21 November 16th's docket before the Division. So I'm 22 not sure exactly. I don't have an update on the 23 discussions there for you between Mewbourne and 24 Colgate. My hope is that we can get that resolved. 25 In the meantime, Mr. Chair, you are</p> <p style="text-align: right;">Page 11</p>	<p>1 place, and they have moved from the Division to the 2 OCC for hearing. 3 Colgate had a substitution of Counsel. 4 That was on March 22, 2023. They have had eight 5 months. They have been in this proceeding for eight 6 months. They have never mentioned in any manner a 7 Motion to Reconsider. They have asked for a number of 8 continuances, which Cimarex has accommodated on every 9 occasion, although expressing our interest in having 10 an expedited, expedient hearing. We have accommodated 11 them, and then at the last minute here, the last 24 12 hours, they have filed a 23-page Motion to Reconsider. 13 Now, Mr. Chair, these issues that the 14 Motion addresses. I have not had a chance to fully 15 digest everything and analyze everything. But it 16 looks to me like these have been addressed thoroughly 17 by the Commissioners previously in the rehearing 18 setting. And they have made rulings. 19 And these rulings were pursuant to the 20 statute of limitations of Statute 7225, in which we 21 made an application for rehearing within the 20-day 22 limitation period. And we believe Colgate has not 23 abided by that statutory 20 days. They have waited 24 over eight months to file a final Motion. 25 We think that the minimum contested</p> <p style="text-align: right;">Page 13</p>

1 hearing date should be set. We ask that we move
 2 forward with these contested hearings based on
 3 circumstances. Thank you.

4 MR. FUGE: Maybe a point of
 5 clarification. Mr. Rankin, you referenced a case.
 6 Mr. Savage suggested that all of the cases are done at
 7 the Division with conditional orders up and, you know,
 8 his position probably before the Commission.

9 You mentioned there was a Mewbourne
 10 case that was set to go up before the Commission next
 11 week for same acreage, overlapping acreage, related
 12 acreage? Can you provide a little more color on what
 13 that pending case is?

14 MR. RANKIN: Sure. The case is Case
 15 Number 23638. It is set for a status conference
 16 before the Division on November 16th. That case seems
 17 to pool some of the acres at issue here. It overlaps
 18 partially with the acreage subject to Colgate's order
 19 that was on de novo review.

20 So I think potentially it has
 21 complicated resolution of the competing pooling cases
 22 that have been pending before the Commission.

23 MR. FUGE: So is it your position that,
 24 setting aside your Motion that was filed -- but if it
 25 was to go forward, that the Commission would need

Page 14

1 23688 to go to order before we could hear the de novo
 2 hearing if we decided to in this case?

3 MR. RANKIN: So Mr. Chair, when you
 4 read the Motion for Reconsideration that we filed, we
 5 do believe that there's a fundamental problem with
 6 hearing Cimarex's competing pooling cases before the
 7 Commission. The only matter before the Commission was
 8 Colgate's Case Number 21744 and the order that was
 9 issued by the Division, Order R21575.

10 But -- the Commission has authority.
 11 Parties who are adversely affected have the right to
 12 seek de novo review for matters that went before the
 13 Division and were heard before the Division examiner
 14 and are subject to a Division order. That's the case
 15 with the Colgate matter.

16 The Commission fully heard that case as
 17 a de novo matter and issued an order. So our view is
 18 that, as to Mewbourne's case, which is now pending
 19 before the Division, if the Commission were to take
 20 that up for de novo, it would have to have an order at
 21 the Division level first.

22 MR. FUGE: Mr. Savage, do you have a
 23 response?

24 MR. SAVAGE: Yes. Since this is a
 25 last-minute motion, we don't feel it's appropriate for

Page 15

1 Mr. Rankin to be arguing this without us having the
 2 opportunity to review and respond.

3 But Mr. Chair, it is correct that there
 4 is a case pending by Mewbourne. I have talked to
 5 counsel from Mewbourne. I don't believe he is here to
 6 comment. But as I understand it, that's very close to
 7 being settled by the parties.

8 In fact, they were trying to decide
 9 whether or not even the case on November 16 was going
 10 to go forward. And if it does go forward on November
 11 16, I believe that if we do set a contested hearing
 12 date that that case could be directly moved to be
 13 included as a contested hearing on that particular
 14 date, whatever the OCC decides to set.

15 And if it's resolved, which it looks
 16 like it will be based on the conversations I've had,
 17 then it would be a moot point. And so it wouldn't
 18 impact the proceedings. Either way, I don't believe
 19 it would impact the proceedings. I believe they could
 20 be accommodated within the contested hearing date, or
 21 it would be a moot point.

22 MR. FUGE: Looking to my fellow
 23 commissioners if they have questions.

24 But maybe Commission Counsel, we got
 25 the motion last night. I don't recall in our rules

Page 16

1 what would be a normal opportunity to respond to a
 2 party in it. Do they prescribe that?

3 MR. RUBIN: I don't know offhand if the
 4 rules do. But it would be an abundance of caution to
 5 allow a written response, I think the point with the
 6 Counsel is well taken that we go and set -- the
 7 Commission set a hearing, hear the motion. At that
 8 onset of that hearing, there's nothing in the rules
 9 that prevents that.

10 MR. FUGE: My fellow commissioners, any
 11 questions on this one to the parties?

12 MR. BLOOM: No, Mr. Chair. But I did
 13 not have an opportunity to review the materials that
 14 were sent last night or yesterday. In addition, this
 15 case has been frustrating. No.

16 As far as I knew, Mr. Rankin, you're
 17 new to this. But I think in the past we've seen
 18 moments where Counsel has struggled to even summarize
 19 this case which has gone on for so long. So getting
 20 up here and not being able to tell us where this is at
 21 is frustrating as a commissioner. So I hope that this
 22 is dealt with -- manner.

23 MR. FUGE: So Dr. Ampomah, do you have
 24 any?

25 I mean, hearing the comments from the

Page 17

1 Commission and advice from Counsel, Mr. Savage, and
2 arguments from both Mr. Savage and Mr. Rankin, we
3 would -- I guess I'd like to put forward a motion
4 directing Mr. Savage to file a response within two
5 weeks.

6 MR. RUBIN: Mr. Chair, the examiner for
7 today. Of course he came. It was 72-hours advanced
8 notice of the agenda. So this motion was not on the
9 agenda. All we have on the agenda for this matter is
10 the setting of a final hearing.

11 MR. FUGE: Fair.

12 I think to move this case along,
13 because it's been sitting for a while and we've got a
14 Motion, I say we put it for a final hearing. I'm
15 going to Motion to put it on the docket for a final
16 adjudicated hearing at the January 11th meeting.

17 I would just preserve for the record,
18 Mr. Savage, you have an opportunity to respond to
19 filings and other pieces. And the Commission,
20 consistent with its rules, will provide some guidance
21 how it's going to address those in subsequent agendas.

22 Is everyone comfortable with a
23 January 11th date between my fellow commissioners for
24 hearing this case?

25 MR. BLOOM: That will work.

Page 18

1 MR. FUGE: And I think I can reiterate
2 what we've heard up here. We would like a resolution.
3 This case has been kicking around for a long, long
4 time.

5 Thank you.

6 MR. RUBIN: Mr. Chair, I think this
7 would be better to have a Motion. Is that fair?

8 MR. FUGE: Can I get a Motion to set --
9 let's read them out so we've got them. Can I get a
10 Motion to set De Novo Case 21744 and the associated
11 cases 22018 and 22019 for adjudicated final hearing on
12 January 11, 2024.

13 MR. BLOOM: Mr. Chair, I so move.

14 DR. AMPOMAH: Mr. Chair, I second.

15 MR. FUGE: Let the record reflect
16 Motion was approved unanimously.

17 MR. SAVAGE: Mr. Chair, if I may add an
18 additional comment, I would like to respond to the
19 Motion. Mr. Rankin has had months to review the
20 procedural history in the matters of this case. Could
21 I request three weeks as a time period to respond
22 instead of the two weeks that was mentioned?

23 MR. FUGE: I'm going to look at
24 Commission Counsel, but I think that the proceeding
25 was filed. On Motions, we typically consider filing

Page 19

1 well in advance of the agenda at the next scheduled
2 hearing. So if you get your filing in prior to any
3 deadline there, that should be just fine.

4 MR. SAVAGE: Okay. Thank you.

5 MR. RUBIN: And we request that you
6 guys -- all arguments on the Motion if it's not on the
7 agenda.

8 MR. FUGE: Yes.

9 So that Motion just consistent with
10 practice is likely to be on the agenda for the
11 December 14th meeting. That would be clear when that
12 agenda comes out. Thank you.

13 I'm going to go to what I think it was
14 mooted by a subsequent filing, but I'm going to look
15 at Case Number 23942, Application of Avant Operating
16 LLC for Hearing De Novo of Case Numbers 23640 through
17 23645. And my understanding is that Avant made a
18 filing earlier that was a week withdrawing that
19 application.

20 MS. BENNETT: Yes. Good morning,
21 Mr. Chair and Commissioners. Deana Bennett on behalf
22 of Avant Operating LLC. And I did file a Motion
23 yesterday, I think it was, requesting dismissal of
24 this de novo application.

25 MR. FUGE: And I'm assuming that

Page 20

1 request is uncontested?

2 MS. HARDY: Yes, Mr. Chair. Dana Hardy
3 for Colgate Production, and the request is
4 uncontested.

5 MR. FUGE: I think the request is
6 granted then.

7 MR. BLOOM: I'm sorry, Mr. Chair.
8 Which case number is this? The numbers get a little
9 jumbled.

10 MR. FUGE: Case Number 23942.
11 All right. Thank you.

12 MS. BENNETT: Thank you very much.

13 MS. HARDY: Thank you.

14 MR. FUGE: Next up is Case Number
15 23943, Application of Northwind Midstream Partners LLC
16 for Approval of Redundant Acid Gas Injection Well as
17 Required under Order Number R-20913 as Amended in Lea
18 County, New Mexico.

19 And can I have the parties appearing
20 for Northwind Midstream come up to counsel table?
21 Any other party entering an appearance
22 in this matter?

23 MR. TREMAINE: Jesse Tremaine for the
24 Oil Conservation Division.

25 MR. RANKIN: Mr. Chair, Commission,

Page 21

1 Adam Rankin appearing on behalf of the applicant in
 2 the case of Northwind Midstream.

3 MR. FUGE: Mr. Rankin, for purposes of
 4 the status conference and scheduling, can you just
 5 give us a brief overview of the filing and kind of a
 6 high-level assessment of sort of anticipated hearing
 7 time needed?

8 MR. RANKIN: Thank you very much,
 9 Mr. Chair, Commissioners.

10 We have been in discussions with the
 11 Division on that very matter. We have reviewed the
 12 underlying orders that are subject to the proceedings
 13 in this case. We filed an application to approve the
 14 second AGI Number 2 in this case out of an abundance
 15 of caution.

16 Having reviewed the orders, it's a
 17 little bit ambiguous. It's a little unclear, but we
 18 believe the Commission may have intended to authorize
 19 the Division to approve the AGI Number 2
 20 administratively. So we have prepared the Motion in
 21 discussion with the Division to request clarification
 22 and for the Commission to issue an order expressly
 23 remanding the AGI Number 2 to the Division for
 24 administrative approval.

25 And so essentially, that's where we

Page 22

1 stand. We don't think it's necessary at this point,
 2 unless the Commission disagrees, for this matter to
 3 occupy time before the Commission. And we believe the
 4 intent was potentially to remand to the Division for
 5 administrative approval. This is in line with other
 6 recent AGIs where the second AGIs were authorized by
 7 an order in the Pinon and Meredith case where the
 8 Commission expressly authorized the Division to
 9 approve the second AGI administratively.

10 So with that, I'll pass it off to
 11 Mr. Tremaine, who can discuss more directly the
 12 Division's position on it.

13 MR. TREMAINE: Mr. Chair, I think I
 14 agree with what Mr. Rankin said. There's in the order
 15 section -- I don't have the order number up in front
 16 of me right now. I apologize. But in the order
 17 section, there is a reference to Division approval and
 18 there's a reference to Commission approval. I have
 19 consulted with the technical team, and the subsequent
 20 ST108, for the reference, AGI well.

21 There's two technical changes to that.
 22 One is that the surface swell location has moved 125
 23 feet. And the second being that they've modified
 24 their plan to drill through a zone that was
 25 problematic for the previous as well.

Page 23

1 So based on that review, it's the
 2 Division's position that the Commission has already
 3 essentially approved this well, and that there are
 4 technical changes. So it is appropriate for
 5 administrative review of this with one additional
 6 clarification. The application was appropriately
 7 styled because this well was originally conceived as
 8 redundant to I believe it was AGI Number 1, which was
 9 Devonian/Silurian well.

10 This is intended, the deeper injection
 11 AGI. This one is intended to be the primary injection
 12 well. And the DMG well is intended to be redundant or
 13 a backup. It will be online first and utilized first,
 14 but then at some point, it will be redundant to the
 15 deeper injection AGI solely.

16 The application, like I said, was
 17 appropriately styled because this has always been
 18 called the redundant well. But the USC group wants to
 19 clarify to the Commission that it is no longer the
 20 redundant well. And so I think we can clarify that in
 21 a proposed order submitted to the Division.

22 I have reviewed that proposed order,
 23 and I think it's satisfactory. I'll make any final
 24 recommendations to that, and I think the parties can
 25 submit for admissions approval if the Commission's in

Page 24

1 agreement that this is -- given the nature of the
 2 modifications to the second AGI's C108 that it is
 3 appropriate for administrative approval.

4 MR. FUGE: So it sounds to me, in
 5 listening to the presentation of the parties, that
 6 there may not be the need for a contested hearing in
 7 this matter and that you are close to filing a sort of
 8 joint order with the Commission, you know, resolving
 9 this matter or at least positioning it appropriately
 10 from the Division's and the applicant's perspective.

11 MR. RANKIN: Yes, Mr. Chair. We have
 12 prepared a joint motion specifying or outlining the
 13 specific language in the order that indicates the
 14 intent potentially to authorize the applicant to
 15 submit a C108 for the second well to the Division for
 16 approval. And that's in Order 20913D, which has been
 17 subsequently amended.

18 But those governing portions have
 19 remained in full force and effect. And particularly,
 20 you'll see Mr. Scherer [ph] -- and for the record I'll
 21 cite to it. But there is a paragraph that
 22 Mr. Tremaine referenced. It's ordering paragraph
 23 number 1-E in that order. That states that "After
 24 OCD's approval of the C108," then it goes on.

25 So the intent appeared to have been to

Page 25

1 authorize the Division to administratively approve
2 that C108. So after further conferring with
3 Mr. Tremaine and the Division, we will likely be
4 filing a joint motion if that meets with the
5 Commission's approval, requesting that the matter be
6 referred to the Division for administrative approval.
7 And we will propose an order addressing that at the
8 same time.

9 MR. FUGE: Looking at my fellow
10 commissioners if they have any questions.

11 MR. BLOOM: No questions, Mr. Chair.

12 DR. AMPOMAH: No questions.

13 MR. FUGE: Based on the status report
14 from the parties, I don't see the need to set this for
15 hearing. And we will keep it on the docket waiting
16 for that joint motion, but I think that can be
17 resolved just on the papers. So we'll look forward to
18 that from the parties.

19 MR. TREMAINE: Thank you.

20 MR. FUGE: And that moves us through
21 our status conferences. And we now have two cases up
22 for adjudicatory hearing, 23686 and 23687.
23 I'm going to give a short ten-minute
24 recess for the parties to just reconfigure and set up,
25 because this will have witnesses and other components.

Page 26

1 So I'm just going to put the line on mute but leave
2 the portal open and allow the parties to go.

3 And we will reconvene. Let's call it
4 12 minutes at 9:50.
5 (Off the record.)

6 MR. FUGE: Welcome back, everyone.
7 Next items up on the agenda, and these were both set
8 for adjudicatory hearing, Case Number 23686 and 23687.
9 My understanding is the same parties have entered
10 appearances in both cases. And I'm going to ask a
11 question, but I'm just confirming what it appears from
12 the primary statements and the like that the cases
13 will be presented together as opposed to jointly.

14 Then I'm going to look at Counsel for
15 Chevron first with that question.

16 MS. BENNETT: Thank you. Deana Bennett
17 on behalf of Chevron USA, and we do intend to present
18 the cases together in a consolidated fashion.

19 MR. FUGE: Can I have the parties in
20 the case who are entering an appearance just identify
21 themselves?

22 MR. TREMAINE: Jesse Tremaine for the
23 Oil Conservation Division.

24 MS. HARDY: Dana Hardy on behalf of
25 Mewbourne Oil Company.

Page 27

1 MR. FUGE: Any other parties either in
2 the room or online entering an appearance?
3 Hearing or seeing none, Ms. Bennett,
4 you're on.

5 MS. BENNETT: Thank you very much.
6 Thank you all for being here. We
7 really appreciate the opportunity. Again, my name is
8 Deana Bennett. And I'm with Modrall Sperling law
9 firm. And I'm here with my colleague Earl DeBrine.
10 And we're here on behalf of Chevron USA, Inc. in these
11 two cases.

12 I did want to just say how great it is
13 to be back in person and in Pecos Hall. I might
14 stutter on the P a little, but it's great to be back.
15 Great to see people in person. Great to have the
16 opportunity to mingle with our colleagues again, so
17 very much appreciated.

18 Chevron and ourselves appreciate the
19 effort you made to present this two-well pilot project
20 to the Commission. And we look forward to a robust
21 discussion with the Commission and the other parties.

22 I do have a few logistical matters that
23 I wanted to talk to before we get started. And some
24 of that may involve the other parties as well in terms
25 of brief opening statements, and I'll get to that in

Page 28

1 just a minute.

2 So first I did just want to kind of
3 introduce the Chevron team, if that's okay with the
4 Commissioners.

5 MR. FUGE: Yes.

6 MS. BENNETT: We have several people
7 from Chevron here, and I'll just run through that
8 quickly. And some of them are witnesses, and some of
9 them are not. So first, Cody Comiskey, Bryce Taylor,
10 Jason Parizek, Tom Merrifield, Fred Burner [ph], Ochi
11 Achinivu. And we might have some on the phone as well
12 on Zoom, but for now, this is the team that's present.

13 And this is just a handful of the team,
14 though, that worked on this. I just spoke with Cody
15 this morning, and he mentioned to me that over 24
16 subject matter experts have worked together in a
17 collaborative way to put together the presentation and
18 the people behind the project.

19 So the next thing I wanted to just
20 discuss is whether the Commission would like to swear
21 in our witnesses as they testify or as a group before
22 each one testifies.

23 MR. FUGE: Our practice has been to
24 swear them in as they testify. And we'll ask the
25 court reporter to administer an oath when they're

Page 29

<p>1 ready to go. 2 MS. BENNETT: Great. Thank you. 3 And then I mentioned this briefly to 4 several of the commissioners individually, but just 5 for the group's benefit, our pagination that we had 6 put on the exhibit packet that we prepared is likely 7 different than the pagination that appears to the OCD 8 filing system. And so we intend to use the references 9 to the OCD filing system, which is in the upper 10 righthand corner. And so as we're moving through the 11 exhibits, we'll be referring to that as the exhibit 12 number. And I did pass out hard copies of the exhibit 13 packets. 14 We did make some revisions to the order 15 of our witnesses yesterday, as well as some slight 16 revisions to the order of exhibits. And so what I 17 will do is refer to the exhibit number in the upper 18 righthand corner and wait for everyone to get to the 19 same page before we start talking about it. But there 20 will just be some little -- I'd say some ebbs and 21 flows in the PowerPoint as we move forward. 22 I did file the exhibits timely, and our 23 exhibit packet contains six tabs. And we'll walk 24 through each of those tabs with the Commission. 25 And with that, I think that is all of</p> <p style="text-align: right;">Page 30</p>	<p>1 that OCD has raised in its materials as well. And 2 Chevron's been working on this project since 2021, so 3 this is a long time in the making to get to the 4 Commission. 5 Chevron has undertaken this 6 investigation of shallow disposable -- number of 7 reasons, primarily because of the need for additional 8 disposal options to address the high volumes of 9 produced water from the spring and volcanic 10 formations. 11 And the goal here is to come up with 12 disposal options that do not impair correlative rights 13 and that do prevent waste. So in the testimony you'll 14 hear today, the areas around these two pilot project 15 wells are not favorable for DMG production. The DMG 16 there is either depleted or the geology indicates a 17 low likelihood of unknown DMG reserves. So taking 18 into consideration correlative rates and waste, you'll 19 be hearing a lot of testimony about that today. 20 We'll also be talking about the low 21 potential for induced seismicity from these particular 22 shallow wells based on the geologic studies that the 23 Chevron witnesses have undertaken. And these wells 24 will also be protective underground sources of 25 drinking water.</p> <p style="text-align: right;">Page 32</p>
<p>1 the logistical items I had to discuss with 2 Commissioners, but I would like to have the 3 opportunity to present a brief opening statement. And 4 I understand that some of the other parties may like 5 the opportunity to do that as well. So I wondered if 6 the Commission is amenable to that. 7 MR. FUGE: I have no concern with that 8 approach, so go ahead, Ms. Bennett, and we'll let the 9 other parties go. 10 MS. BENNETT: Thank you very much. 11 So I have on the slide on the screen 12 the location, the map of this two-well pilot project 13 that Chevron is proposing and that we'll be discussing 14 today. And the Chevron witnesses will go into more 15 detail about the location of the map. But I did -- to 16 the location of the two wells before I started my 17 opening presentation. 18 So as I mentioned briefly, this is an 19 SWD pilot project. It's a two-well pilot project. So 20 Chevron is proposing two wells to target the DMG, so 21 shallow injection. 22 As I alluded to and you as you can see 23 from our team here today, Chevron has undertaken a 24 very extensive review of the surface and subsurface 25 seismic geological factors that are at issue here and</p> <p style="text-align: right;">Page 31</p>	<p>1 So Chevron has presented this plan to a 2 number of stakeholders and a number of operators. And 3 the operators from whom Chevron has received feedback 4 are supportive of the project. In fact we submitted 5 several letters of support for the project in the 6 exhibits that we submitted. 7 So there are letters from Coterra, and 8 yesterday we submitted letters from OXY supporting the 9 project. We just received those letters yesterday. 10 And then Mewbourne, I understand from their 11 pre-hearing statement, is supportive of the project. 12 But I'll leave that to them to also discuss. 13 Chevron's also met with the New Mexico 14 State Land Office and the New Mexico OC. 15 So I'm going to skip some of these so 16 we can get to the meat of our presentation with the 17 subject matter experts. But I did just want to also 18 highlight that Chevron, you'll be hearing a lot about 19 data gathering and data analysis today, because that's 20 the key element of the pilot project. 21 Chevron intends and is proposing a 22 request data gathering system or protocol and then 23 intends to share that data with the Division and other 24 operators, not just in the spirit of transparency, but 25 in the spirit of collaboration to make sure that this</p> <p style="text-align: right;">Page 33</p>

1 is a thoughtful approach to DMG disposal,
 2 understanding that there are historic concerns about
 3 DMG disposal. But Chevron's witnesses will address
 4 that.

5 And just so we're all on the same
 6 terminology, DMG is Delaware Mountain Group, just to
 7 make sure. So that's that. And we'll have some
 8 exhibits that show exactly where the Delaware Mountain
 9 Group is within the geologic strata.

10 So Chevron is also proposing monitoring
 11 programs to address any impacts to their rise to
 12 correlative rights and waste. And so this is a
 13 thoughtful, multidisciplinary approach to the request
 14 to have this two-well pilot project approved by the
 15 Commission.

16 And so with that, I look forward to the
 17 discussion with the commissioners today and with the
 18 Chevron witnesses. And we look forward to any
 19 questions that the Division and Mewbourne may have for
 20 our witnesses.

21 Thank you very much.

22 MR. FUGE: Mr. Tremaine?

23 MR. TREMAINE: Thank you.

24 This is Jesse Tremaine on behalf of the
 25 Conservation Division. Good morning, Mr. Chair,

Page 34

1 Commissioners.

2 The Oil Conservation Division
 3 intervened in this case. And it does not oppose the
 4 applications. But regarding the nature of the geology
 5 and summarizing the Delaware Mountain Group, OCD
 6 believes that certain safeguards for these wells are
 7 required above and beyond what might be typical for
 8 saltwater disposal wells that are injecting into other
 9 zones.

10 We'll get to that in quite a bit of
 11 detail once we get into the Exhibit 11 and 12. But
 12 very briefly, as we've gotten in the pre-hearing
 13 statement, OCD's concerns relate primarily to
 14 projection of correlative rights, prevention of waste,
 15 and identifying a very key need that Ms. Bennett has
 16 already identified, the need for additional data
 17 regarding injection into the DMG.

18 This is an area where I believe the
 19 Commission will be informed today the geological
 20 information and our understanding of the Delaware
 21 Mountain Group is evolving over time. And there's
 22 quite a bit of additional information that is
 23 necessary and prudent prior to, you know, a rather
 24 increased injection development within that zone.

25 The Oil Conservation Division will

Page 35

1 present three witnesses today. First will be Brandon
 2 Powell [ph], deputy director for -- Brushy Canyon.
 3 Next, we will have Phillip Goetze [ph], the UIC Bureau
 4 chief. Then we will have Mr. Million Gebremichael
 5 [ph] testify.

6 We anticipate OCD's presentation taking
 7 approximately an hour and a half. Try to stick to
 8 that.

9 Basically, that's a brief outline of
 10 OCD's concerns and where we're going with the
 11 presentation. So I'll leave it there for now.

12 MR. FUGE: Ms. Hardy, do you have any
 13 opening remarks you'd like to make on behalf of
 14 Mewbourne?

15 MS. HARDY: Yes, thank you, very
 16 briefly, Mr. Chair.

17 As set out in Mewbourne's pre-hearing
 18 statement, Mewbourne's reports, Chevron's
 19 applications, as long as appropriate conditions are
 20 imposed on the injection and monitoring occurs to
 21 ensure the protection of correlative rights.

22 And we did cite in our pre-hearing
 23 statement the Commission and Division objection rule,
 24 Rule 26, which requires that -- be maintained in such
 25 a manner that allows the fluids to be confined to the

Page 36

1 injection interval. So that's critically important
 2 here to Mewbourne.

3 And in addition regarding OCD's
 4 recommendations, Mewbourne fully supports OCD's
 5 proposed procedures regarding the administrative
 6 approval of DMGSTWD permits that are set out in OCD
 7 Exhibit 11. Mewbourne believes these procedures will
 8 minimize the risk of waste and protect correlative
 9 rights.

10 Mewbourne also has some other
 11 recommendations that I will ask OCD's witnesses about.
 12 Really, they are that OCD seek the support of NMOGA,
 13 its DMG disposal capacity reexamination workgroup, to
 14 create a DMG type log and stratigraphic cross sections
 15 to ensure consistent DMG layer picks across the basin
 16 and also that OCD consider the requirement to perform
 17 a new SRT test, a step-rate test, any time the tubing
 18 diameter on the well is upgraded or additional DMG
 19 preparations are added below the current disposal
 20 interval.

21 So with the proposed conditions,
 22 Mewbourne does support the applications. Thank you.

23 MR. FUGE: And I just want to check
 24 before we go through just to make sure. I believe the
 25 State Land Office entered an appearance, but I don't

Page 37

1 see counsel for the State Land Office here or online.
 2 But just want to open up that ask in case they have
 3 opening remarks. Give a second.
 4 UNIDENTIFIED SPEAKER: Mr. Jared Levy
 5 [ph] will not be in attendance today.
 6 MR. FUGE: Ms. Bennett, then. I'll
 7 turn it over to you.
 8 MS. BENNETT: Thank you very much.
 9 At this time, I would like to call our
 10 first witness, Mr. Cody Comiskey.
 11 MR. FUGE: Can I have the court
 12 reporter to administer an oath to Mr. Comiskey?
 13 Think he's ready.
 14 THE REPORTER: Will the witness please
 15 raise your right hand.
 16 WHEREUPON,
 17 CODY COMISKEY,
 18 called as a witness and having been first duly sworn
 19 to tell the truth, the whole truth, and nothing but
 20 the truth, was examined and testified as follows:
 21 MR. FUGE: Thank you.
 22 MS. BENNETT: Mr. Comiskey is lucky,
 23 because he's going to be testifying for y'all twice.
 24 So he is going to be giving an initial overview of the
 25 pilot project and, like, the 30,000-foot view but as

Page 38

1 well as some information on the detailed analysis that
 2 has gone into this pilot project. And then he's going
 3 to come back later in the day to discuss seismicity.
 4 So you will be seeing him again later today.
 5 EXAMINATION
 6 BY MS. BENNETT:
 7 Q So Mr. Comiskey, please state your name for
 8 the record.
 9 A Cody Comiskey.
 10 Q And for whom do you work?
 11 A Chevron.
 12 Q And how long have you worked for Chevron?
 13 A Four years.
 14 Q What are your responsibilities at Chevron?
 15 A So I'm a subservice advisor for Chevron's
 16 primary business unit mainly focused on water disposal
 17 operations planning, seismicity analysis, reservoir
 18 modeling, engagement with various stakeholders,
 19 regulators, academia. Things of that nature.
 20 Q And what is your -- well, have you
 21 previously testified before the Oil Conservation
 22 Division or the Commission?
 23 A No, I have not.
 24 Q Have you previously testified before another
 25 administrative body?

Page 39

1 A Yes, I have.
 2 Q And is that the Texas Railroad Commission?
 3 A Yes, it was.
 4 Q And were your credentials accepted as a
 5 matter of record?
 6 A Yes.
 7 Q Can you provide a summary of your
 8 educational background?
 9 A I have a Bachelor's of Science degree from
 10 Texas Tech University focused on geophysics and
 11 tectonics. I graduated cum laude from Texas Tech. I
 12 have a Master's of Science degree from Baylor
 13 University in geophysics, earthquake seismology, and
 14 crust tectonics and kinematics.
 15 Q And do your responsibilities at Chevron
 16 include a review of seismic review?
 17 A Yes, they do.
 18 Q And do your responsibilities include SWD
 19 development and permitting?
 20 A Yes, they do.
 21 Q Before you worked at Chevron, where did you
 22 work?
 23 A Anadarko Petroleum Corporation.
 24 Q And what did you do for Anadarko?
 25 A Had a variety of roles. I worked in our

Page 40

1 sales, shareholder development for a period of time.
 2 I also worked in our global exploration group. I
 3 worked in -- it was focused on West -- development
 4 exploration, raw mechanics. I came back to work on
 5 our global technology group. Started to focus on more
 6 unconventional resource development technology,
 7 production management, and then seismicity and water
 8 management. That became more of a topic.
 9 Q Thank you. Did you include a brief overview
 10 of your qualifications as a resume in this matter?
 11 A I did, yes.
 12 Q And is that resume behind Tab E?
 13 A Yes, it is.
 14 Q Does your area of responsibility at Chevron
 15 include the areas of Southeastern New Mexico?
 16 A Yes, it does.
 17 Q Does your area -- excuse me. Are you
 18 familiar with the application that Chevron filed in
 19 these two cases?
 20 A Yes, I am.
 21 Q Are you familiar with the saltwater disposal
 22 wells that are the subject of the two applications?
 23 A Yes, I am.
 24 MS. BENNETT: At this time I'd like to
 25 tender Mr. Comiskey as an expert in SWD development

Page 41

1 and geophysics.
 2 MR. FUGE: So recognized.
 3 MS. BENNETT: Thank you.
 4 BY MS. BENNETT:
 5 Q Let's talk about your initial testimony that
 6 we're about to go through this morning, setting aside
 7 the seismicity testimony from later on today. What is
 8 the purpose of your testimony this morning?
 9 A So the purpose is to present an overview of
 10 Chevron's view on water -- produce water management
 11 optionality in the Permian Basin. We recognize that
 12 there's a growing concern around produced water
 13 management. See the rise in seismicity. Induced
 14 seismicity has been attributed to -- to produced water
 15 management as a growing concern amongst many.
 16 So Chevron's view is looking at this pilot
 17 program as a component of water optionality within the
 18 state of New Mexico. To be able to continue to
 19 develop the resources that are critical to the world,
 20 doing it in an environmentally responsible manner, and
 21 being forthcoming on information data about -- so that
 22 everybody can understand, you know, the issues and
 23 finally the opportunities that we have.
 24 Q Great. And earlier today I mentioned that
 25 Chevron's been working on this pilot project since

Page 42

1 2021. Have you been working on the pilot project
 2 since 2021?
 3 A Yes, I have.
 4 Q I have on the screen the location map of the
 5 Chevron pilot project wells. Do you see that?
 6 A Yes, I do.
 7 Q And can you just briefly orient the
 8 Commission to where the wells are supposed to be
 9 located?
 10 A So the Papa Squirrel well is in very
 11 Southern Lea County, New Mexico close to the Texas-New
 12 Mexico state border. And it's at Veritas 2 State
 13 SWD 1 that's located Eddy County, again, proximal to
 14 the Texas-New Mexico border.
 15 Q And these wells, are they located within
 16 development areas that Chevron has surface control
 17 over?
 18 A Yes, they are.
 19 Q And actually, I meant to ask you before we
 20 even got to this slide. But if you can briefly give
 21 an overview of Chevron's operations and its presence
 22 in the Delaware Basin?
 23 A Absolutely. So the -- the map in the upper
 24 left is just a broad Permian Basin map I think
 25 everybody's probably familiar with. The bottom right

Page 43

1 shows Chevron's acreage within the Permian Basin. So
 2 we have a very large acreage position that Chevron
 3 either operates or has -- has daily working interest
 4 in. So we're very broad -- broad organization
 5 operating in both Southeastern New Mexico, the Texas
 6 portion of the Delaware Basin, and also the Midland
 7 Basin as well.
 8 Bottom right shows a forecast from our
 9 report from 2020, second quarter of 2023, just showing
 10 on a half sheet. And it's important to note that we
 11 have a significant vested interest in the State of New
 12 Mexico and are committed to the State of New Mexico
 13 operating.
 14 Q Thank you. So let's talk about why Chevron
 15 chose these two specific locations for the pilot
 16 wells. And again, this is on page 98 of the materials
 17 and using the upper righthand corner pagination. So
 18 page 98 of the materials.
 19 If you can just briefly describe why Chevron
 20 chose these two specific locations?
 21 A So the two -- it shows two locations in
 22 general. We want to accelerate our pace of learning.
 23 So we know that geology does vary across the Basin.
 24 And so one of the locations in the Papa Squirrel is
 25 located in what you would call more of a core portion

Page 44

1 of the Basin within the Delaware Mountain Group, the
 2 DMG.
 3 There's -- there's a tremendous amount of
 4 shallow disposal just adjacent to it south along the
 5 Texas-New Mexico border. The basin roughly produces
 6 about 30 million barrels of water a day. And roughly
 7 about 17 million of that are injected. And roughly
 8 about 60 to 70 percent of that is injected just along
 9 the state line. And so it's very practical then in
 10 New Mexico.
 11 As mentioned earlier, we have considerable
 12 operations along -- along the -- within the Papa
 13 Squirrel AOI. So it gives us a lot of leverage to
 14 collect data. We also have existing service
 15 facilities there that we can leverage. So it reduces
 16 our service impact. We don't have to go out and build
 17 new facilities to support this location.
 18 The Severitas too is a little more on the
 19 western edge of the Basin. So the -- the geology is
 20 just different. And we'll -- we'll show those through
 21 exhibits. It's a little shallower.
 22 But again, some of the similar things.
 23 There's a considerable amount of injection just to the
 24 south of it in the Delaware Mountain Group. It's an
 25 area where Chevron has also been drilling shallow

Page 45

1 disposal wells in Texas and operating. And again, it
2 allows us to leverage our footprint from service
3 facilities we have already existing in the area as
4 well as operational synergies that we have.

5 Q Thank you. When you say existing service
6 facilities, are you talking about existing SWDs?
7 A Yes, I am.
8 Q And are those deep SWDs?
9 A Yes, they are.

10 Q So what I think you're getting at is that
11 you will be able to use some of those existing service
12 facilities for these SWDs rather than having to start
13 fresh?
14 A That's correct. Yes.

15 Q I think we talked about this a little bit,
16 about why there's a need for SWDs generally, which is
17 for disposal options. But why is there a need, in
18 your opinion, for Delaware Mountain Group SWDs?
19 A So through the last several years, there's
20 been a considerable rise in the number of earthquakes
21 associated with deep disposal. In -- in Southern New
22 Mexico, most of the disposal is deep.

23 And so looking at optionality, if we have
24 concerns on deep disposal longevity, continuing to
25 face a large amount of produced water, shallow

Page 46

1 disposals, one of the options we're looking at to be
2 able to continue to develop the resources but also
3 mitigate the potential concerns around seismicity.

4 Q One thing I meant to ask you earlier about
5 is that these wells are not proposed for commercial
6 wells; right? These are just for Chevron's use?
7 A That is correct, yes.

8 Q I mentioned earlier that Chevron has been
9 assessing the viability of these pilot projects since
10 2021, and you've been involved in that assessment?
11 A That's correct, yes.

12 Q And can you briefly restate or in your own
13 words state for the Commission what that assessment
14 has taken into consideration?
15 A It's taken to further review both surface
16 and subsurface considerations. Looking at the geology
17 in the area. Broadly speaking, looking at the
18 geology, looking at some of the reservoir parameters,
19 looking at opposite operations, looking at own
20 operations in areas again where you can, you know,
21 actively collect more data that we have control over
22 instead of having to work in a field with maybe 20 or
23 30 operators within an area that limits our ability to
24 kind of have control.

25 Again, leveraging our service facilities as

Page 47

1 much as we can to reduce any more service impact and
2 -- and areas where we have future operations, so we
3 can leverage the wells for use as well. So taking a
4 multitude of considerations into account was -- was
5 kind of a driving factor for these two locations. So
6 it's a -- it's a hybrid of multiple factors that went
7 into selection.

8 Q And as part of your proposals, have you met
9 with other operators in this area?
10 A Yes, we have.

11 Q And what has been the response of the other
12 operators?
13 A As noted, we received positive feedback from
14 a few operators who have issued support for this pilot
15 program. Late last year, there was a DMG working
16 group that I believe was mentioned earlier that was
17 stood up and had numerous companies to operate the
18 state of New Mexico.

19 And we presented our plan for the pilot
20 program back in I believe March of -- of this year on,
21 you know, leveraging, going through the work that
22 we've gone over to look at these locations.

23 And believe the feedback was positive in our
24 ability to not only accelerate our learning as an
25 industry, provide data publicly, collect a lot of

Page 48

1 information to accelerate our learning for some of the
2 issues. But the -- but the feedback was positive from
3 the industry group that has been working on this.

4 Q Is part of the reason that you -- or I
5 understand from speaking with Chevron that there was
6 an earlier working group that had expressed that the
7 OCD and OCC should take greater care when considering
8 disposal in the Delaware Mountain Group. Are you
9 familiar with that working group?
10 A I am familiar with it, yes.

11 Q And what is your understanding of that
12 working group's goal or recommendations?
13 A My understanding is that group was -- was
14 looking at, you know, the -- the potential impacts
15 from Avalon and -- and Brushy Canyon production
16 potentially associated with -- with shallow disposal
17 impacts.

18 And -- and I believe the -- the view of the
19 group was to, again, look at more care for permitting
20 future disposal wells within -- within an area that
21 was established, noted as DMG restricted area or DMGRA
22 that -- that was established. I think most people are
23 aware of.

24 But I think the view of the group was not
25 necessarily to ban shallow disposal but to look at

Page 49

1 additional data and more care provided on permitting
2 process and execution of such wells.
3 Q And has that been kind of your driving force
4 is to exercise that care and gather the additional
5 data to demonstrate that disposal within the DMGRA is
6 appropriate under certain circumstances?
7 A Yes. Chevron -- Chevron is committed to --
8 to safely operating and acquiring a multitude of data,
9 disseminating it to -- to everybody, to -- to the OCD,
10 to industry, for us to learn about the potential risk,
11 be able to monitor, educate ourselves on more dynamic
12 nature to support future operations.
13 Q Let's see. I think we've talked a lot
14 about the Permian produced water reduction, so I'm
15 going to skip some of those questions. But I did want
16 to ask you about Chevron's use of recycled water and
17 why recycling the produced water isn't the solution.
18 A So as I mentioned, the Basin roughly
19 produces about 30 million barrels a day roughly of
20 produced water. You know, Chevron, within its
21 operations, recycles as much produced water as it can
22 through further operations.
23 However, there's just more produced water
24 than we can recycle. And so the delta is -- is mainly
25 taken to disposal wells for -- for disposals. And in

Page 50

1 New Mexico today, there's roughly about a 3 million
2 barrel a day imbalance from produced water.
3 So based on the oil production in the
4 injected water in Southeast New Mexico, there's
5 roughly about a 3-million-barrel delta, and most of
6 that water is moving across the state line into Texas
7 to be disposed.
8 Q One of the things you and I have talked
9 about in the past is the potential implications of the
10 water being transmitted or being transported into
11 Texas and how that can potentially impact New Mexico
12 oil and gas operations.
13 A Yes.
14 Q Could you provide a little more detail on
15 that? Or did you just do that?
16 A I believe I just did.
17 Q And then so earlier a moment ago, Counsel
18 for Mewbourne mentioned the OCD Exhibit 11. And have
19 you reviewed OCD's Exhibit 11, which is --
20 A Yes, I have.
21 Q And do you feel comfortable that Chevron's
22 applications are consistent with the conditions of
23 approval in OCD's Exhibit 11?
24 A Yes, I am.
25 Q And has Chevron, in your opinion, undertaken

Page 51

1 the analysis that would support a careful review of
2 whether these two type wells are appropriate for
3 disposal in the DMG?
4 A Yes, I do.
5 Q In your opinion is the Papa Squirrel SWD
6 Well Number 1 appropriate for disposal in the DMG?
7 A Yes, I believe so.
8 Q And in your opinion, is the Severitas 2 SWD
9 Number 1 appropriate for disposal in the DMG?
10 A Yes, I believe so.
11 Q Based on the work that you and your team
12 have done and that we'll hear about more later today,
13 do you think that the pilot project will negatively
14 impact correlative rates?
15 A No, I do not.
16 Q And based on your analysis and Chevron's
17 analysis, do you think that the project will result in
18 waste?
19 A I believe not.
20 Q Do you think that the risk of waste is -- I
21 know that other witnesses will talk about this a
22 little bit more. But is the risk of waste and the
23 protection of correlative rights even more evident
24 here because of the lack of DMG offset producers in
25 these two areas?

Page 52

1 A Can you state --
2 Q Sure. So if part of the concern is the
3 potential impact on DMG producers, has Chevron
4 undertaken a review of the impact on DMG producers in
5 the area?
6 A Yes, we have.
7 Q And is Chevron's conclusion that these two
8 pilot projects or these two wells would not negatively
9 impact those DMG producers within the area of the --
10 A Yes.
11 Q Have Chevron considered whether its shallow
12 disposal will impact drilling and completion at a
13 deeper strata?
14 A Yes, we have.
15 Q And will there be a witness who will testify
16 about that later?
17 A Yes, there will be.
18 Q So before we move onto our next witness,
19 I'll open you up for questions from the other lawyers
20 and the Commission. Do you have any final takeaways
21 that you want to say about the pilot project since
22 you've been working on it for so long, and it's sort
23 of your baby?
24 A Yes, I do. This is -- this is part of a
25 broader position from Chevron looking more optionality

Page 53

1 in produced water. The amount of water again that's
 2 produced on a daily basis in the Permian is unlike any
 3 other unconventional plate ever in the history of oil
 4 and gas. And it poses unique challenges that faces
 5 everybody in this room.

6 So one of the components of Chevron's
 7 approach on -- on environmentally safe produced water
 8 management is the expansion of optionality within not
 9 on the state of New Mexico but across the Permian.
 10 And one component of that is re-looking at shelves
 11 within Southeast New Mexico.

12 We feel that these locations provided an
 13 opportunity for not only Chevron, the industry, the
 14 OCD and everybody involved to learn about potential
 15 consequences and concerns, understand those,
 16 understand the opportunities that could be there that
 17 will allow for development of the resource within the
 18 state of New Mexico and across the Permian to support,
 19 you know, the -- the -- of that.

20 MS. BENNETT: Thank you. Those are all
 21 the questions I have for you at this time. And I open
 22 the floor for other questions from the Commission or
 23 other counsel.

24 MR. FUGE: Mr. Tremaine, do you have
 25 any cross?

Page 54

1 MR. TREMAINE: I do have a couple
 2 questions. Thank you.

3 EXAMINATION

4 BY MR. TREMAINE:

5 Q So I believe during your testimony, you
 6 stated that this pilot project was considered kind of
 7 a broader view of development of injection activity in
 8 the DMG. Is that a fair assessment?

9 A Yes.

10 Q If this pilot project is successful, what's
 11 the scope of Chevron's anticipated injection
 12 development within the DMG in this area?

13 A I think with that, our scope is -- is going
 14 to be tactical. It's going to be "What does the data
 15 tell us?" From -- from future projects, when we look
 16 at these, really, it's a case-by-case basis. We look
 17 at these in review of all the technical information
 18 and also too our -- our pace of development,
 19 locations, many different factors.

20 But we look at this as a key component to
 21 understanding what our -- the future of produced water
 22 management may look like. But we are utterly
 23 dependent on "What does the data tell us operationally
 24 from the subsurface, from the facilities, which we'll
 25 speak to later, how they can maybe potentially be

Page 55

1 expanded upon down the road given the information is
 2 disseminated and reviewed in a proper manner.

3 Q Thank you. I believe that you mentioned
 4 that Chevron performed a review of potential impacts
 5 on current production within this area; right?

6 A Yes.

7 Q Did you look at potential future production,
 8 or did Chevron focus on current, existing production
 9 within the area?

10 A We looked at both. We looked at existing
 11 legacy production what's in the area and also a
 12 geological review that could lead to future production
 13 areas as well.

14 Q So is it my understanding then that that
 15 Chevron review of production in the area -- well, how
 16 would you describe a future potential production in
 17 the area potentially impacted by this development?

18 A So we looked at the different benches that
 19 could -- that potentially are productive. We looked
 20 at a geological review that'll be -- that'll be talked
 21 on more in future testimony on, you know, geological,
 22 you know, ingredients, which could lead to future
 23 development, obviously historical development, things
 24 like that. But that will be discussed in the -- in
 25 future testimony.

Page 56

1 Q And just one other topic really quickly. It
 2 sounds like you've had an opportunity to review OCD
 3 Exhibits 11 and 12; correct? Administrative approval,
 4 processing conditions, and the separator tests. You
 5 may get to this later, but does Chevron have any
 6 specific concerns for items to address in those
 7 exhibits?

8 A Yes, we do. And I -- I believe we will
 9 address those questions later in some other testimony,
 10 but we do have a few questions we would like to ask.

11 MR. TREMAINE: I'll reserve the
 12 questions then. Thank you.

13 MR. FUGE: Ms. Hardy, do you have any
 14 questions for the witness?

15 MS. HARDY: I don't at this time. I
 16 expect to have some questions for Mr. Comiskey on the
 17 seismicity testimony, but I have no questions right
 18 now.

19 MR. FUGE: Looking at my Commissioners,
 20 Dr. Ampomah, do you have any questions for the
 21 witness.

22 DR. AMPOMAH: Yeah, a quick one.
 23 So can you clarify the use of the word
 24 "pilot"?

25 MR. COMISKEY: Yes.

Page 57

1 DR. AMPOMAH: And the application.
 2 MR. COMISKEY: So I think when we --
 3 that's a great question. Thank you, Commissioner, on
 4 that. Think the -- our view on a pilot project is
 5 that, you know, we're acquiring a lot of data that's
 6 not normally acquired in -- in DMG wells. I would
 7 argue this is probably one of the most science DMG
 8 disposal permit in the Basin.
 9 So from that perspective, we look at
 10 these as -- as an opportunity to learn. We look at
 11 these as -- as just like any other disposal well, as
 12 an opportunity to dispose as well. But from the pilot
 13 perspective and the way we voice this to not only to
 14 the OCD or the State Land Office but to industry is we
 15 want feedback. We want to be able to -- to
 16 incorporate that from a broad perspective and include
 17 that in our operations.
 18 And so that's kind of a -- a typical --
 19 that's atypical from a traditional development plan,
 20 which is very, you know, thought out and executed.
 21 This is something that -- that I think we're going to
 22 have a little more flexibility on. So that that's
 23 kind of where the pilot is coming from.
 24 DR. AMPOMAH: So your testimony talked
 25 about how Chevron talked to multiple counties in the

Page 58

1 area and they received approval. So with their
 2 concerns, some of the written social reason how you
 3 were able to address those?
 4 MR. COMISKEY: Yes, there -- there were
 5 concerns. We did have a few protests on those wells,
 6 which we've -- they've been dropped and removed
 7 through the ongoing discussions. And I think the
 8 biggest thing from our perspective is we want to be
 9 open. We -- we're collecting a lot of data.
 10 We recognize there's concerns.
 11 Obviously, there's been historical testimony. It's
 12 been presented as exhibits and something that Chevron
 13 was -- was involved in. We're not shying away from
 14 those, so we recognize there's concerns.
 15 But we also recognize this is an
 16 industry issue. Produced water management is not just
 17 a Chevron issue. This is an industry issue. So we
 18 need to work together. And so we look at this as an
 19 opportunity for us to, you know -- we're going to put
 20 capital in these projects.
 21 We're going to take data, collect data,
 22 provide it, and we hope through this and through the
 23 ongoing through the New Mexico work group that was
 24 mentioned earlier, that we can collectively work
 25 together to understand any issues, understand

Page 59

1 opportunities, things like that. So that's -- that's
 2 something we'll find out.
 3 DR. AMPOMAH: My last question will be
 4 I just want to know if these two proposed wells are
 5 the area where the -- more or less after the data as a
 6 protected area.
 7 MR. COMISKEY: These wells are within
 8 the area, yes.
 9 DR. AMPOMAH: Thank you, Mr. Chair.
 10 MR. FUGE: Mr. Bloom?
 11 MR. BLOOM: No questions at this time,
 12 Mr. Chair.
 13 MR. FUGE: I had a couple questions I
 14 wrote down, but I think you already covered them when
 15 you talked about seismicity, so I'll reserve to there.
 16 I did have two, though, other
 17 questions. You indicated that one of the reasons why
 18 you chose this location is for Chevron's interest in
 19 the area. What proportion of the area around, meaning
 20 surface and subsurface, does Chevron currently
 21 control?
 22 MR. COMISKEY: Which area?
 23 MR. FUGE: Around the Severitas and
 24 Papa Squirrel wells.
 25 MR. COMISKEY: I don't know off the top

Page 60

1 of my head what percentage. I know that we operate
 2 production wells in the Avalon and the Wolfcamp below
 3 the Papa Squirrel location. And we operate production
 4 wells and -- and the Bone Spring Wolfcamp below the
 5 Severitas location. So both those sections, Chevron
 6 operates and has -- has license to operate. And those
 7 are lease agreements to operating those.
 8 So within the sections, a hundred
 9 percent. But I don't know within the -- within the
 10 area the exact percentage. I -- I think we have a few
 11 slides open a little further that will show a little
 12 bit more detail.
 13 MR. FUGE: Did I hear correctly that
 14 Chevron is the owner of some DMG offset wells in the
 15 area around Papa Squirrel and Severitas or?
 16 MR. COMISKEY: We are and -- and we are
 17 in the case of the Severitas.
 18 MR. FUGE: And then I think building
 19 off Commissioner Ampomah's questions about the pilot
 20 nature, maybe I'll provide a little context for my
 21 question. When thinking about pilots and other
 22 pieces, are there any dates proposed in Chevron's
 23 application to either come back into the Commission or
 24 others to revisit what you're learning about? Or is
 25 this a standard kind of 30-year term SWD permit with

Page 61

1 the feedback?
2 MR. COMISKEY: No, it is not a standard
3 30-year term permit. We have -- and I will speak to
4 in -- in my later testimony on -- on response
5 framework that was developed with support of the
6 working group on -- on signpost on data dissemination.
7 We -- we hope to have ongoing engagement with the OCD
8 and industry on this as we collect and learn
9 information. So we hope this will be very open-ended
10 and -- and very collaborative.
11 MR. FUGE: I don't think there are any
12 other further questions from the Commission, so you
13 may be excused. Thank you.
14 MS. BENNETT: Thank you.
15 MR. FUGE: All right. Call your next
16 witness.
17 MS. BENNETT: Thank you. I'd like to
18 call Mr. Tom Merrifield.
19 MR. FUGE: Can I ask the court reporter
20 to swear in Mr. Merrifield?
21 THE REPORTER: Will the witness please
22 raise their right hand?
23 //
24 //
25 //

Page 62

1 WHEREUPON,
2 TOM MERRIFIELD,
3 called as a witness and having been first duly sworn
4 to tell the truth, the whole truth, and nothing but
5 the truth, was examined and testified as follows:
6 MR. FUGE: Thank you.
7 Proceed.
8 MS. BENNETT: Thank you.
9 EXAMINATION
10 BY MS. BENNETT:
11 Q Mr. Merrifield, would you please state your
12 full name for the record?
13 A Yes. My name is Tom Merrifield.
14 Q And where do you work?
15 A I work for Chevron.
16 Q And how long have you worked for Chevron?
17 A Eleven years.
18 Q What are your responsibilities at Chevron?
19 A My primary -- primary responsibilities for
20 Chevron are to assist in permitting saltwater disposal
21 wells, to plan saltwater disposal wells, and to
22 execute saltwater disposal wells, and primarily in the
23 Delaware Basin, which includes Southeast New Mexico.
24 Q And so your responsibilities include
25 designing SWD, saltwater disposal wells?

Page 63

1 A That is correct.
2 Q And operation of saltwater disposal wells?
3 A That is correct.
4 Q And have you previously testified before the
5 Oil Conservation Commission or the Oil Conservation
6 Division?
7 A No, I have not.
8 Q Did you provide a resume with your
9 materials?
10 A Yes, I did.
11 Q And is that behind Tab E?
12 A Yes.
13 Q If you could, could you briefly summarize
14 your educational background for the commissioners?
15 A Yeah. I have a Bachelor of Science degree
16 from Texas A&M in geology, and I have a Master of
17 Science degree from Southern Illinois University at
18 Carbondale.
19 Q And you mentioned that you worked at Chevron
20 for 11 years. Where did you work before Chevron?
21 A Various places. I worked in the water
22 resource, you know, sector for approximately 16 years.
23 I've also worked in the Permian Basin previously for
24 ARCO as well as Exxon. And I've worked -- I also did
25 work somewhat with the Hershey building program for

Page 64

1 about six years.
2 Q One of the things you and I talked about a
3 bit when we were talking about your professional
4 experience was the number of UIC wells that you've
5 been involved with in terms of design, permitting,
6 operation. If you had to guess, what is the number of
7 UIC wells that you've been involved with?
8 A Just for clarification, I worked for oil and
9 gas at UIC wells. I've worked both water flood as
10 well -- as well disposal wells. And somewhere in the
11 order of a hundred.
12 Q And again, that's both water flood DOR wells
13 and SWDs?
14 A That's correct.
15 Q If you were to limit that to just saltwater
16 disposal wells, about how many saltwater disposal well
17 projects would you say you worked on?
18 A About 20.
19 Q So your background, you've done a lot of
20 work with saltwater disposal wells and other injection
21 wells? Is that a fair statement?
22 A Yes.
23 Q Does your area of responsibility at Chevron
24 include the areas of Southeastern New Mexico?
25 A Yes.

Page 65

1 Q Are you familiar with the application that
2 Chevron filed in these matters?
3 A Yes.
4 Q Have you been working with Chevron on this
5 particular project since 2022?
6 A Yes.
7 Q And are you familiar with the wells, then,
8 that are the subject of the applications?
9 A Absolutely.
10 MS. BENNETT: At this time I would like
11 to tender Mr. Merrifield as an expert in UIC
12 terminating and operation matters and petroleum
13 geology.
14 MR. FUGE: The witness is so
15 recognized.
16 MS. BENNETT: Thank you.
17 BY MS. BENNETT:
18 Q So I'm going to start sharing my screen
19 again, and we'll start with the applications that
20 Chevron submitted to matters. So Mr. Merrifield,
21 before I turn to the applications, though, what is the
22 purpose of your testimony today?
23 A Really to just kind of walk through the C108
24 application first. Also to touch on the geology of
25 the injection intervals and how favorable they are --

Page 66

1 and also to address some of the -- their indicators of
2 the likelihood of DMG reserves in -- in both of these
3 areas.
4 Q Great. So let's start with the discussion
5 of the C108s. Are the C108s included with the
6 applications that I filed on Chevron's behalf?
7 A Yes.
8 Q And turning to Tab A, which is at page 3 of
9 267, does that look to you like the application that I
10 filed along with the C108 that you provided to me to
11 include with the application?
12 A Yes, it does.
13 Q And Tab A is the application in Case 23686
14 for Papa Squirrel; is that right?
15 A Yes.
16 Q And Tab B is the application in Case 23687,
17 which is for the Severitas well?
18 A Yes, it is.
19 Q Did you compile the materials? Well, let's
20 focus on Papa Squirrel for a moment.
21 A Sure.
22 Q Did you compile the materials that were
23 submitted as the Papa Squirrel C108?
24 A Yes.
25 Q And did you submit that material to me?

Page 67

1 A Yes, I did.
2 Q And in your opinion, does the C108 for the
3 Papa Squirrel well include all of the information and
4 documentation required by the C108 and by the
5 Commission?
6 A That was my understanding, yes.
7 Q Did you review OCD's, the Oil Conservation
8 Division's pre-hearing statement in this matter?
9 A Yes.
10 Q And did you see in the OCD's pre-hearing
11 statement where the Division noted that the C108s
12 comply with the current construction? Or the well
13 bore side, I should say, comply with current standards
14 for UIC Class 2 well?
15 A Yes, I did see that.
16 Q And did you see where both the wells were
17 designed for the area of review to be adequate?
18 A Yes, I did see that.
19 Q So with that initial stamp of approval --
20 although I'm not trying to go too far with what OCD
21 said in its pre-hearing statement. But I think that
22 does narrow our inquiry a bit and discussion on C108.
23 So with your permission, I'd like to go through the
24 C108s rather quickly.
25 A Okay.

Page 68

1 Q So did Chevron submit a map that identifies
2 all wells within 2 miles of the Papa Squirrel well?
3 A Yes.
4 Q And is that Attachment 1 to the C108?
5 A Yes.
6 Q Did Chevron attach data within the AOR, so
7 the area of review for the wells, if there are any,
8 which penetrate the proposed injection zone?
9 A Yes.
10 Q And was that Attachment 2?
11 A Yes.
12 Q And in your materials, is there a plugged
13 well within the AOR for Papa Squirrel?
14 A Yes.
15 Q And did you submit the plugging information
16 from the well files?
17 A Yes.
18 Q Did you include information regarding the
19 requirements for showing how much volume or the daily
20 rate of injection and the proposed pressure?
21 A Yes. The operational part, yes.
22 Q And I just want to take a quick look at
23 that. That's Attachment 3; right?
24 A Yes.
25 Q And so on Attachment 3 for Papa Squirrel,

Page 69

1 what maximum rate of injection or barrels of water per
2 day is Chevron requesting in the application?
3 A For Papa Squirrel, 20,000 barrels a day.
4 Q And what is the average daily rate?
5 A 15,000 barrels per day.
6 Q And what is the max permit pressure that
7 Chevron is seeking for Papa Squirrel?
8 A 125 psi.
9 Q And how about the average pressure?
10 A 750 psi.
11 Q Thank you. Did you submit geologic data
12 with your C108s?
13 A Yes, I did.
14 Q And is that Attachment 4?
15 A Yes, it was.
16 Q Did you provide information on the proposed
17 stipulation program?
18 A Yes, I did.
19 Q And is that Attachment 5?
20 A Yes, it was.
21 Q Did you provide logging and test data on the
22 well?
23 A Yes, I did. But this well has not been
24 through -- what I -- what I showed in that -- just in
25 that attachment was what we were planning to -- what

Page 70

1 kind of data we were going to gather after an oil
2 spill.
3 Q So because it is not an existing well, no
4 wells have been run. But this Attachment 6 does show
5 some of the logging that Chevron is proposing to do?
6 A Yes, it does.
7 Q So I'm just going to skip Attachment 7.
8 There were no wells within the area of review for Papa
9 Squirrel; is that right?
10 A Yes.
11 Q Attachment 8 is what I call in shorthand the
12 affirmative statement. And it's an affirmative
13 statement signed by you; is that right? Is that your
14 signature?
15 A Yes.
16 Q And did you submit the statement saying that
17 you, on behalf of Chevron, had examined the available
18 geologic and engineering data, and you found no
19 evidence of open faults or other hydrologic
20 connections to underground sources of drinking water?
21 A Yes, I did.
22 Q And that's based on your review of the
23 materials?
24 A That's correct.
25 Q And is that still your conclusion today that

Page 71

1 there is no connectivity? Or you have not found any
2 connectivity?
3 A Yes.
4 Q Let's turn to the Severitas C108. And I'm
5 not going to walk through that in any level of detail
6 except to ask you about the rates and pressure. But
7 did you provide all of the same information for the
8 Severitas C108?
9 A Yes, I did.
10 Q And if we turn to page 66 of 267, which I'm
11 showing on the screen, is that the operational data
12 information that's required by the C108?
13 A Yes, it is.
14 Q And what is the maximum rate that Chevron is
15 requesting for the Severitas 2 state well?
16 A 15,000 barrels per day.
17 Q And what is the average daily rate?
18 A 12,500 barrels per day.
19 Q And Chevron is requesting lower psi, is that
20 right, for this well?
21 A Yes, it is.
22 Q And what is the max pressure that Chevron's
23 requesting?
24 A 468 psi.
25 Q And the average pressure?

Page 72

1 A 400 psi.
2 Q Did you prepare an affirmative statement for
3 the Severitas well as well regarding the evidence of
4 open faults or other hydrologic connections to your
5 SDWs?
6 A Yes, I did.
7 Q And is that Attachment 8?
8 A Yes, it is.
9 Q If you could just read this last paragraph
10 here, starting with "Both the Papa Squirrel"?
11 A Okay. "Both the Papa Squirrel 781 and the
12 Severitas 2 State SWD 1 are -- are locations which we
13 find" -- excuse me.
14 Q Yeah, I know. It's so small.
15 A "Find no indication of open faults at the
16 surface or in the subsurface. No indication of
17 hydrologic connection between the proposed injection
18 zone, Bell Canyon and Cherry Canyon, and the
19 underground source of drinking water. Both locations
20 have low potential for offset and reduce substance."
21 Q Thank you. And is that still your
22 conclusion today for both wells?
23 A Yes, it is.
24 Q Are you familiar with the stimulation
25 program that Chevron is proposing for these two wells?

Page 73

1 Or is that a question better for someone later in the
2 day?
3 A I'm familiar with it enough to answer a
4 brief statement on it. But yes, there is someone else
5 later today that can address that more -- more.
6 Q Well, let's start with you. And if we need
7 to defer, we can. So have you looked at the OCD's
8 Exhibit 11?
9 A Yes.
10 Q And just do you recall that in Exhibit 11,
11 OCD was proposing a limitation on how shallow DMG SWDs
12 are stimulated?
13 A Yes.
14 Q And in your opinion is your proposed
15 stimulation program consistent with what OCD is
16 looking for in terms of a stimulation program?
17 A Yes. And it's just a -- it's just an acid
18 job. That's -- that's the stimulation.
19 Q Do you recall what OCD was suggesting would
20 not be an appropriate stimulation method?
21 A It's my recollection I think what they were
22 concerned about mostly is -- is this one would
23 hydraulic fraction with -- and with profit without
24 hydraulic stimulated fracture. This -- this proposal
25 is not going to utilize either one of those methods of

Page 74

1 stimulation.
2 Q So having reviewed OCD's conditions of
3 approval, it's your opinion that your stimulation
4 program is consistent with OCD's request?
5 A It's my understanding, yes.
6 Q Thank you. One thing that you and I have
7 spoken about is a potential need in the future to
8 microsite. To make some micro siting changes, I'll
9 call them, to the location of the Severitas well?
10 A Yes.
11 Q And why would Chevron perhaps need to move
12 the service location of the Severitas well a few feet
13 here or there?
14 A Currently, the location that's in the
15 application is in our lay down yard in the area. It
16 would -- there's still a chance that that may work.
17 We have to make sure that the -- the footprint can fit
18 in there without going across roads and things of that
19 nature.
20 There's another location that's about 200
21 feet away that we -- we think we can move to. And we
22 will make that decision after hearing.
23 Q But before coming here today, you and I
24 talked about whether that change in location would
25 change any of the parties who were entitled to notice

Page 75

1 of the hearing. Did we talk about that?
2 A Yes, we did.
3 Q And what was your conclusion?
4 A We -- we evaluated that a few weeks back.
5 And there is not going to be any change in the
6 entities that need to be notified if we move it to
7 that location.
8 Q Now, the applications and the C108s discuss
9 injecting into the Brushy Canyon. But just to be
10 perfectly clear, Chevron does not intent to inject
11 into the Brushy Canyon; is that right?
12 A We are not planning to operationally inject
13 produced water into the Brushy Canyon formation. In
14 fact, after we've logged the route in the Brushy
15 around defects, we plan to plug off that Brushy --
16 Brushy Canyon and only inject into the Cherry Canyon
17 and Bell Canyon. And we are not drilling into the
18 hollow part of the Brushy either.
19 Q So let's kind of take that statement and
20 unlock it just a little bit.
21 A Sure.
22 Q So what is a DFIT?
23 A DFIT is a diagnostic fracture injection
24 test. So we actually do inject fluid into that
25 formation. It's usually fresh water or some very

Page 76

1 compatible formation fluid. But it's usually fresh
2 water. And so they're very short-term injection
3 tests, very minor, but they are injection tested going
4 to the formation.
5 Q And is this DFIT test part of Chevron's data
6 collection protocol?
7 A For these wells, it is part of the -- our
8 protocol.
9 Q And my understanding though is that the sole
10 reason that you had included the Brushy Canyon in your
11 applications at all is to authorize this DFIT test?
12 A It -- it's to authorize the DFIT test, but
13 also to conduct open hole logging within this portion
14 of Brushy Canyon. And the open hole logs -- are going
15 to be resistivity, gamma-ray, sonic, and neutron
16 density. We'll also be running image logs as well.
17 Q So maybe I was too narrow saying it was just
18 for DFIT. But really it is just for testing purposes,
19 and then you'll be cementing it off?
20 A That's correct.
21 Q And so it's a very limited purpose?
22 A That's correct.
23 Q And the targeted -- just to clarify, it is
24 not a targeted injection interval?
25 A We are not targeting for reduced water

Page 77

1 injection.

2 Q Thank you. And so with that, I did want to

3 turn into the well bore designs. Now, these were in

4 your C108s, but you also inserted them side by side in

5 a slide for our convenience. And that is on Slide

6 Number 101. So if we could move to Slide 101, I

7 wanted to talk through the casing designs a little

8 bit, the well bore designs.

9 A Okay.

10 Q And as we talked about earlier, the Division

11 has already said that the well bore designs are

12 consistent with the construction standards these days

13 for UIC Class 2 wells?

14 A That is my understanding.

15 Q But what I liked about your well bore

16 designs is that they give us a little bit more

17 information about where the closest aquifers are and

18 some of the formations that provide -- above and below

19 the targets.

20 So I was wondering if you could walk us

21 through the Severitas State SWD Number 1 casing design

22 or well bore design first, and then we can move to

23 Papa Squirrel. And I might have some questions for

24 you as you're walking through it.

25 A Okay. Both wells are a three-strand casing

Page 78

1 design. And the Severitas well, we have a very -- we

2 don't have much of an aquifer present in that

3 location. But we do have a very thin, less than 100

4 foot -- aquifer in that location. And that extends

5 down to about 400 feet.

6 The second string as you enter is the

7 intermediate. It will be set in Lamar formation. And

8 then we have a third string, which will be set in

9 the -- about 500 feet above the basin Brushy Canyon

10 formation.

11 Q And so in your opinion, is the three-string

12 casing design protective of underground sources of

13 drinking water?

14 A Yes, because if -- essentially, that design

15 will have a two-string -- two layers of containment

16 protecting the -- aquifer.

17 Q And I see on these two slides that Chevron's

18 proposing to use 5 1/2-inch tubing; is that right?

19 A That is correct.

20 Q And did you notice in the OCD's Exhibit 11

21 that OCD was also recommending 5 1/2-inch tubing?

22 A I think they're saying that they would not

23 approve anything larger than 5 1/2 inches around.

24 Yes, it is consistent.

25 Q Great. And then the other thing I wanted to

Page 79

1 talk about on her is the upper containment zone and

2 the lower containment. So let's start with upper

3 containment, which is noted right here. What can you

4 tell us about the upper containment?

5 A The Lamar limestone is considered the upper

6 containment zone for the projection for the Severitas

7 well. The lower containment zone of the well is the

8 limestone, which is shown at the base.

9 Q And Chevron has other witnesses today that

10 will talk about some pressure tests and things that

11 were done on those two containment zones later today;

12 is that right?

13 A That is correct.

14 Q But one thing I did want to talk about with

15 you because I find it to be quite interesting was you

16 and I had talked about the presence of anhydrites and

17 how those can act as a seal or sort of reinforce the

18 seal for containment zones. Are there anhydrites

19 present here?

20 A Yes, there are. Anhydrites are -- are a

21 part of basically the whole component of what's shown

22 here on the diagram as the Castile formation.

23 Q And the Castile formation is this upper area

24 above the line?

25 A And correct. Well, it's right above the

Page 80

1 line.

2 Q And when you and I spoke, what I found to be

3 interesting was that Castile and Lamar together

4 interact in a way because of the anhydrites to create

5 an even greater seal?

6 A That is correct. The essential -- what's

7 interesting about the anhydrites in Castile is when we

8 assess the mechanics of those units that the high

9 density Castile lies on top adds to the fracture

10 screens of the Lamar. And Bryce Taylor will talk a

11 little bit more about that later today.

12 Q Thank you. I just find that to be quite

13 interesting that in aggregate, that together they're

14 stronger than they would be individually?

15 A That's correct.

16 Q Let's see. What is the vertical distance

17 between injection and the rustler in the Papa

18 Squirrel? Is that noted on here or have you done

19 the --

20 A It -- it's not shown on here. I think the

21 question is what's the vertical difference between the

22 top of injection and the shallow aquifer. And that

23 distance is about 2200 feet in the Severitas well.

24 Q And have you calculated the same thing for

25 Papa Squirrel?

Page 81

1 A Yes. That distance is about 3700 feet.
 2 And -- and in that case, it -- we do have rustler
 3 present. And so it's really from the top of injection
 4 at the top of the bell right below the Lamar to the
 5 base of the rustler in the Papa Squirrel well.
 6 Q But there are multiple thousands of feet of
 7 vertical separation?
 8 A Correct.
 9 Q And earlier we were talking about the DFIT
 10 test and cementing back. And do these show the
 11 cementing back to prevent injection of produced water
 12 into the Brushy?
 13 A Yes, they do. It -- to touch on the Papa
 14 Squirrel, there's an additional language that's left
 15 over from a diagram that went back and forth between
 16 myself and -- and wells, but really, the cement is --
 17 the cement plug in the -- within the Brushy Canyon is
 18 what we're planning for both wells.
 19 Q Now I wanted to turn to a study that you
 20 prepared to show the porosity of each of the two wells
 21 and their favorability or the geology as an injection
 22 interval. And here I'm going slightly out of order.
 23 So at this time, I'd like to turn to Slide 103 of the
 24 material. And again, that is the number of the top
 25 righthand side.

1 the upper area?
 2 A Yes.
 3 Q And did you prepare the same analysis or a
 4 similar analysis for the Severitas well?
 5 A Yes. I think -- and you'll find that the --
 6 the slides are slightly -- the diagrams are slightly
 7 different, but they're -- they're made by other
 8 geologists that were involved in this process, and
 9 they just took slightly different approaches, but they
 10 came to the same conclusion regarding the net
 11 thickness of porosity within the two areas.
 12 Q And is that conclusion that that thickness
 13 is favorable for injection?
 14 A Yes, it is.
 15 Q Let's start then on this slide, which is
 16 number 104 of 267. And let's start with an
 17 orientation of the slide for the commissioners and the
 18 other parties. What is this right here that I'm
 19 highlighting?
 20 A This is an inset that shows where that
 21 portion of the map is located relative to the Delaware
 22 Basin that's shown where the tan lines are kind of
 23 projected into the map -- the second map.
 24 Q And if you had to guess about -- I mean, if
 25 you had to identify on this map where the Papa

1 A Okay.
 2 Q The substance starts on page 104. So the
 3 slide I'm looking at now says, "Bell Canyon High
 4 Porosity: Papa Squirrel." Are you there with me?
 5 A Yes. Yes.
 6 Q What is the purpose of the analysis that you
 7 undertook in this slide?
 8 A The purpose of this analysis was really a
 9 prelude to identifying what -- where the optimal
 10 locations are in both of these development areas. The
 11 Salado Draw. And that's what he was talking about,
 12 the Salado Draw here in the Papa Squirrel well as --
 13 as proposed.
 14 Q And let's maybe take a moment and walk
 15 through these. Before we do that, what is your
 16 conclusion from the study that you undertook in terms
 17 of whether the injection interval is favorable in the
 18 Bell Canyon for the Papa Squirrel?
 19 A Our -- our determination is the Bell Canyon
 20 is -- is very favorable for injection in this area,
 21 and it's primarily due to the stacked thickness of
 22 high porosity sands within the Bell Canyon in this
 23 area.
 24 Q And did you reach this same conclusion in
 25 the next slide, which we'll turn to in a moment, for

1 Squirrel well is, is my hand more or less?
 2 A That is approximately where it's located,
 3 yes.
 4 Q And so what does A to A prime mean on this
 5 slide?
 6 A This is a line of the projection, the
 7 cross-section that's shown on the left.
 8 Q And does A correlate to the first
 9 cross-section that you have there?
 10 A Yes, on the left side.
 11 Q And then A prime is the second cross-
 12 section?
 13 A Yeah, it's -- A prime is just the other side
 14 of the cross-section.
 15 Q And what about the red box? What is the
 16 significance of the red box?
 17 A The red box just identifies the location of
 18 the Bell Canyon formation.
 19 Q So this is an outline of where the Bell
 20 Canyon formation falls within these cross-sections?
 21 A Within those -- within those two wells.
 22 Q And what is your conclusion that you draw
 23 from this slide?
 24 A The conclusion. The -- the porosity in --
 25 in this cross-section that's shown in the kind of red

1 pinkish curve, and when you see a movement of that
2 curve to the left, that means that there's high --
3 there's going to be higher porosity in that area. And
4 what's -- what's done on the right in each -- each
5 well, where you see the column with the blue, thick
6 units identified, those are -- are thicknesses of --
7 of sediments that are greater than 14 percent
8 porosity.

9 Q So you filtered out anything below 14
10 percent or Chevron filtered out anything below 14
11 percent?

12 A Greater than 14 percent. Greater than 14.

13 Q Oh, greater than 14. This is why I don't do
14 math. Less than, greater than. Challenging.

15 But these dark blue areas indicate units
16 that are favorable for injection based on their
17 porosity levels?

18 A Yeah. The lighter color blocks are really
19 greater than 14 percent. The darker blue is for
20 actually greater than 18 percent porosity, which is a
21 higher threshold. But it still shows that in both --
22 you know, both of those wells, we see, you know, a lot
23 of neck thickness of porosity. Which -- and Bryce
24 will talk about this later. But when we look at model
25 of -- of injection in the -- in the DMG, that porosity

Page 86

1 is really a key fact. And that's why we come in and
2 we looked to identify areas where we want to target
3 placing the SWD wells.

4 Q And just for the record, the Papa Squirrel
5 well is about halfway down or a third of the way down
6 the line from A to A prime?

7 A Right over here.

8 Q So let's turn to the next slide then, unless
9 there was anything else on that slide you wanted to
10 touch on.

11 A No, that's all.

12 Q So this next slide is page 105. And this
13 slide, again, are these the same two logs that we
14 reviewed on the last time?

15 A They are the same two logs. Same two wells.

16 Q And so in this leg you're just focusing
17 further down in the geologic formation?

18 A Right. In the upper Cherry -- Cherry
19 Canyon.

20 Q And did you undertake this study again to
21 understand the net porosity in this area?

22 A Yes, I did.

23 Q And what was your conclusion?

24 A This is still favorable. It's -- it's less
25 favorable, but it's still favorable.

Page 87

1 Q This area would still take water in theory?
2 A Exactly.

3 Q Is there anything else you wanted to mention
4 about this slide before I move onto the next slide?

5 A No, I think that covers everything I wanted
6 to cover on the slide.

7 Q So turning to the next slide, this is the
8 geologic analysis that you undertook for the Severitas
9 well to understand the porosity in that area; is that
10 right?

11 A That is correct, yes.

12 Q And this is page 106 of 267. And so can you
13 orient the Commission again? What is the inset map
14 here on the righthand side of the slide?

15 A The inset -- inset map shows -- is a net
16 porosity map that's color coded for an area that
17 covers this development area that's known as Harris,
18 New Mexico.

19 Q And I see on here you have some legends.
20 Worst net porosity, better net porosity. And the
21 shading, the dark purple, does that correlate to worse
22 net porosity?

23 A Yes, it does.

24 Q And then this sort of turquoise or greenish
25 blue is better net porosity?

Page 88

1 A That is correct.

2 Q And the Severitas well is approximately
3 halfway between the A and A prime on this?

4 A Yeah. And the -- and the arrow point is
5 shown pretty correctly. So the point of the arrow is
6 really where the Severitas well is.

7 Q And do these logs have the same data as the
8 prior logs that we looked at in terms of gamma?

9 A Yes, they do. And the difference is that
10 these were plotted in Petra. The other -- others were
11 -- we used a different software package.

12 Q But they contained the same material.

13 A Same basic material. Just different
14 programming.

15 Q And what conclusions did you draw from this
16 analysis?

17 A Well, as -- as Cody Comiskey noted earlier,
18 you know, we -- we've looked at two areas where we had
19 slightly different variations in stratigraphy. One,
20 you know, the -- the stratigraphic thickness of the --
21 of the Delaware Mountain Group is thicker in the Papa
22 Squirrel area to the east.

23 It's thinner to the west where the Severitas
24 is. So we would naturally expect that the -- the
25 reservoir character in this well would be less

Page 89

1 favorable than that in the Papa Squirrel just because
2 of stratigraphic thickness -- thickness variations.
3 It's thinner over here. And we're actually seeing
4 less net porosity thickness in -- in this area.
5 But from a standpoint of what we're trying
6 to do within, you know, the scope of this -- these two
7 pilot wells, it's important for us to kind of evaluate
8 these areas where we may not have as great a
9 thickness, but at least, you know, crossing some sort
10 of threshold coming from the well before us, and this
11 one does.
12 Q So if I'm understanding you, your choice of
13 wells is intentional, because you want to test the
14 reaction of these different thicknesses?
15 A That is correct, yes.
16 Q And Dr. Ampomah asked Mr. Comiskey a
17 question about the pilot nature of these wells, and it
18 seems to me that at least one answer to that question
19 is that you are trying to go get data from different
20 reservoir thicknesses to enable Chevron to interpret
21 that data?
22 A That is correct, yes.
23 Q And then move forward with other projects or
24 not.
25 A Exactly. And it should give us some insight

Page 90

1 about what the opportunities are, you know, moving
2 forward in the future. It's also going to give us
3 this data in a collaborative way where we can kind of
4 share in -- with both the OCD as well as other
5 operators and -- and kind of help out with the
6 decision-making process moving forward.
7 Q Great. Well, we're going to switch gears a
8 little bit and turn to a study that he did regarding
9 DMG productivity in the area of the two wells. So I
10 am going to switch now to page 99 of the materials.
11 MS. BENNETT: Give everybody a chance
12 to catch up with me. You there?
13 BY MS. BENNETT:
14 Q So on page 99, can you describe to the
15 commissioners what this exhibit is and your intentions
16 behind this exhibit?
17 A Yeah, in -- in this exhibit, this is the --
18 the diagram on the right and the -- the table that's
19 shown are really part of the C108 application. And --
20 and what I did was just to kind of combine both
21 components that are included in the C108 application
22 into one slide. It just makes it --
23 Q And what --
24 MR. FUGE: Give it a second.
25 BY MS. BENNETT:

Page 91

1 Q One of the primary takeaways I had from this
2 slide was or questions I had was whether there are any
3 DMG, Delaware Mountain Group wells within a half mile
4 of the Papa Squirrel?
5 A The answer is no.
6 Q Where are the closest Delaware Mountain
7 Group producers from Papa Squirrel?
8 A They're -- they're about one and a half to
9 two miles away to the southeast.
10 Q And will Mr. Taylor be discussing those
11 wells?
12 A Yes, he will. Yes, he will.
13 Q Great. And then the next slide, which is
14 slide 100 of 267, is this the same information but for
15 the Severitas well?
16 A Yes. Again, these are -- these two tables
17 as well as the -- the map are both components that are
18 submitted with the C108 application.
19 Q And one thing I wanted to ask you about,
20 actually. I'm going to turn back to page 99. Chevron
21 operates wells within the Papa Squirrel AOR; accurate?
22 A That is correct.
23 Q And so you have your own wells that are
24 currently in production within the area of the Papa
25 Squirrel well?

Page 92

1 A That is correct.
2 Q And is that true for the Severitas well
3 also, which is on page 100?
4 A Yes, it is.
5 Q So Chevron, as part of the pilot nature of
6 this project, you are able to test whether these wells
7 impact your -- "these wells," I mean SWDs -- impact
8 your existing wells?
9 A Correct. We -- we essentially don't have to
10 worry about going out and asking another operator to
11 -- to monitor horizontal wells in these areas because
12 we have some. And we can evaluate those impacts if
13 they exist directly.
14 Q So you would have both the -- you manage the
15 existing production wells, but you'll also be able to
16 manage the proposed SWDs?
17 A That is correct.
18 Q And again, I think we might have talked
19 about this, but there's no DMG wells within the
20 half-mile radius of the Severitas well; is that right?
21 A That -- that is correct.
22 Q Now I want to turn to a slide you prepared
23 about the drill stem tests, and that's page 107 of
24 267. Give everybody a second to catch up there.
25 So first of all, what is a drill stem test?

Page 93

<p>1 A A drill stem test is a test that's run open 2 hole within a vertical well normally, and which there 3 is a packer that is engaged, and a pressure suction on 4 the well that allows oil or any kind of fluids that 5 are in the units where the packer isolates in -- in 6 the well. And it's able to -- to evaluate both 7 pressures as well as the fluid types that come into 8 the -- into the test -- testing device, the drill stem 9 test.</p> <p>10 Q And so what does the drill stem test, what 11 kind of data does it provide you or provide Chevron 12 through you?</p> <p>13 A It essentially can indicate to us or any 14 operator whether or what kind of potential there is 15 for hydrocarbons within the zones that you're testing.</p> <p>16 Q And these drill stem tests aren't tests that 17 you undertook though; right? They're existing tests?</p> <p>18 A These were publicly available drill stem 19 tests. And the way we approach this data gathering 20 was to assess, you know, the -- the large resource of 21 public data available in both areas and determine 22 which -- which drill stem test was conducted within a 23 radius of these wells within the -- the Delaware 24 Mountain Group.</p> <p>25 Q And so let's just knock out Papa Squirrel Page 94</p>	<p>1 sort of a -- yeah, looking to see if there were 2 existing wells, which there weren't any. And then 3 looking to see if you could find any drill stem tests 4 on the existing wells, which there weren't any within 5 two or three miles.</p> <p>6 A Right. Correct.</p> <p>7 Q And then you focused then even on the 8 geology of the area to see what the geology says about 9 the presence of DMG and reservoirs in the area?</p> <p>10 A That's correct. So -- so really 11 fundamentally both these slides, what we were trying 12 to do to establish was to take a stab at this question 13 of -- of, you know, the future reserves. What -- what 14 is -- you know, how can you come up with some sort of 15 assessment on how or whether or not there are future 16 reserves within the DMG in these areas. And -- and 17 these were two approaches that we came up with.</p> <p>18 We felt that the drill stem test was the 19 preferred way of assessing whether or not existing 20 hydrocarbons are in the area. Because when a -- when 21 the operator drills a well or looking for oil, you 22 know, a drill stem test is -- is a very cheap way to 23 determine whether or not it's worthwhile running 24 casing and producing from that zone.</p> <p>25 And then this second map was really designed Page 96</p>
<p>1 really quickly. You noted that there were no drill 2 stem tests taken in the DMG within two or three miles 3 of the Papa Squirrel?</p> <p>4 A That's correct, yes.</p> <p>5 Q And so there was no data for you to analyze 6 there?</p> <p>7 A There was no data to analyze. Correct.</p> <p>8 Q So how about for the Severitas? What did 9 you find for the Severitas?</p> <p>10 A In the Severitas well there were -- there 11 were no DSTs within two miles of the Severitas well. 12 We did have two DSTs within two to three miles of the 13 Severitas well.</p> <p>14 Q And were those two DSTs the two that you 15 identified here?</p> <p>16 A That is correct, yes.</p> <p>17 Q And in your review of the data, what did you 18 glean from the data in terms of DMG productivity in 19 and around Severitas 2 State SWD Number 1?</p> <p>20 A Well, the fact that they were two to three 21 miles away told me that -- that basically there's a 22 low risk of impact production in and around the 23 Severitas well.</p> <p>24 Q Let's turn now to the structure map that you 25 prepared. And the way I was looking at your -- was Page 95</p>	<p>1 to say, "Okay. If I'm an exploration geologist, what 2 would I do?" Well, in the previous slide where we had 3 stratigraphic units shown within the Bell Canyon and 4 the Cherry Canyon formation, we showed that the 5 stratigraphic units seemed to have some sort of 6 continuity across all those areas.</p> <p>7 So then the question is, okay. Given the 8 fact that you don't have any obvious stratigraphic 9 pinch outs in these areas, then what else would you 10 look at? And the solution was, okay. I wanted to 11 take a look at the structure map in both of these 12 areas, and that's what I did.</p> <p>13 Because the structure map would define -- if 14 there were no pinch outs of stratigraphy, then you 15 would have to have some sort of tracking mechanism in 16 addition to that, and that would be structural 17 closure. And the bottom line in both of these series, 18 I didn't see them.</p> <p>19 Q Thanks for that. You know you and I talked 20 a lot about this because -- structural closure and 21 trapping is, you know, over my head. But what I 22 appreciated about it was that you went -- you were 23 using actual information to test your theory about the 24 lack of DMG reserves in this area.</p> <p>25 A Yes, I got to be an exploration geologist, Page 97</p>

1 and yeah, so.
2 Q Yeah. And I really appreciate what you just
3 said about the drill stem test, because I don't think
4 before today I actually understood that, that that is
5 a mechanism by which operators consider whether it's
6 worth it to continue to explore for -- it's a
7 preliminary step in an exploration for reserves; is
8 that right?
9 A It's a very cheap preliminary step to make
10 that evaluation, yes.
11 Q And so if that -- that's incredible. Thank
12 you.
13 On these, we've talked a lot about traffic
14 in the area. And you know, you ad I talked about an
15 inverted bowl. And is that sort of where the
16 hydrocarbons would be trapped such that there could be
17 future reserves in this area? Would that be an
18 indicator of that?
19 A Yes, that's correct.
20 Q And did you see anything that would indicate
21 the potential of unknown reserves in these two
22 structure maps?
23 A No, I did not.
24 Q Did you see any fault in the lower
25 containment zone?

Page 98

1 A No. No faults at the -- at the level of
2 Bone Spring limestone. We evaluated seismic data in
3 -- in both areas and determined that there were no
4 nearby faults within a two-mile radius of -- of the
5 Severitas and the Papa Squirrel well.
6 Q How about any faults in an upper containment
7 zone, which is the little Lamar limestone? Were you
8 looking for faults there too?
9 A We did. And the challenge in Lamar kind of
10 touched on the challenge with that, because if you
11 remember in the Castile formation where you have
12 anhydrite, you also have salt in -- in these areas.
13 And there are some problems with depth conversion of
14 the seismic data when you have these velocity changes
15 that occur laterally within the section above the zone
16 that you're trying to map.
17 The zone we're trying to map is determined
18 -- it's really the Lamar limestone. Do we see faults
19 and seismic data with the Lamar? Because of these
20 velocity problems what we have as a -- as a result of
21 the -- the salts and anhydrites in the Castile.
22 We get some anomalies that are really
23 difficult to sort through, and you have to have really
24 good velocity data to -- to make accurate
25 interpretations of that -- that surface. But from

Page 99

1 what we could tell, given all that, we don't have any
2 faults in -- both areas.
3 Q And will one of Chevron's other witnesses
4 today talk about the Lamar limestone and the amount of
5 pressure it would take to break that or the
6 sufficiency of the Lamar as a containment zone?
7 A Yes, Bryce Taylor will discuss that further.
8 Q Great. So to summarize, in your opinion is
9 the Papa Squirrel well, does it have the potential to
10 -- in your opinion and just focusing on the slide and
11 your work with Chevron, does it have the potential in
12 your opinion to negatively impact correlative rates?
13 A Not in my opinion.
14 Q And in your opinion, do you think that there
15 is a low likelihood of hydrocarbons in the DMG within
16 the AOR of each of these two wells?
17 A Not in my opinion.
18 Q But it's your opinion that --
19 A It's my opinion that that is correct, yes.
20 Sorry.
21 Q That there is a low likelihood?
22 A That there is a low likelihood.
23 Q And that's based on the drill stem tests?
24 A The drill stem test coupled with the -- with
25 all the structural closure and the fact that there's

Page 100

1 continuity in the stratigraphic units across both
2 areas.
3 Q And the continuity in the stratigraphic
4 units, if there was a pinch out, that would be a place
5 where hydrocarbons could collect?
6 A That's correct. And the other factor is
7 that we have a number of wells that then drill
8 through, you know, in these areas, and we haven't
9 today seen any evidence that there's -- from those
10 wells that there's potential for -- for hydrocarbons.
11 Q Not to dwell on the stratigraphic uniformity
12 any longer, but I did just think of a really great
13 analogy for me, which is a stream, and the fish tend
14 to gather, you know, in eddies or along the bank or
15 rocks within a stream. And so if the hydrocarbons are
16 fish, we're looking for some anomalies in the stream
17 where they might gather and enjoy their day when we go
18 fishing?
19 A That might be an analogy, yes.
20 Q Well, it works for me. And I'm going to go
21 fishing this weekend now that I've thought about it.
22 Any last things you'd like to say or tell me
23 not to draw analogies ever again?
24 A No, I really don't have any other comments
25 to add.

Page 101

1 MS. BENNETT: Thank you very much.
2 And with that, I would move the
3 admission of Exhibits A and B, which are the
4 applications and the included C108s. And I would also
5 move admission of the slides numbered 98 through 108.
6 MR. FUGE: Any objections?
7 They're admitted.
8 (Exhibit A, Exhibit B, and Exhibit 98
9 through Exhibit 108 were marked for
10 identification and admitted into
11 evidence.)
12 MS. BENNETT: Thank you.
13 MR. FUGE: Mr. Tremaine, do you have
14 any questions for the witness.
15 MR. TREMAINE: I do have some
16 questions. Thank you, Mr. Chair.
17 EXAMINATION
18 BY MR. TREMAINE:
19 Q Mr. Merrifield, I'm hoping to clarify a
20 response that you provided to Ms. Bennett. You used
21 very specific language when you were talking about the
22 produced water injection. I believe what you said was
23 Chevron was not targeting the Brushy Canyon for
24 produced water injection. Is that correct?
25 A That is correct, yes.

1 accurate assessments of frac gradients in these two
2 wells.
3 Q Thank you. And bear with me. Likewise, I'm
4 not a geologist. So when you are done with the DFIT,
5 when the lower zone is cemented off, how are you going
6 to be able to tell whether injected produced water in
7 the higher zone migrated down to the Brushy -- to the
8 Brushy Canyon?
9 A We should have some indication with the
10 analysis of the data. So the data should tell us
11 something about frac gradients and whether they
12 linearly increase with depth or if there is a
13 reversal. So there should be a theoretical indication
14 before, you know, any migration fluid occurs, it --
15 but it will tell us about the possibility.
16 Q So you're going to see it before or as it
17 happens rather than after the fact?
18 A It's -- we're going to -- yes, correct.
19 It's -- it's really part of the data analysis. Now,
20 mind you, the -- you know, after we collect the data,
21 we're going to start injecting. Okay. There's going
22 to -- before any -- any potential migration were to
23 move into the Brushy, it would have to collect some
24 sort of threshold pressure and volume that we've
25 injected into the Bell and Cherry before we see any

1 Q Is it Chevron's expectation that produced
2 water that is targeted to be injected into the Bell or
3 the Cherry Canyon, will a communicator migrate down to
4 the Brushy Canyon?
5 A At this point in time, we do not think so.
6 Okay. Now, the -- the part of the surveillance
7 process program we've been putting together --
8 Q Believe it or not, it's better than it was.
9 A -- is to further evaluate their -- their
10 questions about reversal and frac gradient as we get
11 deeper in the DMG. And that program hinges on the
12 sonic data that we're going to be collecting in these
13 wells.
14 And we're also going to just -- just to get
15 into detail a little bit, we're going to be collecting
16 monopole, dipole, and sonar data. We'll also be
17 collecting triple-combo data as well throughout the
18 Bell Canyon, Cherry Canyon, and that -- that one upper
19 portion of the Brushy Canyon and we drill through.
20 And then we'll also be collecting the DFIT data.
21 Now, all of those will be coming together
22 with several different analyses on frac gradients.
23 And -- and that is from -- in my opinion, it's the
24 most exhaustive approach. It's really important to
25 take that -- gather that kind of data to make the most

1 injection of migration downward into the Brushy. So I
2 think there's going to be time where we would
3 determine -- could determine from a theoretical
4 standpoint that's a possibility or know it's probably
5 unlikely.
6 Q Thank you for that clarification. One more
7 quick question here, Mr. Merrifield. In terms of the
8 assessment of reserves from the DMG, was that focus on
9 the Bell, Cherry, and Brushy Canyon zones? Or is that
10 --
11 A So yes, we looked at -- in fact, I -- the
12 search criteria was very exhaustive. I looked for
13 Delaware Mountain Group. I looked for Delaware
14 Canyon, Cherry Canyon, Ranchy Sand. I went through
15 all of the possible names to kind of extract from the
16 AHS database to assess that.
17 Q And did that include the Lower Brushy within
18 Avalon or just focus on the three zones we discussed?
19 A It -- it included all of Brushy. And you
20 know, I did not get into that one. No, I did not.
21 'Cause the -- the whole assumption there is that I was
22 going to carry it down to the -- which is really the
23 base of the Delaware Mountain Group. And then I
24 stopped at that point.
25 Q Are you aware of any reserve assessment that

1 was a problem at any other operators?
 2 A No.
 3 MR. TREMAINE: No further questions.
 4 MR. FUGE: Ms. Hardy?
 5 MS. HARDY: I do have a couple of
 6 questions.
 7 MR. FUGE: If you could just come up,
 8 it will make it easier to hear.
 9 MS. BENNETT: I can switch too if you
 10 want.
 11 MS. HARDY: That would be great. Thank
 12 you.
 13 This will be quick. Sorry.
 14 EXAMINATION
 15 BY MS. HARDY:
 16 Q Mr. Merrifield, I just have a couple
 17 questions for you. With respect to your well bore
 18 diagram that we were looking at, which was page 101
 19 using the file page number, you had discussed with
 20 Ms. Bennett the DFIT test and how they will impact or
 21 how they will be performed at Brushy Canyon.
 22 A Yes.
 23 Q Will the Brushy Canyon DFIT be performed
 24 only in the open-hole section?
 25 A It will not be performed in the open-hole

Page 106

1 section. And -- and maybe that was not clear. It --
 2 it will -- DFITs, the diagnostic fracture injection
 3 test will be done through case toll. And that's --
 4 one of the advantages of doing that is that the
 5 chances of success are greatly enhanced when you have
 6 packers that are actually in contact with --
 7 Q Then looking at your slide 108, which is the
 8 structure map, what is the contour interval on those
 9 maps?
 10 A I think it's 100. It could be 50 feet.
 11 It's 100 or 50 for sure.
 12 Q 100 or 50?
 13 A Yes.
 14 Q Is it correct the down dip is to the right?
 15 A It is correct.
 16 MS. HARDY: Those are my questions.
 17 MR. FUGE: Dr. Ampomah, do you have any
 18 questions for the witness?
 19 DR. AMPOMAH: Yes, I do. So let's go
 20 over the C108.
 21 MR. MERRIFIELD: Okay.
 22 DR. AMPOMAH: So on page 23.
 23 MR. MERRIFIELD: Okay.
 24 DR. AMPOMAH: You show the schematic of
 25 the -- well.

Page 107

1 MR. MERRIFIELD: Okay. This is a --
 2 this is one of the abandoned ones.
 3 DR. AMPOMAH: Yeah, one of them.
 4 MR. MERRIFIELD: I remember this.
 5 Yeah.
 6 DR. AMPOMAH: So looking at this, how
 7 they proceed it, do you believe that it was plugged in
 8 a good way to prevent any potential complication with
 9 the oil breaching?
 10 MR. MERRIFIELD: So I don't recall the
 11 exact date. I'm looking at the way that they plugged
 12 this well. It's an -- it's an older plugging
 13 approach. And -- and the reason I know that is
 14 because they use kind of these intermittent cement
 15 plug and then match --
 16 And then it -- that is a standard
 17 approach back in the -- kind of the 70s or the 80s and
 18 sometimes even into the 90s depending on what state
 19 you're in. They -- they will still allow. Today,
 20 that's not, you know, the best way to do it, but it
 21 was acceptable at that day and time.
 22 Now, having said that, we were talking
 23 about mud slurry. That's usually a thick -- slurry
 24 usually. So it's -- it is still -- So yes, I -- it
 25 is an approved approach, but historically, I think,

Page 108

1 you know, that there's historical context.
 2 DR. AMPOMAH: So it's still workable?
 3 MR. MERRIFIELD: It's still what?
 4 DR. AMPOMAH: Is it workable? Like you
 5 believe there should be some sort of highlight on this
 6 particular well?
 7 MR. MERRIFIELD: All I'm saying is that
 8 it's -- it's not the standard practice. But bentonite
 9 is a very impermeable material. When it's mixed with
 10 mud, basically the mud portion of that well as well as
 11 the cement portion are considered impermeable barriers
 12 within that well.
 13 DR. AMPOMAH: So let's talk a little
 14 bit about --
 15 MR. MERRIFIELD: Did that answer your
 16 question?
 17 DR. AMPOMAH: Yeah. I'm sure OCD knows
 18 more to make sure that there will be no problem with
 19 that. And I just wanted to know that. On page 10 of
 20 the C108 1B application.
 21 MR. MERRIFIELD: Okay.
 22 DR. AMPOMAH: So you have on -- saying
 23 Brushy Canyon is included as a potentially -- the
 24 Brushy is not intentionally targeted for injection.
 25 Now, but you're also going to do a DFIT in this

Page 109

1 project; right?
 2 MR. MERRIFIELD: Correct. That's --
 3 that's the key point.
 4 DR. AMPOMAH: So I just want to know is
 5 there no any other alternative? Other than more like
 6 bridging the Brushy Canyon, knowing very well that you
 7 are not going to do any injection. So is there any
 8 other alternative to collect the data that you're
 9 looking for without actually performing the DFIT in
 10 this position?
 11 MR. MERRIFIELD: The purpose of the
 12 DFIT and -- is to really calibrate the interpretation
 13 of the frac gradients that are determined from loss.
 14 And the only way that you can do that is by having
 15 some type of injection test. A DFIT in my opinion is
 16 the best approach to get the most accurate and -- and
 17 best chance at getting data than any other data that
 18 you can do.
 19 But all the data that you can -- in
 20 order to -- to calculate the frac gradients, you have
 21 to -- you have to have some sort of injection test.
 22 And -- and Bryce will touch on this a little bit
 23 later, but he -- what he'll show is, you know, what
 24 the pressure buildup looks like and what it comes back
 25 down to and -- and what part of the curve you actually

Page 110

1 have to measure in order to assess, you know, what the
 2 frac closure stress or fracture is when you -- when
 3 you run that test.
 4 DR. AMPOMAH: So are you saying that
 5 let's say the DFIT that you're going to do in this
 6 hurricane land in the creek formation. There was two.
 7 MR. MERRIFIELD: Mm-hmm.
 8 DR. AMPOMAH: You don't have right now
 9 datapoints to be able to calibrate your entire project
 10 gradient, but you still have -- can you do a DFIT in
 11 the Brushy?
 12 MR. MERRIFIELD: What we'll have after
 13 we collect this data is we'll have DFIT data in the
 14 Brushy Canyon, the Cherry Canyon, and the Bell Canyon
 15 formations. We'll have a continuous curve of what the
 16 frac gradient looks like.
 17 DR. AMPOMAH: Yeah. But my --
 18 MR. MERRIFIELD: And to calibrate that,
 19 we have to have certain datapoints that require some
 20 sort of injection test. And the injection test that
 21 we're proposing is a DFIT.
 22 DR. AMPOMAH: So you said you have to
 23 do how much percent of -- if we are not going to use
 24 this formation for injection, why do we have to
 25 perforate it, you know, in the first place, and then

Page 111

1 coming back to fill it out? You know, so that is my
 2 concern.
 3 MR. MERRIFIELD: Yeah. So the reason
 4 why we have to -- I think I understand where you're
 5 coming from -- is we actually have or are forced into
 6 injecting into the formation.
 7 So we actually have to cut a hole
 8 through casing and inject into the formation and
 9 monitor the pressure buildup and decline in order to
 10 gather this datapoint that's going to be used as a
 11 calibration point. There's no other way to do it from
 12 my standpoint. I don't -- I don't know of any other
 13 way to do it. You could do it open hole.
 14 DR. AMPOMAH: Mini-frac, yeah.
 15 MR. MERRIFIELD: But it -- but what I'm
 16 saying is the chance of success with the mini-frac of
 17 getting the data is about 40 percent. Okay. And --
 18 and with this, it's about 95 percent.
 19 DR. AMPOMAH: So, like, 104 actually?
 20 MR. MERRIFIELD: Yeah. Yeah.
 21 DR. AMPOMAH: So page 104 on the
 22 application. I want to know how many wells you used
 23 in analyzing the petrophysics to obtain results.
 24 MR. MERRIFIELD: Okay. Yeah. And so
 25 the -- the amount of wells, I don't have that number

Page 112

1 in hand. But the -- we had probably on the order of
 2 at least a hundred datapoints to create that map
 3 that's on -- that's color-coded on the righthand side
 4 right there. At least a hundred. Maybe 200. Maybe
 5 500 to create -- do you want me to point at it?
 6 DR. AMPOMAH: No, I can see.
 7 MR. MERRIFIELD: Okay. Yeah. But
 8 the -- all those datapoints are not shown here.
 9 DR. AMPOMAH: So you show a porosity 20
 10 percent going in there, but probability 0.4 to 3 so my
 11 question is what does it show? Or how did you compute
 12 permeability?
 13 MR. MERRIFIELD: How -- how did we
 14 compute permeability? We did not actually calculate
 15 permeability. So in -- if you -- in the Delaware
 16 Mountain Group, because these are sandstones, there
 17 is -- there are a number of authors that have
 18 evaluated the permeability-porosity relationship and,
 19 you know, plot how linear that relationship is. But
 20 we have not -- we did not go in and calculate
 21 permeability in -- in these for our study.
 22 DR. AMPOMAH: So on page 98, you talk
 23 about how the two wells, there is an extent of geology
 24 between these two wells, two locations. Right. We
 25 talked about that from the other testimony. Now, you

Page 113

1 are using upper relation to --
 2 MR. MERRIFIELD: Yes, exactly.
 3 DR. AMPOMAH: Let me ask. So do you
 4 have any plans to offer a quarry program to be able to
 5 get the actual call because you want to build a
 6 database right now really dependent on more or less a
 7 correlation?
 8 MR. MERRIFIELD: We -- we did have that
 9 in some of our initial evaluations of all the
 10 surveillance that we were going to gather. But
 11 because of -- the coring I think ended up being a
 12 minor component just because we did not feel that that
 13 would add as much value as the cost, and it was really
 14 just to -- when we evaluated all the different
 15 surveillances that we were going to do, we just felt
 16 that was a lower priority. Yeah, we did -- we did
 17 entertain that. That -- I'm letting you know that.
 18 DR. AMPOMAH: But why would that be a
 19 low priority?
 20 MR. MERRIFIELD: It was a lower
 21 priority. That's all.
 22 DR. AMPOMAH: Yeah, but we want to know
 23 how Pinon water formation was, had it done just
 24 relying on no map relation, no --
 25 MR. MERRIFIELD: Well, see part of the

Page 114

1 assessment was we actually pulled the existing core
 2 data that was available from the DMG and incorporated
 3 that into the analysis.
 4 DR. AMPOMAH: Thank you. I appreciate
 5 that.
 6 MR. MERRIFIELD: Yeah.
 7 DR. AMPOMAH: Help me understand. On
 8 your well design for the Papa Squirrel well.
 9 MR. MERRIFIELD: Mm-hmm.
 10 DR. AMPOMAH: So I'm trying to
 11 correlate that to the well correlation that you're
 12 showing on page 104. Is the Papa Squirrel well the
 13 one that -- that one is in the total vertical depth;
 14 right?
 15 MR. MERRIFIELD: Is it -- I'm sorry.
 16 What was your --
 17 DR. AMPOMAH: Total vertical depth.
 18 MULTIPLE SPEAKERS: Total vertical
 19 depth.
 20 MR. MERRIFIELD: Yes. Right.
 21 DR. AMPOMAH: Yeah. So I see the Bell
 22 Canyon is about 4,655 feet.
 23 MR. MERRIFIELD: Uh-huh.
 24 DR. AMPOMAH: Now, when I cross-check
 25 that to you, the well correlation that you have on

Page 115

1 page 104. So from A to A prime, you have your well.
 2 It's going to be in the middle. And maybe the well
 3 correlation is in a different depth to me?
 4 MR. MERRIFIELD: It -- it is. It's
 5 subsurface 2DD.
 6 DR. AMPOMAH: Okay. I just wanted to
 7 clarify that.
 8 MR. MERRIFIELD: Yeah.
 9 DR. AMPOMAH: And maybe if we can --
 10 because it's not --
 11 MR. MERRIFIELD: It's not. And
 12 that's -- you know, that's something that should have
 13 been caught, but it wasn't.
 14 DR. AMPOMAH: Because I was totally
 15 lost.
 16 MR. MERRIFIELD: No, valid question.
 17 DR. AMPOMAH: I do have further
 18 questions. So how in your application you showed on a
 19 structure map that you did place all the well
 20 correlations. But I don't see that on the side, so I
 21 don't -- base, you know, but I just want to know why
 22 did you not include any interpretation from the
 23 seismic?
 24 MR. MERRIFIELD: The -- the question
 25 about seismicity and showing that is -- really has to

Page 116

1 go through IP review process. And -- and we, you
 2 know, in the process of going through this, I felt
 3 that interpretation, it was based upon interpretation
 4 of our SME.
 5 And to go through that, we would
 6 probably -- there would have been a lot more that
 7 needed to be addressed other than just this group. We
 8 would have had to been -- gotten into a lot of detail
 9 on that evaluation. And we just didn't see that that
 10 added as much value.
 11 DR. AMPOMAH: So you took the -- You
 12 were not able to identify any -- in the Castile. Now,
 13 when you talked about how there was some sort of
 14 anomaly because of salt and then the presence of
 15 anhydrites in there, so you were not able to build a
 16 very good velocity forward to really interpret those.
 17 MR. MERRIFIELD: Right.
 18 DR. AMPOMAH: Now, I just want to know,
 19 did you try any different options to see if there are
 20 no geological features that could impede any potential
 21 pathway?
 22 MR. MERRIFIELD: Other than the seismic
 23 data? Is that what you're saying?
 24 DR. AMPOMAH: So for the seismic data,
 25 there are multiple options that you can run. You see

Page 117

1 where under any given seismic faults, anything. So
2 I'm just asking just a normal interpretation. Did you
3 go further to use attributes?
4 MR. MERRIFIELD: We -- yeah. And the
5 person that did this actually looked at a couple of
6 different ways of looking at the data, but it -- it
7 boiled down to one fundamental criteria, how you
8 define fault using seismic data.
9 And that there -- it's a very
10 traditional way of looking at it, and that is if you
11 really need to be able to define separation of
12 stratigraphic units across a discontinuity that can be
13 seen at the scale of the observation that you're
14 making.
15 'Cause it's that discontinuity between
16 two horizons across some plan of discontinuity, which
17 is defined as a fault, where you actually see
18 separation of layers. So he was really looking for
19 that characteristic to define a fault.
20 MS. BENNETT: And I don't mean to
21 interrupt here, but Mr. Comiskey will also be able to
22 address some of the questions on seismicity if that's
23 useful for you later today as well.
24 DR. AMPOMAH: Yeah, I was mostly
25 talking about the seismic interpretation, not

Page 118

1 seismicity. I know that one. Yeah.
2 Can you talk a little bit about the
3 stimulation? Do you plan to do stimulation in this
4 well?
5 MR. MERRIFIELD: After we complete the
6 well, after we drill the well and then we run casing
7 and then we perforate the casing and then we set the
8 tubing in the packer in the well and we put a well
9 head on it, we will conduct an acid job.
10 And that really is to clean out, you
11 know, the perforations, clean out anything near well
12 bore so that when we actually go in and -- and inject
13 into the formation that we know that the -- the
14 formation is as clean as possible and the near well
15 bore is as clean as possible to enhance injectivity.
16 So that's going to be, you know, the primary reason
17 for doing an acid job. And by -- when we say
18 stimulation, an acid job is a form of stimulation.
19 DR. AMPOMAH: Thank you.
20 MR. FUGE: Mr. Bloom?
21 MR. BLOOM: Yeah, just a couple quick
22 questions about the location and some of the wells.
23 You mentioned I think with respect to the Severitas
24 well that there were three nearby Bone Springs wells?
25 MR. COMISKEY: Yes.

Page 119

1 MR. BLOOM: And do you do any extra
2 sort of particular monitoring of those wells in your
3 proposal?
4 MR. COMISKEY: I'll have to defer that
5 to someone later, I think. Surveillance plan.
6 MS. BENNETT: Mr. Comiskey will be
7 discussing the data and monitoring plan in detail.
8 MR. BLOOM: Yeah, I was interested in
9 the monitoring too.
10 And then I don't know if this would be
11 a question for you or perhaps someone else well. But
12 regarding the location of the Severitas well, looks
13 like that's in the SCADA. That's the state federal
14 unit.
15 MR. COMISKEY: Yes, it is.
16 MR. BLOOM: Yeah. I don't know if that
17 unit's formations include the salt water disposal
18 target formations. Do you know?
19 MR. COMISKEY: So this is within the
20 SCADA unit. This well is actually going to be located
21 on State Land Office land. And it's -- it's from --
22 from our assessment -- land assessment of this, we --
23 we have the right to inject into the DMG, if that's
24 your question.
25 MR. BLOOM: That's where I was going.

Page 120

1 Yes. And similarly if you move that, I think there
2 was a mention of a micro-move of a couple hundred
3 feet?
4 MR. COMISKEY: Mm-hmm.
5 MR. BLOOM: You'd still be on State
6 Trust Land?
7 MR. COMISKEY: Yes. Yes.
8 MR. BLOOM: You may want to check with
9 the Land Office and see if that unit actually includes
10 the DMG formation. And I believe -- have you filed
11 that application for the easement yet, salt water
12 easement with the Land Office?
13 MR. COMISKEY: I don't know if we have
14 or not to be honest. Well, but I -- but I will tell
15 you this. The person that is evaluating that is
16 actually over at the State Land Office right now
17 having a discussion with them about some -- some
18 things.
19 And I know that -- that the question
20 that you're asking is -- is something that -- and he
21 -- he's aware of both locations. I've been having
22 these -- these ongoing discussions with him about this
23 and -- and he understands fully the need to have the
24 -- own the right to inject disposal water within the
25 DMG on either location.

Page 121

1 MR. BLOOM: Yeah. Thank you. And you
2 know, that might be a little bit beyond the scope of
3 this today. But I just wanted to ask about those
4 practicalities there so.
5 MR. COMISKEY: Exactly.
6 MS. BENNETT: Thank you.
7 MR. BLOOM: Yeah. Thank you for the
8 presentation. No further questions.
9 MR. FUGE: And I've got no questions
10 for the witness.
11 So you may be excused.
12 MR. MERRIFIELD: Thank you.
13 MS. BENNETT: Thank you.
14 Mr. Chair, I did want to -- and I
15 should have been -- well, I don't need to with
16 Mr. Comiskey. But with Mr. Merrifield, I would like
17 to reserve the right to call him for a rebuttal
18 witness if necessary.
19 MR. FUGE: Okay.
20 MS. BENNETT: Thank you.
21 MR. FUGE: I think in the interest of
22 time, and I think that the next witness will be
23 relatively long. I say we adjourn for a relatively
24 brief-ish lunch break and resume at 12:45.
25 (Off the record.)

Page 122

1 MR. FUGE: Make sure I've re-initiated
2 the recording. Good.
3 I think we're ready to have you call
4 your next witness.
5 MS. BENNETT: Thank you very much. And
6 Mr. DeBrine is going to handle the next two witnesses.
7 MR. FUGE: Okay.
8 MR. DEBRINE: Good afternoon,
9 Mr. Chair.
10 Chevron would like to call its next
11 witness, Jason Parizek.
12 MR. FUGE: Can I ask the court reporter
13 to swear in Mr. Parizek please?
14 THE REPORTER: Please raise your right
15 hand.
16 WHEREUPON,
17 JASON PARIZEK,
18 called as a witness and having been first duly sworn
19 to tell the truth, the whole truth, and nothing but
20 the truth, was examined and testified as follows:
21 MR. FUGE: Thank you. You may take a
22 seat.
23 EXAMINATION
24 BY MR. DEBRINE:
25 Q Please state your name.

Page 123

1 A Jason Parizek.
2 Q Who do you work for, Mr. Parizek?
3 A Chevron.
4 Q How long have you worked for Chevron?
5 A Just over ten years.
6 Q And if you could for the Commission just
7 give a shorthand background with regard to the
8 evolution of your duties and responsibilities for any
9 jobs with Chevron during that period?
10 A Yes. I started off working in San Joaquin
11 Valley, California, as an acid development geologist.
12 My duties there were planning and overseeing execution
13 of both horizontal and vertical well bores.
14 Following that, I went out to a field office
15 working with the production operations group on
16 technical team. Duties in that role were setting up
17 and establishing reservoir management and surveillance
18 programs for both a sour gas disposal project and
19 water injection projects. I was also responsible for
20 overseeing and planning side tracks of both vertical
21 and horizontal wells.
22 2018 I moved out up to Midland, Texas
23 working the Permian Basin. I started off working in
24 the production office group as a technical team
25 geologist. Duties on that team involved evaluating

Page 124

1 some of our deep disposal wells, looking at different
2 performance between the wells. I was responsible for
3 a re-frac project that we conducted in the basin and
4 oversaw some technology projects such as gas
5 reinjection.
6 I'm currently working as a development
7 geologist in New Mexico. Have responsibilities in
8 that role involved planning and overseeing execution
9 of horizontal wells.
10 Q Could you give a brief summary of your
11 educational background?
12 A I have a master or a bachelor's degree, a
13 Bachelor's in Science from San Diego State University.
14 Graduated summa cum laude. And a master's degree from
15 San Diego State University. Both of them are in
16 geological sciences.
17 Q Have you previously specified before the New
18 Mexico Oil Conservation Commission or Division?
19 A I have testified before the Division in
20 February of 2020.
21 Q Were your credentials accepted as a matter
22 of record --
23 A Yes, they were.
24 MR. DEBRINE: We would tender
25 Mr. Parizek as an expert in petroleum geology.

Page 125

<p>1 MR. FUGE: So tendered. 2 BY MR. DEBRINE: 3 Q Are you familiar with the applications that 4 Chevron filed in these two cases? 5 A Yes. 6 Q Are you familiar with the two saltwater 7 disposal wells that are the subject of the present 8 project? 9 A Yes. 10 Q Before we start reviewing the exhibits you 11 prepared as part of your study, if you could give the 12 Commission just a brief summary of what inquiry you 13 undertook and the subject of your testimony today? 14 A Yes, my testimony will be exploring in 15 further detail some of the case studies that were 16 identified in the map that was referenced I believe in 17 the opening statements regarding one of the products 18 of the 2016 work group that was taking place. 19 What I'm going to show is that several 20 observations of looking at watercut changes can be 21 explained in different ways by establishing some of 22 the understanding that we have developed with DMG and 23 fracture driven interactions between various ventures 24 within the Permian Basin. 25 With those learned, we can now apply those</p> <p style="text-align: right;">Page 126</p>	<p>1 of a locator map. And within that, there are sections 2 that are highlighted in purple or red. And those 3 sections represent areas that were suggested to have 4 had DMG interactions with underlying Avalon producers. 5 And the way that they're identified, if you 6 look at the circles, you'll see a larger light-colored 7 circle and kind of a smaller dark circle. Well, the 8 smaller dark circle represents a cumulative watercut 9 over the life of the producing well and the larger 10 light-colored circle would represent the last six 11 months' watercut. 12 And when you would see an increase in the 13 last six months' watercut over the lifetime watercut 14 of the well, that would indicate that that well is now 15 producing a higher watercut than it was historically, 16 suggesting that something has changed reading that -- 17 that production change. 18 Q So is it fair to say that your study was to 19 look into whether there were other potential causes to 20 explain the increased watercuts that were reported in 21 those case cuttings? 22 A It was -- it was part of the work that I've 23 done. And I'll show in future exhibits that we've 24 learned a lot about our development areas that are 25 located proximal to the example I've shown. And we</p> <p style="text-align: right;">Page 128</p>
<p>1 -- that same level of assessment back to those case 2 studies and potentially come up with different or more 3 -- more robust interpretations for the root cause. 4 MR. DEBRINE: And to the benefit of the 5 commissioners, the exhibits we're going to discuss 6 with Mr. Parizek start at page 109. If we can turn to 7 the first slide. 8 BY MR. DEBRINE: 9 Q Could you just briefly explain what this 10 slide represents and the work that went into it? 11 A Yes. This slide really the -- the core of 12 the slide is I want to demonstrate that watercut alone 13 is not a definitive test for salt water disposal's 14 interference of producing wells. 15 So just some of the background in going into 16 this. I mentioned the 2016 work group. That work 17 group shared observations of both Delaware Mountain 18 Group production wells and Avalon production wells 19 that were seeing increased watercut over time. 20 And on the map on the right side, I've got 21 a -- an example of what -- what those maps had looked 22 like that was within that slide deck. And that slide 23 deck is I believe Exhibit 8 in the -- the OCD's 24 exhibits. 25 But on that -- on that map, you'll see kind</p> <p style="text-align: right;">Page 127</p>	<p>1 would apply those learnings and revisit in some of 2 these cases and -- and come up with different, and I 3 would argue in my opinion, stronger hypotheses as to 4 what's going on with the watercut changes. 5 Q If you could turn to your next slide -- what 6 does this represent? 7 A The map shown on this exhibit represents a 8 locator map for the case studies that I had evaluated 9 as part of this assessment. And it's a subset of 10 them. Also shown on the -- they're represented by the 11 colored circles, and I'll describe those shortly. 12 Also shown on this map in stars, yellow star 13 represents a location of the Papa Squirrel saltwater 14 disposal well that's part of this case. And the blue 15 star on the left side of the map represents the 16 location of the Severitas 2 State SWD 1, also part of 17 this -- this case. 18 And the pink or purple polygons that are 19 scattered across this map represent locations or areas 20 that Chevron operates. 21 The colored circles shown on this map -- 22 I've got a legend off to the upper right. But the -- 23 the green circles represent an area where we've 24 identified Wolfcamp completions affecting the Avalon 25 and resulting in similar observations that we had seen</p> <p style="text-align: right;">Page 129</p>

<p>1 in the previous exhibit that I've shared regarding 2 Exhibit 8 that the OCD has entered. 3 The blue circles represent areas where 4 Chevron is operating Avalon wells either directly 5 under or adjacent to Delaware Mountain Group saltwater 6 disposal. And we are not seeing any impact from those 7 operations. 8 The red circle represents an area where 9 there is identifiable geologic features that trend 10 between Delaware Mountain Group injectors and Delaware 11 Mountain Group producers that may have a driver on why 12 some of the -- the potential communication was seen in 13 those areas. 14 And then lastly, the orange circles 15 represent areas where there are geologic features that 16 trend between Avalon producers and Delaware Mountain 17 Group saltwater disposal wells that again could -- it 18 may indicate why some of those observations were made. 19 Q Let's turn to the potential exhibits 20 prepared for inspection and study. The first one is 21 just identified in the next slide, "Wolfcamp 22 Completions Affect Avalon Production." Just the title 23 and the actual first exhibit representative of these 24 studies on page 112, "Wolfcamp Completions Result in 25 Avalon Production Interaction."</p> <p style="text-align: right;">Page 130</p>	<p>1 showing here is both oil production rate and the gas 2 oil -- producing gas-oil-ratios for a sample of the 3 Avalon producers on the northeast side of our Salado 4 Draw development area. 5 Q And what colors are represented in that 6 chart for each? 7 A The green circles represent the oil rate, 8 and the yellow circles represent the solution 9 gas-oil-ratio. What you'll observe on here as I 10 discuss is there's been relatively consistent or let 11 me say stable declines through the oil rate and 12 increases in gas-oil-ratio. What we observed at -- at 13 that time was increases in production. 14 If you'll look at where the vertical dash 15 black line is on that plot, and this is prior to us 16 really understanding what was going on. We started to 17 see significant increases in oil production and 18 significant decreases in gas-oil-ratio. 19 These Avalon wells are approximately 3,000 20 feet TBD shallower than our Wolfcamp pads. And at the 21 time of the study, we didn't have a precedent for -- 22 for Wolfcamp completions interacting with Avalon 23 wells. 24 So some of these, we took an investigation 25 to understand what was going on. We looked at</p> <p style="text-align: right;">Page 132</p>
<p>1 If you could explain for the Commission what 2 you did in your study and what's represented by this 3 exhibit? 4 A Yes. Chevron operates in the vicinity of 5 the Papa Squirrel saltwater disposal well we're 6 proposing. We operate several sections that are fully 7 developed with Avalon producers. And those Avalon 8 producers in the northern part of Salado Draw have 9 produced for three to four years from the time we 10 drill till the time I'm showing on this slide with 11 very stable production traits, very stable declines. 12 We've seen predictable gas -- through the 13 time, the life of those wells. And the only 14 particular upsets that we've seen with those well 15 during the production periods were when were 16 developing an offset add directly adjacent to those 17 wells. We would typically see fracture-driven 18 interactions that would result in a short-term 19 gas-oil-ratio trend change or increase in water 20 production. 21 So in roughly 2019 into 2020, we started to 22 see pretty significant changes in our -- our Avalon 23 wells. And -- and by changes I am referring to the 24 diagram that's on the right side of the -- the exhibit 25 here. If we look at -- at that diagram, what we're</p> <p style="text-align: right;">Page 131</p>	<p>1 facilities bottlenecking. We looked at a wide 2 spectrum of drivers, but the only one that really 3 correlated to what we've observed here were our 4 underlying Wolfcamp A fracs. And the -- and the frac 5 date is shown by that vertical dashed black line. So 6 that was our first -- our first indication that we had 7 an interaction. 8 Following that, I've got another diagram 9 here shown on the left -- the lower left corner of the 10 slide. Practically 3 miles west of -- of the first 11 example, we had another pad. This is our second pad 12 of Wolfcamp A wells that was being completed in the 13 area. And we observe again another interaction in 14 those Avalon wells that's highlighted here in the 15 lower left corner. 16 So let me describe what this chart 17 represents. I've got the time on the -- on the X axis 18 and on the Y axis of showing water rate shown in blue 19 and the gas-oil-ratio shown in black. We see a stable 20 decline in producing water rate, but up until the 21 first black line that's shown with a callout that says 22 "Avalon Frac Interaction Event." This was an offset 23 -- directly offset pad where we saw the completions 24 from that pad interacting with this particular well, 25 and the result was a drop in the producing GOR and an</p> <p style="text-align: right;">Page 133</p>

<p>1 increase in the water production.</p> <p>2 You'll see another stable decline from that</p> <p>3 first event down until the point where there's a</p> <p>4 vertical red solid line and then a second vertical</p> <p>5 dash line. What this window represents is the start</p> <p>6 to the end of the Wolfcamp A completion that was being</p> <p>7 conducted below the -- this Avalon well.</p> <p>8 So this is two examples. Following this, we</p> <p>9 had strong hypothesis that these Wolfcamp completions</p> <p>10 were interacting with Avalon. So we took a</p> <p>11 surveillance -- we conducted a surveillance study on a</p> <p>12 third pad where we showed it in two Avalon wells. We</p> <p>13 ran down whole memory pressure gauges.</p> <p>14 We conducted water samples from both the --</p> <p>15 predicted the Avalon well as a baseline. Collected</p> <p>16 water samples from an offset Wolfcamp pad as a</p> <p>17 baseline, and we took our water samples from our</p> <p>18 completions. And what we observed when that</p> <p>19 underlying Wolfcamp A well or the pad was completed,</p> <p>20 2,000-psi increase in one of our Avalon wells.</p> <p>21 We saw the water chemistry change from the</p> <p>22 time that -- from the time prior to the completion to</p> <p>23 during the completion and then reverted back to this</p> <p>24 baseline after the completion. So we -- we then had,</p> <p>25 again, more data now that supports this hypothesis</p> <p style="text-align: right;">Page 134</p>	<p>1 and the Y axis represents in blue, water rate; in red,</p> <p>2 gas rate; and in green, the oil rate. And you --</p> <p>3 looking at these I'll kind of walk through one of</p> <p>4 them.</p> <p>5 Looking at the one on the left, you'll see a</p> <p>6 very subtle increase around the -- the first callout</p> <p>7 that says "Avalon Frac," the left of the two. There's</p> <p>8 a small increase in the water change. And this</p> <p>9 represents the pad of Avalon wells that were completed</p> <p>10 two well spaces over from the -- the well that's shown</p> <p>11 here or two pad spaces over.</p> <p>12 The second Avalon frac callout represents an</p> <p>13 offset Avalon pad that was fracked. You'll see a more</p> <p>14 significant increase in water production, a drop in</p> <p>15 the producing -- in the gas production, and then an</p> <p>16 increase in oil production after the -- the well</p> <p>17 recovers from that frac-driven interaction.</p> <p>18 But we'll also refer to those as fracture</p> <p>19 stimulation interference, FSI or FDI. We're using</p> <p>20 those. I'm using those terms analogously.</p> <p>21 Q And you may have covered it, but which ones</p> <p>22 are you referring to when you're talking about water?</p> <p>23 I mean which color on the graphs?</p> <p>24 A The blue. So the water -- the water rate</p> <p>25 itself, the water production rate is blue. But when I</p> <p style="text-align: right;">Page 136</p>
<p>1 that our Wolfcamp wells were interacting with Avalon.</p> <p>2 Q Could you turn to your next exhibit on page</p> <p>3 113? It's talking about "Wolfcamp Completions Have</p> <p>4 Extended Periods of Water Influx in Nearby Avalon</p> <p>5 Wells." And what did you do for this study in order</p> <p>6 to reach these analysis and conclusions?</p> <p>7 A Yes. So I've got on the bottom righthand</p> <p>8 corner just a locator map showing the -- the</p> <p>9 development, the Salado Draw development area just in</p> <p>10 the vicinity of where we were observing these</p> <p>11 Wolfcamp A interactions with our Avalon wells.</p> <p>12 And highlighted in the blue rectangles, each</p> <p>13 of those blue rectangles represents an individual pad</p> <p>14 of Wolfcamp A wells where we have seen an interaction</p> <p>15 with the overlying Avalon wells. And the only reasons</p> <p>16 that -- that 13 and 24 aren't highlighted is that they</p> <p>17 were completed after I conducted his study. So I have</p> <p>18 not evaluated any -- whether those -- those pads have</p> <p>19 interacted with Avalon.</p> <p>20 At the top -- at the top half of this</p> <p>21 exhibit, I'm showing three different production plots.</p> <p>22 And this is again a sample of -- of Avalon wells from</p> <p>23 across our -- our field as -- as highlighted in the</p> <p>24 bottom right locator map.</p> <p>25 But on the spot, again, the X axis is timed,</p> <p style="text-align: right;">Page 135</p>	<p>1 refer to the water cut, what I'm observing is that the</p> <p>2 oil rate drops down to roughly the zero line as the</p> <p>3 water rate increases from the base line. So that</p> <p>4 would have indicated that the water cut's increasing</p> <p>5 at that point.</p> <p>6 So I've stepped through the two examples</p> <p>7 from Avalon fracs. Now I want to show that the</p> <p>8 Wolfcamp fracs are the next two vertical lines on this</p> <p>9 plot. And both of those -- the first Wolfcamp frac</p> <p>10 figurative interaction that we observe, we'll see an</p> <p>11 increase again in -- in the -- the water production</p> <p>12 rate in blue and the oil production rate in green.</p> <p>13 And again, that well recovers back to a baseline</p> <p>14 within about six months, just estimating based on</p> <p>15 the -- the graph.</p> <p>16 And then lastly, if you move over to roughly</p> <p>17 where it says Year 6, you'll see that -- that next</p> <p>18 Wolfcamp A completion that took place resulted in an</p> <p>19 increase in water production in this well. But this</p> <p>20 increase in water production rate is extended at least</p> <p>21 nine months based on the data that's shown on this</p> <p>22 plot.</p> <p>23 And that's really the key that I want to</p> <p>24 demonstrate with these plots here is if you look over</p> <p>25 to the middle plot where that Wolfcamp A frac is shown</p> <p style="text-align: right;">Page 137</p>

<p>1 around Year 5, you see that production upset or that 2 change in water production rate extends almost a year 3 on this plot to the end of the data. 4 And lastly, in the -- in the last example, 5 again, that -- that that water rate increases for 6 the -- the limit of the data that's shown on this 7 plot. 8 So the key to -- the key to what I'm showing 9 here is that the fracture-driven interactions or frac 10 interactions between completions and offset wells are 11 generally short term in duration, that these Wolfcamp 12 interactions that we've observed and kind of 13 established are hurting in our area can lead to 14 long-term changes in the -- the water production rate 15 for the -- the Avalon wells. 16 Q If you could turn to your next slide on 17 page 114. And what does this slide represent? 18 A This slide represents a reevaluation of one 19 of the case studies that -- that we had taken a look 20 at. And I want to draw attention to the locator map 21 on the left side. What's shown here in yellow 22 highlight on that locator map is the western extent of 23 our Salado Draw development area. And in the middle 24 of Section 21, and I've -- I've got a blue well stick 25 located. And that is the Avalon producer that we're</p> <p style="text-align: right;">Page 138</p>	<p>1 Section 16. In this example in the documents that 2 were shared in Exhibit 8, the -- the thought or the 3 hypothesis is that breakthrough occurred due to 4 increasing injection rate on that saltwater disposal 5 well, causing the increase in water production in that 6 well located in Section 21. 7 Given the learnings that we had in our 8 development area, I had taken the completion dates for 9 those third Bone Spring well and those Wolfcamp wells 10 and -- and overlay those onto that production file. 11 And what I've noticed is where that purple vertical 12 line is representing the date of the Wolfcamp A 13 completions, that's when we see the significance 14 change in water production on this particular well. 15 So while I'm not ruling out that the 16 saltwater disposal well may have been the driver in 17 it, my -- in my opinion, the Wolfcamp A completions is 18 likely a more robust or superior explanation of the -- 19 kind of the -- the two hypotheses that we're looking 20 at here. 21 Q If you could turn to your next exhibit on 22 page 115, "Wolfcamp completions impact Avalon 23 production." And what does this slide show? 24 A This is looking at -- looking at the locator 25 map on the left. We're looking at the same general</p> <p style="text-align: right;">Page 140</p>
<p>1 going to be looking at here in this example. 2 Q So this was multiple other case studies and 3 now Exhibit 8? 4 A This is -- that's correct. 5 Also shown on the map in Section 16 north of 6 Section 21 is a blue triangle in the southeast corner. 7 This represents the location of a Delaware Mountain 8 Group saltwater disposal well. And -- and that same 9 -- on the eastern side of Section 16, I've got two 10 well sticks that are difficult to discern. 11 But the callouts on the top represent those 12 being the locations of one-third Bone Spring well with 13 the completion date shown to be between May and June 14 of 2015. And a stack of three Wolfcamp wells with the 15 completions to be between July and August of 2015. 16 Looking at the -- the production on the 17 right side of -- of the X axis, we're looking at time. 18 And on the Y axis, we're looking at monthly volumes on 19 the logarithmic scale. Shown in blue on this plot is 20 the water production rate. Green is oil rate. Red is 21 the gas rate for the producer that I have called out 22 on Section 21. 23 Also shown on this plot is the injection 24 rate in monthly volumes again up for the saltwater 25 disposal well that's shown in the southeast corner of</p> <p style="text-align: right;">Page 139</p>	<p>1 area, but I've moved the subject well one well spacing 2 to the -- to the east of the -- the previous example. 3 Located in Section -- it's located roughly in the 4 center of Section 21. 5 Also in Section 21, there are two light blue 6 well sticks on the left side representing two Wolfcamp 7 A wells. There are four well sticks kind of in the 8 center of this section representing another set of 9 Wolfcamp A wells and set of purple or I guess purple 10 well sticks on the east side, again representing 11 Wolfcamp A wells. 12 So I've taken the completion dates for those 13 wells and overlaid those onto a production plot from 14 that particular well. And those are shown with the 15 vertical dash lines on the production plot on the 16 right side of this exhibit. 17 I want to note that this one is looking at 18 daily rate versus -- rather than monthly -- monthly 19 rate that we have seen on the last slide. So the 20 first pad of -- the first two Wolfcamp A completions 21 that took place don't show a -- a significant step 22 change. You could argue that the -- if you look at 23 the vertical blue dash line that there's a small 24 increase in water production. 25 But what I really want to call out on this</p> <p style="text-align: right;">Page 141</p>

1 example is that the two pad, the Wolfcamp A wells that
 2 are directly underlying that Avalon producer are
 3 plotted with a red dash line and a purple dash line.
 4 And this well sees a significant change in oil, gas,
 5 and water rate coincident with that -- with those
 6 completion dates.
 7 And this is similar to the example that I
 8 had shown in my previous exhibit. One -- on page 112,
 9 where we saw increased oil production following an
 10 underlying Wolfcamp A completion.
 11 Q So your bottom line including with respect
 12 to the analysis of the Wolfcamp and Bone Spring
 13 completions on oil and gas?
 14 A So the -- the key takeaway for my -- for
 15 this section is that the observations that we've seen
 16 in Exhibit 8 can have alternative -- alternative
 17 explanations. Chevron has consistently seen
 18 Wolfcamp A completions interacting with our Avalon
 19 wells in this particular section of Lea County.
 20 And again, the -- just looking at water cut
 21 alone in proximity to saltwater disposal wells, it
 22 is -- it is not conclusive in determining root cause.
 23 With the additional data we have, we really need to do
 24 more thorough examinations of -- to rule out which the
 25 leading hypothesis is.

Page 142

1 Q Let's turn to the next aspect of your study,
 2 which begins on page 116, looking at whether Avalon
 3 wells were affected by DMG disposal. And the first
 4 substantive slide is on page 117. If you could
 5 explain to the Commission what we're looking at here
 6 and what conclusions were reached.
 7 A Yes. This example is in a location that's
 8 similar to I believe Exhibit 7 that the -- the OCD has
 9 submitted. And this is an -- an area where in 2014
 10 and into 2015, the Bran SWD 1 and the Heavy Metal 12 1
 11 were two open-hole saltwater disposal wells.
 12 And the operator of the -- the green well
 13 sticks that were shown on this map where it says "DMG
 14 producers," I noted an increase in water production
 15 and reached out to the operator of those -- those two
 16 saltwater disposal wells, showed them the -- the
 17 observations that they had, and they came to an
 18 agreement that -- that they were going to shut those
 19 wells in due to suspected communication.
 20 Q If you could just identify the location of
 21 those two wells that you managed to modify on the map?
 22 A Those two wells are indicated by a blue
 23 circle with a cross in the middle of it.
 24 Also shown on this map are two other just
 25 open circles, smaller circles. And those represent

Page 143

1 two others, the Delaware Mountain Group saltwater
 2 disposal wells. One of them was -- one of the SDS 11
 3 Fed 1 was injecting into only the -- the Bell Canyon.
 4 Lotos 11 Fed 2 was injecting into the Bell Canyon and
 5 Cherry Canyon.
 6 But the -- really the key that I want to
 7 demonstrate here is despite the potential
 8 communication between the -- the two saltwater
 9 disposal wells over to those Delaware Mountain Group
 10 producers, Chevron operates Avalon wells that are
 11 underlying or between those two locations shown by the
 12 -- the DMG wells and the saltwater disposal wells.
 13 And we had not seen any indication of water and influx
 14 or abnormal production from those underlying Avalon
 15 wells.
 16 Q Where are the Avalon wells shown on the map?
 17 A They're shown by the tan or pink color
 18 that's in the tan polygon representing the development
 19 area.
 20 Q If you could turn to the next slide on
 21 page 118 and explain what your study looked at here
 22 and the conclusions that you reached.
 23 A This -- this study demonstrates again what
 24 I'm going to highlight on the locator map shown on the
 25 bottom right of the -- of the slide with a blue --

Page 144

1 what we're looking at here is our -- again, our
 2 Chevron Salado Draw development area, the wells that
 3 are showing up on the map in Sections 15, 14, 13, 18,
 4 19, 24, 23.
 5 These are Avalon producers within that area.
 6 The northeast corner of our development area is a
 7 saltwater disposal well that was completed in the Bell
 8 Canyon and the Cherry Canyon.
 9 Q And just to clarify, Chevron's Avalon
 10 producers here are in a different area than what we
 11 looked at in the prior exhibit?
 12 A Correct. This is -- this is south of that
 13 prior exhibit.
 14 Also on this map is a -- is a SHMax
 15 orientation. This -- this is the maximum horizontal
 16 stress direction. And it was derived from image --
 17 image logs looking at four-hole breakouts as well as
 18 micro-seismic that was conducted in Sections 18 and 19
 19 on this -- on this map.
 20 But what I'm going to demonstrate here is
 21 that that saltwater disposal well was active from the
 22 time that we drilled those wells all the way to
 23 February of 2019. And we were on strike to that SHMax
 24 orientation of that well, and we did not see any
 25 indication of production change over the course of

Page 145

1 that time aside from the known completions that we had
2 in the Avalon wells that are called out on the
3 production plot that's shown on the left side here.
4 Q You said it runs; correct?
5 A Yes. What I mean by that is if you take the
6 SHMAX orientation from the -- and lay -- overlay it on
7 the saltwater disposal well, that orientation
8 direction points directly into our Avalon wells.
9 Q So the conclusion you've reached is
10 demonstrated by the slide as well?
11 A In part. The other -- the other point that
12 I want to make regarding this -- this area is that
13 these wells produced roughly a 50 percent water cut
14 over their -- over their well life up until we started
15 to see interactions with the Wolfcamp completions. We
16 were able to draw down.
17 We conducted a -- a pressure study in
18 Sections 18 and 19. We were able to draw down
19 bottomhole pressures to where we cut -- conducted
20 those pressure surveys. We were seeing 500 psi to 800
21 psi on those surveys. And over the course of that --
22 that time when that well was actively injecting, we
23 didn't see any indication of a water pressure change.
24 Q Let's take a look at the next aspect of your
25 study when you looked at possible causes of faulting

Page 146

1 or the lineaments that begins on page 119 and then for
2 subsequent slides on page 120. If you could explain
3 to the Commission the work you did here and what the
4 slide demonstrates.
5 A So now -- now we -- I've stepped back up to
6 the previous example that I've shown where our Avalon
7 wells do not interact with overlying and offset
8 saltwater disposal in the Delaware Mountain Group.
9 But we're -- we're focused now on the Delaware
10 Mountain Group producers in relation to the Delaware
11 Mountain Group injectors that are -- that are shown on
12 this map on the right with the DMG producers being in
13 green, DMG injectors being in blue.
14 Q This is again looking at those wells
15 depicted on Exhibit 11 -- or 7, I mean?
16 A That is correct.
17 On the -- the well that has a callout
18 labeled PLU 401H, I've got a pink dot that indicates
19 where on a pressure -- I'm sorry -- production logging
20 tool. Basically a production log that was run on that
21 well. They observed 1,520 barrels of water coming in
22 at one perforation cluster. That point on this well
23 represents that inflow point.
24 We had a, as Tom mentioned, our geophysicist
25 map out and look for potential faults, potential

Page 147

1 lineaments in our different development areas. And
2 not being aware of this particular case study, I took
3 the work that that geophysicist had done, and I
4 integrated it into this example.
5 And on that map shown in green represent a
6 potential lineament that was -- that was mapped out
7 from seismic. And the location of that lineament
8 trends between the -- the heavy metal well, the Bran
9 well. And the projection of that extends through
10 where you see that PLT inflow point on that 401H
11 producer.
12 Q So you're talking about the green diagonal
13 line that runs from the southwest to the northeast?
14 A That -- that's correct. And the
15 significance of that with regard to the SHMAX
16 orientation that's shown with the double red arrow on
17 the -- the bottom of the slide here is that a -- you
18 know, any kind of fracture, lineament, fault, anything
19 that's oriented parallel to the SHMAX direction is
20 going to be under an -- an opening mode or it's going
21 to be in an orientation.
22 I would enhance or enable potential fluid
23 migration through it versus an -- an orientation such
24 as shown on the bottom of this slide. I guess there's
25 two -- there's two little cartoons on the bottom of

Page 148

1 the slide.
2 The one on the left would represent an
3 orientation of the lineament relative to the -- the
4 SHMAX and SHMIN. That would give the opening mode.
5 The one on the right shows that that lineament is now
6 perpendicular to SHMAX, so it would be under an
7 orientation that would be preferentially closed or
8 restricted fluid movement.
9 But having lineaments, faults, any kind of
10 feature like that in the vicinity of the injection
11 would be unfavorable. And this is a potential
12 explanation as to why that -- that area has reserved
13 the effects that were -- that were noted in here.
14 Q So is it fair to say that your conclusion as
15 to the lineament is a possible pathway for the
16 migration of fluids were observed?
17 A That's correct.
18 Q If you could turn to your next slide on
19 page 121, this looks like a little bit deeper analysis
20 of the same issue.
21 A That's correct.
22 So what I want to first call out is the
23 locator map that's shown on the left side of this
24 slide here. The blue box on that locator map
25 represents generally the general area that we're

Page 149

<p>1 looking at with this particular example. Looking at 2 the -- the larger map in the center of the exhibit, 3 there are several different colored lines here. And I 4 want to describe what those are.</p> <p>5 First are the green -- there's a green well 6 location, a green well stick on the southern part or 7 the -- the lower half of this map. That represents a 8 well that was included in the case study. I believe 9 that was Exhibit 8 as a well that had watered out or 10 seen an increase in water production.</p> <p>11 As part of the review of that case study, I 12 did not observe any offset Wolfcamp A or Avalon or 13 Bone Spring completions that occurred around the time 14 of that well. Seeing increased water production, so 15 we were able to exclude that as a potential driver.</p> <p>16 But the -- on the right side of the map 17 there are two triangles that represent the locations 18 of two Delaware Mountain Group producer injectors that 19 were completed in the Cherry Canyon and in the Brushy 20 Canyon. Those were thought to be the potential driver 21 to the -- the events that were observed and the vents 22 being the increased water production in the -- in the 23 Avalon well that's shown on the -- the map here.</p> <p>24 I again integrated the work of our 25 geophysics team. The blue lines on the map</p> <p style="text-align: right;">Page 150</p>	<p>1 A Yes. This -- this study went to evaluate 2 the -- the strength or the ability of the Bone Spring 3 Lime to prevent fracture growth from Avalon producers 4 up through it. So one of the hypotheses that we 5 identified early on is that these Avalon wells are 6 potentially seeing water production -- production 7 higher than -- than expected because they were 8 breaching through the Bone Spring Lime.</p> <p>9 So I've got a -- a map on the lower left 10 side here, a map showing the Bone Spring Lime gross 11 interval thickness. And this area covers the New 12 Mexico portion of the Delaware Basin. Also on the 13 slide is the Delaware Mountain Group risk area 14 outline, but it's truncated at the Texas-New Mexico 15 border, and that's shown in black.</p> <p>16 There's a yellow star near the -- near the 17 Texas-New Mexico border that represents the Madera 18 Malcolm R ET 1 well. And the significance of this 19 well is that in evaluating the Bone Spring Lime 20 throughout this area, the -- although the gross 21 thickness was roughly 30 feet thick, the net carbonate 22 thickness within this well was -- was only 23 representative of two beds that were approximately 24 8 feet thick. So this was a pessimistic case showing 25 the thin or low side case for what the Bone Spring</p> <p style="text-align: right;">Page 152</p>
<p>1 represent -- these are deep Woodford or deeper faults. 2 And you'll notice that there's one that trends 3 southwest/northeast across this map. And the -- the 4 red lines indicate -- the red lines indicate a 5 potential Delaware Mountain Group lineaments that the 6 geophysicist had identified in that seismic volume.</p> <p>7 And what I want to note here is two things. 8 The first is that the DMG lineaments are roughly 9 parallel to the deep faults that we -- that are 10 interpreted in the area. And both of those are 11 parallel or sub-parallel to the SHMax orientation 12 here.</p> <p>13 So again, this is a potential geologic 14 control on why two saltwater disposal wells could 15 potentially interact with the producing well that's 16 over four miles away. So you know, looking at it from 17 an interpretation standpoint, this would be an 18 unfavorable location group to -- to put it in 19 saltwater disposal wells.</p> <p>20 Q Did you also take a step in regard to the 21 lower containment for detecting influx?</p> <p>22 A Yes.</p> <p>23 Q And that begins on page 122, with a 24 supplement slide on page 123 where you analyze the 25 Bone Spring Lime thickness across the basin?</p> <p style="text-align: right;">Page 151</p>	<p>1 Lime thickness would be at the area.</p> <p>2 Lastly, on the -- on the map shown on the 3 left side, I've got the -- the starred locations in 4 orange of the Papa Squirrel, the Severitas wells. And 5 in white are callouts showing the -- the thickness of 6 the Bone Spring Lime at 42 feet at the Papa Squirrel 7 and 87 feet thick at -- at the Severitas location.</p> <p>8 Q And what does it show on the right?</p> <p>9 A On the right is the -- showing the log on 10 the Madera Malcolm, the well that I had mentioned 11 previously. And we're looking at -- in a -- in terms 12 of the tracks, the first track is the gamma ray. Then 13 you'll see the depth track with depth indicated in 14 both TBD and TBD sub C.</p> <p>15 The -- the next log frac is the resistivity, 16 and there is ferocity along with the PE, 17 photoelectric. And then lastly is just a lithology, - 18 - lithology on the -- the right track.</p> <p>19 Q If you could turn to your next slide on 20 page 124 where you dug deeper with regard to the Bone 21 Spring Lime being breached?</p> <p>22 A Yes.</p> <p>23 Q And what are you showing here?</p> <p>24 A What's showing here was a -- a modeling 25 exercise that had taken place to understand whether</p> <p style="text-align: right;">Page 153</p>

<p>1 our baseline Avalon completions could potentially 2 breach through the Bone Spring Lime at this location. 3 So what was done is we took the base case completion 4 with slurry volume per cluster basis and started out 5 with 69,000 gallons per cluster. 6 We also studied sensitivities of 79,000 7 gallons per cluster and 91,000 gallons per cluster. 8 And in doing that, we were looking at the potential 9 that you weren't seeing the great cluster efficiency, 10 meaning that not all the clusters were receiving 11 fluid. 12 And in all three of those scenarios, we did 13 not observe the Bone Spring Lime. Or let me, well, 14 rephrase. We did not observe the -- the Avalon 15 completions propagating up through the Bone Spring 16 Lime. But we also undertook a study to understand 17 what it would take. 18 So we -- we increased the -- the volumes 19 for -- of it -- volume per cluster basis. And it took 20 over 109,000 gallons per cluster in order to start to 21 breach the 8-foot-thick Bone Spring Lime. But I want 22 to emphasize that over our development area and over 23 the -- the locations of our saltwater disposal wells 24 that the Bone Spring Lime is significantly thicker 25 than this.</p> <p style="text-align: right;">Page 154</p>	<p>1 Exhibit 8 from the OCD map in the previous study. 2 We have two cases of complete development 3 areas where we're able to produce our Avalon wells in 4 proximity to Delaware Mountain Group injection without 5 seeing indications of communication. 6 When the SHMax orientation of features such 7 as lineaments or faults is parallel to the -- when the 8 strikes of the lineaments or fault are parallel to 9 SHMax, those locations are -- that orientation's 10 potentially enabling to fluid migration through them 11 as opposed to when they're orthogonal to SHMax or 12 perpendicular to it where the -- the lineament will be 13 under enclosing mode. 14 Q And Chevron analyzed the areas around the 15 two wells that are the subject of the pilot project to 16 determine if they're lineaments? 17 A They have investigated it, and they have not 18 any evidence within 2 miles of the locations. 19 Q And finally, what does the -- 20 A In conclusion, the -- the Bone Spring Lime 21 is -- is not being breached during Avalon completions. 22 And the saltwater disposal wells are operating in a 23 manner not to frac the reservoir. Whereas our Avalon 24 completion is the intent of those was to break down 25 the reservoir. So we were trying to stimulate frac of</p> <p style="text-align: right;">Page 156</p>
<p>1 And then one final note. You know, this is 2 a model, so we want to calibrate it to field data. 3 And as I mentioned previously, we were able to draw 4 down our Avalon wells to less than a thousand psi 5 bottomhole pressure, which suggests to us that we are 6 not seeing influx of water from the overlying Delaware 7 Mountain Group, meaning that those completions did not 8 breach through the -- the Bone Spring Lime. 9 Q Can you turn to the next slide, which is 10 just a summary of your conclusions? If you can go 11 through them and express your opinions based on your 12 study? 13 A Yes. To summarize, you know, looking at -- 14 looking back at the case studies that were shared, I 15 -- it's shown that water cut can have multiple drivers 16 in unconventional wells. And really, we need data and 17 we need to do more exhaustive analyses on these case 18 studies to identify what the root cause is just 19 because water cut alone in proximity to saltwater 20 disposal is not a conclusion of interference. 21 We've seen consistently within our 22 development area in South Lea County that we've had 23 Wolfcamp completions interacting with Avalon wells. 24 And often the response that we see those Avalon wells 25 is -- the observation is similar to what was noted in</p> <p style="text-align: right;">Page 155</p>	<p>1 the -- the reservoir below them, and we were not 2 breaching through the Bone Spring Lime. 3 Q In your opinion, will the Chevron wells that 4 were subject to the pilot project negatively impact 5 DMG existing or future projects in the area? 6 A No. 7 Q In your opinion will the Chevron wells 8 negatively impact Avalon's wellspring production into 9 the area? 10 A No. 11 Q In your opinion will the wells actively 12 impact relevant rights of producers of Avalon or Bone 13 Spring or DMG? 14 A No. 15 Q Were the exhibits we discussed today 16 prepared by your or under your direction? 17 A Yes. 18 MR. DEBRINE: We would move the 19 admission of Exhibits I believe it's 109 through 123. 20 MR. FUGE: Any objections? 21 MR. TREMAINE: Yes, Mr. Chair. Thank 22 you. 23 MR. FUGE: Any objections? 24 Exhibits have been admitted. 25 //</p> <p style="text-align: right;">Page 157</p>

1 (Exhibits 109 through Exhibit 123 were
2 marked for identification and admitted
3 into evidence.)
4 MR. FUGE: Mr. Tremaine?
5 MR. TREMAINE: Making sure I understand
6 the formulation of the questions.
7 EXAMINATION
8 BY MR. TREMAINE:
9 Q We're going back to slide 120. This is a
10 clarifying question. What is the distance between the
11 injection wells that you're referring to and the
12 producing wells that were affected on the slide?
13 A Approximately two and a half miles.
14 Q And I want to make sure I'm understanding
15 the summary of your presentation here. Is it
16 Chevron's conclusion that the Wolfcamp wells are
17 communicating with Avalon producing wells?
18 A They are. That is our conclusion, yes.
19 Q And can you speak to whether that
20 communication is negatively affecting or damaging
21 production in those Avalon wells?
22 A We have seen cases where it has -- where it
23 has taken longer to recover in those wells. I can't
24 speak to the -- the economic value of that.
25 Q And is my understanding also true that you

Page 158

1 cannot eliminate the Mesquite well SWD wells as the
2 source of the interference for the wells?
3 A No, I'm not. I'm not suggesting that
4 they're not.
5 Q In the area where the observed influence for
6 the Wolfcamp completion was observed in the Avalon,
7 were there any similar observations in the Bone Spring
8 horizontal wells and the Avalon and Wolfcamp?
9 A I have not investigated that in that area.
10 MR. TREMAINE: No further questions.
11 MR. FUGE: Ms. Hardy, any questions?
12 MS. HARDY: I do have some questions.
13 Thank you.
14 EXAMINATION
15 BY MS. HARDY:
16 Q Good afternoon. I've got a few questions
17 for you, and I'm going to be jumping around a little
18 bit here. If you can look at page 110 of the
19 application file.
20 A Yes.
21 Q So it looks like this exhibit addresses or
22 references six case studies; is that right?
23 A Yes.
24 Q And then the writeup within the subsequent
25 exhibits I only see five.

Page 159

1 A Yeah.
2 Q Is there still -- what is happening with the
3 sixth case study?
4 A Yeah. The sixth case is the orange circle
5 that's shown on the -- near the state line on this
6 map. And it's -- it represents the area where Chevron
7 drilled eight Avalon wells, and since the beginning of
8 those wells, they've seen high watercut and high
9 pressure.
10 Across the state line -- difficult to
11 explain. I guess across the state line and one
12 section to the west, so approximately 1 mile to the
13 southwest of that location, there is a saltwater
14 disposal well that's completed in the -- in the
15 Delaware Mountain Group.
16 We identified between that saltwater
17 disposal well and our Avalon wells some potential
18 localized faulting. And it's our -- it's our leading
19 hypothesis that those wells are being influenced by
20 saltwater disposal in that -- in that area. But
21 that's the last case. I did not have an exhibit on it
22 and did not discuss it.
23 Q And what's the current production status for
24 the Avalon wells included in this case study?
25 A I don't know the current status of the

Page 160

1 wells.
2 Q You can -- what is the approximate vertical
3 separation between the Wolfcamp and the Avalon shale?
4 A 3,000 feet.
5 Q And what do you think is the mechanism or
6 the pathway that is allowing Wolfcamp fracs to
7 communicate with Avalon?
8 A I don't know. But -- but the hypothesis is
9 either existing potential -- existing open networks or
10 the stimulation networks. But we -- we do not think
11 that we are propagating the Wolfcamp fractures up all
12 the way to the Avalon.
13 Q Is the frac being comprised or vertically
14 through the pole rod section or is the communication
15 occurring through natural fractures or faults?
16 A I think that's what I answered in the last
17 question.
18 Q Those are that it's growing vertically
19 through the?
20 A Oh, we don't -- we don't believe that it's
21 growing vertically 3,000 feet.
22 Q You don't know. Have you checked the oil
23 gravity to determine whether it's changed?
24 A We have not.
25 Q And let's see the next slide. Can you look

Page 161

1 at Slide 113? And there are three production rate
2 versus time lapse on this page; correct?
3 A Yes.
4 Q And are these composite graphs for all of
5 the Avalon well drilled in a path?
6 A These are not. These -- these represent a
7 sample of wells primarily taken from the -- the east
8 side of the -- of the Salado Draw development area, so
9 Sections 18 and 19.
10 Q And what are the dates for the data that's
11 shown on these graphs?
12 A The dates indicate -- I don't have the --
13 the dates listed on here but these represent from the
14 start of the well shown on the left side of the data
15 all the way through just the years I've shown on here.
16 Q So you don't have an idea or you don't know
17 what the timeframes were?
18 A Roughly 216 would -- would be the start of
19 the plots, the times on here.
20 Q And were any of these sections at least
21 including the original production areas caused by DMG
22 injections?
23 A Can you rephrase the question?
24 Q Yeah. Were any of these sections included
25 in the original production areas that were influenced

Page 162

1 by DMG injection?
2 A Not sure I understand the question.
3 Q Let me ask this. Did the other Avalon pad
4 show similar production performance or are there some
5 that are showing water influx?
6 A Yes. The -- the paths that are shown on the
7 -- the map on Exhibit 113 showed stable production.
8 The -- the two sections that I've noted in that case
9 study in sections 29 and 32 that are cropped off on
10 this map are the wells that have showed increased
11 influx from these early production wells.
12 Q So back on page 112, the exhibit indicates
13 that Chevron observed significant production changes
14 in Avalon wells overlying Wolfcamp A fracs; right?
15 A Overlying and your -- directly overlying and
16 in proximity to the pad. So it did not have to be
17 directly underlying the -- the Avalon wells impactor
18 did not need to be directly overlying the Wolfcamp
19 fracs. So even if there were a couple well spacings
20 offset, we still would see the -- the influence of
21 them.
22 Q And then on page 114, are you attributing
23 the watering out of the Section 21 Avalon well to
24 fracs that were completed approximately a half-mile
25 away?

Page 163

1 A That -- that's the best bit of data we have,
2 so we're looking at the fracs that are roughly a
3 half-mile away, but we're also looking at the
4 saltwater disposal well to that same distance and
5 spacing where the Wolfcamp wells were, again,
6 intentionally trying to break -- break down the rock,
7 whereas the saltwater disposal well was -- was not.
8 It was supposed to be injected under a frac gradient.
9 So that's the conclusion that we lead to is that the
10 Wolfcamp completions that are a -- a superior
11 hypothesis.
12 Q And the Wolfcamp completions are several
13 thousand feet deeper; correct?
14 A That's correct.
15 Q What typical half fracked length does
16 Chevron target?
17 A I don't know.
18 Q Do you have any examples in this
19 presentation where Chevron has performed targeted
20 surveillance and Wolfcamp frac water traveled over a
21 half-mile?
22 A Not in this presentation, no.
23 Q And has Chevron done that analysis other
24 than in this presentation?
25 A Can you rephrase the question?

Page 164

1 Q Sure.
2 A Or restate that.
3 Q Sure. Has Chevron performed targeted
4 surveillance of the Wolfcamp frac that has shown the
5 Wolfcamp frac water has traveled over a half-mile?
6 A We have vertically. So we have seen
7 indications -- it's not conclusive, but we have seen
8 indications where a Wolfcamp to Avalon water mixing
9 relationship is a valid solution to the observations
10 that we have.
11 Q That's vertical?
12 A That's vertical.
13 Q But not horizontal?
14 A Not that I'm aware of. No.
15 Q Do you have the 3D seismic in this area?
16 A We do.
17 Q And have you been able to determine the
18 location or trend of these fractures or faults that
19 are allowing this fracture stimulation's appearance?
20 A Not in -- not in the vicinity of this area,
21 no.
22 Q If you'll look at page 118 please. And this
23 is a production rate versus time graph; correct?
24 A Yes.
25 Q And is this plot a single Avalon well?

Page 165

1 A This is, yes.
2 Q And where is the well located?
3 A Roughly in the center of Section 18.
4 Q And the data on the graph ends in late 2021;
5 is that correct?
6 A That's correct.
7 Q Has there been any change in the production
8 performance of this well since then?
9 A There has, yes.
10 Q And what has that shown?
11 A That's shown a Wolfcamp completion that
12 was -- there was two paths of Wolfcamp wells that were
13 completed on the west half of Sections 18 and 19. And
14 this well has seen a response to that frac gradient
15 interaction in both wells. And I believe that this
16 well is actually one of the examples shown on another
17 exhibit that has all this data.
18 Q And on the lower right side, the Mesa B SWD
19 is highlighted; correct?
20 A Yes.
21 Q And is that a DMG SWD?
22 A It is.
23 Q And do you have any information about the
24 history of that well?
25 A Other than what's located on the or

Page 166

1 indicated on the slides, that's the -- the history
2 that I have on it.
3 Q If you can please look at page 124.
4 Actually, sorry, 121. What is the name of the well
5 that is labeled 24/8/2011? Sort of the lower part of
6 the --
7 A I -- I do not recall. And that -- that date
8 represents the completion date for that well.
9 Q And do you know what zone that well is
10 completed in?
11 A I believe it's Avalon.
12 Q What's the significance of these DMG
13 lineaments that are shown on this exhibit?
14 A That it could -- that the orientation of
15 those lineaments is parallel to the SHMax orientation
16 and that they trend between the disposal wells and
17 the -- the producer that's shown on the map.
18 Q Do they provide a vertical connection
19 between different layers?
20 A We don't know.
21 Q On which path does Chevron believe the water
22 moved between the SWDs and the producer?
23 A One hypothesis is since these lineaments are
24 parallel to the deep basement faults that are shown
25 here is that potential movement or even minor movement

Page 167

1 of those -- those features could reach through the
2 Bone Spring Lime providing a conduit. We don't have
3 data that -- to support those hypotheses.
4 Q Were the two DMG SWDs shown on this exhibit
5 good disposal wells?
6 A I don't know the -- the rates that went into
7 those wells.
8 Q Does Chevron believe there could be a
9 correlation between the presence of faults and
10 injectivity?
11 A I wouldn't be able to answer that. I don't
12 have the background in that. It's not my area of
13 expertise.
14 Q Let's look at page 124. And you indicated
15 earlier in your testimony that your frac predictions
16 were based on the models; is that correct?
17 A In part, yes. They were -- the modeling was
18 a test. Yes.
19 Q And can you confirm that you won't be able
20 to predict the shape of the actual fracs until the
21 models are calibrated?
22 A The -- the frac model, the, like, details of
23 the frac models, Cody Comiskey will be able to answer
24 some of those.
25 Q Did Chevron run micro-seismic in this area?

Page 168

1 A Yes.
2 Q Did that analysis agree with your simulation
3 results?
4 A It did.
5 MS. HARDY: Those are all of my
6 questions. Thank you.
7 MR. FUGE: Dr. Ampomah?
8 DR. AMPOMAH: Thank you, Chair. I do
9 have some few questions.
10 So beyond the tunnel fracture model
11 that you did, has there been any actual -- done to
12 test some of these hypotheses?
13 MR. PARIZEK: We -- not to my
14 knowledge.
15 DR. AMPOMAH: And is there any plans?
16 MR. PARIZEK: To -- there may be. And
17 perhaps one of the other witnesses can discuss that.
18 I'm not aware of what the entirety is of what 25 folks
19 did, but I don't know the answer to that.
20 DR. AMPOMAH: Someone needs how do I
21 put this? Based on the testimony it's more like some
22 of them are still inconclusive.
23 MR. PARIZEK: In -- I think that's a
24 great question and part of the basis of our pilot is
25 to collect the data in order to really rule out and

Page 169

1 understand what the root causes are so we're not in a
 2 situation where we have multiple working hypotheses
 3 but no way to test them.
 4 DR. AMPOMAH: So what about the trace
 5 test?
 6 MR. PARIZEK: That's -- that's a key
 7 part of surveillance. However, it's difficult to
 8 convince an operator of a saltwater disposal well to
 9 run a tracer in their well when it may prove that that
 10 well connects to one of your producers. So having an
 11 operator operate the saltwater disposal and the
 12 producer, it helps to test those types of scenarios.
 13 DR. AMPOMAH: And I know that's
 14 something that you want to do as part of the pilot
 15 program.
 16 MR. PARIZEK: Yes. And we discussed by
 17 another witness, but that is part of our results, yes,
 18 is that.
 19 DR. AMPOMAH: So the Avalon and the
 20 Wolfcamp, these are open and producing results; right?
 21 MR. PARIZEK: That's correct.
 22 DR. AMPOMAH: So where is the water
 23 coming from?
 24 MR. PARIZEK: We -- we don't have a
 25 conclusive answer to that, where that water is coming

Page 170

1 from. We've seen -- well, what we have seen with the
 2 -- the surveillance that we have done is that we -- in
 3 the east half of the field, we have seen a valid
 4 mixing relationship between Wolfcamp water and Avalon
 5 water, meaning that multiple constituents show an
 6 increase in -- in enrichment. And in the west half of
 7 the field, we've seen a valid mixing relationship
 8 between frac water and Avalon water, suggesting that
 9 we were seeing migrated frac fluid up.
 10 But again, we don't have water samples
 11 for all of the different benches, so we don't know
 12 whether that's potentially coming from another bench
 13 that we don't have to sample for. But we -- again,
 14 valid mixing relationships in those cases.
 15 DR. AMPOMAH: So let me ask you this on
 16 your experience in this area. Why does it take
 17 induction rates for -- in this area?
 18 MR. PARIZEK: The only example that I
 19 have knowledge of is the one that I shared on --
 20 DR. AMPOMAH: [Unintelligible response]
 21 MR. PARIZEK: Yes. I believe it --
 22 that is --
 23 DR. AMPOMAH: 118?
 24 MR. PARIZEK: 118. That -- the typical
 25 rate for that well is between 2,000 and 4,000 barrels

Page 171

1 per day.
 2 DR. AMPOMAH: So is it a general
 3 representation of the typical rates in this area?
 4 MR. PARIZEK: In New Mexico, that's the
 5 example. Across the state line, approximately half a
 6 mile south of the state line, there is a well that has
 7 injected -- I want to say to the best of my knowledge
 8 over 10,000 barrels a day, potentially higher.
 9 DR. AMPOMAH: So you talk about a
 10 geological feature like the lineament or send out
 11 potential communication, so have those been marked,
 12 you know, in this area, especially where you are,
 13 because of the pilot?
 14 MR. PARIZEK: It has. The geophysicist
 15 has gone in investigation for DMG lineaments kind of
 16 mapping the way that they had done in the other
 17 examples that I have shown. And they have not
 18 identified any within 2 miles.
 19 DR. AMPOMAH: And I just want to
 20 confirm. So you showed the thin thickness of the Bone
 21 Spring Lime. So I just want to confirm that in your
 22 area it's much thicker than in that 8?
 23 MR. PARIZEK: That's correct. So that
 24 -- that map shown -- shown on Exhibit 123 or page 123,
 25 that well is located both outside of development area,

Page 172

1 the Salado Draw, and across the Texas state line. So
 2 it's outside of where we're going to be operating or
 3 potentially operating these two wells. At the
 4 locations of the wells noted it's 42 feet thick at
 5 Papa Squirrel and 87 feet thick at Severitas.
 6 DR. AMPOMAH: Are there any extra
 7 fractures in this area that you're aware of?
 8 MR. PARIZEK: That --
 9 DR. AMPOMAH: Multiple fractures?
 10 MR. PARIZEK: In the -- in the Bone
 11 Spring Lime?
 12 DR. AMPOMAH: In the Bone Spring. Also
 13 the Brushy Canyon, and also the actual injection zones
 14 that you target?
 15 MR. PARIZEK: Not that I'm aware of.
 16 DR. AMPOMAH: So you don't believe --
 17 could there be a possibility that there could be an
 18 existent fracture is causing some of the
 19 communications?
 20 MR. PARIZEK: The -- the image logs
 21 that have been acquired over the area generally show
 22 -- and I'm speaking just in general in the Permian
 23 that the vast majority of fractures are -- are healed
 24 or sealed.
 25 DR. AMPOMAH: So there's no need to get

Page 173

1 a --
2 MR. PARIZEK: The -- I think it would
3 be -- I don't -- I don't know the answer to that.
4 DR. AMPOMAH: -- Thank you.
5 MR. PARIZEK: Thank you.
6 MR. FUGE: Mr. Bloom?
7 MR. BLOOM: No questions. Ms. Hardy
8 and Dr. Ampomah asked my questions there. Thank you.
9 MR. FUGE: I just had one, and it goes
10 back to your testimony. 2016, if I was understanding
11 it correctly, you referred to re-looking at some of
12 the case studies there that the operator group came up
13 with. And at the time they'd attributed to SWD. But
14 in looking at it more closely, you know, it at least
15 equally attributed in your testimony of kind of the
16 Wolfcamp A completion.
17 Why wasn't some of that analysis
18 done in 2016? Was the data not available? I'm just
19 curious of the change in sort of the conclusions and
20 the source.
21 MR. PARIZEK: I -- I wasn't part of the
22 work group in 2016. But I will -- I would suspect
23 that seeing Wolfcamp fractured interactions with
24 Avalon was probably something that they weren't
25 considering at that time. And having experienced that

Page 174

1 in our area, that's what prompted us to -- to revisit
2 that.
3 And in fact, when I started out here in
4 the Permian Basin, that was -- you know, that study
5 was kind of a foundation that -- that I use in
6 evaluating Solada Draw area in general. And when we
7 started to see the -- the production changes in our
8 Avalon wells around the time that we were completing
9 the Wolfcamp fracs, we did test water and we were
10 seeing different water chemistry that we had observed
11 in the wells that we suspected to be watered out by
12 the DMG.
13 So that suggested to us that that SWD
14 to Avalon model wasn't an explanation for what we were
15 observing and caused us to -- to investigate other --
16 other causes being built at Wolfcamp A.
17 MR. FUGE: No further questions.
18 MS. HARDY: Mr. Chair?
19 MR. FUGE: Yes, I'm sorry.
20 MS. HARDY: I apologize. Would it be
21 possible for me to ask a couple more questions
22 following Dr. Ampomah's questions?
23 MR. FUGE: Yeah, that's fine.
24 MS. HARDY: Thank you. I'll be quick.
25 //

Page 175

1 EXAMINATION

2 BY MS. HARDY:
3 Q Can you confirm that for a Wolfcamp frac
4 that you'd give with an Avalon producer, there would
5 have to be a breach in the Bone Spring Lime?
6 A There would not.
7 Q There would not have to be a breach?
8 A So Avalon lies below the Bone Spring Lime as
9 does the Wolfcamp, so it would not require a breach.
10 Q And I think you said this earlier, but can
11 you confirm that you're not able to identify the
12 fracture pathways that allowed the communication
13 that's a result of the 3D seismic analysis?
14 A That's correct.
15 Q Based on Chevron's experience with
16 stimulation appearance between Wolfcamp fracs and
17 Avalon producers, have you seen an immediate response
18 in the producer while stimulation operations are
19 occurring?
20 A We have with pressure. We did see pressure
21 response increase during the Wolfcamp completion.
22 Q Does Chevron shut in its Avalon producers
23 while fracturing the live Wolfcamp horizontal wells?
24 A We do not.
25 Q Does Chevron surface commingle its Avalon

Page 176

1 Wolfcamp wells?
2 A I don't know.
3 Q What if your graphs shows water production
4 versus gas-oil-ratio? That should be on slide 112.
5 And is that a plot of the production from a pad or
6 from an individual well?
7 A The -- which plot?
8 Q The water production versus gas-oil-ratio?
9 A That's an individual well.
10 Q Would Chevron consider this a tight curve
11 for Wolfcamp frac to Avalon producer interference?
12 A Can you rephrase?
13 Q Sure. I'll ask it again. Would Chevron
14 consider this plot a tight curve for Wolfcamp frac to
15 Avalon producer interference?
16 A We -- we have not seen this type of response
17 everywhere. Some of them were positive
18 fracture-driven interactions. This represents a
19 negative fracture-driven interaction. So there is not
20 a -- a single response to those interactions. So no.
21 Q And is the entire production history of that
22 well, that shelf on the --
23 A I don't recall.
24 MS. HARDY: That's all my questions.
25 Thank you.

Page 177

1 MR. FUGE: I think the witness is
2 excused.
3 MR. DEBRINE: Yeah, no further
4 questions. We'll reserve the opportunity to call on
5 him for rebuttal.
6 MR. FUGE: Okay.
7 MR. DEBRINE: Chevron calls its next
8 witness Bryce Taylor.
9 MR. FUGE: May I ask the court reporter
10 to swear in the witness?
11 THE REPORTER: Please raise your right
12 hand.
13 WHEREUPON,
14 BRYCE TAYLOR,
15 called as a witness and having been first duly sworn
16 to tell the truth, the whole truth, and nothing but
17 the truth, was examined and testified as follows:
18 MR. FUGE: Thank you.
19 You may begin.
20 EXAMINATION
21 BY MR. DEBRINE:
22 Q Could you please state your name for the
23 record?
24 A Yes, my name is Bryce Taylor.
25 Q Who do you work for, Mr. Taylor?

Page 178

1 A I work for Chevron.
2 Q How long have you worked for Chevron?
3 A I've worked for Chevron for approximately 11
4 years.
5 Q If you could give the commissioners a brief
6 summary of your background and experience with Chevron
7 as well as your educational experience?
8 A Yes, I'd be happy to. So I graduated in
9 2012 with a Bachelor's of Science degree in Mechanical
10 Engineering, magna cum laude, from Brigham Young
11 University. Subsequently hired on with Chevron. And
12 while working full-time for Chevron, I also had the
13 opportunity to work on a master's degree with the
14 University of Southern California in petroleum
15 engineering with emphasis in smart oilfield
16 technologies.
17 I started off my career in Chevron working
18 in -- in California in San Joaquin Valley assets as a
19 reservoir engineer primarily focused on developing
20 steam flood projects for steam floods. That's
21 enhanced recovery. We'll inject steam instead of
22 water to heat up the heavy oil.
23 I also did that for about two and a half
24 years. And I stayed within California in those heavy
25 oil assets but moved to a new team working as a

Page 179

1 production engineer for about two and a half years.
2 Following that, I transferred out here to the Permian
3 Basin as a reservoir engineer.
4 I get into our asset development groups who
5 do drilling or do horizontal wells. My primary area
6 of focus was in the Midland Basin where I was at --
7 had the opportunity to bring online approximately 200
8 unconventional wells across my tenure there. That
9 lasted about four and a half years.
10 And then at the beginning of 2022, I moved
11 into my current role, which is our water strategies
12 senior petroleum engineering advisor for the entire
13 Permian. And this role is primarily focused on
14 long-term water -- produced water handling strategy.
15 It's focused on their -- program and really the
16 subsurface reservoir engineering related tasks and
17 analyses as they relate to our produced -- produced
18 water.
19 Q You said your responsibility includes the
20 entire Permian, which obviously is part of New Mexico?
21 A That is correct.
22 Q Have you ever testified before the Oil
23 Conservation Commission or Division?
24 A I have not.
25 Q Are you familiar with the applications that

Page 180

1 Chevron has filed in these two cases?
2 A I am.
3 Q Are you familiar with the two wells that are
4 the subject of Chevron's pilot project underlying
5 these applications?
6 A Yes.
7 MR. DEBRINE: We would tender the
8 witness as an expert in operations and engineering.
9 MR. FUGE: Accepted for those purposes.
10 BY MR. DEBRINE:
11 Q If you could briefly summarize, Mr. Taylor,
12 the work that you did as a part of Chevron's pilot
13 project that we're considering here today?
14 A Yeah, so be happy to. So my -- my testimony
15 will cover several aspects of -- my first focus was on
16 our -- looking at the -- the assessment of the
17 remaining reserve potential in the Delaware Mountain
18 Group talked about here today. In Tom Merrifield's
19 analysis, there are some offset wells, and so I
20 analyze those for their remaining potential.
21 I'm also going to speak today about -- a
22 little bit more about containment. Jason just shared
23 with us the -- the lower containment strength of that
24 Bone Spring Lime. I'll be sharing an analysis of the
25 upper containment, that upper seal of the -- of the

Page 181

1 Lamar limestone.
 2 I also have an assessment of some modeling
 3 work, how we identify analogs for the SWD wells, and
 4 applying those analogs to these -- these two wells in
 5 question, the Papa Squirrel and Severitas to modeled
 6 their -- the potential performance over their life,
 7 which will include what their radius of impact will
 8 be, what their total storage would be, and how the
 9 reservoir pressures could react over time as we inject
 10 water into these SWDs.
 11 And finally, I'll give a brief overview of
 12 our -- our surface operations of our SWDs and the
 13 associated facilities.
 14 MR. DEBRINE: For the benefit of the
 15 commissioners and the parties, the exhibits we're
 16 going to discuss begin on page 142.
 17 BY MR. DEBRINE:
 18 Q And the first substantive slide is on
 19 page 143. If you could just lay the background for
 20 that slide for the commissioners.
 21 A Be happy to. So this slide is intended to
 22 orient everyone. You can see our Papa Squirrel SWD up
 23 there is Section 13 at the top of the -- the top of
 24 the map. As I mentioned already there early a -- two
 25 or three active DMG producers within a 2-mile radius

Page 182

1 of that well.
 2 Those wells are located within the El Mar
 3 Field. The El Mar Field extends south across the
 4 state line actually into Texas. And as previously
 5 mentioned, there's no active DMG producers within the
 6 2-mile radius of the Severitas well. So that this
 7 analysis, which I share with you here, is this exhibit
 8 and subsequent exhibits as focused on the DMG in the
 9 vicinity of the Papa Squirrel.
 10 Q If you could turn to the next on page 144.
 11 And is this the beginning of the analysis of the three
 12 wells that were in this produce line?
 13 A Yes, it is. Just to walk everyone through
 14 this analysis. So we have here in a plot on the right
 15 the production history of the Sahara Fed-Littlefield
 16 DR 1 well as you can see that the production history
 17 dates back to, you know, 1960s, 1970s. This is the
 18 entire production history of the well, so this
 19 includes its primary production and secondary recovery
 20 portions of its life.
 21 The analysis -- the decline analysis that I
 22 conducted took into account approximately -- and each
 23 dot here -- sorry, on the chart. Green dot represents
 24 the oil production for a given month. And that's --
 25 that oil production has been calculated in terms of

Page 183

1 barrels per day over that month.
 2 The decline portion of the analysis covers
 3 an area or a timeframe of approximately five to ten
 4 years, as you can see indicated there by the straight
 5 line through the production points on the right to --
 6 which is a sufficient amount of data to establish a
 7 long-term trend for this producer well. I did choose
 8 a cutoff rate.
 9 As you can see there in the table on the
 10 left of one barrel per month. This is an extremely
 11 low -- low amount of production for any well just to
 12 really give this well the most benefit of the doubt to
 13 calculate its remaining potential.
 14 As you can see the decline is -- is in my
 15 opinion extremely steep for a conventional producer at
 16 33.67 percent per year. Extrapolating that decline
 17 out to that cutoff rate, it shows this well's
 18 potential item life would happen in June of 2026 with
 19 only 96 barrels of oil remaining to be recovered.
 20 Like to emphasize that most of the current production
 21 for this well is much less than one barrel a day. And
 22 in my opinion, this well is depleted.
 23 Q Did you sit and want to analyze the other
 24 two wells?
 25 A Yes, I did.

Page 184

1 Q And is that analysis on page 145 and 146?
 2 A That is correct. A similar process was
 3 followed. Both of these wells, again, are producing
 4 much less than a barrel a day. One of the wells had
 5 that ringing assessment of only 11 barrels and there
 6 were only a few barrels remaining. And so again these
 7 wells appear to be depleted.
 8 Q What conclusions did you draw with respect
 9 to the potential impact of the pilot project wells on
 10 the future production from these declining producers?
 11 A My conclusion is that there will be no
 12 impacts to the trend -- the production trend that
 13 we're seeing since these wells --
 14 Q Did you also conduct a decline analysis for
 15 the remaining reserves in the entire field?
 16 A Yes, that's correct.
 17 Q And I believe that begins on page 147?
 18 A Yes, it does.
 19 Q If you could just explain to the
 20 commissioners what you did and what you found out
 21 about this exhibit.
 22 A Yes. So this is a very similar methodology.
 23 The only difference being this is rolling up and
 24 sending all of the wells together. You could see the
 25 decline there represented in the straight line at the

Page 185

1 right part of the plot. Over that defined period
2 there have been a -- the well count of about 20 wells,
3 which continued through 2022. Declining out those 20
4 wells also resulted in a 33.82 percent annual decline
5 rate against a very high ceiling. Had the three
6 individual wells examined.

7 The cutoff rate I chose for this analysis
8 was 30 barrels a month for the entire field. That's a
9 very small amount of -- a very small rate for a field.
10 This is projecting with that cutoff rate of the field
11 to potentially in the next year with only 1300 barrels
12 of oil remaining.

13 I'd also like to apologize on the exhibit.
14 We have a box there. We have kind of a blank there
15 for "Most recent well drilled." The -- the year of
16 the -- of those 20 wells, the youngest one was drilled
17 in 1977. So these were old wells. You know, we kind
18 of produced for a long life and are depleted.

19 Q And so what conclusions did you draw from
20 your analysis with respect to the impact of the wells
21 on the remaining reserves to the El Mar Fields?

22 A My conclusion is that there would be -- not
23 be an impact due to the fact that the build -- it
24 should be depleted.

25 Q So it's your analysis and conclusions as far

Page 186

1 as the Division's concerned that express with regard
2 to potential impacts to the wells on either existing
3 DMG production or future DMG production?

4 A Yes.

5 Q And what conclusions did you reach?

6 A Reached that there -- could you restate the
7 question?

8 Q Yeah. With regard to their concerns with
9 respect to those effect of the pilot wells on existing
10 and future DMG productions in the area?

11 A My conclusion is that -- that due to the
12 highly depleted nature of this field and the projected
13 short life remaining that our wells would not have any
14 impact on recoverable hydrocarbon.

15 Q Let's now turn to your analysis with regard
16 to the upper containment zone, which begins on
17 page 148 of the exhibits. The first substantive
18 exhibit is on page 149, where you discuss a leak-off
19 test. And could you explain to the commissioners what
20 that consists of, the work you did, and the
21 conclusions that you reached?

22 A Sure. I'd be happy to. So first it's,
23 like, for those who are not familiar with the -- with
24 an extended leak-out test just to walk us through it,
25 the typical behavior of leak-off tests, what kind of

Page 187

1 data we -- we get. So you can see there there's a --
2 a couple of plots. The -- the central plot there on
3 the -- on the slide is a representation of typical
4 behavior as we conduct these tests.

5 So the first portion labeled by FIT there
6 stands for formation integrity test. This is
7 typically done to evaluate the strength and integrity
8 of the new formation. And it's the first step after
9 drilling a casing shoot.

10 Q And you're referring to the first graph on
11 the left?

12 A That's correct. After the formation and
13 access, the small amounts of fluid will be pumped into
14 the formation over a period of time. As that fluid is
15 pumped, the pressure is monitored. And the plot
16 there, the blue line -- sorry -- and the green there
17 down line at the bottom, that is the pump rate. The
18 blue line is the pump pressure.

19 So that first portion gives us our formation
20 integrity test. If we continue to pump oil and build
21 up pressure, we enter a region designated by LOT on
22 that line, which is -- stands for leak-off test. So
23 this is a test to determine that the -- the fracture
24 pressure of the open formation. So again, it's
25 conducted after drilling right below a new casing shoe

Page 188

1 typically.

2 We continue to pump there. We'll actually
3 reach a point there at the apex of the graph, which is
4 the formation breakdown pressure. Again, just a
5 regular leak-off test is when that formation first
6 starts to take fluid. That formation breakdown
7 pressure is when it is completely compromised. You
8 will then see a relaxation in the pressure.

9 Q And that's shown there with the stars?

10 A That is correct. You'll see that relax of
11 that pressure. If you continue the test beyond that,
12 continue pumping, that's when you enter into the range
13 of the extended leak-off test or XLOT. And this
14 enables us to identify fracture closure -- closure
15 pressure, which is commonly referred to as fracture
16 parting pressure in a lot of the documentation that
17 we -- that we typically see in the industry.

18 Q Well, when did you conduct this test?

19 A Yes, I'll get to that in just a second.

20 What will happen with the XLOT is eventually
21 you stop the pump rate and watch the pressure decay.
22 There are some -- some transforms that we can do with
23 the pressure data and time in order to find some
24 trends. Not going to go into detail on that specific
25 analysis today, as this is just a summary of the -- of

Page 189

<p>1 the test.</p> <p>2 But you will be able to find a point, which</p> <p>3 is indicative of the fracture closure pressure. And</p> <p>4 that's how we get that datapoint. And as to your</p> <p>5 question, we conducted a test on -- in October of 2022</p> <p>6 on a well in Texas. It'd be 174WA. That is in our</p> <p>7 Delaware Ranch Field, which is if you think where the</p> <p>8 Severitas location is, it's approximately 25 to 30</p> <p>9 miles southwest that -- over in Texas.</p> <p>10 The reason why we decided on a location is</p> <p>11 that the DMG gets a lot shallower as you go to the</p> <p>12 west. The -- the overburden thins, and due to how</p> <p>13 much shallower the Lamar is at this point, less of an</p> <p>14 overburden, this was considered a good spot test in a</p> <p>15 conservative nature what the strength of that, that</p> <p>16 Lamar is.</p> <p>17 We expected it to be much stronger as it</p> <p>18 gets deeper, and the overburden grows to the east as</p> <p>19 is where our Severitas and Papa Squirrel wells were</p> <p>20 located. So I mean, this kind of represents a more</p> <p>21 conservative estimate of the strength of that -- of</p> <p>22 the Lamar. You can see there that graph -- graph in</p> <p>23 the top right of the chart or the slide, this is the</p> <p>24 behavior of the actual XLOT test that we noted as</p> <p>25 well. And you can see we saw the leak-off point, but</p> <p style="text-align: right;">Page 190</p>	<p>1 the red outlined boxes and the table there out of that</p> <p>2 second one up from the bottom on the leftmost is,</p> <p>3 like, 1.22. That was the minimum stress gradient or</p> <p>4 the fracture closure pressure identified in Cycle 1</p> <p>5 was 1.22 psi.</p> <p>6 But Cycle 2, we would expect it to be weaker</p> <p>7 since we've already fractured the rock in the first</p> <p>8 cycle. It dropped down to 1.15. And then the</p> <p>9 Cycle 3, a little bit hard to interpret, but it was</p> <p>10 between 1.1 and 1.14. So we figured that's our --</p> <p>11 that fracture parting pressure or that fracture</p> <p>12 closure stress.</p> <p>13 The other point that is interesting is that</p> <p>14 we look at the -- at the other red box there, the</p> <p>15 leak-out pressure and pounds per gallon. And actually</p> <p>16 all it is, it's not actually in the table in psi per</p> <p>17 foot.</p> <p>18 But on the -- the third bullet down on that</p> <p>19 right side, I -- I calculated when that ppg would be</p> <p>20 and psi per clip, to identify that leak-off point,</p> <p>21 which again is that point at which the -- the</p> <p>22 formation first starts to become compromised and</p> <p>23 starts taking fluid. And that wasn't until 1.5 to</p> <p>24 1.53 psi per foot.</p> <p>25 Q You're referring to the second bullet on the</p> <p style="text-align: right;">Page 192</p>
<p>1 we never actually reached formation breakdown</p> <p>2 pressure.</p> <p>3 The -- the formation was so strong that our</p> <p>4 pump capacity was reached in the pump tricks before we</p> <p>5 were able to actually see the -- the formation</p> <p>6 breakdown. That's a very good -- good information</p> <p>7 that we have a very, very strong pump at Castile. The</p> <p>8 surface pressure at that point was 2200 psi.</p> <p>9 As you will recall from our request for</p> <p>10 pressure for the Severitas and the Papa Squirrel,</p> <p>11 we're -- we're talking, you know, 460 psi for the</p> <p>12 Severitas and then the 925 psi for the Papa Squirrel.</p> <p>13 So much lower than this 2200 psi.</p> <p>14 Q Let's take a look at your next exhibit on</p> <p>15 page 150.</p> <p>16 A Yes.</p> <p>17 Q There's a lot of data on here, but if you</p> <p>18 could just briefly summarize it for the Commission?</p> <p>19 A Yes. Yes, I would be happy to. So this is</p> <p>20 the summary of our XLOT test. We actually did three</p> <p>21 cycles of the tests on the Lamar and just collecting</p> <p>22 more data there. You can see here a lot of the</p> <p>23 details. Like our casing shoe depth was just at 1584</p> <p>24 feet, so very shallow.</p> <p>25 If I can -- sorry. If I can point you to</p> <p style="text-align: right;">Page 191</p>	<p>1 right?</p> <p>2 A I believe it's third bullet on the -- on the</p> <p>3 right. Yep.</p> <p>4 So if we take that -- yeah. So again, just</p> <p>5 another -- another datapoint to share how strong this</p> <p>6 formation is. Now, if we look at actual injection</p> <p>7 operation in -- in the state of New Mexico -- and as</p> <p>8 we know the initial estimate for maximum surface</p> <p>9 injection pressure is determined by taking the top of</p> <p>10 our injection interval. We multiply that by .2 psi</p> <p>11 per foot.</p> <p>12 So that gives us the maximum surface</p> <p>13 pressure. We -- in order to understand what the</p> <p>14 bottomhole pressure will be for the well, we need to</p> <p>15 add the weight of the fluid and there's -- taking out</p> <p>16 effects for a minute. If we -- to be a typical</p> <p>17 injection water is roughly .5 psi per foot. And just</p> <p>18 from its weight, you know, it can be a little bit</p> <p>19 lower than that, a little bit higher.</p> <p>20 But .5's a good -- good estimate. We take</p> <p>21 that .5 and add it to the .2, you're looking at your</p> <p>22 -- at the bottom of the well, approximately .7 psi per</p> <p>23 foot. And again, leak-off -- leak-off pressure for</p> <p>24 the Lamar is 1.5 psi per foot.</p> <p>25 And then if we even look at the minimum</p> <p style="text-align: right;">Page 193</p>

1 stress gradient, it's at the -- yeah, that 1.1 to 1.2
 2 range, that parting pressure, again much higher. So
 3 that -- I'll just direct you to the -- kind of the
 4 summary box there on the bottom of the slide. This
 5 gives us a safety factor of 1.57 to 1.74 depending on
 6 if you're looking at the -- that 1.1 psi per foot for
 7 minimum stress gradient or one of the higher numbers.
 8 So all this to say that seal is very confident and we
 9 don't see any chance of really breaking it down during
 10 normal injection operations.

11 Q And again, it's much thicker in the areas of
 12 the two wells of the pilot project than the wells
 13 where you conducted the leak-off test?

14 A The Lamar itself, I'm not sure. I do know
 15 that the -- relatively it's going to be the same. But
 16 it's similar in thickness. The -- the question is the
 17 overburden, since we're much deeper, there's just more
 18 rock between the -- the Lamar and the surface.

19 And as Tom Merrifield pointed out in his
 20 testimony earlier, we did see our subject matter
 21 experts when they were analyzing this data did see
 22 additional -- a lot of this additional strength. And
 23 part of the Lamar was due to that Castile and the
 24 overburdened formations that were right there. So do
 25 expect it to be stronger to where we have our -- our

Page 194

1 two wells pumped.

2 Q We can turn now to the injection modeling
 3 that you did with respect to the two wells?

4 A Yes.

5 Q It begins on page 151. And let's turn to
 6 page 152, which is the locator data.

7 A Yes. So in this next section, I'm going to
 8 talk a little bit about rate transient analysis, what
 9 that is, and how we used it for our -- to figure out
 10 our analogs to then be able to stimulate the -- the
 11 performance of the Severitas and Papa Squirrel.

12 Though just to orient everyone, you can see
 13 on the map the Severitas well in green -- with the
 14 green star and Papa Squirrel with the blue star. And
 15 then there's these markers across the state line down
 16 to Texas. Those represent wells that were -- were
 17 used as our analogs, so those are all DMG SWD wells.

18 The reason why we were able to use these
 19 wells is because they publicly reported data on these
 20 wells on daily rates and daily pressures, which for
 21 RTA analysis is what we would like to see.

22 Q And just for laymen's terms, what is rate
 23 transient analysis?

24 A Rate transient analysis. So I will actually
 25 get to -- get into -- it's a good segue to the next

Page 195

1 slide. So what rate transient analysis is, is it lets
 2 us take the rate data and pressure data from either
 3 producer or injector -- in this case an injector --
 4 and transform that data through derivatives, pressure
 5 differences, different ways to look at time.

6 And we can plot out those -- those
 7 transforms. And then we know that there's several
 8 analytical solutions, the models of reservoirs that
 9 will match the characteristics we see in that data.
 10 And so what we're able to do is kind of pick and
 11 choose these different reservoir models, match it to
 12 the data, and -- and then finetune different
 13 parameters such as our permeability, porosity,
 14 thickness, the injection radius, or what -- how big
 15 your -- big your reservoir is.

16 You can find it -- there's other parameters
 17 we can -- we can tune. But we can do all of that and
 18 essentially match the data to one of those reservoir
 19 models. And that gives us a -- a good approximation
 20 of what the reservoir looks like that the well is
 21 injecting into.

22 Q And the parameters you described, are those
 23 all shown on page 153?

24 A Yeah, these are some of the parameters, the
 25 ones we -- we thought were most useful for the

Page 196

1 subsequent steps of modeling. So again, with -- with
 2 the rate transient analysis, the -- you know, we
 3 mentioned earlier that, you know, permeability in the
 4 hearing was a -- was a question. How can we
 5 understand permeability?

6 So one way to major that is -- is through
 7 this rate transient analysis, which you get
 8 permeability goes directly into how much our wells
 9 will improve from a rate standpoint. The other really
 10 important thing when it comes to SWDs is how far do
 11 they inject.

12 Most of these injectors can be described by
 13 a relatively simple model. It is a -- essentially, a
 14 radial flow model with the -- steady state radial flow
 15 model. An easy way to think about that is I have got
 16 a cylinder with my well right at the center of the
 17 cylinder, and that cylinder represents my reservoir so
 18 the -- it represents the storage tank.

19 And so at the edges of the cylinder and the
 20 model, we have what is called a new flow boundary.
 21 Just a point where the -- really, the end of the
 22 influence of the -- the specific injector. We'll see
 23 pressure influence beyond that or the -- the long-term
 24 fluid influence beyond that, you know, flow boundary.

25 So we're trying to determine the -- how the

Page 197

<p>1 R2SWD wells will impact the surrounding reservoir, how 2 far out will the injection go. This was a way to 3 understand statistically what SWDs typically do. And 4 you can see there in the table kind of the summary of 5 those calculated values where kind of the median -- 6 the calculated value for injection radius was 8,979 7 feet. Permeability was the -- in that median value 8 was about 13 millidarcy.</p> <p>9 And then the other thing to -- to point out 10 is the cumulative injection number. So the other 11 thing rate transient analysis lets us do is forecast 12 the well out beyond his production history. So once 13 we've got -- or injection history in this case. So 14 once we have a good match on the -- for our model. 15 We're able to match that -- those actual rate and 16 pressure datas with the -- with the model.</p> <p>17 We can then use that -- use the program to - 18 - the computer program we're using to do this. It's 19 called Kappa, and it's got multiple different software 20 suites. So let -- let's us do the rate transient 21 analysis and other things. Anyway the -- the software 22 will then allow us to forecast out the -- just what 23 the performance at this well or these injectors will 24 be like over a number of years.</p> <p>25 And so we can essentially forecast that out</p> <p style="text-align: right;">Page 198</p>	<p>1 barrels of water over the life of the well. The -- 2 and that cumulative storage, as we'll see in a second, 3 it's really dependent on depth. And that's mostly 4 because the depth is directly tied to the maximum 5 allowable surface injection pressure.</p> <p>6 So this well in particular, again, at that 7 location, you know, just under 29 million barrels, I 8 have here in the chart at the top right the outputs of 9 the great profiles for this well with the -- the three 10 different scenarios reflecting different 11 permeabilities.</p> <p>12 So we set the model with the parameters of 13 the injection into the Bell and the Cherry with that 14 8,979-foot boundary radius, which correlates to about 15 1.7 miles. And with the corresponding porosity values 16 that we -- we got from our geologic assessments of the 17 area and then we applied the different permeability 18 here to understand what are low, mid, and high cases.</p> <p>19 And you could see those by the blue line, 20 orange line, and gray line for this location. And so 21 we have a, you know, expected range of anywhere 22 between just under 4,000 barrels of water per day to 23 just over 12,000 barrels of water per day for this 24 well.</p> <p>25 Q Did you also look at the effect of the</p> <p style="text-align: right;">Page 200</p>
<p>1 to the end of life by setting the maximum allowed 2 surface injection pressure, which is our constraint, 3 and then letting the model run and the driver behind 4 the decline that we see in the injectors is the 5 reservoir pressure within that no-flow boundary 6 increasing.</p> <p>7 Eventually, that reservoir pressure will 8 increase such that it equalizes with the bottomhole 9 injection pressure with the well, and at that point 10 more fluid can go into the reservoir. And so that -- 11 that tells us what the total storage is of the DMG 12 injector.</p> <p>13 Q Let's now take a look at the actual modeling 14 you did for the two wells pilot project.</p> <p>15 A Yes.</p> <p>16 Q The first one begins on page 154 for the 17 Severitas well.</p> <p>18 A Yes.</p> <p>19 Q Would you just tell the commissioners what 20 this shows and the data and the conclusions you 21 reached?</p> <p>22 A Yes, I will.</p> <p>23 So the Severitas the -- is the headlining. 24 And the headline for this -- for this well is the 25 cumulative storage at this location is 28.8 million</p> <p style="text-align: right;">Page 199</p>	<p>1 injection reservoir over time?</p> <p>2 A Yes, we did.</p> <p>3 Q If you could turn to page 155.</p> <p>4 A So this assessment is to show how that 5 reservoir pressure within that no-flow boundary radius 6 will increase over time. So as you can see there, on 7 the plot and the Y axis, we have pressure that is -- 8 represents the reservoir pressure taken at the top of 9 the Bell Canyon, which would be the top of our 10 injection interval, and then the X axis is the depth 11 of the investigation. So like depending on spatially 12 how far away I am from that injector what -- what I 13 would expect the reservoir pressure to be.</p> <p>14 And you can see that travels out to just 15 below that 9,000 foot mark. So we end up using that 16 same kind of median injection radius there. Each line 17 represents a different amount of cumulative injection. 18 And this model was based on darcy radial flow, -- 19 radial flow.</p> <p>20 Q And so the bottom line conclusion that you 21 reached?</p> <p>22 A Yes. So you can see there in the gray box 23 after years there even the colors are corresponding to 24 that low, mid, and high permeability cases that we 25 looked at on the previous charts. Just speaking to</p> <p style="text-align: right;">Page 201</p>

<p>1 the mid-case, which was that 13 millidarcy. You can 2 see how long it would take for this swell to pressure 3 up as a -- as this time goes by.</p> <p>4 And so to get to that, that orange line 5 there, which represents 200 billion barrels injected 6 and roughly 300 psi increase from starting conditions 7 would take 13 years.</p> <p>8 So we're looking at over a decade before 9 that, even a 300-psi increase would be realized in the 10 reservoir. But that is -- that's not very fast. A 11 lot of that's due to how -- how large the injection 12 radius as at that 1.7 mile approximate radius.</p> <p>13 Q Let's turn to your analysis of the Papa 14 Squirrel well, which begins on page 156.</p> <p>15 A Yes. So for the Papa Squirrel well, I 16 mentioned earlier, this well is much deeper. You get 17 a higher surface pressure, and in turn you get more 18 cumulative storage.</p> <p>19 We've -- we've kept the same -- same size 20 reservoir, but you know, 8,979-foot boundary radius 21 using the thicknesses of the Bell and Cherry and the 22 corresponding porosities at this location. And then 23 we simulated the injection rates for the low and high 24 cases again, represented by the blue, orange, and gray 25 curves there on that run plot there at the top right.</p> <p style="text-align: right;">Page 202</p>	<p>1 look into?</p> <p>2 A Yeah, so I -- this is to share with the 3 Commission and others present, just our -- how we 4 typically operate our SWDs. This is related to our 5 facilities and operations teams, and I'm relaying that 6 to you. So typically, how we -- and Davis reflects 7 that we operate shallow SWDs today out over Texas as 8 well as the deep SWDs that we still have here in New 9 Mexico and the -- the ones we saw over in Texas.</p> <p>10 So typically, we have the central facility 11 or SWD facilities which process the water and, well, 12 talk about it. It's -- they also have filtered well 13 and clean it up at skim well off of the water to send 14 back for processing.</p> <p>15 And then eventually the water is sent to H 16 pumps or horizontal pumps, positive displacement pumps 17 where it is pushing high pressure flow lines, which 18 carry it to a network of SWD wells. Each well is 19 controlled by locally by a production log controller 20 or PLC at the well site, they have two chokes which 21 can be sit to determine the max pressures and the -- 22 or the rates that we would like to send to each 23 individual well.</p> <p>24 The flow rates are constantly monitored 25 onsite by flow meters. We typically set -- put our</p> <p style="text-align: right;">Page 204</p>
<p>1 Should have data correspond to 6 millidarcy, 13 2 millidarcy, or 30 millidarcy.</p> <p>3 You can see the -- the predicted rates for 4 this well vary between as low as 9,000 barrels of 5 water per day to just about 20,000 barrels of water 6 per day. And yes, the storage here again is just 7 under 73 million barrels.</p> <p>8 Q And if you see the same slow increase of 9 pressure of the reservoir on time?</p> <p>10 A Yes, that -- yes, it -- this well for a 11 similar time period, in this case to inject 40 million 12 barrels, get sent to that green line. And that 13 represents about 450 psi increase. It took about 11 14 years. You know, it's just a little bit higher than 15 the increase of 300 psi in the previous well.</p> <p>16 And that's just due to higher rates, higher 17 pressure, better rock quality due to increased 18 thickness and other items that we've talked about 19 already so far, so that rate -- pressure increase are 20 similar timeframe is slightly higher. That's still 21 relatively slow, only 450 psi over a decade.</p> <p>22 Q The next subject of your testimony is 23 labeled "Surface Systems."</p> <p>24 A Yes.</p> <p>25 Q And what do you mean by that? What did you</p> <p style="text-align: right;">Page 203</p>	<p>1 injection pressure set point at about 25 psid before 2 the permit maximum allowable or whatever set point 3 we -- we choose. You know, we won't go up. We won't 4 set it above the permit, but we have it at a lower set 5 point for whatever reason that would have a similar 6 target.</p> <p>7 We have automated processes and alarms so 8 that if the pressure increases above that permit for 9 more than 30 seconds above the set point, yeah, a call 10 is sent out to an operator. The operators that we 11 have are -- are based on our -- our field locations 12 and our -- yeah, our offices out onsite in the fields. 13 We also have a removed monitoring group in -- in our 14 Midland, Texas office, which monitors all of this data 15 in real time for all of our operations.</p> <p>16 So anyway the -- that alarm triggers and no 17 one goes to visit the well within a half-hour, it will 18 automatically shut in until someone can get out there 19 and fix the issue. We also have a high-case scenario 20 where pressure goes greater than 110 percent pressure 21 for more than 30 seconds, the mobile off will shut in.</p> <p>22 Q I think you mentioned data monitoring. If 23 you turn to example on the page 130, is that example 24 the data that you collect?</p> <p>25 A Yeah, this is -- yeah, so this is a -- just</p> <p style="text-align: right;">Page 205</p>

<p>1 an example for the types of data that we look at in 2 real time. The shortlist data real time by our SCADA 3 units that -- and all of it's pulled into our 4 integrated operations center. 5 And so it -- data such as flow rate, 6 injection pressure, downhole pressures, control valve 7 pressures, casing pressure, temperatures, et cetera, 8 are a lot more monitoring that I'm not sure here that 9 we have at the actual facilities and the tanks favor 10 themselves. But I just wanted to give everyone a 11 sense of the -- the type of real time data collection 12 that we -- we have in place already, we plan to 13 implement on this new SWDs. 14 THE REPORTER: And by SCADA, what is 15 that acronym? 16 MR. TAYLOR: Sorry. I do not know. I 17 cannot remember off the top of my head. 18 MR. DEBRINE: I don't remember either. 19 BY MR. DEBRINE: 20 Q If you could turn to the next line, the page 21 161 where it says, "Discusses the handling of solids 22 to improve the quality of the alarms." 23 A Yes. So that makes sure that everything -- 24 in order to improve the longevity of our SWDs we 25 recognize that the water we send down them has to be</p> <p style="text-align: right;">Page 206</p>	<p>1 A Yes. 2 Q If you could just walk through this with the 3 Commission? 4 A Yes, I will. 5 So first and foremost, our -- our proposed 6 SWD wells are in the best interests of conservation, 7 prevention of waste, and will not impair our 8 correlative rights. The nearest DMG producers -- and 9 fields whose injectors are depleted, that Lamar 10 limestone is a very confident seal of the DMG which to 11 provide their containment looking for production 12 numbers that are associated with the SWD operations do 13 not come anywhere close to that fracture closures, 14 leak-off pressures, or breakdown pressures of Lamar. 15 Our DMG SWD analogs show that SWDs at the 16 DMG tend to influence the reservoir after about 1.7 17 miles, and reservoir pressure in that radius is 18 expected to increase slowly during the -- the 19 operation of our wells. 20 And -- and here you can see the great 21 summarized with Severitas and Papa Squirrel. 22 Severitas anywhere between 4 and 12,000 barrels of 23 water per day and 29 million barrels in total storage, 24 while Papa Squirrel, a deeper, better location 25 anywhere between about 9,000 to 20,000 barrels of</p> <p style="text-align: right;">Page 208</p>
<p>1 as clean as possible. That would mean they don't want 2 to frac and solids are -- are particles that are so 3 big it will plug up the -- either the perforations or 4 once it gets out into the reservoir, the pour space. 5 And so to do that, we have a couple 6 filtration devices, which will collect one or two 7 particles. I think the current design is a hundred 8 mesh filters. It's always being looked at to be 9 optimized. It's the -- the toilets are flushed to the 10 point of tank where the solids settle out. On the 11 comb bottom foots, it's constantly monitored. 12 And then once it -- now solid that -- solids 13 that accumulate reach a certain level. I -- work will 14 be sent to operators. And then they can operate a 15 truck to come pull the solids off the -- off that 16 tank. 17 Which the solids are then removed to solid 18 waste facilities much like we could remove drill 19 cuttings or other -- other items left over from oil 20 and gas operations. And then all of the water in that 21 flush tank after it's rattled back to the charge cost 22 of the inject -- went through the cycle again. 23 Q And if I'm on page 162, is that a summary of 24 the conclusions that you reached as a result of your 25 study?</p> <p style="text-align: right;">Page 207</p>	<p>1 water per day and 73 million barrels of storage. 2 Chevron does -- our standard operations for 3 SWDs feature active monitoring and control logic to 4 ensure safe operations, with real-time -- and 5 real-time data collection. And finally, our -- our 6 SWD facilities are fitted with filtration systems to 7 improve injected water quality, utility, and life of 8 these SWDs with all solids removed to appropriate 9 solid waste facilities. 10 Q Were the exhibits we discussed on page 142 11 to 162 prepared by you or under your supervision? 12 A Yes. 13 MR. DEBRINE: Moving to the admission 14 of Exhibits 142 to 162. 15 MR. FUGE: Any objection? 16 They're admitted. 17 (Exhibit 142 through Exhibit 162 were 18 marked for identification and admitted 19 into evidence.) 20 MR. DEBRINE: And we'll pass the 21 witness for question. 22 MR. FUGE: Mr. Tremaine, do you have 23 cross? 24 MR. TREMAINE: I do have a couple 25 questions, Mr. Chair.</p> <p style="text-align: right;">Page 209</p>

1 EXAMINATION
2 BY MR. TREMAINE:
3 Q Looking at the slide 143, map slide of --
4 producer producing wells in the El Mar Oil Field?
5 A Yes.
6 Q Can you provide any more detail as to which
7 part or zone out the DMG those wells are completed in?
8 A I do not recall. That topic -- I can defer
9 that to -- to Tom Merrifield.
10 Q That's what we need.
11 MR. FUGE: We can do it now.
12 Mr. Merrifield. Ask that question now and bring it
13 back.
14 MR. TREMAINE: Since he's already sworn
15 in, I think we'd be comfortable having him just answer
16 the question.
17 MR. BLOOM: No objection.
18 MR. FUGE: Yeah, no objection.
19 MR. TREMAINE: Thank you.
20 BY MR. TREMAINE:
21 Q And just a clarification here. It sounds
22 like from your exhibits and your testimony that there
23 is that proposed wells, you conceive a 1.7-mile
24 injection radius?
25 A Yes.

Page 210

1 Q So the total area of impact would be
2 approximately 3.4 miles across?
3 A Yes.
4 Q Remind us what the radius was that Chevron
5 enjoys for its area of --
6 A So I know -- I know before our -- we used
7 that half-mile radius as dictated in the -- the rules
8 for notifications and then the -- internally, one of
9 the reasons why you kept seeing 2 miles kind of up
10 there as we were looking for offset producers was
11 partially because of this -- obtain analysis just to
12 give us a little bit extra of a buffer and just say
13 that they do not recall the exact radius for the --
14 for the AOR.
15 Q Thank you. And then I want to -- one more
16 question. I want to look at slide 159. Can you
17 explain the reason for the 30-minute delay for that
18 shutoff?
19 A That's -- yeah, that's just something to
20 call out. Standard practice, I guess. I'm intimately
21 familiar with the exact reason why my -- part of the
22 reason, though, is to give the operator time to
23 physically travel to the well site, which are -- which
24 are kind of the -- somebody has to drive out there.
25 I -- again, I'm not -- I don't know the

Page 211

1 reason behind why 30 minutes was the number agreed
2 upon, if there would be a -- you know, a longer or
3 shorter duration that would be more optimal. It's
4 just our current -- current control logic.
5 Q Are you aware, according to the current
6 proposal, how much volume could be pumped during that
7 period?
8 A Could be calculated. It would depend on the
9 -- the time, the -- at what stage of the well's life
10 we're in where that could happen. They did -- they do
11 -- like to -- their rates looked -- I declined them
12 I'd say more rapidly than we would like, so I -- I
13 don't have that number off the top of my head, but it
14 could calculated from the -- the plots shown in the
15 exhibits.
16 MR. TREMAINE: Thank you. No further
17 questions. Thank you.
18 MR. FUGE: Ms. Hardy, do you have any
19 questions for this witness?
20 MS. HARDY: I have a couple of
21 questions.
22 EXAMINATION
23 BY MS. HARDY:
24 Q Hello. I just have a few questions for you.
25 If you can look at page 152. That's the

Page 212

1 "Location of Wells with Sufficient Data for Rate
2 Transient Analysis"; right?
3 A Yes.
4 Q Can you confirm that Chevron's drilled DMG
5 SWD wells on its Texas acreage?
6 A Yes, we have.
7 Q And did Chevron perform similar testing as
8 that proposed in Mexico pilot in those wells?
9 A As far as rate transient analysis is
10 concerned?
11 Q Right. Who's out there testing and
12 monitoring this?
13 A So yes. The -- one of the reasons why we
14 didn't include our -- our own data in these areas is
15 that, you know, number one, due to the timing of this
16 analysis also our wells are relatively new and only
17 been put online in the last few months. And you -- we
18 typically like to see several months of -- of
19 continuous data before we can properly analyze a well
20 with rate transient analysis.
21 The -- really the shortest amount of time
22 I've seen is approximately four months or six months
23 to read is a lot better. It also depends on how high
24 quality your data is. Downhole pressure will just
25 make the process that much easier when you have

Page 213

1 downhole pressure gauges and are Severitas and Papa
 2 Squirrel well.
 3 We do have Chevron wells, but then just you
 4 had -- had some other operational issues that have
 5 prevented them from operating that consistently that
 6 first available to conduct that type of analysis. So
 7 these wells that we -- we used for our analog study
 8 again have the -- the sufficient history and the data
 9 and the -- the daily orthographs to conduct your
 10 transit analysis.
 11 The shorter enrollment you have for your
 12 datapoints, the better for this analysis. Daily is --
 13 we would like to go more than daily. So there are a
 14 lot of wells out there that report monthly data.
 15 However, it takes four to five months to even see the
 16 initial cycle of monthly data. You'd only have four
 17 to five datapoints. You wouldn't be able to interpret
 18 --
 19 Q And so in Texas DMG SWDs, do you know what
 20 intervals are being tested?
 21 A Yes. All of these are either -- they're all
 22 DMG shallow wells that we looked at. Don't recall if
 23 it's -- some of these might have Brushy Canyon
 24 targeted at or just -- just Bell and Cherry. These
 25 wells in particular fall within some of the Texas

Page 214

1 seismic review areas, which is why they're required to
 2 report daily rate submissions.
 3 Q And do you know what the bottomhole fracture
 4 gradient in those wells has been?
 5 A So there's a range. Part of the reason why
 6 we conduct separate tests is to determine that
 7 individual wells and say for our own wells we've seen
 8 anywhere from, you know, .62, .65 psi per foot up to
 9 .72 psi per foot. So that really does -- does vary.
 10 I mean, those numbers sound like they're close, but
 11 when the -- you're talking about the injection rates
 12 that there can be a -- you know, a fairly -- have
 13 fairly wide implications there.
 14 And so again, that's a reason why we -- we
 15 have -- agree with the OCD's direction to conduct a
 16 separate test, find that fracture gradient, and then
 17 face our maximum pressures alphabetically.
 18 Q And I think you testified earlier the
 19 average fluid gradient is .5 psi per foot?
 20 A Yes.
 21 Q And then if you add New Mexico service
 22 pressure and gradient on .2 psis but you'd see a
 23 bottle operating at .7.
 24 A Yeah, and that remember is at the highest
 25 possible case where you forced to not water down

Page 215

1 against a -- a close pipe essentially. And -- and
 2 since you actually do have flow that will go out into
 3 the reservoir that will actually be the maximum
 4 pressure that's slightly lower than that, but it's a
 5 good rule of thumb for -- yeah, I have a whole lot of
 6 some safety factors just to -- just to see how close
 7 we're coming to -- to fracture pressures.
 8 Q And if the bottomhole gradient was .7 psi,
 9 is it correct that then you'd be fracturing the DMG?
 10 A Yes, but according to the rules that, yeah,
 11 we agreed with from the OCD, once we found that --
 12 that fracture gradient, I think there's a, like, 90
 13 percent safety factor that's applied to that. And so
 14 our max surface pressure would be in -- you know, that
 15 safety factor's set the load for that fracture.
 16 MS. HARDY: Those are all of my
 17 questions. Thank you.
 18 MR. FUGE: Dr. Ampomah?
 19 DR. AMPOMAH: Let's start with slide
 20 147. So you've presented about why you believe that
 21 Chevron believes that the DMG group is not ready for
 22 that.
 23 MR. TAYLOR: Yeah.
 24 DR. AMPOMAH: So what is the typical
 25 residual saturation for these areas that you analyzed?

Page 216

1 MR. TAYLOR: I do not know. But that
 2 is not -- not something that we had the current log
 3 especially if you want your current log data to be
 4 able to analyze it.
 5 DR. AMPOMAH: Yeah. So you're saying
 6 that we're meeting in place right now is a 1.3?
 7 MR. TAYLOR: Yes.
 8 DR. AMPOMAH: So if I want to believe
 9 that we cannot produce any amount of -- I want to
 10 know the vertical saturation right there. So you
 11 talked about this going through primary, secondary.
 12 So were there water injections earlier?
 13 MR. TAYLOR: Yes, the -- in the 80s, as
 14 I recall, there was a water flood. An injection was
 15 implemented at the -- at the El Mar Field.
 16 DR. AMPOMAH: Do you know the
 17 injectivity of those injection wells?
 18 MR. TAYLOR: I do not. I do not.
 19 DR. AMPOMAH: And you did not analyze
 20 that as part of your analysis?
 21 MR. TAYLOR: No. Most of the wells, we
 22 looked at from an injector standpoint. And we wanted
 23 to look at modern day SWD wells. Typically, we would
 24 look at these enhanced well -- recovery wells. They
 25 inject at much smaller intervals. They're just

Page 217

1 targeting, you know, tens of feet. We want to target,
2 you know, thousands of feet for injection.
3 We also noticed that the rates that
4 they see it and the maximum rates on their permits and
5 then at least on the Texas side and some of the
6 pressure that we've seen in New Mexico or -- or very
7 low so you're looking at, you know, typical injection
8 rates, about a thousand barrels a day.
9 The SWDs have their purposes to put
10 away a lot more water, to enable the oil productions
11 in the fields, and to much steadier intervals at much
12 higher rates for an SWD to be successful. So yeah,
13 really, the wells I presented for the -- from the RGA
14 standpoint, were the best analogs we can find in the
15 vicinity of modern day DMG SWD wells.
16 DR. AMPOMAH: So now Chevron owns these
17 wells that were analyzed?
18 MR. TAYLOR: No.
19 DR. AMPOMAH: And then the companies
20 that own these wells didn't already -- did you support
21 the analysis that you did?
22 MR. TAYLOR: I am not aware of any
23 feedback from those companies. But we -- we based
24 this of, like, data.
25 DR. AMPOMAH: Let's go to slide number

Page 218

1 or page number 150. So I do have quite a number of
2 questions on this page. So the first one is what is a
3 stress gradient here?
4 MR. TAYLOR: Can you clarify?
5 DR. AMPOMAH: Yeah. Where is the
6 stress gradient in this area?
7 MR. TAYLOR: You mean in terms of the
8 SHMax?
9 DR. AMPOMAH: Yeah. But depending on
10 whether the SHMax lays on the SV, then there --
11 MR. TAYLOR: So the -- the stress
12 orientation is to put -- and I don't have my slides,
13 but in the other exhibits we've seen today, including
14 the ones that Jason shared, that's -- that's a stress
15 orientation of the southwest for these.
16 DR. AMPOMAH: No, I mean, I just want a
17 clear answer to what is the force of G in this area?
18 MR. TAYLOR: I -- I'm not the right
19 person to answer that question then.
20 DR. AMPOMAH: Can someone respond to
21 that?
22 MS. BENNETT: Mr. Comiskey can. Do you
23 want him to give input now?
24 DR. AMPOMAH: Yeah. It's very
25 important to all my other questions.

Page 219

1 MR. FUGE: You can just walk up, just
2 get a little closer to the mic.
3 MR. COMISKEY: So if I believe I
4 understood the question correctly, it was what is --
5 DR. AMPOMAH: Based on the Anderson
6 theory.
7 MR. COMISKEY: Yeah. So and this is a
8 normal faulting environment. So what this means with
9 the vertical stress is greater than the horizontal
10 stretch beginning in the minimal stress. So it's a --
11 it's a normal faulting environment.
12 That's mostly dominated in the -- in
13 the Delaware Basin. It just needs to move into the
14 Midland Basin to get a little bit more of a -- of a
15 strike slip type in my -- slide my testimony it will
16 force that -- that theory as well.
17 DR. AMPOMAH: Yeah. So if it's a
18 normal routine, you do have SV all the same as your
19 minimum stress. So now I don't understand.
20 MR. COMISKEY: So we've seen in -- in
21 this area that minimum horizontal stress is somewhere
22 around .65 and .75 psi, which puts the magic number
23 horizontal stress around .9 and the vertical stress
24 around 1. And then -- formal breakouts -- also looked
25 at focal mechanism aversion for a moment just for

Page 220

1 short breaks that tied that into the -- roughly
2 values. And they quarterly head back to -- as well.
3 DR. AMPOMAH: So let's say would that
4 be more like related to a normal reservoir? Because I
5 didn't know what that meant. Lamar is more like a --
6 right. So I just want to understand how the minimum
7 stress point is about 1.2 psi before, and then the --
8 too.
9 MR. TAYLOR: Yeah. I think part of
10 that might just come from mislabeling minimum stress
11 here. This is not to communicate that the minimum
12 stress is that work well. I guess it -- it's really
13 the minimum fracture closure pressure that we got from
14 the XLOT.
15 DR. AMPOMAH: So I don't take that as a
16 minimum result of stress?
17 MR. COMISKEY: Correct. Correct.
18 That's -- that's the closure stress gradient, not --
19 not the actual instance you stress test for.
20 DR. AMPOMAH: So do we need to do it to
21 make any adjustments to this? Because it's confusing
22 to me actually.
23 MR. TAYLOR: That -- you're requesting,
24 I guess, an update to the exhibit here?
25 DR. AMPOMAH: Yeah. Because, like,

Page 221

<p>1 let's say if someone takes your data then use that in 2 future, you don't see that little permission more or 3 less, agree to a minimum result of stress. Let's say 4 1.32 psi compared to SV of 1.2 psi. That would be -- 5 I don't want to agree to that.</p> <p>6 MR. TAYLOR: Understood that. Date the 7 -- update the label?</p> <p>8 MS. BENNETT: Yeah, but you can do 9 that -- update the label. And I also need to fix a 10 typo in the slide about the last date drilled over DMG 11 so we can submit those two together.</p> <p>12 DR. AMPOMAH: Okay. Thank you. 13 So on slide number or page number 152, 14 so I just want to clarify that the blue locations are 15 where you have the wells that you use for the 16 analysis?</p> <p>17 MR. TAYLOR: Yes. Those are the 18 locations of the analog wells.</p> <p>19 DR. AMPOMAH: Okay. The analog wells. 20 And all of these are in Texas?</p> <p>21 MR. TAYLOR: Correct.</p> <p>22 DR. AMPOMAH: So my first question is 23 what is the distance between the closest one to the 24 Papa Squirrel well?</p> <p>25 MR. TAYLOR: Yeah, that's a good</p> <p style="text-align: right;">Page 222</p>	<p>1 and smaller subset at the time. So it had -- and 2 our -- and our filings are requested some rates that 3 were a little bit on the high side of the estimated 4 range from the numerical model. It was based on this 5 rate transient analysis.</p> <p>6 DR. AMPOMAH: Yeah, so my biggest 7 concern is about the 20,000 and then the 15,000. So I 8 just want to be clear. Are you saying that -- let's 9 see. Is it your testimony today that your rate is 10 more or less comparable to the amount -- or analysis 11 from the 20,000?</p> <p>12 MR. TAYLOR: So I think that notable 13 analysis of the C108s represent the high side cases. 14 And -- and yet if we turn to page 156, you'll see that 15 that high case peak of these Veritas wells, 20,000 16 barrels of water per day, in one case 50,000 barrels 17 of water per day, which agreed exactly with our -- our 18 assessment there on the C108. Or as noted on the 19 Severitas well, we -- we had our maximum at 15,000 20 barrels per day with our average at about 12,500 21 barrels a day.</p> <p>22 You can see here from this plot on page 23 154 that the simulation is showing a -- the high case 24 at that 12,500 barrels a day. So you see why it may 25 be overstating the amount of injection that we can</p> <p style="text-align: right;">Page 224</p>
<p>1 question. There's not a scale on this map, so I 2 can't.</p> <p>3 DR. AMPOMAH: I do live very close to 4 the --</p> <p>5 MR. TAYLOR: Severitas?</p> <p>6 DR. AMPOMAH: Yeah. I don't want to be 7 that close. But near Papa Squirrel. And I do see 8 also that he brings the analysis to propose 20,000 9 daily rate and a 50,000 daily rate. These are 10 analogous, each well analysis; right?</p> <p>11 MR. TAYLOR: Yeah. So coming back to 12 what was submitted in the C108 versus the analogs 13 here. So the C108 analysis was done prior to having 14 this dataset completed. So we actually used it, no 15 one else's software and then a -- a much smaller 16 subset of -- of the analog SWDs to figure out what a 17 -- the productivity index or injectivity index would 18 be for the reservoir, where you applied that to the -- 19 the well bore and depth conditions in both the 20 Severitas and Papa Squirrel to then calculate what the 21 rate would be.</p> <p>22 And that was what was submitted into 23 the C108. You notice that that agreed quite well with 24 the Papa Squirrel range the Severitas, the analog well 25 that we used was a little bit optimistic in that case</p> <p style="text-align: right;">Page 223</p>	<p>1 potentially see in this location.</p> <p>2 DR. AMPOMAH: Yeah, so that is my 3 concern. Because let's say we agree to 20,000 barrels 4 per day. Now, before I move on, let me ask. So these 5 were there to analyze what is the maximum injection 6 rate for either the maximum? I cannot recall.</p> <p>7 MR. TAYLOR: So what I recall, I think 8 between 20 and 30,000 barrels of water per day.</p> <p>9 DR. AMPOMAH: So I asked this question 10 earlier to your colleague. And then he told me -- he 11 told the Commission that in New Mexico, it is very 12 small. But the maximum he has seen in Texas has been 13 about 10,000. Yeah, that was part of the testimony.</p> <p>14 MR. TAYLOR: Yeah, I -- I know there 15 are some wells that have injected 10,000 barrels a 16 day. Our Chevron wells and one of the ones that we 17 had actually has a similar maximum rate on it as -- as 18 what we would see in that -- I think in the Severitas 19 well. And it's a shallow one in Texas. It's been 20 averaging about 12,000 barrels a day.</p> <p>21 So it -- it really depends on where you 22 are in the -- and there's a lot of wells there more 23 towards the -- the east closer to the Papa Squirrel 24 location that will put away 20 to 30,000 barrels a 25 day, some even higher than that just depending on the</p> <p style="text-align: right;">Page 225</p>

1 permits that have been granted.
2 But important to keep in mind Texas has
3 a much higher maximum surface pressure that actually
4 results in the injection of bone fracture gradient.
5 DR. AMPOMAH: Yeah, not in New Mexico.
6 MR. TAYLOR: Right.
7 DR. AMPOMAH: So I just want to clarify
8 that the people -- said, you know, two to 4,000
9 barrels a day. And at the maximum that they see based
10 on the experience of our 10,000, that's been outside
11 the state lines. So I don't know. Because I feel
12 like 20,000 barrels a day, and there were based on
13 your analysis, you are not that close to that number;
14 right?
15 So my thought is would you agree to
16 what NMOCD's saying and then probably be granted a
17 lower rate and then the step-rate test down with that?
18 MR. TAYLOR: Yeah. We have no
19 objections to the rules that were -- were pointed out
20 by the -- use the separate test to guide the maximum
21 injection pressure. You know, the -- the rate, the
22 injection rates.
23 You know, there's a lot more wells than
24 just these that were used to -- in the RT analysis.
25 The report didn't really see it had -- but there's a

Page 226

1 lot of publicly available data we can look up and
2 pull. But there's dozens and dozens of wells that are
3 injecting about 20,000, 30,000 barrels a day in Texas.
4 So the -- the DMG is capable of taking
5 a lot of water. However, as this -- you were pointing
6 out a lot of that -- then Texas is above the fracture
7 parting pressure, and so we're -- we are expecting
8 much lower rates here in New Mexico due to the -- the
9 guidelines set by the OCD.
10 DR. AMPOMAH: Let me ask. What about
11 your assumptions that you utilize in their key
12 analysis?
13 MR. TAYLOR: Can you be more specific
14 about the -- which assumptions?
15 DR. AMPOMAH: So the first one that I
16 saw is that there is a general system. So even that
17 one, how does that translate to, let's say, a highly
18 heterogenous system that you are used to dealing with.
19 You know, and if you are using that, you search more
20 like -- you explain more just why that conversation
21 ran that higher rate. You know, how is that shaping
22 up in terms of if they had continuous and then --
23 MR. TAYLOR: Yeah. Thank you for that
24 question. So the -- the approach that we're -- that I
25 like taking for these is the -- the simplest possible

Page 227

1 for what would explain the data that we're seeing.
2 That -- and that's just to avoid a creative yet super
3 convoluted model that might match the data but not
4 really reflect reality.
5 And in a lot of cases, most every --
6 every case for RTA that we've looked at, they -- that
7 simple model that explains the dataset is a
8 homogeneous radial flow meshed with a cylindrical
9 boundary. The part of the reason why we're -- that
10 model shows up a lot is due to some of the noise in
11 the data.
12 So a lot of these are surface pressure
13 readings that we then have to convert into bottomhole
14 pressures. And using the -- the rate data that -- to
15 then be able to perform this rate transient analysis.
16 So the -- yeah, so that's why that homogeneous
17 assumption makes the most sense as our starting point
18 and that explains most of the data. I think you can
19 see some of that potential heterogeneity in the
20 reservoir reflected in the permeabilities that we
21 calculate.
22 As you recall, that core permeability
23 shared on an earlier side showed less than 1
24 millidarcy. We're seeing a rate transient analysis
25 arranged with that 6 millidarcy up to 30 millidarcy.

Page 228

1 So what -- what could be the cause of that?
2 Sometimes natural fractures that --
3 that you asked about in a previous question that could
4 be present taking some -- some additional fluid out
5 here on these Texas wells. Specifically, it could be
6 due to induced fracturing from the high rates of
7 pressures that are present in the Texas. So those are
8 not -- that's kind of all reflected in this composite
9 permeability calculation that we get out of the data.
10 Some of the other assumptions that
11 we're using -- yeah, we're not really. Sometimes
12 we'll model these with well bore storage most of the
13 time. It doesn't really make much of a difference in
14 the final answer, so we tend to leave that off. We --
15 well, in these cases, some of them have time dependent
16 skin. That's when operations happen.
17 They -- and they'll do acid jobs
18 throughout the life of the well and see the skin
19 factors change. On all of our numerical simulations
20 that we're showing here on the exhibits today, we're
21 sending zero skins to represent the brand new well,
22 cleaned up a better casing --
23 DR. AMPOMAH: So nothing really that
24 different from the alternatives that you think is
25 helping to understand your two cases?

Page 229

1 MR. TAYLOR: Yes, yes.
2 DR. AMPOMAH: So now what? If you look
3 at the testimony now presented in your analysis in the
4 area that you are proposing, you have -- the radial
5 .32 millidarcy?
6 MR. TAYLOR: Yeah.
7 DR. AMPOMAH: So I am expecting around
8 -- lower end. Should a range reflect that?
9 MR. TAYLOR: Yeah. And I -- and I do
10 understand that -- that concern. I think that these
11 models are very easy to -- to rerun with permeability
12 assumptions. It's the -- we wanted to honor the
13 analog data since we don't have, you know, really any
14 analogs in New Mexico under that pressure, where you
15 know, we have to use the Texas wells, which do have
16 some different operational conditions.
17 You know, part of the reason why we
18 want this pilot, they're requesting this pilot program
19 is to actually get that data in New Mexico operating
20 under the OCD guidelines to understand more about how
21 the rock is reacting to the -- to an injection. What
22 are we really seeing in terms of permeability?
23 You know, the -- the few core samples
24 that we do have, are those reflective of the entire
25 reservoir or not. And so there -- there's a lot of

Page 230

1 unanswered questions that we have right now. A lot of
2 uncertain data we are hoping to resolve in this pilot
3 project.
4 DR. AMPOMAH: So in the modeling that
5 you did for the two wells, do you know whether the
6 formation really took most of the water?
7 MR. TAYLOR: So since these models are
8 ultimately homogeneous and ultimately simple, it
9 really just comes down to -- it's mostly collated with
10 their thickness. We think upper, which is a Y, and
11 injection rate is correlated to -- to thickness.
12 So the thicker one would take more --
13 more water in the models, so in this case it would be
14 the -- the Cherry. The porosities do -- do impact
15 that a little bit. But being as how close these are
16 with these models, it's -- they give a thicker
17 interval tends to hold more water.
18 DR. AMPOMAH: Just so I understand, so
19 before the true potential injection zones, you
20 assigned the same porosity?
21 MR. TAYLOR: No. As you'll see on
22 slides 154 and 156 on the tables, those are the inputs
23 into the model so that you have different porosities
24 based on the -- from the geology at those locations.
25 DR. AMPOMAH: So what were the fracture

Page 231

1 pressure ingredients that you utilized in this one for
2 either of the wells?
3 MR. TAYLOR: So this model did not take
4 into account fracture pressure. This is the very
5 simple radial flow homogeneous model.
6 DR. AMPOMAH: So in my mind, I'm trying
7 to correlate the significance of the arms to the rate
8 that you want -- So it sounds to me like this is a
9 very simplistic model. And looking at how simple-
10 looking it is, you know, maximum injection rate, it's
11 not really up to answering our question.
12 MR. TAYLOR: This -- I can agree that I
13 can thank the -- the rates that we requested were on
14 the high side and then we wanted to socialize those --
15 those high in potential numbers based on what we're
16 seeing in Texas and how this is possible in the DMG.
17 And just so that we're not -- we didn't
18 want to come in and request 5,000 barrels a day and
19 then have well, the potential for 20,000 barrels a
20 day. We thought it would be better to err on the
21 conservative side of requesting for more, higher rate
22 at these given pressures and then learn through this
23 pilot what is actually possible in -- in New Mexico.
24 There's just -- there's a lot of
25 uncertainty on the rates. Much more confident in

Page 232

1 the -- the pressure assumptions and the total storage
2 in real life as well. But the rate is really a big
3 question. That just comes down to that -- that
4 uncertainty and permeability to have all these tracks
5 going forward.
6 What does the permeability really look
7 like on a macro level as the well accesses the
8 reservoir? And we won't understand that until we have
9 some injectors in the ground and we can do a similar
10 analysis on them.
11 DR. AMPOMAH: So I'm going to ask you
12 based on the analysis that you've done, in your
13 experience, you know, how is the high volume injection
14 in the shallower areas that you are proposing, how
15 will the impact -- you're going to build a pressure
16 pit. So how is that going to impact future injection
17 --
18 MR. TAYLOR: I -- I think this is why
19 it's important to space wells properly. I do agree
20 with the proposal that the OCD put forth that the
21 wells be at least a mile apart. You know, Chevron, we
22 see a lot of operators out there on the side in Texas.
23 They'll pack their wells really close
24 together in whatever position they have are being
25 that's wasted. The capital or really this here have

Page 233

<p>1 been injected into the exact same container. So we -- 2 our view is to space our wells out appropriately right 3 now I think in the -- in our entire Harris, New Mexico 4 field, where Severitas is, we have a potential three 5 more locations we've identified with proper spacing 6 and which I think is at least about a mile and a half 7 to two miles apart.</p> <p>8 But this is something that I don't 9 recall exactly off the top of my head, but I think 10 that's -- you know, relative to the -- the range of it 11 over in the -- near Papa Squirrel and our Salado Draw 12 field, we have two additional locations identified and 13 properly spaced out.</p> <p>14 It's not our intention to pack these 15 wells in closer. I think I'm, you know, kind of 16 extrapolating your question a little bit. If -- if we 17 pack a lot of wells too closely, then the water 18 pressures will increase it a lot quicker. It's not 19 something we want to see, and we want to be able to 20 efficiently use the -- the reservoir in that storage 21 capacity. From my -- from my perspective, that 22 cumulative storage number is the most important 23 number. How much is this well going to be able to 24 take over its -- its entire life?</p> <p>25 DR. AMPOMAH: So on page 157, you apply Page 234</p>	<p>1 an arbitrarily large boundary. They all -- all of the 2 boundaries tend to just show up within a few months. 3 So we got to -- it's a finite here. They gave us each 4 model followed by that circular reducing on the wells 5 quite well.</p> <p>6 In reality, the shapes get, you know, 7 oblong. They could be rectangular. We don't really 8 know. But the -- the important thing is that they are 9 finite and we can represent that finite, that 10 potential area of impact quite well through a 11 cylindrical reservoir model.</p> <p>12 DR. AMPOMAH: Yeah. And you obviously 13 did hard work. You did an amazing analysis. So thank 14 you.</p> <p>15 MR. TAYLOR: Yeah. Thank you for your 16 round of questioning.</p> <p>17 MR. FUGE: Now, I take it there are no 18 questions?</p> <p>19 MR. FUGE: I only have one. And it may 20 just be implied from the analysis here. But I'm 21 assuming when you did your sort of individual well 22 decline and then the El Mar Field remaining reserves, 23 a check was done. There are no pending applications 24 that would suggest any interest in this area or these 25 formations?</p> <p style="text-align: right;">Page 236</p>
<p>1 the pressure showing us how the pressure needs to be 2 away from the well bore, but I really wanted to see 3 how the pressure is building up with regard to time. 4 You know, in the more, like, pressure so I can really 5 see how the pressure is building up based on the rates 6 that you are using. I'm sure you have that.</p> <p>7 MR. TAYLOR: Yeah. Yeah, we can -- we 8 can for -- transform it into that. The way we 9 presented it here was the time is really represented 10 by those -- those different curves that we had. They 11 all go up on the chart. That's the time. And then I 12 tried to give a sense to that on the -- in the box 13 there, the -- be calculated that timing there, that 14 four-year, 11-year, 23-year et cetera.</p> <p>15 Again, we -- the way we should have 16 presented this data was more in terms of distance, as 17 you said, rather than through time.</p> <p>18 DR. AMPOMAH: Can you comment on the 19 boundary conditions? So I know that in your 20 application you said it's the closest.</p> <p>21 MR. TAYLOR: Yeah.</p> <p>22 DR. AMPOMAH: So is it really closed.</p> <p>23 MR. TAYLOR: So based on the RT8 data 24 that we've seen, these wells really are our closest. 25 We haven't found one yet that is in the DMG that has Page 235</p>	<p>1 MR. TAYLOR: I don't recall. I -- I 2 did not do that exact -- that check even with the 3 outlines. We're back to -- look at that.</p> <p>4 MR. FUGE: Yes, please.</p> <p>5 MR. TAYLOR: So yesterday, we were -- I 6 went back -- some questions and just went back to see 7 when the last was -- and so it kind of tells me in -- 8 in short what I think OCD kind of -- first of all, she 9 went -- with these Cherry Canyon behaviors -- didn't 10 even -- didn't even require -- we don't have an exact 11 -- I think there is some -- some --</p> <p>12 MR. FUGE: Any other questions for the 13 witness?</p> <p>14 MR. TREMAINE: No.</p> <p>15 MR. FUGE: You may be excused. 16 I think I'm going to order to adjourn 17 for a short break. We will reconvene at 3:30. 18 Then you have one more witness?</p> <p>19 MS. BENNETT: Right.</p> <p>20 MR. FUGE: Mr. Tremaine, how long do 21 you expect you'll need for your first witness?</p> <p>22 MR. TREMAINE: Our first witness will 23 be pretty quick, so maybe 15 minutes.</p> <p>24 MR. FUGE: So at least coming in, just 25 sitting in, and so you know this at the outset.</p> <p style="text-align: right;">Page 237</p>

1 Somebody had a harder stop at five today. But at
2 minimum, we're going to do Chevron's last remaining
3 witness and OCD's first. If we have some additional
4 time, we can discuss that as we're moving forward.
5 So we will return at 3:15. I mean at
6 3:30.
7 (Off the record.)
8 MR. FUGE: Let's get back going, folks.
9 And I know it's a little toasty in here. I have
10 submitted some request to central, wherever that is
11 located, to drop the temperature a little bit to the
12 extent they can.
13 But we will go ahead and get started
14 with Chevron's last witness.
15 MS. BENNETT: Thank you.
16 MR. FUGE: And since, Mr. Comiskey,
17 we've already sworn and recognized this, I think we
18 can just go into the substance of his testimony.
19 MS. BENNETT: Thank you very much.
20 EXAMINATION
21 BY MS. BENNETT:
22 Q Yes. Mr. Comiskey, you remember that you
23 were sworn in? Do you agree to tell the truth?
24 A Yes.
25 Q So this morning you gave us an overview of

1 the pilot projects and some of the work that's been
2 done. And now we're transitioning to a different part
3 of your testimony. And so what's the purpose of the
4 testimony you're about to give?
5 A So a part of my own projects, one of the
6 things you'll notice, we did a -- and took a very
7 thorough review of seismicity at the Permian Basin.
8 This is one of the cornerstones of -- of, you know,
9 why we're looking into this kind of project for
10 produced water optionality. It's partly due to the
11 fact of the increase of induced seismicity
12 attributable to somewhere across the Permian Basin.
13 So through these pilot reviews we undertook
14 -- and we'll go through the review that I undertook to
15 assess seismicity risk for these two pilots and just
16 an overall setting of seismicity through the Permian
17 Basin.
18 Q Thanks. And let's start out with your first
19 slide, which is a seismicity review slide.
20 MS. BENNETT: And for the Division --
21 I'm sorry -- for the Commission, for reference, and
22 for our other parties, we're starting on page 126 of
23 the materials.
24 BY MS. BENNETT:
25 Q So let's start with page 126. And if you

1 could orient the Commission to the slide.
2 A Yeah. So again, the map on the right is
3 just the map you've seen probably a dozen times
4 already today of the two locations, so I won't harp on
5 those. The thing on the left is modified from Zhai,
6 et al. And it's -- it's focusing on Permian Basin.
7 So what I did is just -- it does a good job of
8 explaining, I think, the major operational practices
9 going on on today's Permian Basin.
10 And so if you look at that, we start with
11 the caprock, which we touched on a little bit. And
12 then we get into the -- the shallow disposal layer,
13 which in this case is the DMG. Below that are the
14 Avalon, Bone Spring, and the Wolfcamp production
15 intervals. And then you go further below that into a
16 deeper disposal interval, which is typically referred
17 to as the slurry or admission carbonates or deep
18 disposal. And then below that is a basement.
19 And so what I've annotated on there are kind
20 of three colored blocks, a pinkish, reddish that looks
21 a the shallow injection. And roughly the depths here
22 in Southeast New Mexico of about five to 7,000 feet.
23 Production again that's referring to major
24 unconventional development and production of roughly
25 about 6500 to 12,500 feet.

1 And then deep injection is roughly about
2 17,000 feet to about 20,000 feet. And then what I've
3 labeled there below is that seismicity, which I'll
4 show in the -- in Southeast New Mexico it's roughly
5 located about 20,000 feet or greater.
6 So you can see just the vertical
7 differentiation between shallow disposal in the
8 Permian and then the deep earthquakes that have been
9 attributed to deep disposal. And so this kind of just
10 sets the -- you can see the schematic there kind of a
11 little bit on the left side.
12 You've got, you know, disposal and pressure
13 front perturbation, which my colleague Bryce mentioned
14 on just a minute ago. You've got production, which
15 also creates a -- a pressure response and then deep
16 disposal again. So your -- you have various sources
17 and sinks of pressure as fluid is withdrawn or -- or
18 molecules are withdrawn or rejected, given a -- a
19 specific operation.
20 Q One last turn to your next slide, which is
21 slide 127. And can you briefly describe this slide,
22 and in particular where this information comes from
23 and what it represents?
24 A Yeah. So this comes from the OCD oil and
25 gas map. So what I've labeled here obviously this is

1 the locator. I've -- I've labeled the -- the two
2 locations for the pilots there with the blue stars,
3 and then the colored bullseyes represent the current
4 seismic response areas or SRAs in Southeast New
5 Mexico.

6 So the colors there represent different
7 radius around that, so the also yellow and/or red or
8 orange circles, if you look. The small circles are
9 earthquakes of a certain magnitude. Those are either
10 2.5 to 2.9 magnitude. That's 3 to 3.4. So 2 to 2.9
11 are yellows, the oranges are a 3 to 3.4, and then the
12 reds -- there's two reds -- are above the magnitude
13 3.5.

14 Those levels are defined by the OCD's
15 seismicity protocol that was announced back in 2021.
16 The associated colored bands of red and orange and
17 yellow represent different radiuses around those
18 events, representing red for 3 miles, orange for 6 and
19 yellow for 10. And again, those are derived from the
20 OCD's seismicity protocol from 2021.

21 And so what this is trying to show about the
22 various seismicity protocols within Southeastern New
23 Mexico, and we'll go through some of the slides and
24 looking at in particular one of the SRAs, which I've
25 labeled a county line, state line SRA, which is --

Page 242

1 borders Eddy and Lea County and also Loving and Lea
2 County.

3 Q And so those depict the Papa Squirrel as it
4 is within one of the SRAs?

5 A Yes, it does depict Papa Squirrel as to be
6 within one of the SRAs. However, as I'll show in
7 future slides, the SRAs focused only on deep injection
8 and not shallow.

9 Q Let's turn to the next slide then. And can
10 you orient the commissioners to what this slide is
11 then and what you're showing here?

12 A Yes. Again, so here's an inset map looking
13 at Eddy and Lea County, and also the northern part of
14 the Delaware Basin of Texas. Again, I've highlighted
15 the two proposed titled SWD locations with blue stars.
16 I've also highlighted the county line/state line SRA
17 and a -- and a black oval.

18 The earthquakes on this map are -- are
19 colored circles represented from a magnitude 2.5 to a
20 magnitude 5.0. So what I'll go on this is the source
21 of this information is the USGS website. They are the
22 authoritative source on earthquakes in Southern New
23 Mexico. They're not in Northern Texas. That is the
24 TexNet, but TexNet or USGS reports of Texas. So the
25 USGS is essentially now the -- a one-stop shop.

Page 243

1 So those earthquakes are colored by
2 magnitude. Most of those earthquakes occurred from
3 2019 onward. The two plots on the right if you look
4 on the -- the histogram, you'll notice the label is
5 depth of the event over time. So it's depth in feet
6 from surface level. And so the top of hot is
7 referencing just the events within the county
8 line/state line SRA.

9 The bottom is year, and you can see the
10 events with the necessary started within 2019, kind of
11 regressed since then. It started to pick up really in
12 late 2020 and has progressed fairly consistently until
13 late 2022/2023 where we saw a -- a reduction, and I'll
14 show that in a future slide.

15 The bottom plot is -- is looking at the
16 Northern Culberson/Reeves SRA, Texas. The reason for
17 showing this is it's also an area of seismicity that's
18 been attributed to deep disposal operations. And you
19 can see the number of earthquakes there. There's
20 obviously quite a few more earthquakes over time in
21 this plot.

22 But again, it just relates to the depths of
23 the event. So both plots, you can see the depths are
24 well over 18 to 20,000 feet. That is many thousands
25 of feet deeper than -- than conventional development

Page 244

1 and/or shallow disposal, which I'll show in a future
2 slide.

3 But the main purpose of this is just to
4 orientate everybody with the seismicity that's going
5 on within the area of interest, the magnitudes, and
6 the trends over time and the depths.

7 Q And so turning to the next slide, because
8 you've taken a closer look at some of the events that
9 have occurred in the area?

10 A Yes.

11 Q Why don't you walk us through this slide?

12 A So I'll start on the -- on the right of the
13 slide first so that -- this is a depth of operations
14 versus seismicity. The depths that you'll see here
15 from the formations are derived from well tops. So
16 there's a fairly accurate -- so the step goes from 0
17 to roughly 30,000 feet, again from surface.

18 So the first color block on there is -- is
19 relation to the Papa Squirrel. So the proposed
20 injection interval that you've seen is the Bell and
21 Cherry Canyon formations, roughly 4600 feet to 7,000
22 feet.

23 Below that, you'll see the Avalon
24 production, roughly about 9,000 feet, the Bone Spring
25 production, roughly about 10,000 feet, the Wolfcamp

Page 245

<p>1 production, roughly about 11,000 feet. And then below 2 that again are deep injection. And that's again 3 roughly 17 to 20,000 feet.</p> <p>4 Even below that again are earthquakes. So 5 the earthquakes that occurred and you referenced the 6 map on the left to see the location of the earthquakes 7 in XY. The location of earthquakes are again well 8 below the proposed DMG location interval and again 9 below the -- the deep SWD interval.</p> <p>10 If you look on the map on the left, you see 11 the earthquakes again colored by magnitude. That 12 magnitude scale is consistent through all the slides, 13 I should note. The -- the red dash outline is roughly 14 the -- the county line/state line SRA.</p> <p>15 And then the blue boxes are deep disposal 16 wells. As I've mentioned this -- the SRA did not 17 impact any shallow disposal wells. It was only 18 focused on deep disposal wells given the preponderance 19 of information that was put forth a couple years ago 20 from those -- the industry.</p> <p>21 So all the blue wells in that area have been 22 impacted by the SRA either through enhanced data 23 reporting, curtailments, or shut-ins depending on the 24 distance from the earthquakes. The reference there, 25 there's that orange/reddish circle right there. Yes,</p> <p style="text-align: right;">Page 246</p>	<p>1 the Permian Basin, but anything due to anthropogenic 2 events. And anthropogenic meaning human caused.</p> <p>3 So when we looked at seismicity in Southeast 4 New Mexico as it began to -- to take an uptick, we're 5 starting to look at -- see the correlation between, 6 you know, analog studies, correlation between deep 7 injection and the seismicity, things like that.</p> <p>8 So there's a couple key things on this that 9 I think add -- give us a better understanding of the 10 correlation between deep disposal and the seismicity. 11 So the same map on the -- that was on the previous 12 slide is shown. However, there's a blue kind of 13 colored in circle-ish oval. And what that's depicting 14 is just the initial seismic response around the 15 initial magnitude 4.0.</p> <p>16 The reason why the red area is much larger 17 is that's incorporating events that trend up towards 18 the south, southwest over time towards the state line. 19 That's created a much broader polygon. But the 20 initial kind of AOI was that -- that shaded -- roughly 21 shaded curtailment area.</p> <p>22 And so if you look down below, you see the 23 magnitude 2.0. That's within the initial 4.0 24 response. And again, it's just magnitude 2.5 and 25 above on the USGS. And you can see the events over</p> <p style="text-align: right;">Page 248</p>
<p>1 that is a magnitude 4.0 event that occurred in July of 2 2021. That was really the catalyst for the -- the 3 SRAs and the -- the change in the protocol in 4 establishing this SRA.</p> <p>5 I'll talk a little more about the -- the 6 evolution of this SRA over time. But the main purpose 7 of this slide is just to orient to begin within the 8 county line SRA and in particular the Papa Squirrel as 9 it is in the SRA. The depth of the proposed injection 10 interval, the depth of the production, the depth of 11 the deep injection, and when the seismicities occur.</p> <p>12 Q Thanks. And down here, this is the part? 13 A The Papa Squirrel, yes. The Papa Squirrel 14 is the black diamond on the map label.</p> <p>15 Q Right. Anything else you want to tell about 16 the slide? If not, we can move on.</p> <p>17 A No.</p> <p>18 Q So the next slide discusses curtailments, 19 which you were just alluding to, so why don't you take 20 it away and talk a little bit more about curtailments 21 and why that's relevant to today's discussion? 22 A So when we look at seismicity, the question 23 is what's inducing the earthquakes; right? And 24 there's a multitude of hypotheses that can be looked 25 at with inducing earthquakes. Not just on the -- in</p> <p style="text-align: right;">Page 247</p>	<p>1 time.</p> <p>2 The dashed line that is noted on that plot 3 on the bottom with OCD becomes labeled is the point at 4 which the OCD enacted their response, thus curtailing 5 deep disposal within that area. If you look up at the 6 plot above, this is a plotted SRA. The county 7 line/state line SRA deep volumes and barrels of water 8 per month from the OCD website dating back to January 9 of 2017 essentially through reporting in October 10 roughly.</p> <p>11 And you can see that trend continuing up 12 over time, reaching a max of nearly 8 million barrels 13 a month in early 2021. However, you can see a sharp 14 drop after that OCD curtailment in essentially 15 December of -- of 2021, January of 2022.</p> <p>16 And so if you look at that OCD curtailment 17 drop and you look at the -- go back to the bottom 18 plug. You can see the seismicity before the 19 curtailment and the seismic reactive curtailments 20 are -- are very different.</p> <p>21 And you notice that there's only one event 22 on that bottom plot kind of after that April 13 date. 23 We -- I pulled the date up until just a few weeks ago. 24 There just haven't been any events. So that's why the 25 plot stops. There just haven't been any earthquakes</p> <p style="text-align: right;">Page 249</p>

1 in that -- in that oval.
 2 If you go and look now on the county line
 3 SRA earthquakes over 2.5, this is taking into account
 4 the whole county line SRA. Again, I note the OCD
 5 curtailments. You still see seismicity has continued.
 6 You could probably say it's probably equal to what it
 7 was before. Again, that's representative of the
 8 seismicity has migrated. Again, the curtailments have
 9 only impacted a certain area, not the whole, broad
 10 area.
 11 The -- but the key to this slide though is
 12 that within the area curtailments on the deep disposal
 13 volumes only -- and I want to reiterate there was no
 14 shallow curtailments in this -- there seems to be a
 15 strong correlation between the curtailments of the
 16 volumes from the OCD and the seismicity within that
 17 immediate response area.
 18 And this is analogous to other areas
 19 globally that have seen responses in injection due to
 20 seismicity, curtailments, or shut-in, and the
 21 mitigation of seismicity over time.
 22 Q So this preserved -- that we intended to
 23 talk about earlier, but it's here as well, so why
 24 don't you describe this slide to the commissioners,
 25 and why was it included in here as well?

Page 250

1 A So this is -- this is somewhat a cornerstone
 2 of the pilot program. It just kind of relates to --
 3 to, you know, where this water's going. So you've
 4 seen curtailments. Production has continue to go.
 5 I'm sure, you know, New Mexico should be very proud of
 6 being the second largest oil-gas producer in the
 7 United States.
 8 So the plot on the bottom -- this is just
 9 focused on Southeast New Mexico, so this isn't
 10 representative of the entire state, just focusing on
 11 Southeast New Mexico in the Permian.
 12 You can see an increase in - in green. That
 13 shows up as green. But oil production, that's BOE
 14 equivalent per day. 2019 obviously till 2023 when
 15 pulled the data, and that's roughly about 3 million
 16 barrels a day or so. BOEs again.
 17 The darker blue line, that is average water
 18 injection. Again, this is Southeast New Mexico. And
 19 so you can see that premise is roughly flat, but did
 20 come up a little bit in 2022, then it's roughly been
 21 flat. However, you know, for every BOE that's
 22 produced in the Permian Basin, roughly it's anywhere
 23 between two and a half to five bags of water.
 24 So -- and you expect to see that trend
 25 increase relative to production. So if you look up

Page 251

1 the total water production trend, seems to -- you
 2 know, kind of relates to that. So you can see that
 3 Delta is roughly about 2.5 to 3.5 four to one. So
 4 where is that water going?
 5 You have increased oil production, and the
 6 injections here will be flat. Most of that water is
 7 moving across the state line. It's being injected
 8 into Texas roughly to the tune of about 3 to 3 1/2
 9 million barrels a day is being injected.
 10 And I -- I would argue that probably 90
 11 percent if not 95 percent of that water is being
 12 injected into DMG disposal wells. So when we think
 13 about, you know, reductions in -- in, you know, we've
 14 -- we've talked about limited DMG disposal and
 15 Southeast New Mexico as we document its -- today, talk
 16 about predominantly deep disposal in Southeast New
 17 Mexico.
 18 However, the rise of seismicity has
 19 curtailed several areas of deep disposal. It's put
 20 more -- more pressure -- pun intended -- on the
 21 disposal network. And there's been a big move to move
 22 a lot of that water across the state line into Texas.
 23 Q Thanks. This slide is entitled "Chevron
 24 Undertook In-Depth Technical Review." And this slide
 25 isn't designed to go through that technical review,

Page 252

1 but maybe more or less to be a summary of the
 2 technical review?
 3 A Yes. This is just a graphical
 4 representation of the technical review. And so the
 5 previous slides talked about the seismicity, where
 6 it's occurring and operational things. Things that we
 7 can observe, things that we can -- we can see.
 8 This is trying to look at, you know, what's
 9 causing the earthquakes and what are the earthquakes
 10 telling us about the earth? What are they telling us
 11 about the relationship to stress, relationship to many
 12 different properties we look at.
 13 And so all red -- everybody to the -- again,
 14 the plot on the right -- the figure on the right is
 15 the same figure again on -- and I'll talk about that
 16 dash line here in a second.
 17 But if you go to the figure on the left, the
 18 map, you can see that this is again a map of roughly
 19 the same area of Lea and Eddy County and Northern
 20 Texas and the Delaware Basin. And then I've -- I've
 21 labeled several things on here, so I'll walk through
 22 that.
 23 If you notice the -- the blue triangles
 24 here, those blue triangles are seismic monitoring
 25 stations. This is Chevron's and the industry's

Page 253

<p>1 operator network that many companies have subscribed 2 into. And essentially, it's a -- a very robust 3 network of seismic monitoring stations.</p> <p>4 Across the Permian overall, Chevron has 5 access to over 220 seismic monitoring stations, which 6 gives us a very robust understanding of where the 7 earthquakes are occurring. Space and time, but also 8 very highly accurate understanding of the depth, which 9 is very consistent.</p> <p>10 A lot of the times, you'll see the -- either 11 through other public reporting agencies the depths are 12 off. They could be off by 10,000 feet because they 13 don't have enough stations to detect the earthquakes 14 accurately. And this has been around for several 15 years, and it's actually expanded into Mexico more 16 frequently in the last couple years because of the 17 increase in seismicity.</p> <p>18 The second thing I want to note on this are 19 the colored -- we call them beach balls in -- in 20 seismology. They're actually moment tensor focal 21 mechanism solutions. But you can see they're colored. 22 They're colored according to the magnitude scale. And 23 I apologize that it's hard to read. But the -- the 24 darker colors are lower magnitude starting at about a 25 magnitude 2. The warmer colors go up to I believe a</p> <p style="text-align: right;">Page 254</p>	<p>1 subsurface. Is it a normal faulting environment based 2 on the orientation of these mechanisms? Is it a 3 reverse fault environment? Things like that.</p> <p>4 But it's very critical understanding the 5 stress 'cause that tells us how faults are stable and 6 subsurface unstable. Some faults are stable. You 7 could -- you could increase the "rosavar" [ph] 8 pressure to a million psi and it'll never move.</p> <p>9 Some faults are unstable. You could 10 increase the "rosavar" [ph] pressure by one psi and 11 they will move. So understanding that in relation 12 to -- to the geometry is very important when we're 13 thinking about induced seismicity and what may or may 14 not cause it. So that -- that's a key component.</p> <p>15 The figure on the top is just a 16 representation of Andersonian faulting. And this is 17 just a broad representation of the fault, this roughly 18 dipping that we've interpreted here. They kept kind 19 of becoming SRA area. The deep fault moved. And it's 20 roughly dipping about 50 degrees, striking about 65 21 degrees, which is roughly parallel to SHMax.</p> <p>22 So the -- the red lines on this map are 23 interpreted based on many different types of data, but 24 the SHMax in the direction's roughly about 70 degrees. 25 So 65 degrees for the strike. Background stress is</p> <p style="text-align: right;">Page 256</p>
<p>1 magnitude 3.8 or 9 on this map. And so that's just 2 the magnitudes, so the beach balls are colored by 3 magnitude.</p> <p>4 What the beach balls tell us and how you can 5 see they're slightly different shaded -- and again on 6 the scale it might be difficult to see. But you can 7 also -- if you take a glance at the map on the middle, 8 you can see similar kind of gray beach balls. And 9 what these moment tensor beach ball solutions tell us 10 is how faults are moving.</p> <p>11 So when an earthquake occurs, there's 12 different -- different stations to detect different 13 first motions and locate the earthquake. And that 14 amplitude either up or down tells us how the fault 15 moves each direction.</p> <p>16 The -- the very key component to this, it 17 tells us the geomechanical orientation of the fault on 18 the subsurface. And so for several representative 19 focal mechanisms, what I've done is I've labeled the 20 spike, dip, and the rake. And those are key 21 components of structural geology.</p> <p>22 But what these tells us is which way's the 23 fault leaning, so which direction is the fault? Which 24 way is it dipping? And those can tell us about so log 25 information, about the stress information in the</p> <p style="text-align: right;">Page 255</p>	<p>1 roughly 70, so they're very well aligned.</p> <p>2 So in a normal faulting environment, when 3 you have a fault that's probably parallel to SHMax, 4 it's more prone to slip, meaning it's more likely for 5 movement to occur than fault let's say on an 6 orthogonal map and I'll show a simplistic model on the 7 next slide on -- on that. The -- the map in the 8 middle is a publication from Jens, et al., and Mark 9 Zoback at Stanford. This was 2016. There's been a 10 subsequent update to this.</p> <p>11 But this just shows a very good example the 12 stress direction accomplished of multiple data, some 13 of which -- a lot of which industry provided, 14 including Chevron, to this. And this just gives a -- 15 a good understanding of the stress direction. So 16 the -- the cue in the map in the background is colored 17 by normal to strike with faulting environment.</p> <p>18 And then the -- the indicators that 19 directional arrows on the map roughly indicates a 20 stress direction, the maximum horizontal stress 21 direction, again, which is very critical to 22 understanding fault.</p> <p>23 So if you -- if you look at all that, the -- 24 the kind of the dash line is something we've 25 interpreted on this as a deep basement fault that</p> <p style="text-align: right;">Page 257</p>

<p>1 moved. And so that's just kind of based on all this 2 information, we're able to ascertain from the geology 3 ascertain the strike and the fault, the dip, the 4 background stretch direction, the stretch direction of 5 the fault, and those two limitations, what's prone to 6 slip, what's not prone to slip. 7 So when we think about how we manage new 8 seismicity, this is a very critical component to 9 constructing your risk management plan when you think 10 about, you know, disposal operations or anything in 11 particular that has a -- a net change on the reservoir 12 or pressure change. 13 So the next two slides to go through are 14 just basic seismicity reviews of -- of two locations. 15 So the -- the Papa Squirrel. There's a 10-mile area 16 of review on that. You can see the earthquakes again. 17 We've talked about this before. You know, the 18 earthquakes are -- are deep. Again, the injection 19 interval for the Papa Squirrel's about 4500 to 7,000 20 feet. Earthquakes here are well over, you know, 21 20,000 feet or so, so there's significant separation 22 between the two. 23 I should note that the separation between 24 those are many thousands of feet at very tight on 25 impermeable rock. Obviously, we have to use</p> <p style="text-align: right;">Page 258</p>	<p>1 this -- this paper up. 2 And so there -- are there -- there is 3 earthquakes in Permian Basin attributable to shallow 4 disposal. Absolutely. And I will go through a very 5 good case study from Horne, et al., that was published 6 a year ago and looked into this in much detail. 7 So the map on the left has a lot of 8 information on here, the reference is there and all 9 the references I've used are -- are cited. I would 10 recommend that Commissioners go and -- and look at 11 this if more interested. There's a lot of information 12 on it, so I'm not going to go through every component 13 of that. But what I'll note is I did the zoom in and 14 you can see the red arrow. And this is looking at 15 Southern Reeves County. 16 Southern Reeves County, the earthquakes here 17 are -- are much shallower. They are in the Delaware 18 Mountain Group. And so, you know, the question had 19 come up, you know, we have earthquakes due to shallow 20 injection here. Why not, you know, in Southern New 21 Mexico or other areas? And the answer is geology and 22 stress. 23 So as I mentioned before, faults that are 24 oriented roughly parallel to the stress direction are 25 more prone to slip. And at Permian Basin, the stress</p> <p style="text-align: right;">Page 260</p>
<p>1 hydraulics to stimulate the out of commission 2 reservoirs. They won't flow on their own. So there's 3 a lot of impermeable rock between the shallow 4 injection or goal and where these deeper quakes are 5 occurring. And then Papa Squirrel, the closest neck 6 to two and a half is roughly 5 1/2 miles away from 7 that bed. 8 The next slide is probably one of the more 9 boring slides we'll see today. Thankfully there is 10 no -- there are no events in New Mexico within the 11 10-mile AOR. I did pull up some events in Texas. 12 Those are pretty small magnitude events. I did label 13 again, as reference, this is again just -- the numbers 14 have changed here relative to the Severitas 2 State 15 SWD 1 location. 16 In the depths -- you could see the depths of 17 the earthquakes here very deep. You will note that 18 the plot stops in 2022. It's not because I didn't -- 19 I didn't want to pull anything more recent. It's just 20 there were no -- there had been no earthquakes within 21 this 10-mile AOR over that timespan. 22 So that was kind of a review of kind of the 23 seismicity review around this. I -- I will be remiss 24 if I didn't talk about shallow DMG disposal. And 25 based on the exhibits from OCD, I'm glad I brought</p> <p style="text-align: right;">Page 259</p>	<p>1 orientation rotates. See down here, it's roughly -- 2 the stress direction is roughly north/northwest to 3 south/southeast. So it's roughly -- if you look at 4 it, it's roughly oriented about, you know, 330 5 degrees. Whereas as I just showed you recently in 6 Southern New Mexico the stress orientation is about 70 7 degrees. 8 The stress rotates. It is very unique to 9 the Permian Basin. There are a lot of scholars out 10 there that are trying to understand exactly why it 11 rotates. There's a lot of hypotheses I'm not going to 12 get into today. But it does rotate. Which means 13 its -- one fault in a certain area may be stable. One 14 fault in the other area, same direction may be 15 unstable. 16 Look at the faults in Southern Reeves. You 17 can see their trend on the seismic cross sections. 18 The two slides there. One is black and white. The 19 other is colored. Just looking at a deaf slice and a 20 coherent slice of seismic data. And you can see those 21 faults are roughly trending about 330 degrees, right, 22 north/northwest. They are -- they are oriented and 23 they have -- it makes them prone to slip. 24 The -- the bottom plot and the colored 25 scheme down marked E shows numerous shallow injection</p> <p style="text-align: right;">Page 261</p>

1 wells in the yellow and green intervals. Those are
 2 the -- oh, sorry, the -- in the light green colored
 3 interval, those are active shallow injection wells
 4 that are injecting into the Delaware Mountain Group
 5 where those stalls are posted.
 6 And the likely hypothesis there is that
 7 those are increasing the far pressure reservoir, which
 8 reduces the effective stress on a fault. And that --
 9 when that happens, it becomes unstable, and it moves,
 10 generating earthquake.
 11 So this is the unique set of circumstances,
 12 we talked about faults. And you'll note that we have
 13 -- we have not shown any slides like this because when
 14 you go in and interpret these, these faults in
 15 Southern Reeves County are -- are very obvious in
 16 seismic data.
 17 When you move to other parts of the basin,
 18 we cannot see these structures. And there's likely
 19 just because of the different faulting and the
 20 different stress domain when the basin was formed,
 21 these are thin-skinned faults. These are young.
 22 These do not connect into the basement. They tip out
 23 into the Wolfcamp. It's likely because the timing of
 24 the basin range extension those dates, the deposition
 25 of the Wolfcamp.

Page 262

1 But they are there, but we cannot see these
 2 similar type structures in Southern New Mexico, at
 3 least on the -- on the distribution on the scale that
 4 we see down here in Southern Reeves County. That's a
 5 very distinct -- also cannot see these in the Midland
 6 Basin either.
 7 Q So when you say we don't see them or you
 8 can't see them in the Permian or Midland, what does
 9 that mean exactly? Does that mean that you literally
 10 can't see them or they don't exist or you don't have
 11 to be as concerned about them?
 12 A We can't see them with this fidelity.
 13 They're not as -- they're not as clear-cut. These
 14 are -- these are very clear. They offset
 15 stratigraphy. You can see them very blatant in the
 16 seismic data.
 17 You could bring a lineup from ten
 18 geophysicists and eight of them would agree. You
 19 can't get all ten. But eight would agree that you
 20 could see those. If you brought up a similar cross
 21 section in Southern New Mexico or other parts of the
 22 Permian Basin, it's much more harder to distinguish
 23 them.
 24 And the thought is it's -- there's a change
 25 in the structural geological in this area. There's

Page 263

1 definitely change in the stress direction as well.
 2 Q We're about to move off. Well, we have a
 3 couple more slides on there.
 4 A Yes.
 5 Q So let's talk about those, and then I think
 6 what I would like for us to discuss is your
 7 conclusions based on these slides once we finish up
 8 with this, the orienting on this one.
 9 A So the next slide, which is I believe 136 in
 10 the packet, this again looks at that. So this is from
 11 the same study. At least the figures on the left are.
 12 And so again, we're looking at SHMax, the direction
 13 here again is roughly 330 or 140 degrees, depending on
 14 which way you look at it. Northwest-southeast.
 15 And again, the -- the researchers here took
 16 the fault planes. They interpreted those two figures
 17 in the panel next to the rose diagram, and you can see
 18 that these are almost vertical faults. The different
 19 values are colored roughly 60 to 70 degrees, even
 20 higher. And these are oriented roughly parallel to
 21 SHMax, so again making it more prone to slip.
 22 But down the right is using a model. This
 23 is from FFP, some publicly available program. And
 24 it's very simplistic, but it does a very good job of
 25 visualizing the differences in how important stress

Page 264

1 direction is.
 2 And so I've drawn two orthogonal faults with
 3 each other. And its stress direction here again is
 4 roughly about 140 or 330 degrees. And you can see
 5 that the yellow fault, just based on its orientation,
 6 the core pressure model for it to slip is about
 7 300 psi.
 8 A fault orthogonal to it is roughly about
 9 900 psi. And so just based on those two conditions
 10 alone, you can see the difference -- the difference in
 11 the two and how important just the stress direction is
 12 on fault stability.
 13 Again, one of the things I want to note here
 14 I think is a very good part of the articles. If you
 15 look at the Coalson events that are colored on the
 16 bottom plot with the -- the beach ball diagrams again,
 17 that actually is today where the -- where the
 18 magnitude 5 reoccurred as well in this area.
 19 You can see the colors of those events.
 20 Those events are roughly -- the beach balls are
 21 roughly light to medium and dark green. The bottom
 22 plot of that corresponds to the depth of about 7 to
 23 9 kilometers in depth from the surface.
 24 If you look down further into Southern
 25 Reeves County, you can see that the beach balls were

Page 265

1 numbered 11, 12, 13, 23, 5, 17, and 16. They're
 2 roughly orange-ish color, which means they're roughly
 3 about 3 to 4 kilometers in depth.
 4 So there's a strong depth differentiation
 5 between larger earthquakes you see in the Culberson
 6 SRA, which I noted before, and the events in -- in
 7 Southern Reeves County. These are shallower. They're
 8 not as large, and there's a depth depreciation I'm
 9 getting off initially.
 10 The plot on the right is modified from
 11 Zoback and Gorelick. And I think this is a very
 12 important plot when I think about the potential size
 13 of earthquakes. It is very difficult to get a large
 14 earthquake in a very small hole. When you think about
 15 earthquakes globally, the large earthquakes, the San
 16 Andreas Fault, the earthquakes that occurred down in
 17 Mexico, in Japan, those are on faults that are
 18 hundreds and hundreds and hundreds of miles long.
 19 They generate very large magnitude 7 quakes.
 20 There's a direct relationship -- and this is
 21 what this plot is -- is showing -- between the -- the
 22 length of the fault and stress built up in the fault
 23 and magnitude. And the correlation is to have big
 24 earthquakes, you have to have big faults.
 25 So we're thinking about shallow disposal,

Page 266

1 shallow seismicity. When we think about shallow
 2 lineaments or faults or subsurface. They don't have
 3 the stress built up over time to degenerate large,
 4 appreciable earthquakes. That's just because they're
 5 young. They're not as cranky. And they're -- they
 6 just don't have the stress built up.
 7 When you get larger earthquakes, magnitude 5
 8 3, magnitude 5 4. Those are on larger faults, and
 9 those are generally buried deeper because they have a
 10 higher stress built up. And that's just a general
 11 trend in -- in seismology in relationship to faulted
 12 pods.
 13 Q And so we're about to move on from
 14 seismicity. So I was hoping you could find a summary
 15 of your conclusions for admission, and then I'll have
 16 a follow-up question after that.
 17 A So when we look at seismicity in -- in
 18 relationship to the Permian Basin, we did a thorough
 19 review, looking at, you know, what's -- what's
 20 inducing earthquakes across the Permian? We recognize
 21 there's a concern. We're concerned as well about the
 22 increase in seismicity and how it relates to -- to
 23 saltwater disposal operations.
 24 And when we look at, you know, shallow
 25 disposal operations and reflect on seismicity, there's

Page 267

1 key components we have to consider. It's the fault
 2 orientation. It's the -- the fault length. It's if
 3 there's a fault there. It's the pressure change model
 4 to understand what potentially slip is and how those
 5 are oriented in respect to each other. And so looking
 6 at all those criterion together, you know, we feel
 7 that there's a very low risk of -- of appreciable
 8 seismicity associated with -- with these two locations
 9 or a shallow disposal in Southeast New Mexico.
 10 There is, however, as documented, a much
 11 larger risk of seismicity from deep disposal, which
 12 again has been documented and has been implemented to
 13 through the OCD's protocols around seismicity. And so
 14 I -- we feel that this, you know -- looking at these
 15 pilots provides an optionality to support disposal in
 16 a manner which will mitigate seismic risk.
 17 Q So one of the things that I noticed when I
 18 looked at your slides is that there is a lot of
 19 information on these slides. But you've also come to
 20 a conclusion. So Chevron wasn't just wanting to show
 21 the Commission this end result; right? You wanted to
 22 also show the Commission the depth of analysis that
 23 you undertook to reach this conclusion. So you sort
 24 of wanted to show your math?
 25 A Yes, that's correct. Yes.

Page 268

1 Q And are you familiar or have you reviewed
 2 OCD's conditions of approval or conditions for
 3 approval of administrative applications in Exhibit 11?
 4 A Yes, I have.
 5 Q And was there a condition of approval or
 6 condition for administrative applications that
 7 assessed seismicity?
 8 A Yes, there was.
 9 Q And do you feel like the seismicity review
 10 that you did for these two wells would be consistent
 11 with that requirement?
 12 A Yes, I do.
 13 Q Let's move on then to the next two sets of
 14 slides, which relate to your data collection and first
 15 of all your response protocol.
 16 A Yes.
 17 Q So if you could explain to the commissioners
 18 what this slide is and how you developed it?
 19 A Yeah, so -- so this is -- this was work that
 20 was undertaken, I mentioned earlier today, through the
 21 NMOGA work group. And so I'd like to apply industry,
 22 several of which are in the room here from other
 23 organizations that helped support this framework. And
 24 I think this is an excellent opportunity for industry
 25 to work together and with -- with regulators and

Page 269

<p>1 others on managing turned around disposal. 2 And so what this -- what this puts together 3 is essentially taking the culmination of what you 4 heard today on concerns around disposal interactions 5 with potential production intervals, you know, 6 potential seismicity, things like that, and it puts 7 together a framework which industry can work through 8 and work together on to not only document, collect 9 data, assess, report, and then manage potential risks. 10 And so I -- I won't necessarily walk through 11 all the text on the right. I'll mainly just focused 12 on the -- the colored letter -- the colored words on 13 the -- on the left side. But essentially, this is 14 looking at, you know, once -- once the pilot starts up 15 and starts injecting and monitoring, and we'll talk 16 about the data collection. If there's an event that 17 kind of triggers this response, this is how this will 18 go in theory. 19 And so if there's an offset producer that -- 20 and this is mainly getting focused on -- on impacts to 21 production, quarterly rights, things like that -- if 22 there's an offset producer that determines that 23 potential interference is occurring and we note that, 24 you know -- we know we can work with monitoring our 25 own producers.</p> <p style="text-align: right;">Page 270</p>	<p>1 we progress this. 2 And then if -- if none of this is 3 successful, you know, we -- going down, we seek -- you 4 know, seek resolution with OCD. We recognize the OCD 5 has the authority to suspend operations at any time, 6 and we support that. 7 But this is a -- I think a robust framework 8 industry could work on in laying out a pragmatic 9 data-driven approach to manage issues around 10 injection -- in this case around shallow injection 11 into the DMG in Southeast New Mexico. 12 Q And again, this was derived from stakeholder 13 engagement? 14 A Yes. 15 Q And as you mentioned that there are 16 operators in the room, outside of the room. And 17 you've shared this with the Division in past meetings 18 with the Division, this framework? 19 A We have shared this with not only OCD but 20 also with State Land Office and other -- and industry 21 as well. 22 Q You've been talking a lot about data today 23 and how that's one of the key aspects of the pilot 24 project. So if you wouldn't mind discussing the slide 25 for Commissioners and giving the commissioners more</p> <p style="text-align: right;">Page 272</p>
<p>1 We hope that other operators, if they see 2 something that changes in their -- in their production 3 profiles or their -- their watercuts overtime or any 4 of those information you're bringing a spore to us, 5 we'd like to set up a discussion. We'd like to 6 review. Again, we -- we provide information on -- on 7 FSI in this case or fracture stimulation interference 8 or FDI. We'd like to review that and rule that out if 9 that's a case of that -- that change. Today will be 10 looking at the -- the stimulation times of offset 11 wells. 12 And then if we ruled that out, potential 13 additional data collection -- I think it's been 14 mentioned, tracers, other data collection options to 15 -- to ascertain potential communication. If we look 16 at -- if there's no, you know, communication, you 17 know, then -- then potentially no further interaction. 18 But if there is, we'd take remedial action. 19 And those can be a number of things. It 20 could be reduction in the pressures. It could be a 21 reduction in the injection pressures and a reduction 22 in the injection rates over time. It could be 23 potentially plugging back some of the well. It could 24 be a combination of all -- many things. Again, all of 25 this could be documented to the OCD and to industry as</p> <p style="text-align: right;">Page 271</p>	<p>1 information about the data you intend to get, but also 2 why you think the data is important? 3 A So as you've heard many times today, we are 4 -- Chevron has a vested interest in collecting a 5 robust data program with these two pilot wells. 6 There's been a lot of work. They've talked about a 7 lot of uncertainty in shallow injection. 8 My colleague Bryce Taylor did some work on 9 some RT wells, and he only used a few. 'Cause there's 10 only a few wells that have actual data we can leverage 11 out of thousands in the Permian. So we look at this 12 as a very important opportunity to collect a lot more, 13 a very robust dataset, not only for us but for 14 industry to understand the potential issues. 15 Someone down here has listed out -- and I 16 will note this is -- this is not necessarily every 17 single piece of surveillance. We looked at these, and 18 these are the things that we think are high priority. 19 Doesn't mean there may not be other things on the 20 table, you know, depending on what we'd look at. But 21 these are the things that we think are high priority 22 and part of our data collection plan. 23 So I'm going to briefly run through these 24 and just their surveillance and what we're -- what's 25 going to be taken in purpose. And I'm going to kind</p> <p style="text-align: right;">Page 273</p>

1 of label these into the -- the static perspective and
 2 the dynamic perspectives.
 3 So first we have the -- the wire line
 4 logging procedure that's -- that's fairly standard in
 5 the industry. And so this is, you know, the quad
 6 combo logs, gamma ray resistivity, neutron density,
 7 porosity, sonic. And that's looking at, you know, the
 8 overall lithology and the reservoir, quality of the
 9 reservoir, stress, things that are core building
 10 blocks of the -- of the geology.
 11 Or else they're going to run the XMRI log,
 12 which looks at fractures. We talked about natural
 13 fractures and things like that. It's important to
 14 understanding that, how it goes to mechanic worth
 15 model. There were some questions earlier about
 16 understanding the frac geometry. This is very
 17 critical to understanding that.
 18 One of the things here, we're going to have
 19 downhole pressure gauges. Chevron as a program and
 20 any of our shallow disposal wells we drill in the
 21 Permian, we -- part of our standard protocol is to
 22 install downward pressure gauge.
 23 It's very important to understand how
 24 pressure changes if we inject over time dynamically.
 25 Dynamically being a key component of that. Not once a
 Page 274

1 month, not once a year, but continuously. Spinner
 2 surveys are something we've also looked at,
 3 understanding, you know, high prime interlay zones
 4 where the water is going through injection over time.
 5 Water chemistry. Chevron has a robust water
 6 chemistry program. We look at produced water. This
 7 seeds into our -- into looking at other things that we
 8 look at around -- around potential beneficiary use and
 9 things like that. So this is a robust program.
 10 As -- as colleagues we would be running
 11 defense and separate tests as well. So those are a
 12 lot of the somewhat static information that we could
 13 be collecting, some of the more dynamic data that we
 14 could be collecting based on information or tracers.
 15 Again, we talked about if there's -- you know, try to
 16 trace where potentially water is going -- is going out
 17 of zone, out of confinement. This is a good
 18 opportunity to try to understand that.
 19 We have downhole gauges, deployed producers,
 20 monitor pressure changes or communication then
 21 production monitoring. This is something that, again,
 22 one of the -- the highlights and what I talked about
 23 earlier in locating these wells where we did and
 24 trying to take into account many different variables
 25 is locating these on top of our own wells.
 Page 275

1 It's very challenging sometimes for
 2 companies to share production data for obvious
 3 reasons. But given that these are on top of our own
 4 wells, we -- we can share data with ourself. And so
 5 this gives us the opportunity to have a really high
 6 quality rich dataset looking at production changes
 7 very proximal to the -- to the well locations.
 8 So again, this -- we feel this is a
 9 cornerstone of our pilot program. We think this --
 10 this is going to add a lot of value not only
 11 internally but also to the industry understanding, and
 12 not just in Southeast New Mexico, but across the
 13 Permian in general. This can be applied a lot of
 14 places. So we're very, very excited about this, but I
 15 think it's very important.
 16 Q So the pilot project is a two-well pilot
 17 project. And so does the data collection sort of
 18 dovetail with the fact that you chose two wells as
 19 your pilot project?
 20 A Yes. It -- it does.
 21 Q And why is that? Do you expect different
 22 data from the different wells?
 23 A We expect -- we expect different results
 24 from different wells, I think. Obviously, we talked
 25 about the geology difference in the modeling we came
 Page 276

1 up with was different. So this allows us to be able
 2 to look at two different locations.
 3 You know, it's very hard to form a trend if
 4 you only have one datapoint. And so we're starting
 5 with two. We might need three, but we -- we felt that
 6 this was adequate to try to further our understanding.
 7 It also dovetail in with other data collection we're
 8 doing in Texas with our operations as well.
 9 Q Let's go ahead and talk about the next slide
 10 about the timeline for your data collection efforts.
 11 A So this is -- this is a proposed kind of
 12 guideline. You'll notice it's kind of pre-spud
 13 execution. Injections start up and down the road.
 14 And so this should be looked at as a notional kind of
 15 timeline.
 16 There's certain data that you will collect
 17 at one point in time. The logs will be run, and those
 18 are the logs, right, when we drill the well. There's
 19 other pieces of information like pressure data,
 20 production monitoring, you know, other data that will
 21 be collected over longer periods of time. They'll
 22 report it.
 23 And so -- so this is just a -- just an
 24 overview of kind of how things will lay out from a --
 25 from a general timeline as far as execution. So yeah,
 Page 277

1 obviously, when we drill the well, we'll be logging
 2 it. We'll be doing the DFITs and the step-rate tests.
 3 When we start injection, you know, we'll be,
 4 you know, performing, you know, and slowing down all
 5 pressure gauges, looking at how the pressure's
 6 changing, and doing some of the treatments,
 7 understanding how that is running spinner surveys,
 8 things like that, to understand how the dynamic well
 9 performs over time.
 10 I'm feeding into, again, my colleague Bryce
 11 report on rate change analysis. So I'd say collect
 12 data, be able to execute that modeling work to see how
 13 the well is performing, looking at offset producers.
 14 So this is kind of a just a notional timeline that
 15 looks at how data will be collected over a period of
 16 time.
 17 And this is -- this is, I think, very
 18 important to understand that some day it will come at
 19 once. Some day it will come over time. Some day it
 20 will -- will come continuously just based on the --
 21 the nature and the flavor of the data being collected.
 22 Q And so one of the things that you mentioned
 23 is a desire to be transparent and to share this data
 24 in a collaborative fashion. Can you explain a little
 25 bit more about that to the commissioners?

Page 278

1 A Yes. So at a -- at a very high level that
 2 we're committed to work with OCD in providing this
 3 data in a public format so that everybody can -- can
 4 work on. This is one of the big conversations here
 5 about the industry on -- on how to proceed with this.
 6 I think this is a little bit new for a lot of -- of
 7 us.
 8 And -- and maybe the OCD on collection and
 9 dissemination of -- of such a rich dataset. And so we
 10 look forward to -- if moving forward put the pilots
 11 working with the OCD on setting up a plan to -- to
 12 store and host data in a certain way.
 13 Q And then the final slide that you prepared
 14 gives a summary of the key takeaways from your
 15 testimony.
 16 MS. BENNETT: And I don't want anyone
 17 to get the wrong idea that it means his testimony is
 18 over though, because I do have a bunch of questions to
 19 ask him.
 20 BY MS. BENNETT:
 21 Q But I would love to hear your key takeaways
 22 from your testimony.
 23 A So I believe I talked on -- on several of
 24 the seismic already, so I'll -- I won't belabor those.
 25 But I will continue that again. When we think about a

Page 279

1 lot of the data that's been proposed today. And
 2 Chevron is committed to collecting and providing a
 3 very robust and transparent dataset with these.
 4 We feel it's very important not only to the
 5 overall success of the pilot program, but -- but just
 6 to the further understanding of some of these
 7 uncertainties that we've talked about and being able
 8 to provide a lot more granular information to perform
 9 more higher-level modeling to perform more in-depth
 10 analysis than we are able to just because we don't
 11 have enough data.
 12 And we're modeling uncertainty on top of
 13 certainty when we could be actually modeling, you
 14 know, actual constrained information. And -- and so
 15 we support that -- we support that as part of our
 16 conditions of approval on -- on collecting data and
 17 disseminating it as well.
 18 Q Thanks for that. One of the things that we
 19 talked about earlier today was -- this is kind of
 20 going back to a question that was posed to
 21 Mr. Merrifield about how many wells were analyzed to
 22 come up with a net porosity. And do you have an
 23 answer to that question?
 24 A Yes. It was -- so that -- that worked to
 25 look at the overall DMG geological understanding took

Page 280

1 into account hundreds of wells across the Permian
 2 Basin.
 3 Q The next kind of questions I wanted to ask
 4 you about were OCD Exhibit Number 11. Have you had a
 5 chance to review that?
 6 A Yes.
 7 Q And I just want to ask you some pretty
 8 general questions about it, correcting that I do not
 9 have them in yet. So you reviewed it and -- well, let
 10 me take a step back and talk about what Chevron did to
 11 prepare for coming to this hearing today.
 12 Chevron evaluated offset DMG production;
 13 yes?
 14 A Mm-hmm.
 15 Q And it evaluated potential impacts on offset
 16 Avalon production?
 17 A Yes.
 18 Q And ensured adequate lower and upper
 19 containment?
 20 A Yes.
 21 Q Evaluated faulting and lineaments that
 22 connect as pathways?
 23 A Yes.
 24 Q Assessed seismicity to the extent relevant?
 25 A Yes.

Page 281

1 Q Ensured adequate well bore design to protect
2 SDWs?
3 A Yes.
4 Q You have come up with reporting for faults?
5 A Yes.
6 Q Safety monitoring and mitigation measures?
7 A Yes.
8 Q So looking at the -- well, do you think that
9 those analyses are consistent with -- consistent with
10 the Division's proposed guidance in -- in Exhibit 11?
11 A I believe so.
12 Q Would you consider those to be some sort of
13 touchstones for the Division to follow when evaluating
14 future shallow DMG applications?
15 A I believe so.
16 Q Let's see. I just wanted to take a quick
17 look at paragraph 2, "Criteria for selection of the
18 injection interval, excluding the Lamar limestone from
19 an inclusion and department interval." Is that
20 something that Chevron has done or is willing to do?
21 A Yes.
22 Q Excluding the lower Brushy Canyon from the
23 permitted interval? Is that something that Chevron
24 has done?
25 A Yes.

Page 282

1 step-rate test, so I really would like to review some
2 of the exhibits proposing this temporary test
3 procedure.
4 Q And that's not because you disagree with
5 doing a separate test. You just have some questions
6 about how it is to be performed?
7 A That's correct.
8 Q Some inconsistencies in the volumes to be
9 performed?
10 A Yes. That's correct.
11 Q Some inconsistencies in the volumes?
12 A Yes.
13 Q And then every two years after commencement
14 of the injection permits, you shall obtain a status on
15 the pressure and review the summary on the performance
16 including analysis by fault on a visit. Is that
17 something Chevron's willing to do?
18 A Yes.
19 Q And publicized monitoring where the new well
20 location is covered. It sounds like you already have
21 a very robust monitoring program in place.
22 A Yes, we do.
23 Q And then I think I've touched on everything.
24 So it sounds like with the exception of wanting to get
25 some clarity about the actual mechanics of the

Page 284

1 Q Review of the AOR and assessment of evidence
2 of natural frac systems or faults, is that something
3 that Chevron has done?
4 A Yes.
5 Q So in terms of the well bore design and
6 construction -- I'm not going to read all of this.
7 But are these consistent with the well bore design
8 that you have put forth today?
9 A Yes, it is.
10 Q We already talked about limiting the two
11 main to 5 foot, 5 inches. We already talked about
12 craving stimulation, additional testing and
13 monitoring, conducting a cement bottom log for each
14 casing string. Is that something that you had
15 proposed to do in your original application?
16 A Yes.
17 Q Conducting a suite of open-hole logs over
18 the approved injection interval and submitting this
19 information to you if needed. Is that part of your
20 reporting protocol?
21 A Yes, it is.
22 Q Conducting a successful step-rate test
23 before injection commences. Is that something that
24 Chevron is willing to do?
25 A Yes, we are committed to conducting a

Page 283

1 step-rate test, Chevron is or is willing to comply
2 with all of the conditions in Exhibit 11?
3 A Yes.
4 Q Did you review the OCD's pre-hearing
5 statement?
6 A Yes.
7 Q Did you see the statement that the Papa
8 Squirrel is located in an area not favored for DMG
9 disposal due to resource potential?
10 A Yes.
11 Q Is that something that you agree with based
12 on your own review and based on your team's review?
13 A No.
14 Q And why is that?
15 A So when we look at the -- the review of the
16 resource, I think we look back at some of the
17 historical previous reviews of that, they -- they
18 brought examples that there are things that are more
19 complicated than when you first look at.
20 Look at the -- if you only look at SWD
21 interactions with production, you're only going to
22 come up with SWD interactions with production. If you
23 only look at potential Wolfcamp to Avalon, as an
24 example, interactions, you're only going to come up
25 with Wolfcamp to Avalon interactions.

Page 285

1 And so looking at everything consistently
2 under, you know, a new light of what's going on in the
3 basin, what's produced water issues. We feel it's
4 important to re-look at that and continue to evaluate
5 it as things change over time. That -- that's our
6 view and -- and the big reason why we're doing this
7 pilot program.

8 Q Did you see the Division statement about
9 Papa Squirrel being between two areas where increased
10 water saturation has been reported?

11 A Yes.

12 Q Is that a concern that Mr. Parizek addressed
13 today?

14 A Yes, I believe so.

15 Q The final questions I have for you -- well,
16 is there anything that you would like to say before we
17 conclude our time together?

18 A Yeah, just want to reiterate to -- to the
19 commissioners that we feel this is a very robust data
20 collection program and our pilots. We feel that it
21 will provide a lot of opportunities to learn, not only
22 from -- again, from our perspective, industry
23 perspective, but from the -- from the OCD's
24 perspective as well as it looks at, you know, the --
25 the important issue around produced water management

Page 286

1 in Southern New Mexico.

2 Q Were the exhibits that we discussed prepared
3 by you or under your supervision?

4 A Yes, they were.

5 MS. BENNETT: At this time I'd like to
6 move the admission of Exhibits 126 to Exhibit 141.

7 MR. FUGE: Any objection?

8 MR. TREMAINE: None.

9 MR. FUGE: Exhibit so rendered.
10 (Exhibit 126 through Exhibit 141 were
11 marked for identification and admitted
12 into evidence.)

13 MS. BENNETT: Thank you.

14 And I pass the witness for any
15 questions.

16 MR. FUGE: Mr. Tremaine, do you have
17 questions for the witness?

18 MR. TREMAINE: I have two questions,
19 Mr. Chair.

20 BY MR. TREMAINE:

21 Q Mr. Comiskey, thank you for walking through
22 some of your observations on Exhibit 11. Independent
23 of Exhibit 11, your recommendations of the OCD, do you
24 or Chevron feel that DFIT tests should be performed on
25 all proposed DMG wells?

Page 287

1 A I think -- we think it's a very important
2 understanding to collect dynamic data on stress in the
3 reservoir properties. Yes.

4 Q Would Chevron be willing to incorporate that
5 into the recommendation in addition to what we've seen
6 this before in Exhibit 11?

7 A Yes, I believe so.

8 Q I want to ask you a follow-up question
9 generally about this stress orientation that you're
10 talking about and the seismicity in slides 135 and
11 136. One of the Division's concerns and in
12 presentation -- we'll get into that more later or
13 tomorrow -- is areas of uncertainty and knowledge of
14 the geology in the area.

15 And I would argue that present communication
16 with Chevron today actually corroborates some of that
17 concern that there are certain areas where more data
18 is necessary. When we hear your presentation related
19 to seismicity, I think it's fair to say that you state
20 or implied a relatively high level of confidence that
21 there are not unstable faults in the proposed
22 injection area.

23 I'm just wondering if you can articulate and
24 help explain, like, what could be seen as kind of a
25 delta in that confidence. Why, when we're talking

Page 288

1 about an area with geologic uncertainties, are we
2 relatively certain about the lack of faults or lower
3 risk seismicity?

4 A So when we think about fault, right,
5 that's -- that's a feature that you can map in 3D.
6 You can connect up those datapoints. It has -- it has
7 an aperture, it has closure. When we think about some
8 of the lineaments or some of the mechanisms that have
9 been discussed have made -- have been conduits to --
10 to water pool, those are not what we'd call faults.

11 And so the ability for a lineament to -- to
12 generate an appreciable seismic event, it's -- well,
13 it's very limited. And that's because again, the --
14 the stress built up in that. How much stress is -- is
15 there, you know, over time, the orientation of those.
16 And so the differentiation between fault and lineament
17 is a key thing.

18 When we think about faults, we think about,
19 you know, whether it's big, you know, the magnitude 4
20 quake or the larger earthquakes seen in front of me,
21 those are on things that are rooted, large features
22 that we can map. And my colleague Jason Parizek
23 showed a -- a map of a large fault right through the
24 area. We can see those. We can handle those.

25 When we think about lineaments or fracture

Page 289

<p>1 system, those are two different things. And so the 2 ability for a fracture system necessary to generate a 3 large earthquake is -- well, it's not applicable. 4 MR. TREMAINE: Thank you for that. 5 No further questions. Thank you, 6 Mr. Chair. 7 MR. FUGE: Ms. Hardy, do you have any 8 questions for the witness? 9 MS. HARDY: I do not. Thank you. 10 MR. FUGE: Dr. Ampomah? 11 DR. AMPOMAH: Yes, sir. I do have a 12 couple. 13 So let's start from page 126. I will 14 probably skip to 127. So on this particular page, 15 definitely you showed that the Papa Squirrel is within 16 that SRA? 17 MR. COMISKEY: Yes. 18 DR. AMPOMAH: But the Severitas 2 State 19 SWD 1 is not in that area? 20 MR. COMISKEY: Yes. 21 DR. AMPOMAH: So considering if you 22 look at the deeper zones, where there's a lot of 23 micro-seismic events happening, why would you not 24 consider building this well that's not dealing the SRA 25 rings, they're deeper. You know, why would you not Page 290</p>	<p>1 The likelihood of induced seismicity from -- from 2 disposal operations is -- is I would argue higher. 3 But also too the geology's different. 4 In that seven part of Culberson County, that's the age 5 of the -- of the Permian Basin roughly. There's a 6 large set of old reverse faults. They extend up. 7 And some of those are -- are visible on 8 the -- on a foreign figure on slide 135. If you 9 look -- if you look over, you can see near where it -- 10 it says the Apache Fault Zone. Those are deep fault 11 zones. So there's a large set of deep faults that are 12 roughly -- yes, yes. 13 You see the earthquakes just above it. 14 There's a large set of -- of reverse faults that 15 extend in that part of the basin. And so the -- the 16 hypothesis there, again, when you think about the -- 17 the deposition and the thrust that kind of formed the 18 basin back during the -- the order mission and the 19 Silurian and Devonian time. 20 Those faults were -- were activated. 21 They're reverse faults. Now they're -- now they're 22 activated normally. And they're oriented in the 23 manner based on focal mechanism data that are roughly 24 parallel to the stress direction. And so that area 25 has a unique set of -- of circumstances. It might not Page 292</p>
<p>1 consider building that all the way to Devonia because 2 there's no micro-seismic event there? 3 MR. COMISKEY: Chevron has two 4 Devonian deep SWD wells located very proximal to 5 Severitas 2 SWD 1 already. And I won't speak to -- to 6 economic thresholds on drilling deep wells and the 7 cost and impact. So I -- I won't speak on those, but 8 we are -- we do have two deep disposables right there 9 already. 10 DR. AMPOMAH: Thank you. Now, you 11 showed a slide where you were comparing a map of 12 seismic events in Texas and in New Mexico. 13 MR. COMISKEY: Yes. 14 DR. AMPOMAH: What is New Mexico doing 15 better than Texas? 16 MR. COMISKEY: I won't -- I won't 17 necessarily speak to better. I think that would be 18 more of an opinion. But I -- I will say the -- the 19 geology in the basin is different. 20 So if you look -- if I go to slide -- 21 well, if we go to slide 131 or document 131, one of 22 the things to do is there's a lot more water being 23 disposed in Texas than in New Mexico. There's a lot 24 more water coming across the state line from New 25 Mexico into Texas. So there's a lot more disposal. Page 291</p>	<p>1 be a big fault. 2 You have a mechanism, which is deep 3 disposal, and then you have the orientation of the 4 fault is roughly parallel to the stress direction. So 5 you know, combining those ingredients together makes 6 that area very sensitive to -- to perturbation. And 7 we've seen through modeling work and there's been some 8 papers published that modeled on the order of roughly 9 10 psi change in those deep formations is enough to 10 induce slip. 11 In Southern New Mexico, we obviously -- 12 there are deep faults. There are earthquakes, but 13 it's a slightly different set of ingredients in 14 Southern New Mexico, so we haven't seen the 15 proliferation. But again, the disposal volumes are 16 quite different between Southern New Mexico and the 17 northern part of the Texas Permian Basin. 18 DR. AMPOMAH: So in your slide 129, 19 page 129, as we all know, the deep injection is in the 20 one here, but the micro-seismic events is way deeper 21 than that. So based on your expertise, what is really 22 causing that? 23 MR. COMISKEY: So the -- the faults 24 that are down here that are moving, they extend up 25 into the Silurian/Devonian. We can see them. And so Page 293</p>

1 they're acting as conduits of water.
2 A fault isn't all that it was. It --
3 if you think about -- if you think about the San
4 Andreas fault, we often think about it as one long
5 continuous fault, but we know there's earthquakes in
6 Los Angeles and there's earthquakes in the Bay Area;
7 right? But the whole fault doesn't move.
8 Very similar here. I mean, think about
9 these faults that are in the basement. The whole
10 fault doesn't move. Only portions of that fault move
11 during a period of time.
12 And so is injection or pressure
13 actually the pressure. It's not direct fluid contact.
14 It's the pressure. As that pressure goes into those
15 formations and diffuses out, that can create a more
16 lasting change in the reservoir. Can also create a
17 drip pressure, i.e. reducing the effective stress.
18 And that lead me through to direct
19 transformation into the -- the basement just through
20 the -- through the interval or into some of these
21 faults. Down the fault, coming to a point where the
22 fault is even more critically stressed, inducing slip.
23 And we've seen that recently, where you have a fault
24 that has moved several different times along the
25 transect of that fault.

Page 294

1 DR. AMPOMAH: On your page 137, you
2 talked about the framework that industry has a
3 preference. I want to know at what point does NMOCD
4 come see?
5 MR. COMISKEY: Well, we also have down
6 here, "Seek OCD resolution." But our goal as the --
7 as the industry -- and again, the -- we will be
8 collaborating and communicating with the OCD through
9 all of this. We're more than willing to be
10 transparent on working with industry. Again, this is
11 an industry problem on produced water management.
12 And so in vision the OCD could come in
13 at any point. We like to keep the OCD or hope to keep
14 the OCD engaged. But we do recognize that, you know,
15 at some point if there's -- there's scrambling with
16 the other resolution that already is going to agree to
17 the OCD has the ability to -- to implement and remove
18 the permit or act. And we recognize and support that
19 authority.
20 DR. AMPOMAH: Yeah, because when I look
21 at it, you know, on your lefthand side, if let's say
22 no interference, then that means no action is needed;
23 right? But I don't see where there is a communication
24 to NMOCD about let's say even anything happened.
25 MR. COMISKEY: So again, I think when

Page 295

1 we look at this, this is just a -- this is just kind
2 of a high level, you know, just -- just flow. The
3 whole -- the premise of this is that the stakeholders
4 would be engaged on this. And it can be the
5 stakeholders that are involved in the well, could be a
6 mobile working group, and -- and also the OCD for some
7 process.
8 DR. AMPOMAH: Let's look at the data
9 that surveillance program. So I want to ask how often
10 are you using poly DFMI to identify natural process?
11 MR. COMISKEY: I'm -- I'm pretty
12 confident. We've -- we've had good results in using
13 FDMI logs across the Permian to identify open and
14 closed heel fractures. We have a -- we have a very
15 robust in-house technology group and our technology
16 company that -- that's what they do every day that
17 that's what they do every day is look at image logs
18 around the world.
19 So I -- I feel very confident. We've
20 had a good success of -- of recognizing fracture
21 systems, fracture networks within those concealed,
22 closed, you know, open.
23 DR. AMPOMAH: So you want to use the
24 spinner someday to identify the --
25 MR. COMISKEY: Yes.

Page 296

1 DR. AMPOMAH: And is it you will
2 compare with the log data?
3 MR. COMISKEY: Yes.
4 DR. AMPOMAH: So which log data are you
5 going to compare that to?
6 MR. COMISKEY: So when we think about
7 the high -- again, these are -- these are sandstone,
8 so we can look at the transects. My colleague Tom
9 Merrifield noted that.
10 So we can look at the porosity trends
11 in these sands, depositional geology if you're in a --
12 you know, if you're looking at a Bouma sequence
13 looking at those upper finding sequences and looking
14 at where the high porosity, thick channeling sands,
15 blocky sands, so we can look at that from the -- the
16 porosity and neutron density.
17 And they correlate that to permeability
18 that we -- there are -- I would probably defer to my
19 colleague Tom Merrifield on any more detail on that.
20 But it's a pretty standard processing and sands and
21 then relating that to -- to, you know, high clean
22 zones for water.
23 DR. AMPOMAH: Yeah. For water, that is
24 -- I still feel, just a suggestion, but you might want
25 to still consider recording some of these productive

Page 297

1 loss, like some of these injector zones. It could be
 2 easy comparing.
 3 MR. COMISKEY: And -- and to add to
 4 that, we do have cork that we have collected in other
 5 either disposal wells -- or not disposal wells, but
 6 wells we drilled through the DMG to help constrain the
 7 models for those pour process. It's not like we don't
 8 have any core at all. We do have core to it but.
 9 DR. AMPOMAH: So it's an accident then.
 10 MR. COMISKEY: That's right.
 11 DR. AMPOMAH: Now, so when I look at
 12 your program, I see a lot of stunted data collection.
 13 MR. COMISKEY: Yes.
 14 DR. AMPOMAH: Less than our data
 15 collection. But I do see you do have the production
 16 monitoring.
 17 MR. COMISKEY: Yes.
 18 DR. AMPOMAH: So I want to know he --
 19 I'm just going to recommend that you should consider
 20 dynamic modeling, simulation, and also coupled with
 21 your mechanics too.
 22 MR. COMISKEY: So we -- we do have that
 23 list. We are going to take that. So we're doing --
 24 we are currently doing mechanic worth modeling in
 25 this. And so this dynamic data will help feed into

Page 298

1 that mechanic worth model over time.
 2 My colleague Bryce mentioned some of
 3 the RTA work. This will help feed that. And so we
 4 are -- we do have robust data modeling. My colleague
 5 Jason Parizek, he showed some of the modeling work
 6 that was done on the -- on the line -- the line frac
 7 modeling.
 8 We have -- we do -- again, are -- are
 9 expanding upon that modeling work as we get more
 10 dynamic data to be able to, you know, constrain the
 11 models and be able to push the models further. So
 12 we -- we are looking at that in-house as well.
 13 DR. AMPOMAH: Yeah, but you said you do
 14 the mechanics. But what about the hydrodynamic? More
 15 complex than the one that Kappa will give you and then
 16 the fracture and then also the potentially gone?
 17 MR. COMISKEY: So when we think about
 18 going to more complicated modeling, I think the
 19 limiting factors are the data quality and the data
 20 abundance. You -- we can go to a very, very
 21 complicated dynamic model, but if the data we have
 22 isn't robust enough to support that, the results, I
 23 would argue, are -- are fairly ambiguous.
 24 So we've seen a lot of high value and
 25 -- and running more simplistic models for the

Page 299

1 questions you're trying to get after. Think when we
 2 take a step back and look at the overall status of
 3 just disposal and data collection associated with
 4 that. It's very limited.
 5 And so taking a step to collect this
 6 data I think is a big step. We hope to continue to
 7 progress that. I mean, to more data acquisition than
 8 others. Maybe we'll get more -- more complicated
 9 modeling efforts. But thinking of the current
 10 position we're in right now with just the data we
 11 have, I see a lot of value for the more simplistic
 12 models and a lot more uncertainty in the more
 13 complicated models just because the data we have
 14 doesn't necessarily support that.
 15 DR. AMPOMAH: So in regards to the
 16 tracer, so based on the earlier analysis, you didn't
 17 have control over the other well. Are you saying that
 18 you're going to have control over the wells to be able
 19 to perform the tracer test?
 20 MR. COMISKEY: Yeah. Yeah, one of the
 21 key things is, you know, we start running. We can --
 22 we look at this and we need -- we see the need to run
 23 tracers. Obviously, we're going to have the wells,
 24 you know, next to us so. And when we execute a tracer
 25 program, if you're trying to understand a particular

Page 300

1 question or understand something, having the, you
 2 know, control of the wells nearby to be able to test
 3 that is very important.
 4 If you have other -- other operators or
 5 companies, trying to get on the same page sometimes
 6 can -- can be a challenge. So that's a -- that's a
 7 strategic advantage and part of the reasons why we
 8 picked these locations.
 9 DR. AMPOMAH: I don't believe I can ask
 10 questions related to the Exhibit 11 because they don't
 11 talk about it.
 12 MR. FUGE: The witness testified to it.
 13 So you can ask questions.
 14 DR. AMPOMAH: So if we can go to that
 15 one. And I do have some few questions.
 16 So as we review Chevron's application,
 17 my first question is so you can go to OCD isn't it?
 18 MS. BENNETT: Oh, OCD. I'm sorry about
 19 that.
 20 DR. AMPOMAH: So the first question
 21 that I have is the first one. You know, number one,
 22 approved locations outside the identified well
 23 productions till deleted by the -- and provided by the
 24 -- as an except, so in one of your wells, you are
 25 within that area.

Page 301

1 MR. COMISKEY: I believe we're actually
2 in that area in both wells.
3 DR. AMPOMAH: You're in that area in
4 both, yeah. In both wells in that area.
5 MR. COMISKEY: Yes.
6 DR. AMPOMAH: So does your
7 communication satisfy the admonition?
8 MR. COMISKEY: It does not. And -- and
9 again, the reason why we're trying to re-look at this
10 is that, you know, we -- we understand there's concern
11 on this. But generally, drawing a -- a big circle on
12 a map and saying, "Don't go in here anymore" is -- is
13 maybe not the best approach when we think about a
14 long-term strategy of produced water management.
15 We understand there's risks. That's
16 why we -- we come here today. That's why we're
17 presenting this robust data collection program.
18 That's why we're disseminating it. We think that
19 again having a data-driven pragmatic approach to
20 disposal is probably a better and more advantageous
21 way to understand the risks. So that is why -- that's
22 why they're pushed together.
23 DR. AMPOMAH: Was Chevron part of that?
24 MR. COMISKEY: I believe Chevron was
25 part of that, yes. I -- I was not a part of that

Page 302

1 group. I was not employed at Chevron at the time.
2 DR. AMPOMAH: So was it more like a
3 general knowledge or is a settled group -- like, yeah,
4 I'll buy them back?
5 MR. COMISKEY: So I -- I would argue
6 that things change. When this -- when this was put
7 up, there was -- there was good work that was brought
8 forth in my opinion on this.
9 I think we provided testimony that
10 again if you only look at disposal related
11 interactions with production, you're probably only
12 going to come up with disposal related questions. If
13 you only look at fracture driven interactions or FSIs,
14 you're only going to -- you're only going to come up
15 with that. So looking at everything holistically, is
16 just probably a good approach.
17 I mean, also too, I would also suggest
18 that in 2015, 2016, 2017, the concern around produced
19 water management was not what it is today. The rise
20 of seismicity has definitely impacted industry. It's
21 created I think a step change in how we need to handle
22 it.
23 The amount of water that we're handling
24 on a daily basis is -- it's never been worked at
25 before in the history of our industry on this scale.

Page 303

1 And so I think re-looking at all options and how we
2 can -- can manage that is very important. So I think
3 it's a multitude of things.
4 DR. AMPOMAH: So does that mean that if
5 the commission agrees to Chevron's request, that one
6 needs to be struck down or something?
7 MR. COMISKEY: I would argue that maybe
8 it's more of a taking a data-driven approach to
9 disposal within -- within the -- the Avalon production
10 area. I think that's the way that Chevron is
11 advocating for this. We -- we aren't advocating for a
12 free for all in disposal. We're -- we're advocating
13 for again a data-driven, pragmatic approach to -- to
14 understanding disposal in -- in the area.
15 DR. AMPOMAH: So on 2Bm, exclude the
16 lower Brushy Canyon formation from the interval. So I
17 know that you said Chevron was saying it's just going
18 to be different. "We are not going to do any
19 injection there." But it's still part of what you
20 want the canyon for.
21 MR. COMISKEY: Yes, and I -- I believe
22 we're not drilling -- we're not drilling into the
23 lower Brushy. We're drilling into the upper portion
24 of the Brushy. The Brushy is roughly 1,000 feet
25 thick.

Page 304

1 DR. AMPOMAH: So there is a separation?
2 MR. COMISKEY: Yes. Yes. We're not
3 drilling through the whole Brushy. We're not drilling
4 into the lower Brushy. We're drilling into the top
5 portion, logging it, collecting the data, and then
6 again, as was common early in testimony, it will be
7 sealed off.
8 DR. AMPOMAH: Now, 3C. You've planned
9 oxidizing. You've planned oxidizing as part of your
10 demolition plans. That's --
11 MR. COMISKEY: I -- I don't believe it
12 does. I mean, we're committed to -- to adhering to
13 the permit. And we keep making sure that the fluids
14 are complying within the injection interval for the
15 UIC program.
16 DR. AMPOMAH: So NMOCD is also
17 proposing 4F. So OCD should establish a process to
18 allow the use of existing data imaging in disposal
19 wells as exploration wells, including pressure
20 monitoring. Now, when I looked at -- I need to know
21 definitely you were going to have the pressure
22 measurement. Is it downhole or?
23 MR. COMISKEY: It's -- we'll have
24 service injection pressure monitoring and also
25 downhole reservoir pressure monitoring. Yes.

Page 305

1 DR. AMPOMAH: So do you support that
2 point? Can Chevron agree to that?
3 MR. COMISKEY: Absolutely. If -- if
4 there are abilities to look at existing DMG disposals
5 for monitoring, absolutely.
6 DR. AMPOMAH: Thank you, and thanks for
7 your knowledge on micro-seismicity. It was exact.
8 MR. FUGE: Mr. Bloom?
9 MR. BLOOM: Yeah, just a couple
10 questions. If we go back to 3C for a second.
11 Does an acid treatment create new
12 fracture systems?
13 MR. COMISKEY: No. I mean, the acid
14 treatment we're looking at is mainly on the cleanout
15 side. It's to -- you know, it was common earlier to
16 look at skin, you know. You know, clean up some of
17 the near well bore. Things like -- that's the purpose
18 of the action. Acid injections.
19 MR. BLOOM: Just wanted to clarify
20 that. Thank you.
21 I appreciate your analysis on the
22 future proposed seismic monitoring program. I hope
23 that that data is publicly available or that there's
24 some way that the Land Office can access that as you
25 put out the program.

1 We have -- OCD has its SRA to pick
2 through and does analysis, but the Land Office, we
3 also have an in-house review that we do before we
4 issue any salt water to federal easements. So I don't
5 know that we need all the data dumped on us, but
6 having a system where we can get in and see what
7 you've sent over and be very smart of you to be
8 helpful.
9 MR. COMISKEY: Absolutely.
10 MR. BLOOM: Thank you.
11 MR. COMISKEY: And in the present?
12 MR. BLOOM: That's it.
13 MR. FUGE: I just have a couple. I'm
14 on page 137, the sort of notional structure. I think
15 this makes sense as sort of a decision tree and
16 appreciate the notion of, you know, keeping the OCD
17 involved but sort of limiting, you know, direct
18 engagement so, like, we can't sort through it
19 ourselves. So I sort of appreciate that in the
20 structure.
21 I do have a question about the first
22 one, and more just well, I have two questions. One,
23 how will new producers in the area know about this and
24 other structure? Or do you think that universe is
25 well-defined, that when we issue the approval, the

1 universe of producers that might be impacted are going
2 to be already known?
3 MR. COMISKEY: So obviously, we -- we
4 can only communicate this through the -- the DMG work
5 group, but there's NMOGA. And so that helps a lot.
6 We also reach out in IPAM. So I'm -- I'm engaged in
7 the -- the deep -- the working group that covers that.
8 And so and then too obviously through
9 -- through our work with Rowena [ph] Group, we would,
10 you know, be happy if -- if we felt like we had
11 available to notify any operators through any of that,
12 we've reached out through our main contacts to make
13 that establishment.
14 MR. FUGE: That's helpful. Thank you.
15 And then would the potential interference, the sort of
16 producer potential interference and I sort of see some
17 examples of data. It reads to me a little bit kind of
18 the first time I looked at it is, is this a stumbling
19 block? Like we're going to argue about whether
20 there's potential interference?
21 Or is this is sort of like she suggests
22 that maybe interference either via watercuts or other
23 changes, and then you immediately jump into the green
24 box, which is sort of the intent. They come in with
25 some data that "Hey, we're seeing increased water

1 production," you'd go into that sort of resolution
2 process?
3 MR. COMISKEY: Yes.
4 MR. FUGE: Just want a clarification in
5 the testimony. I'm on page 138. You talked through a
6 lot of the sort of various data collection
7 surveillance portions of the program. I guess in your
8 sort of affirmative direct testimony, I took the last
9 three as things that might be done. But then in your
10 exchange with Dr. Ampomah, it sounded like those were
11 things that would be done as part of the deployment.
12 Which is it?
13 MR. COMISKEY: So -- so if we look at
14 -- so tracers -- tracer things that may be run. The
15 reason for it is if we don't -- we're just pumping
16 tracers in the ground, we're not seeing anything, we
17 could pump forever. And there's money.
18 But downhole gauge and the offset
19 producers, we already have those deployed. Those were
20 already hand monitoring wells, and so those are there.
21 And then production monitoring is something we -- we
22 do continuously. So -- so the bottom two are
23 happening. The tracers are something we -- we may
24 deploy if -- if there's a reason for it. Yes?
25 MR. FUGE: On page 140, you talked

1 about sort of data reporting and other things like
2 that. Just to clarify here kind of in the -- maybe I
3 was just a little confused with sort of the last two.
4 Is there a suggestion that OCD would be getting sort
5 of a distilled version of the dataset that operators
6 were getting, or would y'all be getting the same?
7 MR. COMISKEY: So and this -- this
8 would be an opportunity we'd love to engage the OCD
9 on. We would like to put all the data in one
10 location. We don't -- we don't want to manage a share
11 point for every operator and every financial
12 stakeholder.
13 So we would like to provide all the
14 data, interpreted, raw data. We -- we look at this as
15 maybe having quarterly updates on this with OCD, so
16 everybody's looking at the same data. There isn't
17 "you looked at this, I looked at that." And one
18 location, a one-stop shop.
19 MR. FUGE: And then just to clarify one
20 comment. You don't need to pull it up. But there was
21 one in OCD's Exhibit 11 about sort of a requirement to
22 provide some publicly available seismic -- I think you
23 answered it you do have a robust network but my
24 understanding is the robust network you have is
25 private micro-seismic, which is a little trickier. So

Page 310

1 do you have a position on the public aspect?
2 MR. COMISKEY: So -- so the agreement
3 that we had with the provider and the companies is
4 that we can provide that. We can provide the -- the
5 locations of our first quakes and exact attitude to
6 OCD. And we -- we have before.
7 So -- so that is -- again, we also
8 support expanding the New Mexico territory we've
9 discussed as well. But -- but that -- that data, you
10 know, if -- if needed can be provided.
11 MR. BLOOM: And then I think the last
12 component, and this is just sort of a, you know,
13 conceptual piece. And again, it's a question I asked.
14 I forget of which witness. It may have been you in
15 your first round of testimony.
16 When I think pilot, there's sort of
17 like a lesson learned component with the data and a
18 firm commitment to sort of report out at an interval.
19 And so I see and it's not sort of reporting out on
20 every kind of triggering event that's there.
21 But what I'm not seeing in the proposal
22 is a sort of like "Five years out, we will give a
23 rollup like the Commission has seen for certain" acid
24 bath well. I can think of more recently to talk about
25 it as a component. Am I missing that element, or is

Page 311

1 it not present?
2 MR. COMISKEY: It's -- it's probably
3 not present. And we -- that'd be something we'd love
4 to work on if -- if the permits are -- are approved
5 with -- with you and your staff just -- just to work
6 out a plan on designation, we kind of envisioned
7 having regular updates and then -- and then as you
8 mentioned maybe more milestone updates as well.
9 MR. FUGE: Yeah, I mean, I think at
10 least from where I'm sitting now, I mean, if the
11 Commission were to issue an order with a pilot, I
12 think I would want at least -- just putting out there.
13 Would you be open to if we put in a sort of -- there
14 was a milestone report at some meaningful number of
15 years out where it's going to open a discussion there
16 to incident five, ten, you know, milestones?
17 MR. COMISKEY: Yes, we would be open to
18 something like that. Sure, UGS.
19 MR. FUGE: I have no further question.
20 And mindful of --
21 Ms. Bennett, do you have a?
22 MS. BENNETT: Yes. May I do two really
23 brief redirects?
24 MR. FUGE: Yeah. Yep.
25 //

Page 312

1 EXAMINATION
2 BY MS. BENNETT:
3 Q So on Exhibit 11, Mr. Ampomah asked you a
4 question about whether you fit within or Chevron fits
5 within the 1A because your two locations are within
6 the DMGRA. But as I read this, it says that it's the
7 recommendation for administrative review, not
8 approval, per se. Is that a fair rating of this 1A is
9 limited to administrative applications?
10 A I believe looking at that that's correct.
11 Q And you're here before the Commission on a
12 full hearing and not seeking administrative approval
13 of these applications?
14 A Yes, that's correct.
15 Q And would you be willing to move forward
16 with hearings to the extent required in the future for
17 other DMG disposal wells that were within the DMGRA?
18 A Yes, we would.
19 Q And then Dr. Ampomah also asked you a
20 question about whether the NMOGA DMGRA is sort of like
21 this set in stone, exclusionary -- for lack of a
22 better word -- that the operators sort of acceded to
23 over the years.
24 And that made me think of the fact that
25 there are multiple operators who were a part of that

Page 313


1 working group who have supported your projects. So do
 2 you know if XTO was part of that original working
 3 group?
 4 A I believe they were. Yes.
 5 Q How about Cimarex?
 6 A I believe they were.
 7 Q Mewbourne?
 8 A I believe they were.
 9 Q Chevron?
 10 A Yes, Chevron was.
 11 Q So do you think it's fair to say that
 12 there's been an evolution in thinking since 2016
 13 that's shared by more than just Chevron?
 14 A Yes, I believe so.
 15 Q And that evolution in thinking is what
 16 you're presenting to the commission at this time?
 17 A Yes.
 18 MS. BENNETT: Thank you. Those are the
 19 only redirect questions I had.
 20 MR. FUGE: Are you reserving?
 21 MS. BENNETT: Yes. I would like to
 22 reserve with the opportunity to recall Mr. Comiskey as
 23 a rebuttal witness if necessary.
 24 MR. FUGE: Well, in light of the time,
 25 I think we're at a natural breaking point since

Page 314

1 Chevron, I believe, is finished presenting its
 2 witness. So we will resume tomorrow morning at 9 a.m.
 3 with OCD's witnesses.
 4 For those listening in, and this was in
 5 all of the announcements announcing the meeting, there
 6 is a different link for tomorrow morning's meeting.
 7 Just go to the agenda, click on it. Just click on the
 8 link for Day Two. And we will start promptly at nine.
 9 Thank you.
 10 (Whereupon, the meeting concluded at
 11 4:57 p.m.)
 12
 13
 14
 15
 16
 17
 18
 19
 20
 21
 22
 23
 24
 25

Page 315

1 CERTIFICATE OF DEPOSITION OFFICER
 2 I, JAMES COGSWELL, the officer before whom
 3 the foregoing proceedings were taken, do hereby
 4 certify that any witness(es) in the foregoing
 5 proceedings, prior to testifying, were duly sworn;
 6 that the proceedings were recorded by me and
 7 thereafter reduced to typewriting by a qualified
 8 transcriptionist; that said digital audio recording of
 9 said proceedings are a true and accurate record to the
 10 best of my knowledge, skills, and ability; that I am
 11 neither counsel for, related to, nor employed by any
 12 of the parties to the action in which this was taken;
 13 and, further, that I am not a relative or employee of
 14 any counsel or attorney employed by the parties
 15 hereto, nor financially or otherwise interested in the
 16 outcome of this action.
 17
 18
 19
 20
 21
 22
 23
 24
 25


 JAMES COGSWELL
 Notary Public in and for the
 State of New Mexico

Page 316

1 CERTIFICATE OF TRANSCRIBER
 2 I, KIRSTEN FITZGERALD, do hereby certify
 3 that this transcript was prepared from the digital
 4 audio recording of the foregoing proceeding, that said
 5 transcript is a true and accurate record of the
 6 proceedings to the best of my knowledge, skills, and
 7 ability; that I am neither counsel for, related to,
 8 nor employed by any of the parties to the action in
 9 which this was taken; and, further, that I am not a
 10 relative or employee of any counsel or attorney
 11 employed by the parties hereto, nor financially or
 12 otherwise interested in the outcome of this action.
 13
 14
 15
 16
 17
 18
 19
 20
 21
 22
 23
 24
 25


 KIRSTEN FITZGERALD

Page 317

[& - 13]

&	1.57 194:5	109,000 154:20	12 3:5 7:7 27:4
& 2:9	1.7 200:15	109-123 4:23	35:11 57:3
0	202:12 208:16	11 19:12 35:11	143:10 266:1
0 245:16	210:23	37:7 51:18,19	12,000 200:23
0.4 113:10	1.74 194:5	51:23 57:3	208:22 225:20
01 1:3	1/2 79:18,21,23	64:20 74:8,10	12,500 72:18
1	252:8 259:6	79:20 144:2,4	224:20,24
1 24:8 25:23	10 109:19	147:15 179:3	240:25
43:13 52:6,9	242:19 258:15	185:5 203:13	120 147:2
69:4 73:12	259:11,21	235:14 266:1	158:9
78:21 95:19	293:9	269:3 281:4	121 149:19
129:16 143:10	10,000 172:8	282:10 285:2	167:4
143:10 144:3	225:13,15	287:22,23	122 151:23
152:18 160:12	226:10 245:25	288:6 301:10	1220 1:15
183:16 192:4	254:12	310:21 313:3	123 4:8 151:24
220:24 228:23	100 79:3 92:14	11,000 246:1	157:19 158:1
259:15 290:19	93:3 107:10,11	11-23 1:5	172:24,24
291:5	107:12	110 159:18	124 153:20
1,000 304:24	101 78:6,6	205:20	167:3 168:14
1,520 147:21	106:18	112 130:24	125 23:22 70:8
1.1 192:10	102 4:6	142:8 163:12	126 239:22,25
194:1,6	102/102 4:20	177:4	287:6,10
1.14. 192:10	4:21,22	113 135:3	290:13
1.15. 192:8	103 82:23	162:1 163:7	126-141 4:24
1.2 194:1 221:7	104 83:2 84:16	114 138:17	127 241:21
222:4	112:19,21	163:22	290:14
1.22 192:5	115:12 116:1	115 140:22	129 293:18,19
1.22. 192:3	105 87:12	116 143:2	12:45 122:24
1.3 217:6	106 4:7 88:12	117 143:4	12th 7:13
1.32 222:4	107 93:23	118 144:21	13 135:16
1.5 192:23	108 102:5,9	165:22 171:23	145:3 182:23
193:24	107:7	171:24	198:8 202:1,7
1.53 192:24	109 127:6	119 147:1	203:1 249:22
	157:19 158:1	11th 18:16,23	266:1

<p>130 205:23 1300 186:11 131 291:21,21 135 288:10 292:8 13507 8:1,4 136 264:9 288:11 137 295:1 307:14 138 309:5 14 86:7,9,10,12 86:12,13,19 145:3 140 264:13 265:4 309:25 141 287:6,10 142 182:16 209:10,14,17 142-162 4:25 143 182:19 210:3 144 183:10 145 185:1 146 185:1 147 185:17 216:20 148 187:17 149 187:18 14th 20:11 15 145:3 237:23 15,000 70:5 72:16 224:7,19</p>	<p>150 191:15 219:1 151 195:5 152 195:6 212:25 222:13 153 196:23 154 199:16 224:23 231:22 155 201:3 156 202:14 224:14 231:22 157 234:25 158 4:9 158/158 4:23 1584 191:23 159 4:10 211:16 16 16:9,11 64:22 139:5,9 140:1 266:1 161 206:21 162 207:23 209:11,14,17 16th 14:16 16th's 11:21 17 45:7 246:3 266:1 17,000 241:2 174wa 190:6 176 4:11 178 4:12 18 86:20 145:3 145:18 146:18 162:9 166:3,13 244:24</p>	<p>19 3:5 145:4,18 146:18 162:9 166:13 1960s 183:17 1970s 183:17 1977 186:17 1a 313:5,8 1b 109:20 1st 1:14</p> <hr/> <p style="text-align: center;">2</p> <hr/> <p>2 22:14,19,23 43:12 52:8 68:14 69:2,10 72:15 73:12 78:13 95:19 129:16 144:4 156:18 172:18 182:25 183:6 192:6 193:10 193:21 211:9 215:22 242:10 254:25 259:14 282:17 290:18 291:5 2,000 134:20 171:25 2.0. 248:23 2.5 242:10 243:19 248:24 250:3 252:3 2.9 242:10,10 20 3:6 13:21,23 47:22 65:18 113:9 186:2,3 186:16 225:8</p>	<p>225:24 20,000 70:3 203:5 208:25 223:8 224:7,11 224:15 225:3 226:12 227:3 232:19 241:2,5 244:24 246:3 258:21 200 75:20 113:4 180:7 202:5 2012 179:9 2014 143:9 2015 139:14,15 143:10 303:18 2016 126:18 127:16 174:10 174:18,22 257:9 303:18 314:12 2017 249:9 303:18 2018 124:22 2019 131:21 145:23 244:3 244:10 251:14 2020 44:9 125:20 131:21 244:12 2021 32:2 43:1 43:2 47:10 166:4 242:15 242:20 247:2 249:13,15</p>
--	---	---	--

<p>2022 66:5 180:10 186:3 190:5 249:15 251:20 259:18 2022/2023 244:13 2023 1:9 7:7 13:4 44:9 251:14 2024 19:12 2026 184:18 209/209 4:25 20913 21:17 20913d 25:16 21 138:24 139:6,22 140:6 141:4,5 163:23 210 4:13 212 4:14 216 162:18 21629c 10:23 12:2,5 21629d 11:2 21744 9:16 15:8 19:10 22 3:4 13:4 220 254:5 2200 81:23 191:8,13 22018 9:18 19:11 22019 9:18 19:11 23 3:7 13:12 107:22 145:4</p>	<p>235:14 266:1 23638 14:15 23640 20:16 23645 20:17 23686 26:22 27:8 67:13 23687 26:22 27:8 67:16 23688 11:9 15:1 23727 7:25 238 4:15 23942 20:15 21:10 23943 21:15 24 7:20 13:11 29:15 135:16 145:4 24/8/2011 167:5 25 169:18 190:8 205:1 26 36:24 267 67:9 72:10 84:16 88:12 92:14 93:24 28 3:6 28.8 199:25 287/287 4:24 28716 317:18 29 163:9 200:7 208:23 2bm 304:15 2dd 116:5</p>	<p>3 3 51:1,5 67:8 69:23,25 113:10 133:10 192:9 242:10 242:11,18 251:15 252:8,8 266:3 267:8 3,000 132:19 161:4,21 3.4 211:2 242:11 3.4. 242:10 3.5 252:3 3.5. 242:13 3.8 255:1 30 45:6 47:23 50:19 61:25 62:3 152:21 186:8 190:8 203:2 205:9,21 211:17 212:1 228:25 30,000 38:25 225:8,24 227:3 245:17 300 202:6,9 203:15 265:7 31 3:6 313 4:16 32 163:9 230:5 32311 316:20 33.67 184:16 33.82 186:4</p>	<p>330 261:4,21 264:13 265:4 34 3:7 36 3:3 3700 82:1 39 4:3 3:15 238:5 3:30 237:17 238:6 3c 305:8 306:10 3d 165:15 176:13 289:5 4 4 70:14 208:22 266:3 267:8 289:19 4,000 171:25 200:22 226:8 4,655 115:22 4.0 247:1 248:23 4.0. 248:15 40 112:17 203:11 400 73:1 79:5 401h 147:18 148:10 42 153:6 173:4 450 203:13,21 4500 258:19 460 191:11 4600 245:21 468 72:24 4:57 315:11</p>
--	--	---	--

[4f - above]

4f 305:17	7	9	295:17 316:10 317:7
5	7 71:7 143:8	9 3:4 220:23	able 8:23 17:20
5 70:19 79:18	147:15 193:22	255:1 265:23	42:18 46:11
79:21,23 138:1	215:23 216:8	315:2	47:2 50:11
193:17,21	265:22 266:19	9,000 201:15	58:15 59:3
215:19 259:6	7,000 240:22	203:4 208:25	93:6,15 94:6
265:18 266:1	245:21 258:19	245:24	104:6 111:9
267:7,8 283:11	70 45:8 256:24	90 216:12	114:4 117:12
283:11	257:1 261:6	252:10	117:15 118:11
5's 193:20	264:19	900 265:9	118:21 146:16
5,000 232:18	70s 108:17	90s 108:18	146:18 150:15
5.0. 243:20	72 18:7 215:9	91,000 154:7	155:3 156:3
50 107:10,11,12	7225 13:20	925 191:12	165:17 168:11
146:13 256:20	73 203:7 209:1	95 112:18	168:19,23
50,000 223:9	75 220:22	252:11	176:11 190:2
224:16	750 70:10	96 184:19	191:5 195:10
500 79:9 113:5	781 73:11	98 44:16,18	195:18 196:10
146:20	79,000 154:6	102:5,8 113:22	198:15 214:17
55 4:4	8	98-108 4:22	217:4 228:15
6	8 1:9 3:3 71:11	99 91:10,14	234:19,23
6 71:4 137:17	73:7 127:23	92:20	258:2 277:1
203:1 228:25	130:2 139:3	9:09 1:10	278:12 280:7
242:18	140:2 142:16	9:50 27:4	280:10 299:10
60 45:8 264:19	150:9 152:24	9th 5:3	299:11 300:18
62 215:8	154:21 156:1	a	301:2
63 4:5	172:22 249:12	a&m 64:16	abnormal
6304851 1:22	8,979 198:6	a.m. 1:10 315:2	144:14
65 215:8	200:14 202:20	abadie 2:9 10:7	above 35:7
220:22 256:20	800 146:20	abandoned	78:18 79:9
256:25	80s 108:17	108:2	80:24,25 99:15
6500 240:25	217:13	abided 13:23	205:4,8,9
66 72:10	87 153:7 173:5	abilities 306:4	227:6 242:12
69,000 154:5	87505 1:16	ability 47:23	248:25 249:6
	8th 5:3	48:24 152:2	292:13
		289:11 290:2	

[absolutely - addressing]

<p>absolutely 43:23 66:9 260:4 306:3,5 307:9</p> <p>abundance 17:4 22:14 299:20</p> <p>academia 39:19</p> <p>acceded 313:22</p> <p>accelerate 44:22 48:24 49:1</p> <p>acceptable 9:5 9:6 108:21</p> <p>accepted 40:4 125:21 181:9</p> <p>access 188:13 254:5 306:24</p> <p>accesses 233:7</p> <p>accident 298:9</p> <p>accommodated 13:8,10 16:20</p> <p>accomplished 257:12</p> <p>account 48:4 183:22 232:4 250:3 275:24 281:1</p> <p>accumulate 207:13</p> <p>accurate 92:21 99:24 104:1 110:16 245:16 254:8 316:9</p>	<p>317:5</p> <p>accurately 254:14</p> <p>achinivu 29:11</p> <p>acid 21:16 74:17 119:9,17 119:18 124:11 229:17 306:11 306:13,18 311:23</p> <p>acquired 58:6 173:21</p> <p>acquiring 50:8 58:5</p> <p>acquisition 300:7</p> <p>acreage 11:11 14:11,11,12,18 44:1,2 213:5</p> <p>acres 14:17</p> <p>acronym 206:15</p> <p>act 80:17 295:18</p> <p>acting 294:1</p> <p>action 271:18 295:22 306:18 316:12,16 317:8,12</p> <p>activated 292:20,22</p> <p>active 7:15 145:21 182:25 183:5 209:3 262:3</p>	<p>actively 47:21 146:22 157:11</p> <p>activity 55:7</p> <p>actual 97:23 114:5 130:23 168:20 169:11 173:13 190:24 193:6 198:15 199:13 206:9 221:19 273:10 280:14 284:25</p> <p>actually 43:19 76:24 86:20 90:3 92:20 98:4 107:6 110:9,25 112:5 112:7,19 113:14 115:1 118:5,17 119:12 120:20 121:9,16 166:16 167:4 183:4 189:2 191:1,5,20 192:15,16 195:24 216:2,3 221:22 223:14 225:17 226:3 230:19 232:23 254:15,20 265:17 280:13 288:16 294:13 302:1</p> <p>ad 98:14</p>	<p>adam 2:11 9:21 22:1</p> <p>add 19:17 101:25 114:13 131:16 193:15 193:21 215:21 248:9 276:10 298:3</p> <p>added 37:19 117:10</p> <p>addition 17:14 37:3 97:16 288:5</p> <p>additional 19:18 24:5 32:7 35:16,22 37:18 50:1,4 82:14 142:23 194:22,22 229:4 234:12 238:3 271:13 283:12</p> <p>address 18:21 32:8 34:3,11 57:6,9 59:3 67:1 74:5 118:22</p> <p>addressed 13:16 117:7 286:12</p> <p>addresses 13:14 159:21</p> <p>addressing 10:20 26:7</p>
--	---	---	--

[adds - amazing]

<p>adds 81:9</p> <p>adequate 68:17 277:6 281:18 282:1</p> <p>adhering 305:12</p> <p>adjacent 45:4 130:5 131:16</p> <p>adjourn 122:23 237:16</p> <p>adjudicated 18:16 19:11</p> <p>adjudicatory 26:22 27:8</p> <p>adjustments 221:21</p> <p>administer 29:25 38:12</p> <p>administrative 5:10 22:24 23:5 24:5 25:3 26:6 37:5 39:25 57:3 269:3,6 313:7 313:9,12</p> <p>administrativ... 22:20 23:9 26:1</p> <p>admission 102:3,5 157:19 209:13 240:17 267:15 287:6</p> <p>admissions 24:25</p>	<p>admitted 102:7 102:10 157:24 158:2 209:16 209:18 287:11</p> <p>admonition 302:7</p> <p>adopt 7:2,10</p> <p>adopted 7:5,13</p> <p>advance 20:1</p> <p>advanced 18:7</p> <p>advantage 301:7</p> <p>advantageous 302:20</p> <p>advantages 107:4</p> <p>adversely 15:11</p> <p>advice 18:1</p> <p>advisor 39:15 180:12</p> <p>advocating 304:11,11,12</p> <p>affect 130:22</p> <p>affected 15:11 143:3 158:12</p> <p>affecting 129:24 158:20</p> <p>affirmative 71:12,12 73:2 309:8</p> <p>afternoon 123:8 159:16</p> <p>age 292:4</p>	<p>agencies 254:11</p> <p>agenda 1:5 5:11 6:8,9,12 6:23,24 7:2,5 18:8,9,9 20:1,7 20:10,12 27:7 315:7</p> <p>agendas 18:21</p> <p>aggregate 81:13</p> <p>agi 22:14,19,23 23:9,20 24:8 24:11,15</p> <p>agi's 25:2</p> <p>agis 23:6,6</p> <p>ago 51:17 241:14 246:19 249:23 260:6</p> <p>agree 5:14 23:14 169:2 215:15 222:3,5 225:3 226:15 232:12 233:19 238:23 263:18 263:19 285:11 295:16 306:2</p> <p>agreed 212:1 216:11 223:23 224:17</p> <p>agreement 8:23 8:25 9:3 25:1 143:18 311:2</p> <p>agreements 61:7</p>	<p>agrees 304:5</p> <p>ahead 10:4 31:8 238:13 277:9</p> <p>ahs 105:16</p> <p>al 240:6 257:8 260:5</p> <p>alarm 205:16</p> <p>alarms 205:7 206:22</p> <p>aligned 257:1</p> <p>allow 17:5 27:2 54:17 108:19 198:22 305:18</p> <p>allowable 200:5 205:2</p> <p>allowance 6:4</p> <p>allowed 176:12 199:1</p> <p>allowing 161:6 165:19</p> <p>allows 36:25 46:2 94:4 277:1</p> <p>alluded 31:22</p> <p>alluding 247:19</p> <p>alphabetically 215:17</p> <p>alternative 110:5,8 142:16 142:16</p> <p>alternatives 229:24</p> <p>amazing 236:13</p>
---	--	--	--

[ambiguous - analyze]

<p>ambiguous 22:17 299:23</p> <p>amenable 31:6</p> <p>amend 12:2</p> <p>amended 11:1 21:17 25:17</p> <p>amount 45:3,23 46:25 54:1 100:4 112:25 184:6,11 186:9 201:17 213:21 217:9 224:10 224:25 303:23</p> <p>amounts 188:13</p> <p>amplitude 255:14</p> <p>ampomah 2:6 6:13,17,18,25 7:3,11 9:9 17:23 19:14 26:12 57:20,22 58:1,24 60:3,9 90:16 107:17 107:19,22,24 108:3,6 109:2 109:4,13,17,22 110:4 111:4,8 111:17,22 112:14,19,21 113:6,9,22 114:3,18,22 115:4,7,10,17 115:21,24 116:6,9,14,17</p>	<p>117:11,18,24 118:24 119:19 169:7,8,15,20 170:4,13,19,22 171:15,20,23 172:2,9,19 173:6,9,12,16 173:25 174:4,8 216:18,19,24 217:5,8,16,19 218:16,19,25 219:5,9,16,20 219:24 220:5 220:17 221:3 221:15,20,25 222:12,19,22 223:3,6 224:6 225:2,9 226:5 226:7 227:10 227:15 229:23 230:2,7 231:4 231:18,25 232:6 233:11 234:25 235:18 235:22 236:12 290:10,11,18 290:21 291:10 291:14 293:18 295:1,20 296:8 296:23 297:1,4 297:23 298:9 298:11,14,18 299:13 300:15 301:9,14,20 302:3,6,23</p>	<p>303:2 304:4,15 305:1,8,16 306:1,6 309:10 313:3,19</p> <p>ampomah's 61:19 175:22</p> <p>anadarko 40:23,24</p> <p>analog 214:7 222:18,19 223:16,24 230:13 248:6</p> <p>analogies 101:23</p> <p>analogous 223:10 250:18</p> <p>analogously 136:20</p> <p>analog 182:3,4 195:10,17 208:15 218:14 223:12 230:14</p> <p>analogy 101:13 101:19</p> <p>analyses 103:22 155:17 180:17 282:9</p> <p>analysis 33:19 39:1,17 52:1 52:16,17 83:6 83:8 84:3,4 88:8 89:16 104:10,19 115:3 135:6 142:12 149:19</p>	<p>164:23 169:2 174:17 176:13 181:19,24 183:7,11,14,21 183:21 184:2 185:1,14 186:7 186:20,25 187:15 189:25 195:8,21,23,24 196:1 197:2,7 198:11,21 202:13 211:11 213:2,9,16,20 214:6,10,12 217:20 218:21 222:16 223:8 223:10,13 224:5,10,13 226:13,24 227:12 228:15 228:24 230:3 233:10,12 236:13,20 268:22 278:11 280:10 284:16 300:16 306:21 307:2</p> <p>analytical 196:8</p> <p>analyze 13:15 95:5,7 151:24 181:20 184:23 213:19 217:4 217:19 225:5</p>
---	---	---	--

[analyzed - approaches]

<p>analyzed 156:14 216:25 218:17 280:21</p> <p>analyzing 112:23 194:21</p> <p>anderson 220:5</p> <p>andersonian 256:16</p> <p>andreas 266:16 294:4</p> <p>angeles 294:6</p> <p>anhydrite 99:12</p> <p>anhydrites 80:16,18,20 81:4,7 99:21 117:15</p> <p>annotated 240:19</p> <p>announced 242:15</p> <p>announcements 315:5</p> <p>announcing 315:5</p> <p>annual 186:4</p> <p>anomalies 99:22 101:16</p> <p>anomaly 117:14</p> <p>answer 9:22 74:3 90:18 92:5 109:15 168:11,23 169:19 170:25</p>	<p>174:3 210:15 219:17,19 229:14 260:21 280:23</p> <p>answered 161:16 310:23</p> <p>answering 232:11</p> <p>anthropogenic 248:1,2</p> <p>anticipate 36:6</p> <p>anticipated 22:6 55:11</p> <p>anymore 302:12</p> <p>anyway 198:21 205:16</p> <p>aoi 45:13 248:20</p> <p>aor 69:6,13 92:21 100:16 211:14 259:11 259:21 283:1</p> <p>apache 292:10</p> <p>apart 233:21 234:7</p> <p>aperture 289:7</p> <p>apex 189:3</p> <p>apologize 12:16 23:16 175:20 186:13 254:23</p> <p>appear 9:19 185:7</p> <p>appearance 10:2 11:4</p>	<p>21:21 27:20 28:2 37:25 165:19 176:16</p> <p>appearances 27:10</p> <p>appeared 25:25</p> <p>appearing 9:21 10:7 21:19 22:1</p> <p>appears 27:11 30:7</p> <p>applicable 290:3</p> <p>applicant 22:1 25:14</p> <p>applicant's 25:10</p> <p>application 7:25 12:11 13:21 20:15,19 20:24 21:15 22:13 24:6,16 41:18 58:1 61:23 66:1,24 67:9,11,13,16 70:2 75:15 91:19,21 92:18 109:20 112:22 116:18 121:11 159:19 235:20 283:15 301:16</p> <p>applications 4:21 12:25 35:4 36:19 37:22 41:22</p>	<p>51:22 66:8,19 66:21 67:6 76:8 77:11 102:4 126:3 180:25 181:5 236:23 269:3,6 282:14 313:9 313:13</p> <p>applied 200:17 216:13 223:18 276:13</p> <p>apply 126:25 129:1 234:25 269:21</p> <p>applying 182:4</p> <p>appreciable 267:4 268:7 289:12</p> <p>appreciate 28:7 28:18 98:2 115:4 306:21 307:16,19</p> <p>appreciated 28:17 97:22</p> <p>approach 31:8 34:1,13 54:7 94:19 103:24 108:13,17,25 110:16 227:24 272:9 302:13 302:19 303:16 304:8,13</p> <p>approaches 84:9 96:17</p>
---	---	--	--

[appropriate - arguing]

<p>appropriate 15:25 24:4 25:3 36:19 50:6 52:2,6,9 74:20 209:8 appropriately 24:6,17 25:9 234:2 approval 6:9 21:16 22:24 23:5,17,18 24:25 25:3,16 25:24 26:5,6 37:6 51:23 57:3 59:1 68:19 75:3 269:2,3,5 280:16 307:25 313:8,12 approve 22:13 22:19 23:9 26:1 79:23 approved 12:25 19:16 24:3 34:14 108:25 283:18 301:22 312:4 approving 10:18 11:10 approximate 161:2 202:12 approximately 36:7 64:22 85:2 89:2 132:19 152:23</p>	<p>158:13 160:12 163:24 172:5 179:3 180:7 183:22 184:3 190:8 193:22 211:2 213:22 approximation 196:19 april 249:22 aquifer 79:2,4 79:16 81:22 aquifers 78:17 arbitrarily 236:1 arco 64:24 area 35:18 41:14,17 45:25 46:3 47:17,23 48:9 49:20,21 53:5,9 55:12 56:5,9,11,15,17 59:1 60:5,6,8 60:19,19,22 61:10,15 65:23 68:17 69:7 71:8 75:15 80:23 83:20,23 84:1 86:3 87:21 88:1,9 88:16,17 89:22 90:4 91:9 92:24 96:8,9 96:20 97:24 98:14,17 129:23 130:8</p>	<p>132:4 133:13 135:9 138:13 138:23 140:8 141:1 143:9 144:19 145:2,5 145:6,10 146:12 149:12 149:25 151:10 152:11,13,20 153:1 154:22 155:22 157:5,9 159:5,9 160:6 160:20 162:8 165:15,20 168:12,25 171:16,17 172:3,12,22,25 173:7,21 175:1 175:6 180:5 184:3 187:10 200:17 211:1,5 219:6,17 220:21 230:4 236:10,24 244:17 245:5,9 246:21 248:16 248:21 249:5 250:9,10,12,17 253:19 256:19 258:15 261:13 261:14 263:25 265:18 285:8 288:14,22 289:1,24 290:19 292:24</p>	<p>293:6 294:6 301:25 302:2,3 302:4 304:10 304:14 307:23 areas 32:14 41:15 43:16 47:20 48:2 52:25 56:13 65:24 67:3 83:10 84:11 86:15 87:2 89:18 90:8 93:11 94:21 96:16 97:6,9 97:12 99:3,12 100:2 101:2,8 128:3,24 129:19 130:3 130:13,15 148:1 156:3,14 162:21,25 194:11 213:14 215:1 216:25 233:14 242:4 250:18 252:19 260:21 286:9 288:13,17 argue 58:7 129:3 141:22 252:10 288:15 292:2 299:23 303:5 304:7 308:19 arguing 16:1</p>
--	--	--	--

[arguments - avalon]

<p>arguments 10:25 18:2 20:6 arms 232:7 arranged 228:25 arrow 89:4,5 148:16 260:14 arrows 257:19 articles 265:14 articulate 288:23 ascertain 258:2 258:3 271:15 aside 14:24 42:6 146:1 asked 13:7 90:16 174:8 225:9 229:3 311:13 313:3 313:19 asking 93:10 118:2 121:20 aspect 143:1 146:24 311:1 aspects 181:15 272:23 assess 81:8 94:20 105:16 111:1 239:15 270:9 assessed 269:7 281:24 assessing 47:9 96:19</p>	<p>assessment 22:6 47:10,13 55:8 96:15 105:8,25 115:1 120:22,22 127:1 129:9 181:16 182:2 185:5 201:4 224:18 283:1 assessments 104:1 200:16 asset 180:4 assets 179:18 179:25 assigned 231:20 assist 63:20 associated 19:10 46:21 49:16 182:13 208:12 242:16 268:8 300:3 assume 10:8 assuming 20:25 236:21 assumption 105:21 228:17 assumptions 227:11,14 229:10 230:12 233:1 attach 9:4 69:6 attachment 69:4,10,23,25 70:14,19,25</p>	<p>71:4,7,11 73:7 attendance 38:5 attendees 2:2 attention 138:20 attitude 311:5 attorney 2:8,9 2:11,13,15,17 2:18 316:14 317:10 attributable 239:12 260:3 attributed 42:14 174:13 174:15 241:9 244:18 attributes 118:3 attributing 163:22 atypical 58:19 audio 5:21 316:8 317:4 august 139:15 authoritative 243:22 authority 15:10 272:5 295:19 authorize 22:18 25:14 26:1 77:11,12 authorized 23:6,8</p>	<p>authors 113:17 automated 205:7 automatically 205:18 available 71:17 94:18,21 115:2 174:18 214:6 227:1 264:23 306:23 308:11 310:22 avalon 49:15 61:2 105:18 127:18 128:4 129:24 130:4 130:16,22,25 131:7,7,22 132:3,19,22 133:14,22 134:7,10,12,15 134:20 135:1,4 135:11,15,19 135:22 136:7,9 136:12,13 137:7 138:15 138:25 140:22 142:2,18 143:2 144:10,14,16 145:5,9 146:2 146:8 147:6 150:12,23 152:3,5 154:1 154:14 155:4 155:23,24 156:3,21,23</p>
--	---	--	--

[avalon - basement]

157:12 158:17 158:21 159:6,8 160:7,17,24 161:3,7,12 162:5 163:3,14 163:17,23 165:8,25 167:11 170:19 171:4,8 174:24 175:8,14 176:4 176:8,17,22,25 177:11,15 240:14 245:23 281:16 285:23 285:25 304:9 avalon's 157:8 avant 20:15,17 20:22 average 70:4,9 72:17,25 215:19 224:20 251:17 averaging 225:20 aversion 220:25 avoid 228:2 aware 49:23 105:25 121:21 148:2 165:14 169:18 173:7 173:15 212:5 218:22 axis 133:17,18 135:25 136:1	139:17,18 201:7,10 b b 4:18,21 67:16 102:3,8 166:18 baby 53:23 bachelor 64:15 bachelor's 40:9 125:12,13 179:9 back 5:6 8:24 27:6 28:13,14 39:3 41:4 48:20 61:23 76:4 82:10,11 82:15 92:20 108:17 110:24 112:1 127:1 134:23 137:13 147:5 155:14 158:9 163:12 174:10 183:17 204:14 207:21 210:13 221:2 223:11 237:3,6 237:6 238:8 242:15 249:8 249:17 271:23 280:20 281:10 285:16 292:18 300:2 303:4 306:10 background 40:8 64:14 65:19 124:7	125:11 127:15 168:12 179:6 182:19 256:25 257:16 258:4 backup 24:13 bags 251:23 ball 255:9 265:16 balls 254:19 255:2,4,8 265:20,25 ban 49:25 bands 242:16 bank 101:14 barrel 51:2,5 184:10,21 185:4 barrels 45:6 50:19 70:1,3,5 72:16,18 147:21 171:25 172:8 184:1,19 185:5,6 186:8 186:11 200:1,7 200:22,23 202:5 203:4,5 203:7,12 208:22,23,25 209:1 218:8 224:16,16,20 224:21,24 225:3,8,15,20 225:24 226:9 226:12 227:3 232:18,19	249:7,12 251:16 252:9 barriers 109:11 base 80:8 82:5 105:23 116:21 137:3 154:3 based 14:2 16:16 24:1 26:13 32:22 51:3 52:11,16 71:22 86:16 100:23 117:3 137:14,21 155:11 168:16 169:21 176:15 201:18 205:11 218:23 220:5 224:4 226:9,12 231:24 232:15 233:12 235:5 235:23 256:1 256:23 258:1 259:25 264:7 265:5,9 275:14 278:20 285:11 285:12 292:23 293:21 300:16 baseline 134:15 134:17,24 137:13 154:1 basement 167:24 240:18 257:25 262:22 294:9,19
---	--	---	---

[basic - bennett]

<p>basic 89:13 258:14</p> <p>basically 36:9 80:21 95:21 109:10 147:20</p> <p>basin 37:15 42:11 43:22,24 44:1,6,7,23 45:1,5,19 50:18 58:8 63:23 64:23 79:9 84:22 124:23 125:3 126:24 151:25 152:12 175:4 180:3,6 220:13 220:14 239:7 239:12,17 240:6,9 243:14 248:1 251:22 253:20 260:3 260:25 261:9 262:17,20,24 263:6,22 267:18 281:2 286:3 291:19 292:5,15,18 293:17</p> <p>basis 54:2 55:16 154:4,19 169:24 303:24</p> <p>bath 311:24</p> <p>bay 294:6</p> <p>baylor 40:12</p>	<p>beach 254:19 255:2,4,8,9 265:16,20,25</p> <p>bear 104:3</p> <p>becoming 256:19</p> <p>bed 259:7</p> <p>beds 152:23</p> <p>began 248:4</p> <p>beginning 160:7 180:10 183:11 220:10</p> <p>begins 143:2 147:1 151:23 185:17 187:16 195:5 199:16 202:14</p> <p>behalf 8:14 9:22 10:7 11:4 20:21 22:1 27:17,24 28:10 34:24 36:13 67:6 71:17</p> <p>behavior 187:25 188:4 190:24</p> <p>behaviors 237:9</p> <p>belabor 279:24</p> <p>believe 9:24 10:22 11:4,14 12:8 13:22 15:5 16:5,11 16:18,19 22:18 23:3 24:8</p>	<p>35:18 37:24 48:16,20,23 49:18 51:16 52:7,10,19 55:5 56:3 57:8 102:22 103:8 108:7 109:5 121:10 126:16 127:23 143:8 150:8 157:19 161:20 166:15 167:11,21 168:8 171:21 173:16 185:17 193:2 216:20 217:8 220:3 254:25 264:9 279:23 282:11 282:15 286:14 288:7 301:9 302:1,24 304:21 305:11 313:10 314:4,6 314:8,14 315:1</p> <p>believes 35:6 37:7 216:21</p> <p>bell 73:18 76:17 82:4 83:3,18,19,22 85:18,19 97:3 103:2,18 104:25 105:9 111:14 115:21 144:3,4 145:7 200:13 201:9</p>	<p>202:21 214:24 245:20</p> <p>bench 171:12</p> <p>benches 56:18 171:11</p> <p>beneficiary 275:8</p> <p>benefit 30:5 127:4 182:14 184:12</p> <p>bennett 2:17 3:6 4:3,5,15,16 20:20,21 21:12 27:16,16 28:3 28:5,8 29:6 30:2 31:8,10 35:15 38:6,8 38:22 39:6 41:24 42:3,4 54:20 62:14,17 63:8,10 66:10 66:16,17 91:11 91:13,25 102:1 102:12,20 106:9,20 118:20 120:6 122:6,13,20 123:5 219:22 222:8 237:19 238:15,19,21 239:20,24 279:16,20 287:5,13 301:18 312:21 312:22 313:2</p>
--	---	--	--

[bennett - bottom]

<p>314:18,21 bentonite 109:8 best 108:20 110:16,17 164:1 172:7 208:6 218:14 302:13 316:10 317:6 better 19:7 74:1 88:20,25 103:8 203:17 208:24 213:23 214:12 229:22 232:20 248:9 291:15,17 302:20 313:22 beyond 35:7 122:2 169:10 189:11 197:23 197:24 198:12 big 196:14,15 207:3 233:2 252:21 266:23 266:24 279:4 286:6 289:19 293:1 300:6 302:11 biggest 59:8 224:6 billion 202:5 bit 8:24 12:9,13 22:17 35:10,22 46:15 52:22 61:12 65:3 68:22 76:20</p>	<p>78:8,16 81:11 91:8 103:15 109:14 110:22 119:2 122:2 149:19 159:18 164:1 181:22 192:9 193:18 193:19 195:8 203:14 211:12 220:14 223:25 224:3 231:15 234:16 238:11 240:11 241:11 247:20 251:20 278:25 279:6 308:17 black 132:15 133:5,19,21 152:15 243:17 247:14 261:18 blank 186:14 blatant 263:15 block 245:18 308:19 blocks 86:18 240:20 274:10 blocky 297:15 bloom 2:5 6:19 6:20 7:1,9 9:10 17:12 18:25 19:13 21:7 26:11 60:10,11 119:20,21 120:1,8,16,25 121:5,8 122:1</p>	<p>122:7 174:6,7 210:17 306:8,9 306:19 307:10 307:12 311:11 blue 86:5,15,19 88:25 129:14 130:3 133:18 135:12,13 136:1,24,25 137:12 138:24 139:6,19 141:5 141:23 143:22 144:25 147:13 149:24 150:25 188:16,18 195:14 200:19 202:24 222:14 242:2 243:15 246:15,21 248:12 251:17 253:23,24 body 39:25 boe 251:13,21 boes 251:16 boiled 118:7 bone 61:4 99:2 119:24 139:12 140:9 142:12 150:13 151:25 152:2,8,10,19 152:25 153:6 153:20 154:2 154:13,15,21 154:24 155:8 156:20 157:2</p>	<p>157:12 159:7 168:2 172:20 173:10,12 176:5,8 181:24 226:4 240:14 245:24 border 43:12 43:14 45:5 152:15,17 borders 243:1 bore 68:13 78:3 78:8,11,15,22 106:17 119:12 119:15 223:19 229:12 235:2 282:1 283:5,7 306:17 bores 124:13 boring 259:9 bottle 215:23 bottlenecking 133:1 bottom 43:25 44:8 97:17 135:7,24 142:11 144:25 148:17,24,25 188:17 192:2 193:22 194:4 201:20 207:11 244:9,15 249:3 249:17,22 251:8 261:24 265:16,21 283:13 309:22</p>
---	--	--	---

[bottomhole - c108]

<p>bottomhole 146:19 155:5 193:14 199:8 215:3 216:8 228:13 bouma 297:12 boundaries 236:2 boundary 197:20,24 199:5 200:14 201:5 202:20 228:9 235:19 236:1 bowl 98:15 box 85:15,16 85:17 149:24 186:14 192:14 194:4 201:22 235:12 308:24 boxes 192:1 246:15 bran 143:10 148:8 brand 229:21 brandon 36:1 breach 154:2 154:21 155:8 176:5,7,9 breached 153:21 156:21 breaching 108:9 152:8 157:2</p>	<p>break 100:5 122:24 156:24 164:6,6 237:17 breakdown 189:4,6 191:1 191:6 208:14 breaking 194:9 314:25 breakouts 145:17 220:24 breaks 221:1 breakthrough 140:3 bridging 110:6 brief 22:5 28:25 31:3 36:9 41:9 74:4 122:24 125:10 126:12 179:5 182:11 312:23 briefing 10:25 briefly 30:3 31:18 35:12 36:16 43:7,20 44:19 47:12 64:13 127:9 181:11 191:18 241:21 273:23 brigham 179:10 bring 5:23 180:7 210:12 263:17 bringing 271:4</p>	<p>brings 223:8 broad 43:24 44:4,4 58:16 250:9 256:17 broader 53:25 55:7 248:19 broadly 47:17 brough 263:20 brought 10:17 259:25 285:18 303:7 brushy 36:2 49:15 76:9,11 76:13,14,15,16 76:18 77:10,14 79:9 82:12,17 102:23 103:4 103:19 104:7,8 104:23 105:1,9 105:17,19 106:21,23 109:23,24 110:6 111:11 111:14 150:19 173:13 214:23 282:22 304:16 304:23,24,24 305:3,4 bryce 2:20 29:9 81:10 86:23 100:7 110:22 178:8,14,24 241:13 273:8 278:10 299:2</p>	<p>buffer 211:12 build 45:16 114:5 117:15 186:23 188:20 233:15 building 1:14 5:7 61:18 64:25 235:3,5 274:9 290:24 291:1 buildup 110:24 112:9 built 175:16 266:22 267:3,6 267:10 289:14 bullet 192:18 192:25 193:2 bullseyes 242:3 bunch 279:18 bureau 36:3 buried 267:9 burner 29:10 business 39:16 buy 303:4</p>
			c
			<p>c 2:1 3:1 5:1 153:14 c108 25:2,15,24 26:2 66:23 67:10,23 68:2 68:4,22 69:4 72:4,8,12 91:19,21 92:18 107:20 109:20 223:12,13,23</p>

[c108 - cases]

<p>224:18 c108s 4:20 67:5 67:5 68:11,24 70:12 76:8 78:4 102:4 224:13 calculate 110:20 113:14 113:20 184:13 223:20 228:21 calculated 81:24 183:25 192:19 198:5,6 212:8,14 235:13 calculation 229:9 calibrate 110:12 111:9 111:18 155:2 calibrated 168:21 calibration 112:11 california 124:11 179:14 179:18,24 call 5:2 6:14,16 27:3 38:9 44:25 62:15,18 71:11 75:9 114:5 122:17 123:3,10 141:25 149:22 178:4 205:9</p>	<p>211:20 254:19 289:10 called 7:21 24:18 38:18 63:3 123:18 139:21 146:2 178:15 197:20 198:19 callout 133:21 136:6,12 147:17 callouts 139:11 153:5 calls 178:7 canyon 36:2 49:15 73:18,18 76:9,11,13,16 76:16,17 77:10 77:14 79:9 82:17 83:3,18 83:19,22 85:18 85:20 87:19 97:3,4 102:23 103:3,4,18,18 103:19 104:8 105:9,14,14 106:21,23 109:23 110:6 111:14,14,14 115:22 144:3,4 144:5 145:8,8 150:19,20 173:13 201:9 214:23 237:9 245:21 282:22</p>	<p>304:16,20 capable 227:4 capacity 37:13 191:4 234:21 capital 59:20 233:25 caprock 240:11 carbonate 152:21 carbonates 240:17 carbondale 64:18 care 49:7,19 50:1,4 career 179:17 careful 52:1 carry 105:22 204:18 cartoons 148:25 case 7:21,22,24 7:25 9:13,16 9:17,21 10:13 10:13,17 11:3 11:8,9,13,19 12:8 14:5,10 14:13,14,14,16 15:2,8,14,16,18 16:4,9,12 17:15,19 18:12 18:24 19:3,10 19:20 20:15,16 21:8,10,14 22:2,13,14</p>	<p>23:7 27:8,20 35:3 38:2 55:16,16 61:17 67:13,16 82:2 107:3 126:15 127:1 128:21 129:8,14,17 138:19 139:2 148:2 150:8,11 152:24,25 154:3 155:14 155:17 159:22 160:3,4,21,24 163:8 174:12 196:3 198:13 202:1 203:11 205:19 215:25 223:25 224:15 224:16,23 228:6 231:13 240:13 260:5 271:7,9 272:10 cases 5:17 7:16 7:17 9:19,24 9:25 11:16 14:6,21 15:6 19:11 26:21 27:10,12,18 28:11 41:19 126:4 129:2 156:2 158:22 171:14 181:1 200:18 201:24 202:24 224:13 228:5 229:15</p>
---	---	--	--

[cases - chemistry]

<p>229:25 casing 78:7,21 78:25 79:12 96:24 112:8 119:6,7 188:9 188:25 191:23 206:7 229:22 283:14 castile 80:22,23 81:3,7,9 99:11 99:21 117:12 191:7 194:23 catalyst 247:2 catch 91:12 93:24 caught 116:13 cause 105:21 118:15 127:3 142:22 155:18 229:1 256:5,14 273:9 caused 162:21 175:15 248:2 causes 128:19 146:25 170:1 175:16 causing 140:5 173:18 253:9 293:22 caution 17:4 22:15 ceiling 186:5 cement 82:16 82:17 108:14 109:11 283:13</p>	<p>cemented 104:5 cementing 77:19 82:10,11 center 141:4,8 150:2 166:3 197:16 206:4 central 188:2 204:10 238:10 certain 35:6 50:6 111:19 207:13 242:9 250:9 261:13 277:16 279:12 288:17 289:2 311:23 certainty 280:13 certificate 316:1 317:1 certify 316:4 317:2 cetera 206:7 235:14 chair 2:3 7:1,9 8:10 9:20 10:6 10:12 11:8,25 12:16,19 13:13 15:3 16:3 17:12 18:6 19:6,13,14,17 20:21 21:2,7 21:25 22:9 23:13 25:11 26:11 34:25 36:16 60:9,12</p>	<p>102:16 122:14 123:9 157:21 169:8 175:18 209:25 287:19 290:6 challenge 99:9 99:10 301:6 challenges 54:4 challenging 86:14 276:1 chance 7:7,23 13:14 75:16 91:11 110:17 112:16 194:9 281:5 chances 107:5 change 75:24 75:25 76:5 128:17 131:19 134:21 136:8 138:2 140:14 141:22 142:4 145:25 146:23 166:7 174:19 229:19 247:3 258:11,12 263:24 264:1 268:3 271:9 278:11 286:5 293:9 294:16 303:6,21 changed 128:16 161:23 259:14</p>	<p>changes 6:11 6:24 23:21 24:4 75:8 99:14 126:20 129:4 131:22 131:23 138:14 163:13 175:7 271:2 274:24 275:20 276:6 308:23 changing 278:6 channeling 297:14 character 89:25 characteristic 118:19 characteristics 196:9 charge 207:21 chart 132:6 133:16 183:23 190:23 200:8 235:11 charts 201:25 cheap 96:22 98:9 check 37:23 115:24 121:8 236:23 237:2 checked 161:22 checking 5:25 chemistry 134:21 175:10 275:5,6</p>
--	---	---	---

[cherry - class]

<p>cherry 73:18 76:16 87:18,18 97:4 103:3,18 104:25 105:9 105:14 111:14 144:5 145:8 150:19 200:13 202:21 214:24 231:14 237:9 245:21</p> <p>chevron 2:17 2:18,19,20,21 2:22 27:15,17 28:10,18 29:3 29:7 31:13,14 31:20,23 32:5 32:23 33:1,3 33:18,21 34:10 34:18 39:11,12 39:14 40:15,21 41:14,18 43:5 43:16 44:2,14 44:19 45:25 47:8 49:5 50:7 50:7,20 51:25 53:3,11,25 54:13 56:4,8 56:15 57:5 58:25 59:12,17 60:20 61:5,14 63:15,16,18,20 64:19,20 65:23 66:2,4,20 69:1 69:6 70:2,7 71:5,17 72:14</p>	<p>72:19 73:25 75:11 76:10 80:9 86:10 90:20 92:20 93:5 94:11 100:11 102:23 123:10 124:3,4 124:9 126:4 129:20 130:4 131:4 142:17 144:10 145:2 156:14 157:3,7 160:6 163:13 164:16,19,23 165:3 167:21 168:8,25 176:22,25 177:10,13 178:7 179:1,2 179:3,6,11,12 179:17 181:1 209:2 211:4 213:7 214:3 216:21 218:16 225:16 233:21 252:23 254:4 257:14 268:20 273:4 274:19 275:5 280:2 281:10,12 282:20,23 283:3,24 285:1 287:24 288:4 288:16 291:3 302:23,24</p>	<p>303:1 304:10 304:17 306:2 313:4 314:9,10 314:13 315:1</p> <p>chevron's 32:2 33:13 34:3 36:18 39:15 42:10,16,25 43:21 44:1 47:6 50:16 51:21 52:16 53:7 54:6 55:11 60:18 61:22 67:6 72:22 77:5 79:17 100:3 103:1 145:9 158:16 176:15 181:4,12 213:4 238:2,14 253:25 284:17 301:16 304:5</p> <p>chief 36:4</p> <p>chino 1:14 5:6</p> <p>choice 90:12</p> <p>chokes 204:20</p> <p>choose 184:7 196:11 205:3</p> <p>chose 44:15,20 60:18 186:7 276:18</p> <p>cimarex 2:9 10:7,17,21,24 13:8 314:5</p>	<p>cimarex's 15:6</p> <p>circle 128:7,7,8 128:10 130:8 143:23 160:4 246:25 248:13 302:11</p> <p>circles 128:6 129:11,21,23 130:3,14 132:7 132:8 143:25 143:25 242:8,8 243:19</p> <p>circular 236:4</p> <p>circumstances 14:3 50:6 262:11 292:25</p> <p>cite 25:21 36:22</p> <p>cited 260:9</p> <p>clarification 14:5 22:21 24:6 65:8 105:6 210:21 309:4</p> <p>clarify 24:19,20 57:23 77:23 102:19 116:7 145:9 219:4 222:14 226:7 306:19 310:2 310:19</p> <p>clarifying 158:10</p> <p>clarity 284:25</p> <p>class 68:14 78:13</p>
---	---	---	---

[clean - combo]

<p>clean 119:10,11 119:14,15 204:13 207:1 297:21 306:16 cleaned 229:22 cleanout 306:14 clear 20:11 76:10 107:1 219:17 224:8 263:13,14 clerk 7:19 click 315:7,7 clip 192:20 close 16:6 25:7 43:11 208:13 215:10 216:1,6 223:3,7 226:13 231:15 233:23 closed 149:7 235:22 296:14 296:22 closely 174:14 234:17 closer 5:23 220:2 225:23 234:15 245:8 closest 78:17 92:6 222:23 235:20,24 259:5 closure 97:17 97:20 100:25 111:2 189:14 189:14 190:3</p>	<p>192:4,12 221:13,18 289:7 closures 208:13 cluster 147:22 154:4,5,7,7,9 154:19,20 clusters 154:10 coalson 265:15 coded 88:16 113:3 cody 2:19 29:9 29:14 38:10,17 39:9 89:17 168:23 cogswell 1:21 316:2,21 coherent 261:20 coincident 142:5 colgate 2:11 9:22 10:18,20 11:4,6,17,24 12:20 13:3,22 15:15 21:3 colgate's 11:10 14:18 15:8 collaborating 295:8 collaboration 33:25 collaborative 29:17 62:10 91:3 278:24</p>	<p>collated 231:9 colleague 28:9 225:10 241:13 273:8 278:10 289:22 297:8 297:19 299:2,4 colleagues 28:16 275:10 collect 45:14 47:21 48:25 59:21 62:8 101:5 104:20 104:23 110:8 111:13 169:25 205:24 207:6 270:8 273:12 277:16 278:11 288:2 300:5 collected 134:15 277:21 278:15,21 298:4 collecting 59:9 103:12,15,17 103:20 191:21 273:4 275:13 275:14 280:2 280:16 305:5 collection 77:6 206:11 209:5 269:14 270:16 271:13,14 273:22 276:17 277:7,10 279:8 286:20 298:12</p>	<p>298:15 300:3 302:17 309:6 collectively 59:24 color 14:12 86:18 88:16 113:3 136:23 144:17 245:18 266:2 colored 128:6 128:10 129:11 129:21 150:3 240:20 242:3 242:16 243:19 244:1 246:11 248:13 254:19 254:21,22 255:2 257:16 261:19,24 262:2 264:19 265:15 270:12 270:12 colors 132:5 201:23 242:6 254:24,25 265:19 column 86:5 comb 207:11 combination 271:24 combine 91:20 combining 293:5 combo 103:17 274:6</p>
---	---	---	---

[come - commitments]

<p>come 8:6 21:20 32:11 39:3 61:23 87:1 94:7 96:14 106:7 127:2 129:2 207:15 208:13 221:10 232:18 251:20 260:19 268:19 278:18,19,20 280:22 282:4 285:22,24 295:4,12 302:16 303:12 303:14 308:24</p> <p>comes 20:12 110:24 197:10 231:9 233:3 241:22,24</p> <p>comfortable 18:22 51:21 210:15</p> <p>coming 58:23 75:23 90:10 103:21 112:1,5 147:21 170:23 170:25 171:12 216:7 223:11 237:24 281:11 291:24 294:21</p> <p>comiskey 2:19 29:9 38:10,12 38:17,22 39:7 39:9 41:25 57:16,25 58:2</p>	<p>59:4 60:7,22 60:25 61:16 62:2 89:17 90:16 118:21 119:25 120:4,6 120:15,19 121:4,7,13 122:5,16 168:23 219:22 220:3,7,20 221:17 238:16 238:22 287:21 290:17,20 291:3,13,16 293:23 295:5 295:25 296:11 296:25 297:3,6 298:3,10,13,17 298:22 299:17 300:20 302:1,5 302:8,24 303:5 304:7,21 305:2 305:11,23 306:3,13 307:9 307:11 308:3 309:3,13 310:7 311:2 312:2,17 314:22</p> <p>commencem... 284:13</p> <p>commences 283:23</p> <p>comment 16:6 19:18 235:18 310:20</p>	<p>comments 6:11 6:24 17:25 101:24</p> <p>commercial 47:5</p> <p>commingle 176:25</p> <p>commission 1:2 2:4,5,7,8 5:4 6:22 7:18,19 8:3 9:5,16 10:16,22 11:1 12:7,9 14:8,10 14:22,25 15:7 15:7,10,16,19 16:24 17:7 18:1,19 19:24 21:25 22:18,22 23:2,3,8,18 24:2,19 25:8 28:20,21 29:20 30:24 31:6 32:4 34:15 35:19 36:23 39:22 40:2 43:8 47:13 53:20 54:22 61:23 62:12 64:5 68:5 88:13 124:6 125:18 126:12 131:1 143:5 147:3 180:23 191:18 204:3 208:3 225:11</p>	<p>239:21 240:1 259:1 268:21 268:22 304:5 311:23 312:11 313:11 314:16</p> <p>commission's 11:14 12:2,4 24:25 26:5</p> <p>commissioner 2:3,5,6 6:17,19 17:21 58:3 61:19</p> <p>commissioners 5:20 6:11 7:6 9:7,21 10:6 13:17 16:23 17:10 18:23 20:21 22:9 26:10 29:4 30:4 31:2 34:17 35:1 57:19 64:14 84:17 91:15 127:5 179:5 182:15,20 185:20 187:19 199:19 243:10 250:24 260:10 269:17 272:25 272:25 278:25 286:19</p> <p>commitment 311:18</p> <p>commitments 5:24</p>
--	---	--	--

[committed - concerns]

<p>committed 44:12 50:7 279:2 280:2 283:25 305:12 common 305:6 306:15 commonly 189:15 communicate 161:7 221:11 308:4 communicating 158:17 295:8 communication 130:12 143:19 144:8 156:5 158:20 161:14 172:11 176:12 271:15,16 275:20 288:15 295:23 302:7 communicati... 173:19 communicator 103:3 companies 48:17 218:19 218:23 254:1 276:2 301:5 311:3 company 2:10 10:8 27:25 296:16 comparable 224:10</p>	<p>compare 297:2 297:5 compared 222:4 comparing 291:11 298:2 compatible 77:1 competing 11:15 12:25 14:21 15:6 compile 67:19 67:22 complete 119:5 156:2 completed 133:12 134:19 135:17 136:9 145:7 150:19 160:14 163:24 166:13 167:10 210:7 223:14 completely 189:7 completing 175:8 completion 53:12 134:6,22 134:23,24 137:18 139:13 140:8 141:12 142:6,10 154:3 156:24 159:6 166:11 167:8 174:16 176:21</p>	<p>completions 129:24 130:22 130:24 132:22 133:23 134:9 134:18 135:3 138:10 139:15 140:13,17,22 141:20 142:13 142:18 146:1 146:15 150:13 154:1,15 155:7 155:23 156:21 164:10,12 complex 299:15 complicated 14:21 285:19 299:18,21 300:8,13 complication 108:8 comply 68:12 68:13 285:1 complying 305:14 component 42:17 54:10 55:20 80:21 114:12 255:16 256:14 258:8 260:12 274:25 311:12,17,25 components 26:25 54:6 91:21 92:17</p>	<p>255:21 268:1 composite 162:4 229:8 comprised 161:13 compromised 189:7 192:22 compulsory 10:18 11:10 compute 113:11,14 computer 198:18 concealed 296:21 conceive 210:23 conceived 24:7 conceptual 311:13 concern 31:7 42:12,15 53:2 112:2 224:7 225:3 230:10 267:21 286:12 288:17 302:10 303:18 concerned 74:22 187:1 213:10 263:11 267:21 concerns 9:8 12:17 34:2 35:13 36:10 46:24 47:3</p>
---	--	---	--

[concerns - consistent]

<p>54:15 57:6 59:2,5,10,14 187:8 270:4 288:11 conclude 286:17 concluded 315:10 conclusion 53:7 71:25 73:22 76:3 83:16,24 84:10,12 85:22 85:24 87:23 146:9 149:14 155:20 156:20 158:16,18 164:9 185:11 186:22 187:11 201:20 268:20 268:23 conclusions 89:15 135:6 143:6 144:22 155:10 174:19 185:8 186:19 186:25 187:5 187:21 199:20 207:24 264:7 267:15 conclusive 142:22 165:7 170:25 condition 8:8 269:5,6</p>	<p>conditional 14:7 conditions 5:15 8:3,20,22 36:19 37:21 51:22 57:4 75:2 202:6 223:19 230:16 235:19 265:9 269:2,2 280:16 285:2 conduct 77:13 119:9 185:14 188:4 189:18 214:6,9 215:6 215:15 conducted 94:22 125:3 134:7,11,14 135:17 145:18 146:17,19 183:22 188:25 190:5 194:13 conducting 283:13,17,22 283:25 conduit 168:2 conduits 289:9 294:1 conference 7:17,17,25 9:2 9:14 11:20 12:22,23 14:15 22:4</p>	<p>conferences 26:21 conferring 26:2 confidence 288:20,25 confident 194:8 208:10 232:25 296:12,19 confined 36:25 confinement 275:17 confirm 168:19 172:20,21 176:3,11 213:4 confirming 27:11 confused 310:3 confusing 221:21 connect 262:22 281:22 289:6 connection 73:17 167:18 connections 71:20 73:4 connectivity 72:1,2 connects 170:10 consensus 8:7 consequences 54:15 conservation 1:2 2:3,5,6,8,13 5:4 8:2,16</p>	<p>21:24 27:23 34:25 35:2,25 39:21 64:5,5 68:7 125:18 180:23 208:6 conservative 190:15,21 232:21 consider 19:25 37:16 98:5 177:10,14 268:1 282:12 290:24 291:1 297:25 298:19 considerable 45:11,23 46:20 consideration 32:18 47:14 considerations 47:16 48:4 considered 53:11 55:6 80:5 109:11 190:14 considering 49:7 174:25 181:13 290:21 consistent 18:20 20:9 37:15 51:22 74:15 75:4 78:12 79:24 132:10 246:12 254:9 269:10 282:9,9 283:7</p>
---	---	---	---

[consistently - correct]

<p>consistently 142:17 155:21 214:5 244:12 286:1</p> <p>consists 187:20</p> <p>consolidated 27:18</p> <p>constantly 204:24 207:11</p> <p>constituents 171:5</p> <p>constrain 298:6 299:10</p> <p>constrained 280:14</p> <p>constraint 199:2</p> <p>constructing 258:9</p> <p>construction 68:12 78:12 283:6</p> <p>consulted 23:19</p> <p>contact 107:6 294:13</p> <p>contacts 308:12</p> <p>contained 89:12</p> <p>container 234:1</p> <p>containment 79:15 80:1,2,3 80:4,6,7,11,18 98:25 99:6</p>	<p>100:6 151:21 181:22,23,25 187:16 208:11 281:19</p> <p>contains 30:23</p> <p>contested 9:2 12:24 13:25 14:2 16:11,13 16:20 25:6</p> <p>context 61:20 109:1</p> <p>continuances 13:8</p> <p>continue 6:3 42:18 47:2 98:6 188:20 189:2,11,12 251:4 279:25 286:4 300:6</p> <p>continued 11:3 186:3 250:5</p> <p>continuing 46:24 249:11</p> <p>continuity 97:6 101:1,3</p> <p>continuous 111:15 213:19 227:22 294:5</p> <p>continuously 275:1 278:20 309:22</p> <p>contour 107:8</p> <p>control 43:16 47:21,24 60:21 151:14 206:6</p>	<p>209:3 212:4 300:17,18 301:2</p> <p>controlled 204:19</p> <p>controller 204:19</p> <p>convenience 78:5</p> <p>conventional 184:15 244:25</p> <p>conversation 227:20</p> <p>conversations 16:16 279:4</p> <p>conversion 99:13</p> <p>convert 228:13</p> <p>convince 170:8</p> <p>convoluted 10:15 228:3</p> <p>copies 30:12</p> <p>core 44:25 115:1 127:11 228:22 230:23 265:6 274:9 298:8,8</p> <p>coring 114:11</p> <p>cork 298:4</p> <p>corner 30:10 30:18 44:17 133:9,15 135:8 139:6,25 145:6</p> <p>cornerstone 251:1 276:9</p>	<p>cornerstones 239:8</p> <p>corporation 40:23</p> <p>correct 12:1 16:3 46:14 47:7,11 57:3 64:1,3 65:14 71:24 77:20,22 79:19 80:13,25 81:6,15 82:8 88:11 89:1 90:15,22 92:22 93:1,9,17,21 95:4,7,16 96:6 96:10 98:19 100:19 101:6 102:24,25 104:18 107:14 107:15 110:2 139:4 145:12 146:4 147:16 148:14 149:17 149:21 162:2 164:13,14 165:23 166:5,6 166:19 168:16 170:21 172:23 176:14 180:21 185:2,16 188:12 189:10 216:9 221:17 221:17 222:21 268:25 284:7 284:10 313:10</p>
---	--	---	--

[correct - current]

<p>313:14 correcting 281:8 correctly 61:13 89:5 174:11 220:4 correlate 85:8 88:21 115:11 232:7 297:17 correlated 133:3 231:11 correlates 200:14 correlation 114:7 115:11 115:25 116:3 168:9 248:5,6 248:10 250:15 266:23 correlations 116:20 correlative 32:12,18 34:12 35:14 36:21 37:8 52:14,23 100:12 208:8 correspond 203:1 corresponding 200:15 201:23 202:22 corresponds 265:22 corroborates 288:16</p>	<p>cost 114:13 207:21 291:7 coterra 33:7 counsel 7:18 10:6 11:5 13:3 16:5,24 17:6 17:18 18:1 19:24 21:20 27:14 38:1 51:17 54:23 316:11,14 317:7,10 count 186:2 counties 58:25 county 21:18 43:11,13 142:19 155:22 242:25 243:1,2 243:13,16 244:7 246:14 247:8 249:6 250:2,4 253:19 260:15,16 262:15 263:4 265:25 266:7 292:4 couple 5:9 55:1 60:13 106:5,16 118:5 119:21 121:2 163:19 175:21 188:2 207:5 209:24 212:20 246:19 248:8 254:16 264:3 290:12</p>	<p>306:9 307:13 coupled 100:24 298:20 course 12:14,21 18:7 145:25 146:21 court 8:12 29:25 38:11 62:19 123:12 178:9 cover 5:9 88:6 181:15 covered 60:14 136:21 284:20 covers 88:5,17 152:11 184:2 308:7 cranky 267:5 craving 283:12 create 37:14 81:4 113:2,5 294:15,16 306:11 created 248:19 303:21 creates 241:15 creative 228:2 credentials 40:4 125:21 creek 111:6 criteria 105:12 118:7 282:17 criterion 268:6 critical 42:19 256:4 257:21</p>	<p>258:8 274:17 critically 37:1 294:22 cropped 163:9 cross 37:14 54:25 85:7,9 85:11,14,20,25 115:24 143:23 209:23 261:17 263:20 crossing 90:9 crust 40:14 cue 257:16 culberson 244:16 266:5 292:4 culmination 270:3 cum 40:11 125:14 179:10 cumulative 128:8 198:10 199:25 200:2 201:17 202:18 234:22 curious 174:19 current 37:19 56:5,8 68:12 68:13 160:23 160:25 180:11 184:20 207:7 212:4,4,5 217:2,3 242:3 300:9</p>
---	--	---	--

[currently - data]

<p>currently 60:20 75:14 92:24 125:6 298:24 curtailed 252:19 curtailing 249:4 curtailment 248:21 249:14 249:16,19 curtailments 246:23 247:18 247:20 249:19 250:5,8,12,14 250:15,20 251:4 curve 86:1,2 110:25 111:15 177:10,14 curves 202:25 235:10 cut 112:7 137:1 142:20 146:13 146:19 155:15 155:19 263:13 cut's 137:4 cutoff 184:8,17 186:7,10 cuttings 128:21 207:19 cycle 192:4,6,8 192:9 207:22 214:16 cycles 191:21</p>	<p>cylinder 197:16 197:17,17,19 cylindrical 228:8 236:11</p> <hr/> <p style="text-align: center;">d</p> <hr/> <p>d 4:1 5:1 daily 44:3 54:2 69:19 70:4 72:17 141:18 195:20,20 214:9,12,13 215:2 223:9,9 303:24 damaging 158:20 dana 2:15 8:13 21:2 27:24 daniel 2:8 darcy 201:18 darin 2:9 dark 86:15 88:21 128:7,8 265:21 darker 86:19 251:17 254:24 darren 10:6 dash 132:14 134:5 141:15 141:23 142:3,3 246:13 253:16 257:24 dashed 133:5 249:2 data 33:19,19 33:22,23 35:16</p>	<p>42:21 45:14 47:21 48:25 50:1,5,8 55:14 55:23 58:5 59:9,21,21 60:5 62:6 69:6 70:11,21 71:1 71:18 72:11 77:5 89:7 90:19,21 91:3 94:11,19,21 95:5,7,17,18 99:2,14,19,24 103:12,16,17 103:20,25 104:10,10,19 104:20 110:8 110:17,17,19 111:13,13 112:17 115:2 117:23,24 118:6,8 120:7 134:25 137:21 138:3,6 142:23 155:2,16 162:10,14 164:1 166:4,17 168:3 169:25 174:18 184:6 188:1 189:23 191:17,22 194:21 195:6 195:19 196:2,2 196:4,9,12,18 199:20 203:1</p>	<p>205:14,22,24 206:1,2,5,11 209:5 213:1,14 213:19,24 214:8,14,16 217:3 218:24 222:1 227:1 228:1,3,11,14 228:18 229:9 230:13,19 231:2 235:16 235:23 246:22 251:15 256:23 257:12 261:20 262:16 263:16 269:14 270:9 270:16 271:13 271:14 272:9 272:22 273:1,2 273:5,10,22 275:13 276:2,4 276:17,22 277:7,10,16,19 277:20 278:12 278:15,21,23 279:3,12 280:1 280:11,16 286:19 288:2 288:17 292:23 296:8 297:2,4 298:12,14,25 299:4,10,19,19 299:21 300:3,6 300:7,10,13 302:17,19</p>
---	---	---	---

[data - deeper]

<p>304:8,13 305:5 305:18 306:23 307:5 308:17 308:25 309:6 310:1,9,14,14 310:16 311:9 311:17 database 105:16 114:6 datapoint 112:10 190:4 193:5 277:4 datapoints 111:9,19 113:2 113:8 214:12 214:17 289:6 datas 198:16 dataset 223:14 228:7 273:13 276:6 279:9 280:3 310:5 date 9:3 12:24 14:1 16:12,14 16:20 18:23 108:11 133:5 139:13 140:12 167:7,8 222:6 222:10 249:22 249:23 dates 61:22 140:8 141:12 142:6 162:10 162:12,13 183:17 262:24</p>	<p>dating 249:8 davis 204:6 day 1:3 6:3 13:21 39:3 45:6 50:19 51:2 70:2,3,5 72:16,18 74:2 101:17 108:21 172:1,8 184:1 184:21 185:4 200:22,23 203:5,6 208:23 209:1 217:23 218:8,15 224:16,17,20 224:21,24 225:4,8,16,20 225:25 226:9 226:12 227:3 232:18,20 251:14,16 252:9 278:18 278:19,19 296:16,17 315:8 days 6:4 13:23 78:12 de 9:15 10:16 10:17 14:19 15:1,12,17,20 19:10 20:16,24 deadline 20:3 deaf 261:19 dealing 227:18 290:24</p>	<p>dealt 17:22 deana 2:17 20:21 27:16 28:8 debrine 2:18 4:8,12 28:9 123:6,8,24 125:24 126:2 127:4,8 157:18 178:3,7,21 181:7,10 182:14,17 206:18,19 209:13,20 decade 202:8 203:21 decay 189:21 december 20:11 249:15 decide 16:8 decided 15:2 190:10 decides 16:14 decision 12:2,4 12:10 75:22 91:6 307:15 deck 127:22,23 decline 112:9 133:20 134:2 183:21 184:2 184:14,16 185:14,25 186:4 199:4 236:22</p>	<p>declined 212:11 declines 131:11 132:11 declining 185:10 186:3 decreases 132:18 deep 46:8,21,22 46:24 125:1 151:1,9 167:24 204:8 240:17 241:1,8,9,15 243:7 244:18 246:2,9,15,18 247:11 248:6 248:10 249:5,7 250:12 252:16 252:19 256:19 257:25 258:18 259:17 268:11 291:4,6,8 292:10,11 293:2,9,12,19 308:7 deeper 24:10 24:15 53:13 103:11 149:19 151:1 153:20 164:13 190:18 194:17 202:16 208:24 240:16 244:25 259:4 267:9 290:22 290:25 293:20</p>
--	---	--	---

[defects - designation]

<p>defects 76:15 defense 275:11 defer 74:7 120:4 210:8 297:18 define 97:13 118:8,11,19 defined 118:17 186:1 242:14 307:25 definitely 264:1 290:15 303:20 305:21 definitive 127:13 degenerate 267:3 degree 40:9,12 64:15,17 125:12,14 179:9,13 degrees 256:20 256:21,24,25 261:5,7,21 264:13,19 265:4 delaware 2:16 8:1,14 34:6,8 35:5,20 43:22 44:6 45:1,24 46:18 49:8 63:23 84:21 89:21 92:3,6 94:23 105:13 105:13,23</p>	<p>113:15 127:17 130:5,10,10,16 139:7 144:1,9 147:8,9,10 150:18 151:5 152:12,13 155:6 156:4 160:15 181:17 190:7 220:13 243:14 253:20 260:17 262:4 delay 211:17 deleted 301:23 delta 50:24 51:5 252:3 288:25 demolition 305:10 demonstrate 50:5 127:12 137:24 144:7 145:20 demonstrated 146:10 demonstrates 144:23 147:4 density 77:16 81:9 274:6 297:16 department 282:19 depend 212:8 dependent 55:23 114:6 200:3 229:15</p>	<p>depending 108:18 194:5 201:11 219:9 225:25 246:23 264:13 273:20 depends 213:23 225:21 depict 243:3,5 depicted 147:15 depicting 248:13 depleted 32:16 184:22 185:7 186:18,24 187:12 208:9 deploy 309:24 deployed 275:19 309:19 deployment 309:11 deposition 262:24 292:17 316:1 depositional 297:11 depreciation 266:8 depth 99:13 104:12 115:13 115:17,19 116:3 153:13 153:13 191:23 200:3,4 201:10 223:19 244:5,5</p>	<p>245:13 247:9 247:10,10 252:24 254:8 265:22,23 266:3,4,8 268:22 280:9 depths 240:21 244:22,23 245:6,14 254:11 259:16 259:16 deputy 36:2 derivatives 196:4 derived 145:16 242:19 245:15 272:12 describe 44:19 56:16 91:14 129:11 133:16 150:4 241:21 250:24 described 196:22 197:12 description 4:19 design 65:5 78:21,22 79:1 79:12,14 115:8 207:7 282:1 283:5,7 designated 188:21 designation 312:6</p>
---	--	--	--

[designed - differentiation]

<p>designed 12:22 68:17 96:25 252:25</p> <p>designing 63:25</p> <p>designs 78:3,7 78:8,11,16</p> <p>desire 278:23</p> <p>despite 144:7</p> <p>detail 31:15 35:11 51:14 61:12 72:5 103:15 117:8 120:7 126:15 189:24 210:6 260:6 297:19</p> <p>detailed 39:1</p> <p>details 168:22 191:23</p> <p>detect 254:13 255:12</p> <p>detecting 151:21</p> <p>determination 83:19</p> <p>determine 94:21 96:23 105:3,3 156:16 161:23 165:17 188:23 197:25 204:21 215:6</p> <p>determined 99:3,17 110:13 193:9</p>	<p>determines 270:22</p> <p>determining 142:22</p> <p>develop 42:19 47:2</p> <p>developed 62:5 126:22 131:7 269:18</p> <p>developing 131:16 179:19</p> <p>development 35:24 40:19 41:1,3,6,25 43:16 54:17 55:7,12,18 56:17,23,23 58:19 83:10 88:17 124:11 125:6 128:24 132:4 135:9,9 138:23 140:8 144:18 145:2,6 148:1 154:22 155:22 156:2 162:8 172:25 180:4 240:24 244:25</p> <p>device 94:8</p> <p>devices 207:6</p> <p>devonia 291:1</p> <p>devonian 24:9 291:4 292:19 293:25</p>	<p>dfit 76:22,23 77:5,11,12,18 82:9 103:20 104:4 106:20 106:23 109:25 110:9,12,15 111:5,10,13,21 287:24</p> <p>dfits 107:2 278:2</p> <p>dfmi 296:10</p> <p>diagnostic 76:23 107:2</p> <p>diagonal 148:12</p> <p>diagram 80:22 82:15 91:18 106:18 131:24 131:25 133:8 264:17</p> <p>diagrams 84:6 265:16</p> <p>diameter 37:18</p> <p>diamond 247:14</p> <p>dictated 211:7</p> <p>diego 125:13 125:15</p> <p>difference 81:21 89:9 185:23 229:13 265:10,10 276:25</p> <p>differences 196:5 264:25</p>	<p>different 30:7 45:20 55:19 56:18 84:7,9 89:11,13,19 90:14,19 103:22 114:14 116:3 117:19 118:6 125:1 126:21 127:2 129:2 135:21 145:10 148:1 150:3 167:19 171:11 175:10 196:5,11,12 198:19 200:10 200:10,17 201:17 229:24 230:16 231:23 235:10 239:2 242:6,17 249:20 253:12 255:5,12,12,12 256:23 262:19 262:20 264:18 275:24 276:21 276:22,23,24 277:1,2 290:1 291:19 292:3 293:13,16 294:24 304:18 315:6</p> <p>differentiation 241:7 266:4 289:16</p>
---	---	---	---

[difficult - disseminating]

<p>difficult 99:23 139:10 160:10 170:7 255:6 266:13</p> <p>diffuses 294:15</p> <p>digest 13:15</p> <p>digital 316:8 317:3</p> <p>dip 107:14 255:20 258:3</p> <p>dipole 103:16</p> <p>dipping 255:24 256:18,20</p> <p>direct 194:3 266:20 294:13 294:18 307:17 309:8</p> <p>directing 18:4</p> <p>direction 145:16 146:8 148:19 157:16 215:15 255:15 255:23 257:12 257:15,20,21 258:4,4 260:24 261:2,14 264:1 264:12 265:1,3 265:11 292:24 293:4</p> <p>direction's 256:24</p> <p>directional 257:19</p> <p>directly 16:12 23:11 93:13</p>	<p>130:4 131:16 133:23 142:2 146:8 163:15 163:17,18 197:8 200:4</p> <p>director 36:2</p> <p>disagree 284:4</p> <p>disagrees 23:2</p> <p>discern 139:10</p> <p>discontinuity 118:12,15,16</p> <p>discuss 23:11 29:20 31:1 33:12 39:3 76:8 100:7 127:5 132:10 160:22 169:17 182:16 187:18 238:4 264:6</p> <p>discussed 56:24 105:18 106:19 157:15 170:16 209:10 287:2 289:9 311:9</p> <p>discusses 206:21 247:18</p> <p>discussing 31:13 92:10 120:7 272:24</p> <p>discussion 8:20 22:21 28:21 34:17 67:4 68:22 121:17 247:21 271:5 312:15</p>	<p>discussions 11:7,17,23 22:10 59:7 121:22</p> <p>dismissal 20:23</p> <p>displacement 204:16</p> <p>disposable 32:6</p> <p>disposables 291:8</p> <p>disposal 32:8 32:12 34:1,3 35:8 37:13,19 39:16 41:21 45:4 46:1,17 46:21,22,24 49:8,16,20,25 50:5,25 52:3,6 52:9 53:12 58:8,11 63:20 63:21,22,25 64:2 65:10,16 65:16,20 120:17 121:24 124:18 125:1 126:7 129:14 130:6,17 131:5 139:8,25 140:4 140:16 142:21 143:3,11,16 144:2,9,12 145:7,21 146:7 147:8 151:14 151:19 154:23 155:20 156:22</p>	<p>160:14,17,20 164:4,7 167:16 168:5 170:8,11 240:12,16,18 241:7,9,12,16 244:18 245:1 246:15,17,18 248:10 249:5 250:12 252:12 252:14,16,19 252:21 258:10 259:24 260:4 266:25 267:23 267:25 268:9 268:11,15 270:1,4 274:20 285:9 291:25 292:2 293:3,15 298:5,5 300:3 302:20 303:10 303:12 304:9 304:12,14 305:18 313:17</p> <p>disposal's 127:13</p> <p>disposals 47:1 50:25 306:4</p> <p>dispose 58:12</p> <p>disposed 51:7 291:23</p> <p>disseminated 56:2</p> <p>disseminating 50:9 280:17 302:18</p>
--	--	--	---

[dissemination - dr]

<p>dissemination 62:6 279:9</p> <p>distance 81:16 81:23 82:1 158:10 164:4 222:23 235:16 246:24</p> <p>distilled 310:5</p> <p>distinct 263:5</p> <p>distinguish 263:22</p> <p>distribution 263:3</p> <p>division 2:14 8:6,16,22 11:9 11:14,17,20,21 13:1 14:7,16 15:9,13,13,14 15:19,21 21:24 22:11,19,21,23 23:4,8,17 24:21 25:15 26:1,3,6 27:23 33:23 34:19,25 35:2,25 36:23 39:22 64:6 68:11 78:10 125:18,19 180:23 239:20 272:17,18 282:13 286:8</p> <p>division's 23:12 24:2 25:10 68:8 187:1 282:10 288:11</p>	<p>dmg 24:12 31:20 32:15,15 32:17 34:1,3,6 35:17 37:13,14 37:15,18 45:2 48:15 49:21 52:3,6,9,24 53:3,4,9 55:8 55:12 58:6,7 61:14 67:2 74:11 86:25 91:9 92:3 93:19 95:2,18 96:9,16 97:24 100:15 103:11 105:8 115:2 120:23 121:10 121:25 126:22 128:4 143:3,13 144:12 147:12 147:13 151:8 157:5,13 162:21 163:1 166:21 167:12 168:4 172:15 175:12 182:25 183:5,8 187:3 187:3,10 190:11 195:17 199:11 208:8 208:10,15,16 210:7 213:4 214:19,22 216:9,21 218:15 222:10</p>	<p>227:4 232:16 235:25 240:13 246:8 252:12 252:14 259:24 272:11 280:25 281:12 282:14 285:8 287:25 298:6 306:4 308:4 313:17</p> <p>dmgra 49:21 50:5 313:6,17 313:20</p> <p>dmgstwd 37:6</p> <p>docket 6:6 7:16 9:15 11:21 18:15 26:15</p> <p>document 252:15 270:8 291:21</p> <p>documentation 68:4 189:16</p> <p>documented 268:10,12 271:25</p> <p>documents 140:1</p> <p>doing 42:20 107:4 119:17 154:8 277:8 278:2,6 284:5 286:6 291:14 298:23,24</p> <p>domain 262:20</p> <p>dominated 220:12</p>	<p>dor 65:12</p> <p>dot 147:18 183:23,23</p> <p>double 10:19 148:16</p> <p>doubt 184:12</p> <p>dovestail 277:7</p> <p>dovetail 276:18</p> <p>downhole 206:6 213:24 214:1 274:19 275:19 305:22 305:25 309:18</p> <p>downward 105:1 274:22</p> <p>dozen 240:3</p> <p>dozens 227:2,2</p> <p>dr 6:13,18,25 7:3,11 9:9 17:23 19:14 26:12 57:20,22 58:1,24 60:3,9 90:16 107:17 107:19,22,24 108:3,6 109:2 109:4,13,17,22 110:4 111:4,8 111:17,22 112:14,19,21 113:6,9,22 114:3,18,22 115:4,7,10,17 115:21,24 116:6,9,14,17 117:11,18,24</p>
---	---	---	--

[dr - earlier]

118:24 119:19 169:7,8,15,20 170:4,13,19,22 171:15,20,23 172:2,9,19 173:6,9,12,16 173:25 174:4,8 175:22 183:16 216:18,19,24 217:5,8,16,19 218:16,19,25 219:5,9,16,20 219:24 220:5 220:17 221:3 221:15,20,25 222:12,19,22 223:3,6 224:6 225:2,9 226:5 226:7 227:10 227:15 229:23 230:2,7 231:4 231:18,25 232:6 233:11 234:25 235:18 235:22 236:12 290:10,11,18 290:21 291:10 291:14 293:18 295:1,20 296:8 296:23 297:1,4 297:23 298:9 298:11,14,18 299:13 300:15 301:9,14,20 302:3,6,23	303:2 304:4,15 305:1,8,16 306:1,6 309:10 313:19 draw 83:11,12 85:22 89:15 101:23 131:8 132:4 135:9 138:20,23 145:2 146:16 146:18 155:3 162:8 173:1 175:6 185:8 186:19 234:11 drawing 302:11 drawn 265:2 drill 23:24 93:23,25 94:1 94:8,10,16,18 94:22 95:1 96:3,18,22 98:3 100:23,24 101:7 103:19 119:6 131:10 207:18 274:20 277:18 278:1 drilled 145:22 160:7 162:5 186:15,16 213:4 222:10 298:6 drilling 45:25 53:12 76:17 180:5 188:9,25	291:6 304:22 304:22,23 305:3,3,4 drills 96:21 drinking 32:25 71:20 73:19 79:13 drip 294:17 drive 1:15 211:24 driven 126:23 131:17 136:17 138:9 177:18 177:19 272:9 302:19 303:13 304:8,13 driver 130:11 140:16 150:15 150:20 199:3 drivers 133:2 155:15 driving 48:5 50:3 drop 133:25 136:14 238:11 249:14,17 dropped 59:6 192:8 drops 137:2 dsts 95:11,12 95:14 due 83:21 140:3 143:19 186:23 187:11 190:12 194:23	202:11 203:16 203:17 213:15 227:8 228:10 229:6 239:10 248:1 250:19 260:19 285:9 dug 153:20 duly 38:18 63:3 123:18 178:15 316:5 dumped 307:5 duration 138:11 212:3 duties 124:8,12 124:16,25 dwell 101:11 dylan 1:8 2:3 dynamic 50:11 274:2 275:13 278:8 288:2 298:20,25 299:10,21 dynamically 274:24,25
			e
			e 2:1,1 3:1 4:1 4:18 5:1,1 8:1 8:4 25:23 41:12 64:11 261:25 earl 2:18 28:9 earlier 20:18 42:24 45:11 47:4,8 48:16 49:6 51:17

[earlier - enhanced]

59:24 78:10 82:9 89:17 168:15 176:10 194:20 197:3 202:16 215:18 217:12 225:10 228:23 250:23 269:20 274:15 275:23 280:19 300:16 306:15 early 152:5 163:11 182:24 249:13 305:6 earth 253:10 earthquake 40:13 255:11 255:13 262:10 266:14 290:3 earthquakes 46:20 241:8 242:9 243:18 243:22 244:1,2 244:19,20 246:4,5,6,7,11 246:24 247:23 247:25 249:25 250:3 253:9,9 254:7,13 258:16,18,20 259:17,20 260:3,16,19 266:5,13,15,15 266:16,24 267:4,7,20 289:20 292:13	293:12 294:5,6 easement 121:11,12 easements 307:4 easier 106:8 213:25 east 89:22 141:2,10 162:7 171:3 190:18 225:23 eastern 139:9 easy 197:15 230:11 298:2 ebbs 30:20 economic 158:24 291:6 eddies 101:14 eddy 43:13 243:1,13 253:19 edge 45:19 edges 197:19 educate 50:11 educational 40:8 64:14 125:11 179:7 effect 25:19 187:9 200:25 effective 262:8 294:17 effects 149:13 193:16 efficiency 154:9	efficiently 234:20 effort 28:19 efforts 277:10 300:9 eight 13:4,5,24 160:7 263:18 263:19 either 16:18 28:1 32:16 44:3 61:23 74:25 76:18 121:25 130:4 161:9 187:2 196:2 206:18 207:3 214:21 225:6 232:2 242:9 246:22 254:10 255:14 263:6 298:5 308:22 el 183:2,3 186:21 210:4 217:15 236:22 element 33:20 311:25 eleven 63:17 eliminate 159:1 else's 223:15 emphasis 179:15 emphasize 154:22 184:20 employed 303:1 316:11	316:14 317:8 317:11 employee 316:13 317:10 enable 5:18 90:20 148:22 218:10 enables 189:14 enabling 156:10 enacted 249:4 enclosing 156:13 ended 62:9 114:11 ends 166:4 energy 2:10 10:8 engage 310:8 engaged 94:3 295:14 296:4 308:6 engagement 39:18 62:7 272:13 307:18 engineer 179:19 180:1,3 engineering 71:18 179:10 179:15 180:12 180:16 181:8 enhance 119:15 148:22 enhanced 107:5 179:21
---	--	---	---

[enhanced - exactly]

<p>217:24 246:22 enjoy 101:17 enjoys 211:5 enrichment 171:6 enrollment 214:11 ensure 36:21 37:15 209:4 ensured 281:18 282:1 enter 79:6 188:21 189:12 entered 10:22 11:4 27:9 37:25 130:2 entering 21:21 27:20 28:2 entertain 114:17 entire 6:22 111:9 177:21 180:12,20 183:18 185:15 186:8 230:24 234:3,24 251:10 entirety 169:18 entities 76:6 entitled 75:25 252:23 environment 220:8,11 256:1 256:3 257:2,17</p>	<p>environment... 42:20 54:7 envisioned 312:6 equal 250:6 equalizes 199:8 equally 174:15 equivalent 251:14 err 232:20 errors 12:4 es 316:4 especially 172:12 217:3 essential 81:6 essentially 22:25 24:3 79:14 93:9 94:13 196:18 197:13 198:25 216:1 243:25 249:9,14 254:2 270:3,13 establish 96:12 184:6 305:17 established 49:21,22 138:13 establishing 124:17 126:21 247:4 establishment 308:13 estimate 190:21 193:8</p>	<p>193:20 estimated 224:3 estimating 137:14 et 152:18 206:7 235:14 240:6 257:8 260:5 evaluate 90:7 93:12 94:6 103:9 152:1 188:7 286:4 evaluated 76:4 99:2 113:18 114:14 129:8 135:18 281:12 281:15,21 evaluating 121:15 124:25 152:19 175:6 282:13 evaluation 98:10 117:9 evaluations 114:9 evd 4:19 event 133:22 134:3 244:5,23 247:1 249:21 270:16 289:12 291:2 311:20 events 150:21 242:18 244:7 244:10 245:8 248:2,17,25</p>	<p>249:24 259:10 259:11,12 265:15,19,20 266:6 290:23 291:12 293:20 eventually 189:20 199:7 204:15 everybody 42:22 50:9 54:5,14 91:11 93:24 245:4 253:13 279:3 everybody's 43:25 310:16 evidence 71:19 73:3 101:9 102:11 156:18 158:3 209:19 283:1 287:12 evident 52:23 evolution 124:8 247:6 314:12 314:15 evolving 35:21 exact 61:10 108:11 211:13 211:21 234:1 237:2,10 306:7 311:5 exactly 11:22 34:8 88:2 90:25 114:2 122:5 224:17 234:9 261:10</p>
---	---	---	--

[exactly - expected]

<p>263:9 examination 4:2 39:5 55:3 63:9 102:17 106:14 123:23 158:7 159:14 176:1 178:20 210:1 212:22 238:20 313:1 examinations 142:24 examined 38:20 63:5 71:17 123:20 178:17 186:6 examiner 12:15 15:13 18:6 example 127:21 128:25 133:11 138:4 139:1 140:1 141:2 142:1,7 143:7 147:6 148:4 150:1 171:18 172:5 205:23,23 206:1 257:11 285:24 examples 134:8 137:6 164:18 166:16 172:17 285:18 308:17 excellent 269:24</p>	<p>except 72:6 301:24 exception 284:24 exchange 309:10 excited 5:8 276:14 exclude 150:15 304:15 excluding 282:18,22 exclusionary 313:21 excuse 41:17 73:13 excused 62:13 122:11 178:2 237:15 execute 63:22 278:12 300:24 executed 58:20 execution 50:2 124:12 125:8 277:13,25 exercise 50:4 153:25 exhaustive 103:24 105:12 155:17 exhibit 4:20,21 4:22,23,24,25 9:4 30:6,11,12 30:17,23 35:11 37:7 51:18,19</p>	<p>51:23 74:8,10 79:20 91:15,16 91:17 102:8,8 102:8,9 127:23 129:7 130:1,2 130:23 131:3 131:24 135:2 135:21 139:3 140:2,21 141:16 142:8 142:16 143:8 145:11,13 147:15 150:2,9 156:1 158:1 159:21 160:21 163:7,12 166:17 167:13 168:4 172:24 183:7 185:21 186:13 187:18 191:14 209:17 209:17 221:24 269:3 281:4 282:10 285:2 287:6,9,10,10 287:22,23 288:6 301:10 310:21 313:3 exhibits 30:11 30:16,22 33:6 34:8 45:21 57:3,7 59:12 102:3 126:10 127:5,24 128:23 130:19</p>	<p>157:15,19,24 158:1 159:25 182:15 183:8 187:17 209:10 209:14 210:22 212:15 219:13 229:20 259:25 284:2 287:2,6 exist 93:13 263:10 existent 173:18 existing 45:14 46:3,5,6,11 56:8,10 71:3 93:8,15 94:17 96:2,4,19 115:1 157:5 161:9,9 187:2 187:9 305:18 306:4 expanded 56:1 254:15 expanding 299:9 311:8 expansion 54:8 expect 57:16 89:24 192:6 194:25 201:13 237:21 251:24 276:21,23,23 expectation 103:1 expected 152:7 190:17 200:21 208:18</p>
---	---	---	--

[expecting - fault]

<p>expecting 12:23 227:7 230:7</p> <p>expedient 13:10</p> <p>expedited 13:10</p> <p>experience 65:4 171:16 176:15 179:6,7 226:10 233:13</p> <p>experienced 174:25</p> <p>expert 41:25 66:11 125:25 181:8</p> <p>expertise 168:13 293:21</p> <p>experts 29:16 33:17 194:21</p> <p>explain 127:9 128:20 131:1 143:5 144:21 147:2 160:11 185:19 187:19 211:17 227:20 228:1 269:17 278:24 288:24</p> <p>explained 126:21</p> <p>explaining 240:8</p> <p>explains 228:7 228:18</p>	<p>explanation 140:18 149:12 175:14</p> <p>explanations 142:17</p> <p>exploration 41:2,4 97:1,25 98:7 305:19</p> <p>explore 98:6</p> <p>exploring 126:14</p> <p>express 155:11 187:1</p> <p>expressed 49:6</p> <p>expressing 13:9</p> <p>expressly 22:22 23:8</p> <p>extend 292:6 292:15 293:24</p> <p>extended 135:4 137:20 187:24 189:13</p> <p>extends 79:4 138:2 148:9 183:3</p> <p>extension 262:24</p> <p>extensive 31:24</p> <p>extent 113:23 138:22 238:12 281:24 313:16</p> <p>extra 120:1 173:6 211:12</p> <p>extract 105:15</p>	<p>extrapolating 184:16 234:16</p> <p>extremely 184:10,15</p> <p>exxon 64:24</p> <hr/> <p>f</p> <hr/> <p>face 46:25 215:17</p> <p>faces 54:4</p> <p>facilities 45:15 45:17 46:3,6 46:12 47:25 55:24 133:1 182:13 204:5 204:11 206:9 207:18 209:6,9</p> <p>facility 204:10</p> <p>fact 16:8 33:4 76:14 87:1 95:20 97:8 100:25 104:17 105:11 175:3 186:23 239:11 276:18 313:24</p> <p>factor 48:5 101:6 194:5 216:13</p> <p>factor's 216:15</p> <p>factors 31:25 48:6 55:19 216:6 229:19 299:19</p> <p>fair 18:11 19:7 55:8 65:21 128:18 149:14</p>	<p>288:19 313:8 314:11</p> <p>fairly 215:12 215:13 244:12 245:16 274:4 299:23</p> <p>fall 214:25</p> <p>falls 85:20</p> <p>familiar 41:18 41:21 43:25 49:9,10 66:1,7 73:24 74:3 126:3,6 180:25 181:3 187:23 211:21 269:1</p> <p>family 5:24</p> <p>far 17:16 68:20 186:25 197:10 198:2 201:12 203:19 213:9 262:7 277:25</p> <p>fashion 27:18 278:24</p> <p>fast 202:10</p> <p>fault 98:24 118:8,17,19 148:18 156:8 255:14,17,23 255:23 256:3 256:17,19 257:3,5,22,25 258:3,5 261:13 261:14 262:8 264:16 265:5,8 265:12 266:16</p>
---	---	--	--

[**fault - filed**]

<p>266:22,22 268:1,2,3 284:16 289:4 289:16,23 292:10,10 293:1,4 294:2 294:4,5,7,10,10 294:21,22,23 294:25 faulted 267:11 faulting 146:25 160:18 220:8 220:11 256:1 256:16 257:2 257:17 262:19 281:21 faults 71:19 73:4,15 99:1,4 99:6,8,18 100:2 118:1 147:25 149:9 151:1,9 156:7 161:15 165:18 167:24 168:9 255:10 256:5,6 256:9 260:23 261:16,21 262:12,14,21 264:18 265:2 266:17,24 267:2,8 282:4 283:2 288:21 289:2,10,18 292:6,11,14,20 292:21 293:12</p>	<p>293:23 294:9 294:21 favor 206:9 favorability 82:21 favorable 32:15 66:25 83:17,20 84:13 86:16 87:24,25 87:25 90:1 favored 285:8 fdi 136:19 271:8 fdmi 296:13 fe 1:16 feature 149:10 172:10 209:3 289:5 features 117:20 130:9,15 156:6 168:1 289:21 february 125:20 145:23 fed 144:3,4 183:15 federal 120:13 307:4 feed 298:25 299:3 feedback 33:3 48:13,23 49:2 58:15 62:1 218:23 feeding 278:10</p>	<p>feel 12:21 15:25 51:21 54:12 114:12 226:11 268:6,14 269:9 276:8 280:4 286:3,19,20 287:24 296:19 297:24 feet 23:23 75:12,21 79:5 79:9 81:23 82:1,6 107:10 115:22 121:3 132:20 152:21 152:24 153:6,7 161:4,21 164:13 173:4,5 191:24 198:7 218:1,2 240:22 240:25 241:2,2 241:5 244:5,24 244:25 245:17 245:21,22,24 245:25 246:1,3 254:12 258:20 258:21,24 304:24 fellow 6:10 7:6 9:7 16:22 17:10 18:23 26:9 felt 96:18 114:15 117:2 277:5 308:10</p>	<p>ferocity 153:16 ffp 264:23 fi 5:12,16 fidelity 263:12 field 47:22 124:14 135:23 155:2 171:3,7 183:3,3 185:15 186:8,9,10 187:12 190:7 205:11 210:4 217:15 234:4 234:12 236:22 fields 186:21 205:12 208:9 218:11 figurative 137:10 figure 195:9 223:16 253:14 253:15,17 256:15 292:8 figured 192:10 figures 264:11 264:16 file 12:1 13:24 18:4 20:22 30:22 106:19 140:10 159:19 filed 10:24 11:8 12:6 13:12 14:24 15:4 19:25 22:13 41:18 66:2 67:6,10 121:10</p>
---	--	--	---

[filed - focused]

<p>126:4 181:1 files 69:16 filing 9:25 10:25 19:25 20:2,14,18 22:5 25:7 26:4 30:8,9 filings 7:19 18:19 224:2 fill 112:1 filled 5:8 filtered 86:9,10 204:12 filters 207:8 filtration 207:6 209:6 final 5:8 9:14 12:22 13:24 18:10,14,15 19:11 24:23 53:20 155:1 229:14 279:13 286:15 finally 42:23 156:19 182:11 209:5 financial 310:11 financially 316:15 317:11 find 60:2 73:13 73:15 80:15 81:12 84:5 95:9 96:3 189:23 190:2</p>	<p>196:16 215:16 218:14 267:14 finding 297:13 fine 20:3 175:23 finetune 196:12 finish 264:7 finished 315:1 finite 236:3,9,9 firm 28:9 311:18 first 5:5,13 6:8 7:24 15:21 24:13,13 27:15 29:2,9 36:1 38:10,18 63:3 66:24 78:22 85:8 93:25 111:25 123:18 127:7 130:20 130:23 133:6,6 133:10,21 134:3 136:6 137:9 141:20 141:20 143:3 149:22 150:5 151:8 153:12 178:15 181:15 182:18 187:17 187:22 188:5,8 188:10,19 189:5 192:7,22 199:16 208:5 214:6 219:2 222:22 227:15</p>	<p>237:8,21,22 238:3 239:18 245:13,18 255:13 269:14 274:3 285:19 301:17,20,21 307:21 308:18 311:5,15 fish 101:13,16 fishing 101:18 101:21 fit 75:17 188:5 313:4 fits 313:4 fitted 209:6 fitzgerald 317:2,18 five 5:24 159:25 184:3 214:15,17 238:1 240:22 251:23 311:22 312:16 fix 205:19 222:9 flat 251:19,21 252:6 flavor 278:21 flexibility 58:22 flood 65:9,12 179:20 217:14 floods 179:20 floor 1:14 54:22</p>	<p>flow 197:14,14 197:20,24 199:5 201:5,18 201:19 204:17 204:24,25 206:5 216:2 228:8 232:5 259:2 296:2 flows 30:21 fluid 76:24 77:1 94:7 104:14 148:22 149:8 154:11 156:10 171:9 188:13,14 189:6 192:23 193:15 197:24 199:10 215:19 229:4 241:17 294:13 fluids 36:25 94:4 149:16 305:13 flush 207:21 flushed 207:9 focal 220:25 254:20 255:19 292:23 focus 41:5 56:8 67:20 105:8,18 180:6 181:15 focused 39:16 40:10 41:3 96:7 147:9 179:19 180:13</p>
---	---	---	---

[focused - fracture]

<p>180:15 183:8 243:7 246:18 251:9 270:11 270:20 focusing 87:16 100:10 240:6 251:10 folks 169:18 238:8 follow 267:16 282:13 288:8 followed 185:3 236:4 following 124:14 133:8 134:8 142:9 175:22 180:2 follows 38:20 63:5 123:20 178:17 foot 38:25 79:4 154:21 192:17 192:24 193:11 193:17,23,24 194:6 200:14 201:15 202:20 215:8,9,19 283:11 footprint 46:2 75:17 foots 207:11 force 25:19 50:3 219:17 220:16</p>	<p>forced 112:5 215:25 forecast 44:8 198:11,22,25 foregoing 316:3,4 317:4 foreign 292:8 foremost 208:5 forever 309:17 forget 311:14 forgot 6:15 form 119:18 277:3 formal 220:24 format 279:3 formation 76:13,25 77:1 77:4 79:7,10 80:22,23 85:18 85:20 87:17 97:4 99:11 111:6,24 112:6 112:8 114:23 119:13,14 121:10 188:6,8 188:12,14,19 188:24 189:4,5 189:6 191:1,3 191:5 192:22 193:6 231:6 304:16 formations 32:10 78:18 111:15 120:17 120:18 194:24</p>	<p>236:25 245:15 245:21 293:9 294:15 formed 262:20 292:17 formulation 158:6 forth 8:24 82:15 233:20 246:19 283:8 303:8 forthcoming 42:21 forward 14:2 14:25 16:10,10 18:3 26:17 28:20 30:21 34:16,18 90:23 91:2,6 117:16 233:5 238:4 279:10,10 313:15 found 71:18 72:1 81:2 185:20 216:11 235:25 foundation 175:5 four 6:1 39:13 131:9 141:7 145:17 151:16 180:9 213:22 214:15,16 235:14 252:3</p>	<p>frac 103:10,22 104:1,11 110:13,20 111:2,16 112:14,16 125:3 133:4,22 136:7,12,17 137:9,25 138:9 153:15 156:23 156:25 161:13 164:8,20 165:4 165:5 166:14 168:15,22,23 171:8,9 176:3 177:11,14 207:2 274:16 283:2 299:6 fracked 136:13 164:15 fracs 133:4 137:7,8 161:6 163:14,19,24 164:2 168:20 175:9 176:16 fraction 74:23 fractions 165:18 fracture 74:24 76:23 81:9 107:2 111:2 126:23 131:17 136:18 138:9 148:18 152:3 165:19 169:10 173:18 176:12</p>
---	--	---	--

[fracture - gas]

<p>177:18,19 188:23 189:14 189:15 190:3 192:4,11,11 208:13 215:3 215:16 216:7 216:12,15 221:13 226:4 227:6 231:25 232:4 271:7 289:25 290:2 296:20,21 299:16 303:13 306:12 fractured 174:23 192:7 fractures 161:11,15 173:7,9,23 229:2 274:12 274:13 296:14 fracturing 176:23 216:9 229:6 framework 62:5 269:23 270:7 272:7,18 295:2 francis 1:15 fred 29:10 free 304:12 frequently 254:16 fresh 46:13 76:25 77:1</p>	<p>front 23:15 241:13 289:20 frustrating 17:15,21 fsi 136:19 271:7 fsis 303:13 fuge 1:8 2:3 5:2 6:15,19,21 7:4 7:12 8:11,17 8:19 9:6,11,13 9:23 10:3,10 12:18 14:4,23 15:22 16:22 17:10,23 18:11 19:1,8,15,23 20:8,25 21:5 21:10,14 22:3 25:4 26:9,13 26:20 27:6,19 28:1 29:5,23 31:7 34:22 36:12 37:23 38:6,11,21 42:2 54:24 57:13,19 60:10 60:13,23 61:13 61:18 62:11,15 62:19 63:6 66:14 91:24 102:6,13 106:4 106:7 107:17 119:20 122:9 122:19,21 123:1,7,12,21</p>	<p>126:1 157:20 157:23 158:4 159:11 169:7 174:6,9 175:17 175:19,23 178:1,6,9,18 181:9 209:15 209:22 210:11 210:18 212:18 216:18 220:1 236:17,19 237:4,12,15,20 237:24 238:8 238:16 287:7,9 287:16 290:7 290:10 301:12 306:8 307:13 308:14 309:4 309:25 310:19 312:9,19,24 314:20,24 full 25:19 63:12 179:12 313:12 fully 10:14 13:14 15:16 37:4 121:23 131:6 fundamental 12:4 15:5 118:7 fundamentally 96:11 further 26:2 47:15 50:22 61:11 62:12</p>	<p>87:17 100:7 103:9 106:3 116:17 118:3 122:8 126:15 159:10 175:17 178:3 212:16 240:15 265:24 271:17 277:6 280:6 290:5 299:11 312:19 316:13 317:9 future 48:2 49:20 50:12 55:15,21 56:7 56:12,16,21,22 56:25 75:7 91:2 96:13,15 98:17 128:23 157:5 185:10 187:3,10 222:2 233:16 243:7 244:14 245:1 282:14 306:22 313:16</p>
			g
			<p>g 5:1 219:17 gallon 192:15 gallons 154:5,7 154:7,20 gamma 77:15 89:8 153:12 274:6 gas 21:16 51:12 54:4 65:9 124:18 125:4</p>

[gas - go]

<p>131:12,19 132:1,2,9,12,18 133:19 136:2 136:15 139:21 142:4,13 177:4 177:8 207:20 241:25 251:6 gather 50:4 71:1 101:14,17 103:25 112:10 114:10 gathering 33:19,22 94:19 gauge 274:22 309:18 gauges 134:13 214:1 274:19 275:19 278:5 gears 91:7 gebremichael 36:4 general 44:22 140:25 149:25 172:2 173:22 175:6 227:16 267:10 276:13 277:25 281:8 303:3 generally 46:16 138:11 149:25 173:21 267:9 288:9 302:11 generate 266:19 289:12 290:2</p>	<p>generating 262:10 geologic 32:22 34:9 70:11 71:18 87:17 88:8 130:9,15 151:13 200:16 289:1 geological 31:25 35:19 56:12,20,21 117:20 125:16 172:10 263:25 280:25 geologist 97:1 97:25 104:4 124:11,25 125:7 geologists 84:8 geology 32:16 35:4 44:23 45:19 47:16,18 64:16 66:13,24 82:21 96:8,8 113:23 125:25 231:24 255:21 258:2 260:21 274:10 276:25 288:14 291:19 297:11 geology's 292:3 geomechanical 255:17 geometry 256:12 274:16</p>	<p>geophysicist 147:24 148:3 151:6 172:14 geophysicists 263:18 geophysics 40:10,13 42:1 150:25 getting 5:11 17:19 46:10 110:17 112:17 266:9 270:20 310:4,6,6 give 9:23 22:5 26:23 38:3 43:20 78:16 90:25 91:2,11 91:24 93:24 124:7 125:10 126:11 149:4 176:4 179:5 182:11 184:12 206:10 211:12 211:22 219:23 231:16 235:12 239:4 248:9 299:15 311:22 given 6:4 25:1 56:1 97:7 100:1 118:1 140:7 183:24 232:22 241:18 246:18 276:3 gives 45:13 188:19 193:12</p>	<p>194:5 196:19 254:6 257:14 276:5 279:14 giving 38:24 272:25 glad 12:20 259:25 glance 255:7 glean 95:18 global 41:2,5 globally 250:19 266:15 go 6:23 10:3 14:10,25 15:1 16:10,10 17:6 20:13 27:2 30:1 31:8,9,14 37:24 42:6 45:16 68:20,23 90:19 101:17 101:20 107:19 113:20 117:1,5 118:3 119:12 155:10 189:24 190:11 198:2 199:10 205:3 214:13 216:2 218:25 235:11 238:13,18 239:14 240:15 242:23 243:20 249:17 250:2 251:4 252:25 253:17 254:25 258:13 260:4</p>
---	--	--	--

[go - greater]

260:10,12 262:14 270:18 277:9 291:20 291:21 299:20 301:14,17 302:12 306:10 309:1 315:7 goal 32:11 49:12 259:4 295:6 goes 25:24 174:9 197:8 202:3 205:17 205:20 245:16 274:14 294:14 goetze 36:3 going 5:2 6:5,7 8:6,24 9:17 16:9 18:15,21 19:23 20:13,14 26:23 27:1,10 27:14 33:15 36:10 38:23,24 39:2 48:21 50:15 55:13,14 58:21 59:19,21 66:18 71:1,7 72:5 74:25 75:18 76:5 77:3,14 82:22 86:3 91:2,7,10 92:20 93:10 101:20 103:12 103:14,15 104:5,16,18,21	104:21 105:2 105:22 109:25 110:7 111:5,23 112:10 113:10 114:10,15 116:2 117:2 119:16 120:20 120:25 123:6 126:19 127:5 127:15 129:4 132:16,25 139:1 143:18 144:24 145:20 148:20,20 158:9 159:17 173:2 181:21 182:16 189:24 194:15 195:7 217:11 233:5 233:11,15,16 234:23 237:16 238:2,8 240:9 245:4 251:3 252:4 260:12 261:11 272:3 273:23,25,25 274:11,18 275:4,16,16 276:10 280:20 283:6 285:21 285:24 286:2 295:16 297:5 298:19,23 299:18 300:18 300:23 303:12	303:14,14 304:17,18 305:21 308:1 308:19 312:15 good 10:5,12 20:20 34:25 99:24 108:8 117:16 123:2,8 159:16 168:5 190:14 191:6,6 193:20,20 195:25 196:19 198:14 216:5 222:25 240:7 257:11,15 260:5 264:24 265:14 275:17 296:12,20 303:7,16 gor 133:25 gorelick 266:11 gotten 12:9 35:12 117:8 governing 25:18 gradient 103:10 111:10 111:16 164:8 166:14 192:3 194:1,7 215:4 215:16,19,22 216:8,12 219:3 219:6 221:18 226:4	gradients 103:22 104:1 104:11 110:13 110:20 graduated 40:11 125:14 179:8 granted 21:6 226:1,16 granting 12:5 granular 280:8 graph 137:15 165:23 166:4 188:10 189:3 190:22,22 graphical 253:3 graphs 136:23 162:4,11 177:3 gravity 161:23 gray 200:20 201:22 202:24 255:8 great 28:12,14 28:15,15 30:2 42:24 58:3 67:4 79:25 90:8 91:7 92:13 100:8 101:12 106:11 154:9 169:24 200:9 208:20 greater 49:7 81:5 86:7,12 86:12,13,14,19
---	--	--	--

[greater - head]

<p>86:20 205:20 220:9 241:5 greatly 107:5 green 129:23 132:7 136:2 137:12 139:20 143:12 147:13 148:5,12 150:5 150:5,6 183:23 188:16 195:13 195:14 203:12 251:12,13 262:1,2 265:21 308:23 greenish 88:24 greg 2:5 gross 152:10,20 ground 233:9 309:16 group 24:18 29:21 34:6,9 35:5,21 41:2,5 45:1,24 46:18 48:16 49:3,6,8 49:9,13,19,24 59:23 62:6 89:21 92:3,7 94:24 105:13 105:23 113:16 117:7 124:15 124:24 126:18 127:16,17,18 130:5,10,11,17 139:8 144:1,9 147:8,10,11</p>	<p>150:18 151:5 151:18 152:13 155:7 156:4 160:15 174:12 174:22 181:18 205:13 216:21 260:18 262:4 269:21 296:6 296:15 303:1,3 308:5,7,9 314:1,3 group's 30:5 49:12 groups 180:4 growing 42:12 42:15 161:18 161:21 grows 190:18 growth 152:3 guess 18:3 65:6 84:24 141:9 148:24 160:11 211:20 221:12 221:24 309:7 guidance 18:20 282:10 guide 226:20 guideline 277:12 guidelines 227:9 230:20 guys 20:6</p>	<p>h h 4:18 204:15 half 36:7 44:10 92:3,8 93:20 135:20 150:7 158:13 163:24 164:3,15,21 165:5 166:13 171:3,6 172:5 179:23 180:1,9 205:17 211:7 234:6 251:23 259:6 halfway 87:5 89:3 hall 1:13 5:7 28:13 hand 38:15 62:22 85:1 113:1 123:15 178:12 309:20 handful 29:13 handle 123:6 289:24 303:21 handling 180:14 206:21 303:23 happen 184:18 189:20 212:10 229:16 happened 295:24 happening 12:11 160:2 290:23 309:23</p>	<p>happens 104:17 262:9 happy 179:8 181:14 182:21 187:22 191:19 308:10 hard 5:24 30:12 192:9 236:13 254:23 277:3 harder 238:1 263:22 hardy 2:15 3:3 4:7,10,11,14 8:10,13,13,17 8:18,21 9:11 9:12 21:2,2,13 27:24,24 36:12 36:15 57:13,15 106:4,5,11,15 107:16 159:11 159:12,15 169:5 174:7 175:18,20,24 176:2 177:24 212:18,20,23 216:16 290:7,9 harp 240:4 harris 88:17 234:3 hart 11:3 he'll 110:23 head 61:1 97:21 119:9 206:17 212:13</p>
--	--	---	---

[head - hope]

<p>221:2 234:9 headline 199:24 headlining 199:23 healed 173:23 hear 10:9 11:15 15:1 17:7 32:14 52:12 61:13 106:8 279:21 288:18 heard 9:17 15:13,16 19:2 270:4 273:3 hearing 1:3,13 9:3 10:19 12:24 13:2,10 14:1 15:2,6 16:11,13,20 17:7,8,25 18:10,14,16,24 19:11 20:2,16 22:6 25:6 26:15,22 27:8 28:3 32:19 33:11,18 35:12 36:17,22 68:8 68:10,21 75:22 76:1 197:4 281:11 285:4 313:12 hearings 14:2 313:16 heat 179:22</p>	<p>heavy 143:10 148:8 179:22 179:24 heel 296:14 hello 212:24 help 91:5 115:7 288:24 298:6 298:25 299:3 helped 269:23 helpful 307:8 308:14 helping 229:25 helps 170:12 308:5 hereto 316:15 317:11 hershey 64:25 heterogeneity 228:19 heterogenous 227:18 hey 308:25 high 22:6 32:8 81:8 83:3,22 86:2 160:8,8 186:5 200:18 201:24 202:23 204:17 205:19 213:23 224:3 224:13,15,23 229:6 232:14 232:15 233:13 273:18,21 275:3 276:5 279:1 288:20</p>	<p>296:2 297:7,14 297:21 299:24 higher 86:3,21 104:7 128:15 152:7 172:8 193:19 194:2,7 202:17 203:14 203:16,16,20 218:12 225:25 226:3 227:21 232:21 264:20 267:10 280:9 292:2 highest 215:24 highlight 33:18 109:5 138:22 144:24 highlighted 128:2 133:14 135:12,16,23 166:19 243:14 243:16 highlighting 84:19 highlights 275:22 highly 187:12 227:17 254:8 hinges 103:11 hinkle 2:15 8:13 hired 179:11 histogram 244:4</p>	<p>historic 34:2 historical 56:23 59:11 109:1 285:17 historically 108:25 128:15 history 10:15 19:20 54:3 166:24 167:1 177:21 183:15 183:16,18 198:12,13 214:8 303:25 hmm 111:7 115:9 121:4 281:14 hold 231:17 hole 77:13,14 94:2 106:24,25 112:7,13 143:11 145:17 266:14 283:17 holistically 303:15 holland 11:3 hollow 76:18 homogeneous 228:8,16 231:8 232:5 honest 121:14 honor 230:12 hope 11:24 12:7 17:21 59:22 62:7,9 271:1 295:13</p>
---	--	---	---

[hope - implied]

<p>300:6 306:22 hoping 102:19 231:2 267:14 horizons 118:16 horizontal 93:11 124:13 124:21 125:9 145:15 159:8 165:13 176:23 180:5 204:16 220:9,21,23 257:20 horne 260:5 host 279:12 hot 244:6 hour 6:2 36:7 205:17 hours 7:20 13:12 18:7 house 296:15 299:12 307:3 huh 115:23 human 248:2 hundred 61:8 65:11 113:2,4 121:2 207:7 hundreds 266:18,18,18 281:1 hurricane 111:6 hurting 138:13 hybrid 48:6</p>	<p>hydraulic 74:23,24 hydraulics 259:1 hydrocarbon 187:14 hydrocarbons 94:15 96:20 98:16 100:15 101:5,10,15 hydrodynamic 299:14 hydrologic 71:19 73:4,17 hypotheses 129:3 140:19 152:4 168:3 169:12 170:2 247:24 261:11 hypothesis 134:9,25 140:3 142:25 160:19 161:8 164:11 167:23 262:6 292:16</p>	<p>identified 35:16 86:6 95:15 126:16 128:5 129:24 130:21 151:6 152:5 160:16 172:18 192:4 234:5,12 301:22 identifies 69:1 85:17 identify 27:20 84:25 87:2 117:12 143:20 155:18 176:11 182:3 189:14 192:20 296:10 296:13,24 identifying 35:15 83:9 illinois 64:17 image 77:16 145:16,17 173:20 296:17 imaging 305:18 imbalance 51:2 immediate 176:17 250:17 immediately 308:23 impact 16:18 16:19 45:16 48:1 51:11 52:14 53:3,4,9 53:12 93:7,7</p>	<p>95:22 100:12 106:20 130:6 140:22 157:4,8 157:12 182:7 185:9 186:20 186:23 187:14 198:1 211:1 231:14 233:15 233:16 236:10 246:17 291:7 impacted 56:17 246:22 250:9 303:20 308:1 impactor 163:17 impacts 34:11 49:14,17 56:4 93:12 185:12 187:2 270:20 281:15 impair 32:12 208:7 impede 117:20 impermeable 109:9,11 258:25 259:3 implement 206:13 295:17 implemented 217:15 268:12 implications 51:9 215:13 implied 236:20 288:20</p>
	<p>i</p>		
	<p>i.e. 294:17 idea 162:16 279:17 identifiable 130:9 identification 102:10 158:2 209:18 287:11</p>		

[important - industry]

<p>important 37:1 44:10 90:7 103:24 197:10 219:25 226:2 233:19 234:22 236:8 256:12 264:25 265:11 266:12 273:2 273:12 274:13 274:23 276:15 278:18 280:4 286:4,25 288:1 301:3 304:2 imposed 36:20 improve 197:9 206:22,24 209:7 inch 79:18,21 inches 79:23 283:11 incident 312:16 include 40:16 40:18 41:9,15 58:16 63:24 65:24 67:11 68:3 69:18 105:17 116:22 120:17 182:7 213:14 included 8:3 16:13 67:5 77:10 91:21 102:4 105:19 109:23 150:8 160:24 162:24</p>	<p>250:25 includes 63:23 121:9 180:19 183:19 including 8:6 142:11 162:21 219:13 257:14 284:16 305:19 inclusion 282:19 inconclusive 169:22 inconsistencies 284:8,11 incorporate 58:16 288:4 incorporated 115:2 incorporating 248:17 increase 104:12 128:12 131:19 134:1,20 136:6 136:8,14,16 137:11,19,20 140:5 141:24 143:14 150:10 171:6 176:21 199:8 201:6 202:6,9 203:8 203:13,15,19 208:18 234:18 239:11 251:12 251:25 254:17 256:7,10</p>	<p>267:22 increased 35:24 127:19 128:20 142:9 150:14,22 154:18 163:10 203:17 252:5 286:9 308:25 increases 132:12,13,17 137:3 138:5 205:8 increasing 137:4 140:4 199:6 262:7 incredible 98:11 independent 287:22 index 223:17 223:17 indicate 86:15 94:13 98:20 128:14 130:18 151:4,4 162:12 indicated 60:17 137:4 143:22 153:13 167:1 168:14 184:4 indicates 25:13 32:16 147:18 163:12 257:19 indication 73:15,16 104:9 104:13 133:6</p>	<p>144:13 145:25 146:23 indications 156:5 165:7,8 indicative 190:3 indicator 98:18 indicators 67:1 257:18 individual 135:13 177:6,9 186:6 204:23 215:7 236:21 individually 30:4 81:14 induce 293:10 induced 32:21 42:13 229:6 239:11 256:13 292:1 inducing 247:23,25 267:20 294:22 induction 171:17 industry 48:25 49:3 50:10 54:13 58:14 59:16,17 62:8 189:17 246:20 257:13 269:21 269:24 270:7 271:25 272:8 272:20 273:14 274:5 276:11</p>
--	---	--	---

[industry - inputs]

<p>279:5 286:22 295:2,7,10,11 303:20,25 industry's 253:25 inflow 147:23 148:10 influence 159:5 163:20 197:22 197:23,24 208:16 influenced 160:19 162:25 influx 135:4 144:13 151:21 155:6 163:5,11 information 35:20,22 39:1 42:21 49:1 55:17 56:1 62:9 68:3 69:15,18 70:16 72:7,12 78:17 92:14 97:23 166:23 191:6 241:22 243:21 246:19 255:25 255:25 258:2 260:8,11 268:19 271:4,6 273:1 275:12 275:14 277:19 280:8,14 283:19</p>	<p>informed 35:19 ingredients 56:22 232:1 293:5,13 initial 38:24 42:5 68:19 114:9 193:8 214:16 248:14 248:15,20,23 initially 266:9 initiated 123:1 inject 76:10,12 76:16,24 112:8 119:12 120:23 121:24 179:21 182:9 197:11 203:11 207:22 217:25 274:24 injected 45:7,8 51:4 103:2 104:6,25 164:8 172:7 202:5 209:7 225:15 234:1 252:7,9 252:12 injecting 35:8 76:9 104:21 112:6 144:3,4 146:22 196:21 227:3 262:4 270:15 injection 21:16 24:10,11,15 31:21 35:17,24 36:20 37:1</p>	<p>45:23 55:7,11 65:20 66:25 69:8,20 70:1 73:17 76:23 77:2,3,24 78:1 81:17,22 82:3 82:11,21 83:17 83:20 84:13 86:16,25 102:22,24 105:1 107:2 109:24 110:7 110:15,21 111:20,20,24 124:19 139:23 140:4 149:10 156:4 158:11 163:1 173:13 193:6,9,10,17 194:10 195:2 196:14 198:2,6 198:10,13 199:2,9 200:5 200:13 201:1 201:10,16,17 202:11,23 205:1 206:6 210:24 215:11 217:14,17 218:2,7 224:25 225:5 226:4,21 226:22 230:21 231:11,19 232:10 233:13 233:16 240:21</p>	<p>241:1 243:7 245:20 246:2 247:9,11 248:7 250:19 251:18 258:18 259:4 260:20 261:25 262:3 271:21 271:22 272:10 272:10 273:7 275:4 278:3 282:18 283:18 283:23 284:14 288:22 293:19 294:12 304:19 305:14,24 injections 162:22 217:12 252:6 277:13 306:18 injectivity 119:15 168:10 217:17 223:17 injector 196:3 196:3 197:22 199:12 201:12 217:22 298:1 injectors 130:10 147:11 147:13 150:18 197:12 198:23 199:4 208:9 233:9 input 219:23 inputs 231:22</p>
---	---	---	---

[inquiry - ipam]

<p>inquiry 68:22 126:12</p> <p>ins 246:23</p> <p>inserted 78:4</p> <p>inset 84:20 88:13,15,15 243:12</p> <p>insight 90:25</p> <p>inspection 130:20</p> <p>install 274:22</p> <p>instance 221:19</p> <p>integrated 148:4 150:24 206:4</p> <p>integrity 188:6 188:7,20</p> <p>intend 27:17 30:8 273:1</p> <p>intended 22:18 24:10,11,12 182:21 250:22 252:20</p> <p>intends 33:21 33:23</p> <p>intent 23:4 25:14,25 76:10 156:24 308:24</p> <p>intention 234:14</p> <p>intentional 90:13</p> <p>intentionally 109:24 164:6</p>	<p>intentions 91:15</p> <p>interact 81:4 147:7 151:15</p> <p>interacted 135:19</p> <p>interacting 132:22 133:24 134:10 135:1 142:18 155:23</p> <p>interaction 130:25 133:7 133:13,22 135:14 136:17 137:10 166:15 177:19 271:17</p> <p>interactions 126:23 128:4 131:18 135:11 138:9,10,12 146:15 174:23 177:18,20 270:4 285:21 285:22,24,25 303:11,13</p> <p>interest 13:9 44:3,11 60:18 122:21 236:24 245:5 273:4</p> <p>interested 120:8 260:11 316:15 317:12</p> <p>interesting 80:15 81:3,7 81:13 192:13</p>	<p>interests 208:6</p> <p>interference 127:14 136:19 155:20 159:2 177:11,15 270:23 271:7 295:22 308:15 308:16,20,22</p> <p>interlay 275:3</p> <p>intermediate 79:7</p> <p>intermittent 108:14</p> <p>internally 211:8 276:11</p> <p>interpret 90:20 117:16 192:9 214:17 262:14</p> <p>interpretation 110:12 116:22 117:3,3 118:2 118:25 151:17</p> <p>interpretations 99:25 127:3</p> <p>interpreted 151:10 256:18 256:23 257:25 264:16 310:14</p> <p>interrupt 118:21</p> <p>interval 37:1 37:20 77:24 82:22 83:17 107:8 152:11 193:10 201:10</p>	<p>231:17 240:16 245:20 246:8,9 247:10 258:19 262:3 282:18 282:19,23 283:18 294:20 304:16 305:14 311:18</p> <p>intervals 66:25 214:20 217:25 218:11 240:15 262:1 270:5</p> <p>intervened 35:3</p> <p>intimately 211:20</p> <p>introduce 8:11 10:2 29:3</p> <p>inverted 98:15</p> <p>investigate 175:15</p> <p>investigated 156:17 159:9</p> <p>investigation 32:6 132:24 172:15 201:11</p> <p>involve 28:24</p> <p>involved 47:10 54:14 59:13 65:5,7 84:8 124:25 125:8 296:5 307:17</p> <p>ip 117:1</p> <p>ipam 308:6</p>
---	---	--	---

[ish - know]

<p>ish 122:24 248:13 266:2</p> <p>isolates 94:5</p> <p>issue 11:18 14:17 22:22 31:25 59:16,17 59:17 149:20 205:19 286:25 307:4,25 312:11</p> <p>issued 11:1 15:9,17 48:14</p> <p>issues 8:25 13:13 42:22 49:2 59:25 214:4 272:9 273:14 286:3</p> <p>it'd 190:6</p> <p>it'll 256:8</p> <p>item 5:22 6:8 184:18</p> <p>items 27:7 31:1 57:6 203:18 207:19</p>	<p>181:22 219:14 289:22 299:5</p> <p>jens 257:8</p> <p>jesse 2:13 8:15 21:23 27:22 34:24</p> <p>joaquin 124:10 179:18</p> <p>job 1:22 74:18 119:9,17,18 240:7 264:24</p> <p>jobs 124:9 229:17</p> <p>joint 25:8,12 26:4,16</p> <p>jointly 27:13</p> <p>july 139:15 247:1</p> <p>jumbled 21:9</p> <p>jump 308:23</p> <p>jumping 159:17</p> <p>june 139:13 184:18</p>	<p>key 33:20 35:15 55:20 87:1 110:3 137:23 138:8,8 142:14 144:6 170:6 227:11 248:8 250:11 255:16 255:20 256:14 268:1 272:23 274:25 279:14 279:21 289:17 300:21</p> <p>kicking 9:15 19:3</p> <p>kilometers 265:23 266:3</p> <p>kind 7:22 22:5 29:2 47:24 48:5 50:3 55:6 58:18,23 61:25 66:23 71:1 76:19 84:22 85:25 90:7 91:3,5,20 94:4 94:11,14 99:9 103:25 105:15 108:14,17 127:25 128:7 136:3 138:12 140:19 141:7 148:18 149:9 172:15 174:15 175:5 186:14 186:17 187:25 190:20 194:3</p>	<p>196:10 198:4,5 201:16 211:9 211:24 229:8 234:15 237:7,8 239:9 240:19 241:9,10 244:10 248:12 248:20 249:22 251:2 252:2 255:8 256:18 257:24 258:1 259:22,22 270:17 273:25 277:11,12,14 277:24 278:14 280:19 281:3 288:24 292:17 296:1 308:17 310:2 311:20 312:6</p> <p>kinematics 40:14</p> <p>kirsten 317:2 317:18</p> <p>knew 17:16</p> <p>knock 94:25</p> <p>know 7:18,20 9:16 10:1 14:7 17:3 25:8 35:23 42:22 44:23 47:20 48:21 49:14 50:20 52:21 54:19 56:21,22 58:5,20 59:19</p>
j	k		
<p>james 1:21 316:2,21</p> <p>january 18:16 18:23 19:12 249:8,15</p> <p>japan 266:17</p> <p>jared 38:4</p> <p>jason 2:21 29:10 123:11 123:17 124:1</p>	<p>k 2:13</p> <p>kappa 198:19 299:15</p> <p>keep 26:15 226:2 295:13 295:13 305:13</p> <p>keeping 307:16</p> <p>kept 202:19 211:9 256:18</p>		

[know - large]

60:4,25 61:1,9 64:22 73:14 86:22,22 89:18 89:20 90:6,9 91:1 94:20 96:13,14,22 97:19,21 98:14 101:8,14 104:14,20 105:4,20 108:13,20 109:1,19 110:4 110:23 111:1 111:25 112:1 112:12,22 113:19 114:17 114:22 116:12 116:21,21 117:2,18 119:1 119:11,13,16 120:10,16,18 121:13,19 122:2 148:18 151:16 155:1 155:13 160:25 161:8,22 162:16 164:17 167:9,20 168:6 169:19 170:13 171:11 172:12 174:3,14 175:4 177:2 183:17 186:17 191:11 193:8,18 194:14 196:7	197:2,3,24 200:7,21 202:20 203:14 205:3 206:16 211:6,6,25 212:2 213:15 214:19 215:3,8 215:12 216:14 217:1,10,16 218:1,2,7 221:5 225:14 226:8,11,21,23 227:19,21 230:13,15,17 230:23 231:5 232:10 233:13 233:21 234:10 234:15 235:4 235:19 236:6,8 237:25 238:9 239:8 241:12 248:6 251:3,5 251:21 252:2 252:13,13 253:8 258:10 258:17,20 260:18,19,20 261:4 267:19 267:24 268:6 268:14 270:5 270:14,24,24 271:16,17 272:3,4 273:20 274:5,7 275:3 275:15 277:3	277:20 278:3,4 278:4 280:14 286:2,24 289:15,19,19 290:25 293:5 293:19 294:5 295:3,14,21 296:2,22 297:12,21 298:18 299:10 300:21,24 301:2,21 302:10 304:17 305:20 306:15 306:16,16 307:5,16,17,23 308:10 311:10 311:12 312:16 314:2 knowing 110:6 knowledge 169:14 171:19 172:7 288:13 303:3 306:7 316:10 317:6 known 88:17 146:1 308:2 knows 109:17	241:25 242:1 242:25 249:3 253:21 255:19 lack 52:24 97:24 289:2 313:21 lamar 79:7 80:5 81:3,10 82:4 99:7,9,18 99:19 100:4,6 182:1 190:13 190:16,22 191:21 193:24 194:14,18,23 208:9,14 221:5 282:18 land 33:14 37:25 38:1 58:14 111:6 120:21,21,22 121:6,9,12,16 272:20 306:24 307:2 language 25:13 82:14 102:21 lapse 162:2 large 5:19 6:6 44:2 46:25 94:20 202:11 236:1 266:8,13 266:15,19 267:3 289:21 289:23 290:3 292:6,11,14
		I	
		label 222:7,9 244:4 247:14 259:12 274:1 labeled 147:18 167:5 188:5 203:23 241:3	

[larger - lime]

<p>larger 79:23 128:6,9 150:2 248:16 266:5 267:7,8 268:11 289:20</p> <p>largest 251:6</p> <p>lasted 180:9</p> <p>lasting 294:16</p> <p>lastly 130:14 137:16 138:4 153:2,17</p> <p>late 48:15 166:4 244:12 244:13</p> <p>laterally 99:15</p> <p>laude 40:11 125:14 179:10</p> <p>law 28:8</p> <p>lawyers 53:19</p> <p>lay 75:15 146:6 182:19 277:24</p> <p>layer 37:15 240:12</p> <p>layers 79:15 118:18 167:19</p> <p>laying 272:8</p> <p>laymen's 195:22</p> <p>lays 219:10</p> <p>lea 21:17 43:11 142:19 155:22 243:1,1,13 253:19</p> <p>lead 56:12,22 138:13 164:9</p>	<p>294:18</p> <p>leading 142:25 160:18</p> <p>leak 187:18,24 187:25 188:22 189:5,13 190:25 192:15 192:20 193:23 193:23 194:13 208:14</p> <p>leaning 255:23</p> <p>learn 50:10 54:14 58:10 62:8 232:22 286:21</p> <p>learned 126:25 128:24 311:17</p> <p>learning 44:22 48:24 49:1 61:24</p> <p>learnings 129:1 140:7</p> <p>lease 61:7</p> <p>leave 27:1 33:12 36:11 229:14</p> <p>left 43:24 82:14 85:7,10 86:2 129:15 133:9,9 133:15 136:5,7 138:21 140:25 141:6 146:3 149:2,23 152:9 153:3 162:14 184:10 188:11</p>	<p>207:19 240:5 241:11 246:6 246:10 253:17 260:7 264:11 270:13</p> <p>lefthand 295:21</p> <p>leftmost 192:2</p> <p>leg 87:16</p> <p>legacy 56:11</p> <p>legend 129:22</p> <p>legends 88:19</p> <p>length 164:15 266:22 268:2</p> <p>lesson 311:17</p> <p>letter 270:12</p> <p>letters 33:5,7,8 33:9</p> <p>letting 114:17 199:3</p> <p>level 15:21 22:6 72:5 99:1 127:1 207:13 233:7 244:6 279:1 280:9 288:20 296:2</p> <p>levels 86:17 242:14</p> <p>leverage 45:13 45:15 46:2 48:3 273:10</p> <p>leveraging 47:25 48:21</p> <p>levy 38:4</p>	<p>license 61:6</p> <p>lies 81:9 176:8</p> <p>life 128:9 131:13 146:14 182:6 183:20 184:18 186:18 187:13 199:1 200:1 209:7 212:9 229:18 233:2 234:24</p> <p>lifetime 128:13</p> <p>light 12:10 128:6,10 141:5 262:2 265:21 286:2 314:24</p> <p>lighter 86:18</p> <p>liked 78:15</p> <p>likelihood 32:17 67:2 100:15,21,22 292:1</p> <p>likely 20:10 26:3 30:6 140:18 257:4 262:6,18,23</p> <p>likewise 104:3</p> <p>lime 151:25 152:3,8,10,19 153:1,6,21 154:2,13,16,21 154:24 155:8 156:20 157:2 168:2 172:21 173:11 176:5,8 181:24</p>
---	--	--	---

[limestone - location]

<p>limestone 80:5 80:8 99:2,7,18 100:4 182:1 208:10 282:18</p> <p>limit 65:15 138:6</p> <p>limitation 13:22 74:11</p> <p>limitations 13:20 258:5</p> <p>limited 77:21 252:14 289:13 300:4 313:9</p> <p>limiting 283:10 299:19 307:17</p> <p>limits 47:23</p> <p>line 23:5 27:1 45:9 51:6 80:24 81:1 85:6 87:6 97:17 132:15 133:5,21 134:4 134:5 137:2,3 140:12 141:23 142:3,3,11 148:13 160:5 160:10,11 172:5,6 173:1 183:4,12 184:5 185:25 188:16 188:17,18,22 195:15 200:19 200:20,20 201:16,20 202:4 203:12</p>	<p>206:20 242:25 242:25 243:16 243:16 244:8,8 246:14,14 247:8 248:18 249:2,7,7 250:2,4 251:17 252:7,22 253:16 257:24 274:3 291:24 299:6,6</p> <p>lineament 148:6,7,18 149:3,5,15 156:12 172:10 289:11,16</p> <p>lineaments 147:1 148:1 149:9 151:5,8 156:7,8,16 167:13,15,23 172:15 267:2 281:21 289:8 289:25</p> <p>linear 113:19</p> <p>linearly 104:12</p> <p>lines 84:22 137:8 141:15 150:3,25 151:4 151:4 204:17 226:11 256:22</p> <p>lineup 263:17</p> <p>link 315:6,8</p> <p>list 2:2 298:23</p>	<p>listed 162:13 273:15</p> <p>listening 25:5 315:4</p> <p>literally 263:9</p> <p>lithology 153:17,18 274:8</p> <p>little 5:23 8:24 10:14 12:9,13 14:12 21:8 22:17,17 28:14 30:20 45:18,21 46:15 51:14 52:22 58:22 61:11,11,20 76:20 78:7,16 81:11 91:8 99:7 103:15 109:13 110:22 119:2 122:2 148:25 149:19 159:17 181:22 192:9 193:18 193:19 195:8 203:14 211:12 220:2,14 222:2 223:25 224:3 231:15 234:16 238:9,11 240:11 241:11 247:5,20 251:20 278:24 279:6 308:17 310:3,25</p>	<p>littlefield 183:15</p> <p>live 176:23 223:3</p> <p>llc 2:11,16 8:14 20:16,22 21:15</p> <p>llp 2:15</p> <p>load 216:15</p> <p>localized 160:18</p> <p>locally 204:19</p> <p>locate 255:13</p> <p>located 43:9,13 43:15 44:25 84:21 85:2 120:20 128:25 138:25 140:6 141:3,3 166:2 166:25 172:25 183:2 190:20 238:11 241:5 285:8 291:4</p> <p>locating 275:23 275:25</p> <p>location 23:22 31:12,15,16 43:4 45:17 60:18 61:3,5 75:9,12,14,20 75:24 76:7 79:3,4 85:17 119:22 120:12 121:25 129:13 129:16 139:7 143:7,20 148:7</p>
--	---	--	---

[location - looked]

<p>150:6 151:18 153:7 154:2 160:13 165:18 190:8,10 199:25 200:7 200:20 202:22 208:24 213:1 225:1,24 246:6 246:7,8 259:15 284:20 310:10 310:18 locations 44:15 44:20,21,24 48:5,22 54:12 55:19 73:12,19 83:10 113:24 121:21 129:19 139:12 144:11 150:17 153:3 154:23 156:9 156:18 173:4 205:11 222:14 222:18 231:24 234:5,12 240:4 242:2 243:15 258:14 268:8 276:7 277:2 301:8,22 311:5 313:5 locator 128:1 129:8 135:8,24 138:20,22 140:24 144:24 149:23,24 195:6 242:1</p>	<p>log 5:18,21 37:14 147:20 153:9,15 204:19 217:2,3 255:24 274:11 283:13 297:2,4 logarithmic 139:19 logged 76:14 logging 70:21 71:5 77:13 147:19 274:4 278:1 305:5 logic 209:3 212:4 logistical 28:22 31:1 logs 77:14,16 87:13,15 89:7 89:8 145:17 173:20 274:6 277:17,18 283:17 296:13 296:17 long 5:6 17:19 19:3,3 32:3 36:19 39:12 53:22 63:16 122:23 124:4 138:14 179:2 180:14 184:7 186:18 197:23 202:2 237:20 266:18 294:4 302:14</p>	<p>longer 24:19 101:12 158:23 212:2 277:21 longevity 46:24 206:24 look 19:23 20:14 26:17 27:14 28:20 34:16,18 48:22 49:19,25 55:15 55:16,20,22 56:7 58:9,10 59:18 67:9 69:22 86:24 97:10,11 128:6 128:19 131:25 132:14 137:24 138:19 141:22 146:24 147:25 159:18 161:25 165:22 167:3 168:14 191:14 192:14 193:6 193:25 196:5 199:13 200:25 204:1 206:1 211:16 212:25 217:23,24 227:1 230:2 233:6 237:3 240:10 242:8 244:3 245:8 246:10 247:22 248:5,22 249:5 249:16,17</p>	<p>250:2 251:25 253:8,12 257:23 260:10 261:3,16 264:14 265:15 265:24 267:17 267:24 271:15 273:11,20 275:6,8 277:2 279:10 280:25 282:17 285:15 285:16,19,20 285:20,23 286:4 290:22 291:20 292:9,9 295:20 296:1,8 296:17 297:8 297:10,15 298:11 300:2 300:22 302:9 303:10,13 306:4,16 309:13 310:14 looked 6:5 56:10,10,18,19 74:7 87:2 89:8 89:18 105:11 105:12,13 118:5 127:21 132:25 133:1 144:21 145:11 146:25 201:25 207:8 212:11 214:22 217:22 220:24 228:6</p>
---	---	---	--

[looked - magnitude]

247:24 248:3 260:6 268:18 273:17 275:2 277:14 305:20 308:18 310:17 310:17 looking 16:22 26:9 42:16 46:23 47:1,16 47:17,18,19,19 49:14 53:25 54:10 57:19 74:16 83:3 95:25 96:1,3 96:21 99:8 101:16 106:18 107:7 108:6,11 110:9 118:6,10 118:18 125:1 126:20 136:3,5 139:1,16,17,18 140:19,24,24 140:25 141:17 142:20 143:2,5 145:1,17 147:14 150:1,1 151:16 153:11 154:8 155:13 155:14 164:2,3 174:11,14 181:16 193:21 194:6 202:8 208:11 210:3 211:10 218:7 232:9,10 239:9	242:24 243:12 244:15 260:14 261:19 264:12 267:19 268:5 268:14 270:14 271:10 274:7 275:7 276:6 278:5,13 282:8 286:1 297:12 297:13,13 299:12 303:15 304:1 306:14 310:16 313:10 looks 13:16 16:15 110:24 111:16 120:12 149:19 159:21 196:20 240:20 264:10 274:12 278:15 286:24 los 294:6 loss 110:13 298:1 lost 116:15 lot 32:19 33:18 45:13 48:25 50:13 58:5 59:9 65:19 86:22 97:20 98:13 117:6,8 128:24 188:21 189:16 190:11 191:17,22 194:22 202:11 206:8 213:23	214:14 216:5 218:10 225:22 226:23 227:1,5 227:6 228:5,10 228:12 230:25 231:1 232:24 233:22 234:17 234:18 252:22 254:10 257:13 259:3 260:7,11 261:9,11 268:18 272:22 273:6,7,12 275:12 276:10 276:13 279:6 280:1,8 286:21 290:22 291:22 291:23,25 298:12 299:24 300:11,12 308:5 309:6 lotos 144:4 love 279:21 310:8 312:3 loving 243:1 low 32:17,20 73:20 95:22 100:15,21,22 114:19 152:25 184:11,11 200:18 201:24 202:23 203:4 218:7 268:7 lower 72:19 80:2,7 98:24	104:5 105:17 114:16,20 133:9,15 150:7 151:21 152:9 166:18 167:5 181:23 191:13 193:19 205:4 216:4 226:17 227:8 230:8 254:24 281:18 282:22 289:2 304:16,23 305:4 lucky 38:22 lunch 122:24
			m
			macro 233:7 made 6:4 7:20 9:25 13:18,21 20:17 28:19 84:7 130:18 289:9 313:24 madera 152:17 153:10 magic 220:22 magna 179:10 magnitude 242:9,10,12 243:19,20 244:2 246:11 246:12 247:1 248:15,23,24 254:22,24,25 255:1,3 259:12 265:18 266:19

[magnitude - matter]

<p>266:23 267:7,8 289:19 magnitudes 245:5 255:2 main 245:3 247:6 283:11 308:12 maintained 36:24 major 197:6 240:8,23 majority 173:23 make 6:1 24:23 30:14 33:25 34:7 36:13 37:24 75:8,17 75:22 98:9 99:24 103:25 106:8 109:18 123:1 146:12 158:14 213:25 221:21 229:13 308:12 makes 91:22 206:23 228:17 261:23 293:5 307:15 making 8:24 32:3 91:6 118:14 158:5 264:21 305:13 malcolm 152:18 153:10</p>	<p>manage 93:14 93:16 258:7 270:9 272:9 304:2 310:10 managed 143:21 management 41:7,8 42:10 42:13,15 54:8 55:22 59:16 124:17 258:9 286:25 295:11 302:14 303:19 managing 270:1 manner 13:6 17:22 36:25 42:20 56:2 156:23 268:16 292:23 map 31:12,15 43:4,23,24 69:1 84:21,23 84:23,25 88:13 88:15,16 92:17 95:24 96:25 97:11,13 99:16 99:17 107:8 113:2 114:24 116:19 126:16 127:20,25 128:1 129:7,8 129:12,15,19 129:21 135:8 135:24 138:20</p>	<p>138:22 139:5 140:25 143:13 143:21,24 144:16,24 145:3,14,19 147:12,25 148:5 149:23 149:24 150:2,7 150:16,23,25 151:3 152:9,10 153:2 156:1 160:6 163:7,10 167:17 172:24 182:24 195:13 210:3 223:1 240:2,3 241:25 243:12,18 246:6,10 247:14 248:11 253:18,18 255:1,7 256:22 257:6,7,16,19 260:7 289:5,22 289:23 291:11 302:12 mapped 148:6 mapping 172:16 maps 98:22 107:9 127:21 mar 183:2,3 186:21 210:4 217:15 236:22 march 13:4 48:20</p>	<p>mark 201:15 257:8 marked 102:9 158:2 172:11 209:18 261:25 287:11 markers 195:15 master 64:16 125:12 master's 40:12 125:14 179:13 match 108:15 196:9,11,18 198:14,15 228:3 material 5:19 67:25 82:24 89:12,13 109:9 materials 17:13 32:1 44:16,18 64:9 67:19,22 69:12 71:23 91:10 239:23 math 86:14 268:24 matter 8:23 10:15,20 15:7 15:15,17 18:9 21:22 22:11 23:2 25:7,9 26:5 29:16 33:17 40:5 41:10 68:8 125:21 194:20</p>
---	---	--	---

[matters - mewbourne]

<p>matters 15:12 19:20 28:22 66:2,12,20 max 70:6 72:22 204:21 216:14 249:12 maximum 70:1 72:14 145:15 193:8,12 199:1 200:4 205:2 215:17 216:3 218:4 224:19 225:5,6,12,17 226:3,9,20 232:10 257:20 mean 17:25 84:24 85:4 93:7 118:20 136:23 146:5 147:15 190:20 203:25 207:1 215:10 219:7 219:16 238:5 263:9,9 273:19 294:8 300:7 303:17 304:4 305:12 306:13 312:9,10 meaning 60:19 154:10 155:7 171:5 248:2 257:4 meaningful 312:14</p>	<p>means 86:2 220:8 261:12 266:2 279:17 295:22 meant 43:19 47:4 221:5 measure 111:1 measurement 305:22 measures 282:6 meat 33:16 mechanic 274:14 298:24 299:1 mechanical 179:9 mechanics 41:4 81:8 284:25 298:21 299:14 mechanism 97:15 98:5 161:5 220:25 254:21 292:23 293:2 mechanisms 255:19 256:2 289:8 median 198:5,7 201:16 medium 265:21 meeting 5:3,3,6 5:18 7:7,13 8:5 18:16 20:11 217:6 315:5,6 315:10</p>	<p>meetings 272:17 meets 26:4 memory 134:13 mention 88:3 121:2 mentioned 13:6 14:9 19:22 29:15 30:3 31:18 42:24 45:11 47:8 48:16 50:18 51:18 56:3 59:24 64:19 119:23 127:16 147:24 153:10 155:3 182:24 183:5 197:3 202:16 205:22 241:13 246:16 260:23 269:20 271:14 272:15 278:22 299:2 312:8 meredith 23:7 merrifield 2:22 29:10 62:18,20 63:2,11,13 66:11,20 102:19 105:7 106:16 107:21 107:23 108:1,4 108:10 109:3,7 109:15,21 110:2,11 111:7</p>	<p>111:12,18 112:3,15,20,24 113:7,13 114:2 114:8,20,25 115:6,9,15,20 115:23 116:4,8 116:11,16,24 117:17,22 118:4 119:5 122:12,16 194:19 210:9 210:12 280:21 297:9,19 merrifield's 181:18 mesa 166:18 mesh 207:8 meshed 228:8 mesquite 159:1 met 33:13 48:8 metal 143:10 148:8 meters 204:25 method 74:20 methodology 185:22 methods 74:25 mewbourne 11:8,18,23 12:12 14:9 16:4,5 27:25 33:10 34:19 36:14 37:2,4,7 37:10,22 51:18 314:7</p>
---	--	---	--

[mewbourne's - mobile]

<p>mewbourne's 15:18 36:17,18</p> <p>mexico 1:1 5:4 21:18 33:13,14 41:15 42:18 43:11,12,14 44:5,12,12 45:5,10 46:22 48:18 51:1,4 51:11 54:9,11 54:18 59:23 63:23 65:24 88:18 125:7,18 152:12,14,17 172:4 180:20 193:7 204:9 213:8 215:21 218:6 225:11 226:5 227:8 230:14,19 232:23 234:3 240:22 241:4 242:5,23 243:23 248:4 251:5,9,11,18 252:15,17 254:15 259:10 260:21 261:6 263:2,21 266:17 268:9 272:11 276:12 287:1 291:12 291:14,23,25 293:11,14,16 311:8 316:22</p>	<p>mic 220:2</p> <p>micro 75:8 121:2 145:18 168:25 290:23 291:2 293:20 306:7 310:25</p> <p>microsite 75:8</p> <p>mid 200:18 201:24 202:1</p> <p>middle 116:2 137:25 138:23 143:23 255:7 257:8</p> <p>midland 44:6 124:22 180:6 205:14 220:14 263:5,8</p> <p>midstream 2:12 21:15,20 22:2</p> <p>migrate 103:3</p> <p>migrated 104:7 171:9 250:8</p> <p>migration 104:14,22 105:1 148:23 149:16 156:10</p> <p>mile 92:3 93:20 99:4 160:12 163:24 164:3 164:21 165:5 172:6 182:25 183:6 202:12 210:23 211:7 233:21 234:6</p>	<p>258:15 259:11 259:21</p> <p>miles 69:2 92:9 95:2,11,12,21 96:5 133:10 151:16 156:18 158:13 172:18 190:9 200:15 208:17 211:2,9 234:7 242:18 259:6 266:18</p> <p>milestone 312:8,14</p> <p>milestones 312:16</p> <p>millidarcy 198:8 202:1 203:1,2,2 228:24,25,25 230:5</p> <p>million 36:4 45:6,7 50:19 51:1,5 199:25 200:7 203:7,11 208:23 209:1 249:12 251:15 252:9 256:8</p> <p>mind 104:20 226:2 232:6 272:24</p> <p>mindful 312:20</p> <p>mingle 28:16</p> <p>mini 112:14,16</p> <p>minimal 220:10</p>	<p>minimize 37:8</p> <p>minimum 13:25 192:3 193:25 194:7 220:19,21 221:6,10,11,13 221:16 222:3 238:2</p> <p>minor 77:3 114:12 167:25</p> <p>minute 12:21 13:11 15:25 26:23 29:1 193:16 211:17 241:14</p> <p>minutes 7:8,10 7:13 27:4 212:1 237:23</p> <p>mislabeling 221:10</p> <p>missing 311:25</p> <p>mission 292:18</p> <p>mitigate 47:3 268:16</p> <p>mitigation 250:21 282:6</p> <p>mixed 109:9</p> <p>mixing 165:8 171:4,7,14</p> <p>mm 111:7 115:9 121:4 281:14</p> <p>mobile 205:21 296:6</p>
--	---	---	--

[mode - move]

<p>mode 148:20 149:4 156:13</p> <p>model 86:24 155:2 168:22 169:10 175:14 197:13,14,15 197:20 198:14 198:16 199:3 200:12 201:18 224:4 228:3,7 228:10 229:12 231:23 232:3,5 232:9 236:4,11 257:6 264:22 265:6 268:3 274:15 299:1 299:21</p> <p>modeled 182:5 293:8</p> <p>modeling 39:18 153:24 168:17 182:2 195:2 197:1 199:13 231:4 276:25 278:12 280:9 280:12,13 293:7 298:20 298:24 299:4,5 299:7,9,18 300:9</p> <p>models 168:16 168:21,23 196:8,11,19 230:11 231:7 231:13,16</p>	<p>298:7 299:11 299:11,25 300:12,13</p> <p>moderated 1:8</p> <p>modern 217:23 218:15</p> <p>modifications 25:2</p> <p>modified 23:23 240:5 266:10</p> <p>modify 143:21</p> <p>modifying 12:5</p> <p>modrall 2:17 2:18 28:8</p> <p>molecules 241:18</p> <p>moment 51:17 67:20 83:14,25 220:25 254:20 255:9</p> <p>moments 17:18</p> <p>money 309:17</p> <p>monitor 50:11 93:11 112:9 275:20</p> <p>monitored 188:15 204:24 207:11</p> <p>monitoring 34:10 36:20 120:2,7,9 205:13,22 206:8 209:3 213:12 253:24 254:3,5 270:15</p>	<p>270:24 275:21 277:20 282:6 283:13 284:19 284:21 298:16 305:20,24,25 306:5,22 309:20,21</p> <p>monitors 205:14</p> <p>monopole 103:16</p> <p>month 183:24 184:1,10 186:8 249:8,13 275:1</p> <p>monthly 139:18,24 141:18,18 214:14,16</p> <p>months 13:5,6 13:24 19:19 128:11,13 137:14,21 213:17,18,22 213:22 214:15 236:2</p> <p>moot 16:17,21</p> <p>mooted 20:14</p> <p>morning 9:20 9:20 10:5,12 20:20 29:15 34:25 42:6,8 238:25 315:2</p> <p>morning's 315:6</p>	<p>motion 10:24 11:1 12:1,6,21 13:7,12,14,24 14:24 15:4,25 16:25 17:7 18:3,8,14,15 19:7,8,10,16,19 20:6,9,22 22:20 25:12 26:4,16</p> <p>motions 12:24 19:25 255:13</p> <p>mountain 34:6 34:8 35:5,21 45:1,24 46:18 49:8 89:21 92:3,6 94:24 105:13,23 113:16 127:17 130:5,10,11,16 139:7 144:1,9 147:8,10,11 150:18 151:5 152:13 155:7 156:4 160:15 181:17 260:18 262:4</p> <p>move 7:1,9,15 14:1 18:12 19:13 30:21 53:18 75:11,21 76:6 78:6,22 88:4 90:23 102:2,5 104:23 121:1,2 137:16</p>
--	---	--	---

[move - new]

<p>157:18 220:13 225:4 247:16 252:21,21 256:8,11 262:17 264:2 267:13 269:13 287:6 294:7,10 294:10 313:15 moved 13:1 16:12 23:22 124:22 141:1 167:22 179:25 180:10 256:19 258:1 294:24 movement 86:1 149:8 167:25 167:25 257:5 moves 26:20 255:15 262:9 moving 30:10 51:6 91:1,6 209:13 238:4 252:7 255:10 279:10 293:24 mud 108:23 109:10,10 multidiscipli... 34:13 multiple 48:6 58:25 82:6 115:18 117:25 139:2 155:15 170:2 171:5 173:9 198:19 257:12 313:25</p>	<p>multiply 193:10 multitude 48:4 50:8 247:24 304:3 mute 5:21 27:1</p> <hr/> <p style="text-align: center;">n</p> <hr/> <p>n 2:1 3:1,1 4:1 5:1 name 28:7 39:7 63:12,13 123:25 167:4 178:22,24 names 105:15 narrow 68:22 77:17 natural 161:15 229:2 274:12 283:2 296:10 314:25 naturally 89:24 nature 25:1 35:4 39:19 50:12 61:20 75:19 90:17 93:5 187:12 190:15 278:21 near 119:11,14 152:16,16 160:5 223:7 234:11 292:9 306:17 nearby 99:4 119:24 135:4 301:2</p>	<p>nearest 208:8 nearly 249:12 necessarily 49:25 270:10 273:16 291:17 300:14 necessary 23:1 35:23 122:18 244:10 288:18 290:2 314:23 neck 86:23 259:5 need 5:11,13 9:1,2 14:25 25:6 26:14 32:7 35:15,16 46:16,17 59:18 74:6 75:7,11 76:6 118:11 121:23 122:15 142:23 155:16 155:17 163:18 173:25 193:14 210:10 221:20 222:9 237:21 277:5 300:22 300:22 303:21 305:20 307:5 310:20 needed 22:7 117:7 283:19 295:22 311:10 needs 169:20 220:13 235:1 304:6</p>	<p>negative 177:19 negatively 52:13 53:8 100:12 157:4,8 158:20 neither 316:11 317:7 net 84:10 87:21 88:15,20,20,22 88:25 90:4 152:21 258:11 280:22 network 204:18 252:21 254:1,3 310:23 310:24 networks 161:9 161:10 296:21 neutron 77:15 274:6 297:16 never 13:6 191:1 256:8 303:24 new 1:1 5:3,10 7:17 17:17 21:18 33:13,14 37:17 41:15 42:18 43:11,11 43:14 44:5,11 44:12 45:5,10 45:17 46:21 48:18 51:1,4 51:11 54:9,11 54:18 59:23</p>
---	---	---	--

[new - numerical]

63:23 65:24 88:18 125:7,17 152:11,14,17 172:4 179:25 180:20 188:8 188:25 193:7 197:20 204:8 206:13 213:16 215:21 218:6 225:11 226:5 227:8 229:21 230:14,19 232:23 234:3 240:22 241:4 242:4,22 243:22 248:4 251:5,9,11,18 252:15,16 258:7 259:10 260:20 261:6 263:2,21 268:9 272:11 276:12 279:6 284:19 286:2 287:1 291:12,14,23 291:24 293:11 293:14,16 306:11 307:23 311:8 316:22 night 9:25 16:25 17:14 nine 137:21 315:8 nm 1:16	nmemnrd 5:12 nmocd 295:3 295:24 305:16 nmocd's 226:16 nmoga 37:12 269:21 308:5 313:20 noise 228:10 normal 17:1 118:2 194:10 220:8,11,18 221:4 256:1 257:2,17 normally 58:6 94:2 292:22 north 139:5 261:2,22 northeast 132:3 145:6 148:13 151:3 northern 2:16 8:1,14 131:8 243:13,23 244:16 253:19 293:17 northwest 261:2,22 264:14 northwind 2:12 21:15,20 22:2 notable 224:12 notary 316:21 note 44:10 141:17 151:7	155:1 246:13 250:4 254:18 258:23 259:17 260:13 262:12 265:13 270:23 273:16 noted 48:13 49:21 68:11 80:3 81:18 89:17 95:1 143:14 149:13 155:25 163:8 173:4 190:24 224:18 249:2 266:6 297:9 notice 6:4 18:8 75:25 79:20 151:2 223:23 239:6 244:4 249:21 253:23 277:12 noticed 140:11 218:3 268:17 notifications 211:8 notified 76:6 notify 308:11 notion 307:16 notional 277:14 278:14 307:14 november 1:9 5:3 11:21 14:16 16:9,10 novo 9:15 10:16,17 14:19	15:1,12,17,20 19:10 20:16,24 number 7:25 8:4 9:18 13:7 14:15 15:8 20:15 21:8,10 21:14,17 22:14 22:19,23 23:15 24:8 25:23 27:8 30:12,17 32:6 33:2,2 46:20 52:6,9 65:4,6 78:6,21 82:24 84:16 95:19 101:7 106:19 112:25 113:17 198:10 198:24 212:1 212:13 213:15 218:25 219:1,1 220:22 222:13 222:13 226:13 234:22,23 244:19 271:19 281:4 301:21 312:14 numbered 102:5 266:1 numbers 20:16 21:8 194:7 208:12 215:10 232:15 259:13 numerical 224:4 229:19
---	---	---	--

[numerous - oil]

<p>numerous 48:17 261:25</p>	<p>obtain 112:23 211:11 284:14</p>	<p>68:20 74:11,15 74:19 79:21</p>	<p>offer 114:4 offhand 17:3</p>
<p>o</p>	<p>obvious 97:8 262:15 276:2</p>	<p>91:4 109:17 130:2 143:8</p>	<p>office 33:14 37:25 38:1</p>
<p>o 3:1 5:1 oath 29:25 38:12 objection 36:23 209:15 210:17 210:18 287:7 objections 102:6 157:20 157:23 226:19 oblong 236:7 observation 118:13 155:25 observations 126:20 127:17 129:25 130:18 142:15 143:17 159:7 165:9 287:22 observe 132:9 133:13 137:10 150:12 154:13 154:14 253:7 observed 132:12 133:3 134:18 138:12 147:21 149:16 150:21 159:5,6 163:13 175:10 observing 135:10 137:1 175:15</p>	<p>obviously 56:23 59:11 180:20 236:12 241:25 244:20 251:14 258:25 276:24 278:1 293:11 300:23 308:3,8 oc 33:14 occ 13:2 16:14 49:7 occasion 13:9 occupy 23:3 occur 99:15 247:11 257:5 occurred 140:3 150:13 244:2 245:9 246:5 247:1 266:16 occurring 161:15 176:19 253:6 254:7 259:5 270:23 occurs 36:20 104:14 255:11 ocd 30:7,9 32:1 35:5 37:6,12 37:16 49:7 50:9 51:18 54:14 57:2 58:14 62:7</p>	<p>156:1 216:11 227:9 230:20 233:20 237:8 241:24 249:3,4 249:8,14,16 250:4,16 259:25 271:25 272:4,4,19 279:2,8,11 281:4 287:23 295:6,8,12,13 295:14,17 296:6 301:17 301:18 305:17 307:1,16 310:4 310:8,15 311:6 ocd's 25:24 35:13 36:6,10 37:3,4,11 51:19,23 68:7 68:10 74:7 75:2,4 79:20 127:23 215:15 238:3 242:14 242:20 268:13 269:2 285:4 286:23 310:21 315:3 ochi 29:10 october 7:7,13 190:5 249:9</p>	<p>58:14 120:21 121:9,12,16 124:14,24 205:14 272:20 306:24 307:2 officer 316:1,2 offices 205:12 offset 52:24 61:14 73:20 131:16 133:22 133:23 134:16 136:13 138:10 147:7 150:12 163:20 181:19 211:10 263:14 270:19,22 271:10 278:13 281:12,15 309:18 oh 6:15 10:3 86:13 161:20 262:2 301:18 oil 1:2 2:3,5,6,8 2:13 5:4 8:2,15 21:24 27:23,25 35:2,25 39:21 51:3,12 54:3 64:5,5 65:8 68:7 71:1 94:4 96:21 108:9 125:18 131:19</p>

[oil - opinion]

132:1,2,2,7,9 132:11,12,17 132:18 133:19 136:2,16 137:2 137:12 139:20 142:4,9,13 161:22 177:4,8 179:22,25 180:22 183:24 183:25 184:19 186:12 188:20 207:19 210:4 218:10 241:24 251:6,13 252:5 oilfield 179:15 okay 20:4 29:3 68:25 73:11 78:9,25 83:1 97:1,7,10 103:6 104:21 107:21,23 108:1 109:21 112:17,24 113:7 116:6 122:19 123:7 178:6 222:12 222:19 old 186:17 292:6 older 108:12 once 35:11 198:12,14 207:4,12 216:11 264:7 270:14,14	274:25 275:1 278:19 ones 108:2 136:21 196:25 204:9 219:14 225:16 ongoing 59:7 59:23 62:7 121:22 online 24:13 28:2 38:1 180:7 213:17 onset 17:8 onsite 204:25 205:12 onward 244:3 open 27:2 38:2 53:19 54:21 59:9 61:11 62:9 71:19 73:4,15 77:13 77:14 94:1 106:24,25 112:13 143:11 143:25 161:9 170:20 188:24 283:17 296:13 296:22 312:13 312:15,17 opening 28:25 31:3,17 36:13 38:3 126:17 148:20 149:4 operate 48:17 61:1,3,6 131:6	170:11 204:4,7 207:14 operates 44:3 61:6 92:21 129:20 131:4 144:10 operating 20:15,22 44:5 44:13 46:1 50:8 61:7 130:4 156:22 173:2,3 214:5 215:23 230:19 operation 64:2 65:6 66:12 193:7 208:19 241:19 operational 46:4 69:21 72:11 214:4 230:16 240:8 253:6 operationally 55:23 76:12 operations 39:17 43:21 45:12 47:19,20 48:2 50:12,21 50:22 51:12 58:17 124:15 130:7 176:18 181:8 182:12 194:10 204:5 205:15 206:4 207:20 208:12	209:2,4 229:16 244:18 245:13 258:10 267:23 267:25 272:5 277:8 292:2 operator 93:10 94:14 96:21 143:12,15 170:8,11 174:12 205:10 211:22 254:1 310:11 operators 33:2 33:3,24 47:23 48:9,12,14 91:5 98:5 106:1 205:10 207:14 233:22 271:1 272:16 301:4 308:11 310:5 313:22 313:25 opinion 46:18 51:25 52:5,8 68:2 74:14 75:3 79:11 100:8,10,12,13 100:14,17,18 100:19 103:23 110:15 129:3 140:17 157:3,7 157:11 184:15 184:22 291:18 303:8
--	--	---	---

[opinions - overlying]

<p>opinions 155:11</p> <p>opportunities 42:23 54:16 60:1 91:1 286:21</p> <p>opportunity 16:2 17:1,13 18:18 28:7,16 31:3,5 54:13 57:2 58:10,12 59:19 178:4 179:13 180:7 269:24 273:12 275:18 276:5 310:8 314:22</p> <p>oppose 35:3</p> <p>opposed 27:13 156:11</p> <p>opposite 47:19</p> <p>optimal 83:9 212:3</p> <p>optimistic 223:25</p> <p>optimized 207:9</p> <p>optionality 42:11,17 46:23 53:25 54:8 239:10 268:15</p> <p>options 32:8,12 46:17 47:1 117:19,25 271:14 304:1</p>	<p>orange 130:14 153:4 160:4 200:20 202:4 202:24 242:8 242:16,18 246:25 266:2</p> <p>oranges 242:11</p> <p>order 5:4 8:1,3 8:20 9:4 10:18 10:22 11:2,10 11:15 12:2,5 12:12 14:18 15:1,8,9,14,17 15:20 21:17 22:22 23:7,14 23:15,16 24:21 24:22 25:8,13 25:16,23 26:7 30:14,16 65:11 82:22 110:20 111:1 112:9 113:1 135:5 154:20 169:25 189:23 193:13 206:24 237:16 292:18 293:8 312:11</p> <p>ordering 25:22</p> <p>orders 14:7 22:12,16</p> <p>organization 44:4</p> <p>organizations 269:23</p>	<p>orient 43:7 88:13 182:22 195:12 240:1 243:10 247:7</p> <p>orientate 245:4</p> <p>orientation 84:17 145:15 145:24 146:6,7 148:16,21,23 149:3,7 151:11 156:6 167:14 167:15 219:12 219:15 255:17 256:2 261:1,6 265:5 268:2 288:9 289:15 293:3</p> <p>orientation's 156:9</p> <p>oriented 148:19 260:24 261:4,22 264:20 268:5 292:22</p> <p>orienting 264:8</p> <p>original 162:21 162:25 283:15 314:2</p> <p>originally 6:5 24:7</p> <p>orthogonal 156:11 257:6 265:2,8</p> <p>orthographs 214:9</p>	<p>ourself 276:4</p> <p>outcome 316:16 317:12</p> <p>outline 36:9 85:19 152:14 246:13</p> <p>outlined 192:1</p> <p>outlines 237:3</p> <p>outlining 25:12</p> <p>outputs 200:8</p> <p>outs 97:9,14</p> <p>outset 237:25</p> <p>outside 172:25 173:2 226:10 272:16 301:22</p> <p>oval 243:17 248:13 250:1</p> <p>overall 239:16 254:4 274:8 280:5,25 300:2</p> <p>overburden 190:12,14,18 194:17</p> <p>overburdened 194:24</p> <p>overlaid 141:13</p> <p>overlapping 11:11 14:11</p> <p>overlaps 14:17</p> <p>overlay 140:10 146:6</p> <p>overlying 135:15 147:7 155:6 163:14 163:15,15,18</p>
--	--	--	--

[oversaw - parizek]

<p>oversaw 125:4</p> <p>overseeing 124:12,20 125:8</p> <p>overstating 224:25</p> <p>overtime 271:3</p> <p>overview 22:5 38:24 41:9 42:9 43:21 182:11 238:25 277:24</p> <p>own 47:12,19 92:23 121:24 213:14 215:7 218:20 239:5 259:2 270:25 275:25 276:3 285:12</p> <p>owner 61:14</p> <p>owns 218:16</p> <p>oxidizing 305:9 305:9</p> <p>oxy 33:8</p>	<p>packers 107:6</p> <p>packet 30:6,23 264:10</p> <p>packets 30:13</p> <p>pad 133:11,11 133:23,24 134:12,16,19 135:13 136:9 136:11,13 141:20 142:1 163:3,16 177:5</p> <p>pads 132:20 135:18</p> <p>page 3:2 4:2 13:12 30:19 44:16,18 67:8 72:10 83:2 87:12 88:12 91:10,14 92:20 93:3,23 106:18 106:19 107:22 109:19 112:21 113:22 115:12 116:1 127:6 130:24 135:2 138:17 140:22 142:8 143:2,4 144:21 147:1,2 149:19 151:23 151:24 153:20 159:18 162:2 163:12,22 165:22 167:3 168:14 172:24 182:16,19</p>	<p>183:10 185:1 185:17 187:17 187:18 191:15 195:5,6 196:23 199:16 201:3 202:14 205:23 206:20 207:23 209:10 212:25 219:1,2 222:13 224:14,22 234:25 239:22 239:25 290:13 290:14 293:19 295:1 301:5 307:14 309:5 309:25</p> <p>pagination 30:5,7 44:17</p> <p>panel 264:17</p> <p>papa 43:10 44:24 45:12 52:5 60:24 61:3,15 67:14 67:20,23 68:3 69:2,13,25 70:3,7 71:8 73:10,11 78:23 81:17,25 82:5 82:13 83:4,12 83:18 84:25 87:4 89:21 90:1 92:4,7,21 92:24 94:25 95:3 99:5 100:9 115:8,12</p>	<p>129:13 131:5 153:4,6 173:5 182:5,22 183:9 190:19 191:10 191:12 195:11 195:14 202:13 202:15 208:21 208:24 214:1 222:24 223:7 223:20,24 225:23 234:11 243:3,5 245:19 247:8,13,13 258:15,19 259:5 285:7 286:9 290:15</p> <p>paper 260:1</p> <p>papers 26:17 293:8</p> <p>paragraph 25:21,22 73:9 282:17</p> <p>parallel 148:19 151:9,11,11 156:7,8 167:15 167:24 256:21 257:3 260:24 264:20 292:24 293:4</p> <p>parameters 47:18 196:13 196:16,22,24 200:12</p> <p>parizek 2:21 29:10 123:11</p>
p			
<p>p 2:1,1 5:1 28:14</p> <p>p.m. 315:11</p> <p>pace 44:22 55:18</p> <p>pack 233:23 234:14,17</p> <p>package 89:11</p> <p>packer 94:3,5 119:8</p>			

[parizek - performed]

<p>123:13,17 124:1,2 125:25 127:6 169:13 169:16,23 170:6,16,21,24 171:18,21,24 172:4,14,23 173:8,10,15,20 174:2,5,21 286:12 289:22 299:5 part 48:8 49:4 53:2,24 69:21 76:18 77:5,7 80:21 91:19 93:5 103:6 104:19 110:25 114:25 126:11 128:22 129:9 129:14,16 131:8 146:11 150:6,11 167:5 168:17 169:24 170:7,14,17 174:21 180:20 181:12 186:1 194:23 210:7 211:21 215:5 217:20 221:9 225:13 228:9 230:17 239:2,5 243:13 247:12 265:14 273:22 274:21 280:15 283:19 292:4</p>	<p>292:15 293:17 301:7 302:23 302:25,25 304:19 305:9 309:11 313:25 314:2 partially 14:18 211:11 particles 207:2 207:7 particular 16:13 32:21 66:5 109:6 120:2 131:14 133:24 140:14 141:14 142:19 148:2 150:1 200:6 214:25 241:22 242:24 247:8 258:11 290:14 300:25 particularly 25:19 parties 5:17,25 8:5,9 9:18 10:19 11:7 15:11 16:7 17:11 21:19 24:24 25:5 26:14,18,24 27:2,9,19 28:1 28:21,24 31:4 31:9 75:25 84:18 182:15 239:22 316:12</p>	<p>316:14 317:8 317:11 parting 189:16 192:11 194:2 227:7 partly 239:10 partners 21:15 parts 262:17 263:21 party 7:21 17:2 21:21 pass 23:10 30:12 209:20 287:14 password 5:12 past 17:17 51:9 272:17 path 162:5 167:21 paths 163:6 166:12 pathway 117:21 149:15 161:6 pathways 176:12 281:22 pc 2:9 pe 153:16 peak 224:15 pecos 1:13 5:7 28:13 pending 10:13 11:13,16 14:13 14:22 15:18 16:4 236:23</p>	<p>penetrate 69:8 people 28:15 29:6,18 49:22 226:8 perceived 12:20 percent 45:8 61:9 86:7,10 86:11,12,19,20 111:23 112:17 112:18 113:10 146:13 184:16 186:4 205:20 216:13 252:11 252:11 percentage 61:1,10 perfectly 76:10 perforate 111:25 119:7 perforation 147:22 perforations 119:11 207:3 perform 37:16 213:7 228:15 280:8,9 300:19 performance 125:2 163:4 166:8 182:6 195:11 198:23 284:15 performed 56:4 106:21,23,25 164:19 165:3</p>
--	---	---	--

[performed - place]

<p>284:6,9 287:24 performing 110:9 278:4,13 performs 278:9 period 13:22 19:21 41:1 124:9 186:1 188:14 203:11 212:7 278:15 294:11 periods 131:15 135:4 277:21 permeabilities 200:11 228:20 permeability 113:12,14,15 113:18,21 196:13 197:3,5 197:8 198:7 200:17 201:24 228:22 229:9 230:11,22 233:4,6 297:17 permian 42:11 43:24 44:1 50:14 54:2,9 54:18 64:23 124:23 126:24 173:22 175:4 180:2,13,20 239:7,12,16 240:6,9 241:8 248:1 251:11 251:22 254:4 260:3,25 261:9</p>	<p>263:8,22 267:18,20 273:11 274:21 276:13 281:1 292:5 293:17 296:13 permission 68:23 222:2 permit 58:8 61:25 62:3 70:6 205:2,4,8 295:18 305:13 permits 37:6 218:4 226:1 284:14 312:4 permitted 282:23 permitting 40:19 49:19 50:1 63:20 65:5 perpendicular 149:6 156:12 person 6:22 28:13,15 118:5 121:15 219:19 perspective 25:10 58:9,13 58:16 59:8 234:21 274:1 286:22,23,24 perspectives 274:2 perturbation 241:13 293:6</p>	<p>pessimistic 152:24 petra 89:10 petroleum 40:23 66:12 125:25 179:14 180:12 petrophysics 112:23 ph 25:20 29:10 36:2,3,5 38:5 256:7,10 308:9 phillip 36:3 phone 29:11 photoelectric 153:17 physically 211:23 pick 196:10 244:11 307:1 picked 301:8 picks 37:15 piece 273:17 311:13 pieces 7:23 18:19 61:22 277:19 pilot 28:19 31:12,19,19 32:14 33:20 34:14 38:25 39:2 42:16,25 43:1,5 44:15 47:9 48:14,19 52:13 53:8,21</p>	<p>55:6,10 57:24 58:4,12,23 61:19 90:7,17 93:5 156:15 157:4 169:24 170:14 172:13 181:4,12 185:9 187:9 194:12 199:14 213:8 230:18,18 231:2 232:23 239:1,13 251:2 270:14 272:23 273:5 276:9,16 276:16,19 280:5 286:7 311:16 312:11 pilots 61:21 239:15 242:2 268:15 279:10 286:20 pinch 97:9,14 101:4 pink 129:18 144:17 147:18 pinkish 86:1 240:20 pinon 23:7 114:23 pipe 216:1 pit 233:16 place 12:12 13:1 101:4 111:25 116:19 126:18 137:18</p>
---	---	---	--

[place - positioning]

<p>141:21 153:25 206:12 217:6 284:21 places 64:21 276:14 placing 87:3 plan 23:24 33:1 48:19 58:19 63:21 76:15 118:16 119:3 120:5,7 206:12 258:9 273:22 279:11 312:6 planes 264:16 planned 305:8 305:9 planning 39:17 70:25 76:12 82:18 124:12 124:20 125:8 plans 114:4 169:15 305:10 plate 54:3 plc 204:20 please 5:17 8:11 10:3 38:14 39:7 62:21 63:11 123:13,14,25 165:22 167:3 178:11,22 237:4 plot 113:19 132:15 137:9 137:22,25</p>	<p>138:3,7 139:19 139:23 141:13 141:15 146:3 165:25 177:5,7 177:14 183:14 186:1 188:2,15 196:6 201:7 202:25 224:22 244:15,21 249:2,6,22,25 251:8 253:14 259:18 261:24 265:16,22 266:10,12,21 plots 135:21 137:24 162:19 188:2 212:14 244:3,23 plotted 89:10 142:3 249:6 plt 148:10 plu 147:18 plug 76:15 82:17 108:15 207:3 249:18 plugged 69:12 108:7,11 plugging 69:15 108:12 271:23 pods 267:12 point 14:4 16:17,21 17:5 23:1 24:14 89:4,5 103:5 105:24 110:3</p>	<p>112:11 113:5 134:3 137:5 146:11 147:22 147:23 148:10 189:3 190:2,13 190:25 191:8 191:25 192:13 192:20,21 197:21 198:9 199:9 205:1,2 205:5,9 207:10 221:7 228:17 249:3 277:17 294:21 295:3 295:13,15 306:2 310:11 314:25 pointed 194:19 226:19 pointing 12:3 227:5 points 146:8 184:5 pole 161:14 poly 296:10 polygon 144:18 248:19 polygons 129:18 pool 10:21 11:11 14:17 289:10 pooling 10:18 11:11,15 14:21 15:6</p>	<p>pop 5:14 porosities 202:22 231:14 231:23 porosity 82:20 83:4,22 84:11 85:24 86:3,8 86:17,20,23,25 87:21 88:9,16 88:20,20,22,25 90:4 113:9,18 196:13 200:15 231:20 274:7 280:22 297:10 297:14,16 portal 27:2 portion 44:6,25 77:13 84:21 103:19 109:10 109:11 152:12 184:2 188:5,19 304:23 305:5 portions 25:18 183:20 294:10 309:7 posed 280:20 poses 54:4 position 14:8 14:23 23:12 24:2 44:2 53:25 110:10 233:24 300:10 311:1 positioning 25:9</p>
---	---	--	---

[positive - presented]

<p>positive 48:13 48:23 49:2 177:17 204:16</p> <p>possibility 104:15 105:4 173:17</p> <p>possible 105:15 119:14,15 146:25 149:15 175:21 207:1 215:25 227:25 232:16,23</p> <p>posted 262:5</p> <p>potential 32:21 47:3 49:14 50:10 51:9 53:3 54:14 56:4,7,16 73:20 75:7 94:14 98:21 100:9,11 101:10 104:22 108:8 117:20 128:19 130:12 130:19 144:7 147:25,25 148:6,22 149:11 150:15 150:20 151:5 151:13 154:8 160:17 161:9 167:25 172:11 181:17,20 182:6 184:13 184:18 185:9</p>	<p>187:2 228:19 231:19 232:15 232:19 234:4 236:10 266:12 270:5,6,9,23 271:12,15 273:14 275:8 281:15 285:9 285:23 308:15 308:16,20</p> <p>potentially 8:6 14:20 23:4 25:14 49:16 51:11 55:25 56:17,19 109:23 127:2 151:15 152:6 154:1 156:10 171:12 172:8 173:3 186:11 225:1 268:4 271:17,23 275:16 299:16</p> <p>pounds 192:15</p> <p>pour 207:4 298:7</p> <p>powell 36:2</p> <p>powerpoint 30:21</p> <p>ppg 192:19</p> <p>practical 45:9</p> <p>practicalities 122:4</p> <p>practically 133:10</p>	<p>practice 20:10 29:23 109:8 211:20</p> <p>practices 240:8</p> <p>pragmatic 272:8 302:19 304:13</p> <p>pre 33:11 35:12 36:17,22 68:8 68:10,21 277:12 285:4</p> <p>precedent 132:21</p> <p>predict 168:20</p> <p>predictable 131:12</p> <p>predicted 134:15 203:3</p> <p>predictions 168:15</p> <p>predominantly 252:16</p> <p>preference 295:3</p> <p>preferentially 149:7</p> <p>preferred 96:19</p> <p>preliminary 98:7,9</p> <p>prelude 83:9</p> <p>premise 251:19 296:3</p> <p>preparations 37:19</p>	<p>prepare 73:2 84:3 281:11</p> <p>prepared 22:20 25:12 30:6 82:20 93:22 95:25 126:11 130:20 157:16 209:11 279:13 287:2 317:3</p> <p>preponderance 246:18</p> <p>prescribe 17:2</p> <p>presence 43:21 80:16 96:9 117:14 168:9</p> <p>present 6:18,20 6:22 27:17 28:19 29:12 31:3 36:1 42:9 79:2 80:19 82:3 126:7 204:3 229:4,7 288:15 307:11 312:1,3</p> <p>presentation 25:5 29:17 31:17 33:16 36:6,11 122:8 158:15 164:19 164:22,24 288:12,18</p> <p>presented 27:13 33:1 48:19 59:12 216:20 218:13</p>
--	--	---	---

[presented - proceed]

<p>230:3 235:9,16 presenting 5:17 6:1 302:17 314:16 315:1 preserve 18:17 preserved 250:22 pressure 69:20 70:6,9 72:6,22 72:25 80:10 94:3 100:5 104:24 110:24 112:9 134:13 146:17,20,23 147:19 155:5 160:9 176:20 176:20 188:15 188:18,21,24 189:4,7,8,11,15 189:16,21,23 190:3 191:2,8 191:10 192:4 192:11,15 193:9,13,14,23 194:2 196:2,4 197:23 198:16 199:2,5,7,9 200:5 201:5,7 201:8,13 202:2 202:17 203:9 203:17,19 204:17 205:1,8 205:20,20 206:6,7 208:17 213:24 214:1</p>	<p>215:22 216:4 216:14 218:6 221:13 226:3 226:21 227:7 228:12 230:14 232:1,4 233:1 233:15 235:1,1 235:3,4,5 241:12,15,17 252:20 256:8 256:10 258:12 262:7 265:6 268:3 274:19 274:22,24 275:20 277:19 278:5 284:15 294:12,13,14 294:14,17 305:19,21,24 305:25 pressure's 278:5 pressures 94:7 146:19 182:9 195:20 204:21 206:6,7 208:14 208:14 215:17 216:7 228:14 229:7 232:22 234:18 271:20 271:21 pretty 89:5 131:22 237:23 259:12 281:7 296:11 297:20</p>	<p>prevent 32:13 82:11 108:8 152:3 prevented 214:5 prevention 35:14 208:7 prevents 17:9 previous 23:25 97:2 130:1 141:2 142:8 147:6 156:1 201:25 203:15 229:3 248:11 253:5 285:17 previously 13:17 39:21,24 64:4,23 125:17 153:11 155:3 183:4 primarily 32:7 35:13 63:22 83:21 162:7 179:19 180:13 primary 24:11 27:12 39:16 63:19,19 92:1 119:16 180:5 183:19 217:11 prime 85:4,11 85:13 87:6 89:3 116:1 275:3 prior 7:16 20:2 35:23 89:8</p>	<p>132:15 134:22 145:11,13 223:13 316:5 priority 114:16 114:19,21 273:18,21 private 310:25 probability 113:10 probably 14:8 43:25 58:7 105:4 113:1 117:6 174:24 226:16 240:3 250:6,6 252:10 257:3 259:8 290:14 297:18 302:20 303:11 303:16 312:2 problem 15:5 106:1 109:18 295:11 problematic 23:25 problems 99:13 99:20 procced 108:7 procedural 10:15 19:20 procedure 274:4 284:3 procedures 37:5,7 proceed 10:21 63:7 279:5</p>
---	---	--	--

[proceeding - profiles]

<p>proceeding 13:5 19:24 317:4</p> <p>proceedings 16:18,19 22:12 316:3,5,6,9 317:6</p> <p>process 50:2 84:8 91:6 103:7 117:1,2 185:2 204:11 213:25 296:7 296:10 298:7 305:17 309:2</p> <p>processes 205:7</p> <p>processing 57:4 204:14 297:20</p> <p>produce 42:10 156:3 183:12 217:9</p> <p>produced 32:9 42:12,14 46:25 50:14,17,20,21 50:23 51:2 54:1,2,7 55:21 59:16 76:13 82:11 102:22 102:24 103:1 104:6 131:9 146:13 180:14 180:17,17 186:18 239:10 251:22 275:6 286:3,25 295:11 302:14</p>	<p>303:18</p> <p>producer 138:25 139:21 142:2 148:11 150:18 167:17 167:22 170:12 176:4,18 177:11,15 184:7,15 196:3 210:4 251:6 270:19,22 308:16</p> <p>producers 52:24 53:3,4,9 92:7 128:4 130:11,16 131:7,8 132:3 143:14 144:10 145:5,10 147:10,12 152:3 157:12 170:10 176:17 176:22 182:25 183:5 185:10 208:8 211:10 270:25 275:19 278:13 307:23 308:1 309:19</p> <p>produces 45:5 50:19</p> <p>producing 96:24 127:14 128:9,15 132:2 133:20,25 136:15 151:15</p>	<p>158:12,17 170:20 185:3 210:4</p> <p>production 2:11 21:3 32:15 41:7 49:15 51:3 56:5,7,8,11,12 56:15,16 61:2 61:3 92:24 93:15 95:22 124:15,24 127:18,18 128:17 130:22 130:25 131:11 131:15,20 132:1,13,17 134:1 135:21 136:14,15,16 136:25 137:11 137:12,19,20 138:1,2,14 139:16,20 140:5,10,14,23 141:13,15,24 142:9 143:14 144:14 145:25 146:3 147:19 147:20 150:10 150:14,22 152:6,6 157:8 158:21 160:23 162:1,21,25 163:4,7,11,13 165:23 166:7</p>	<p>175:7 177:3,5 177:8,21 180:1 183:15,16,18 183:19,24,25 184:5,11,20 185:10,12 187:3,3 198:12 204:19 208:11 240:14,23,24 241:14 245:24 245:25 246:1 247:10 251:4 251:13,25 252:1,5 270:5 270:21 271:2 275:21 276:2,6 277:20 281:12 281:16 285:21 285:22 298:15 303:11 304:9 309:1,21</p> <p>productions 187:10 218:10 301:23</p> <p>productive 56:19 297:25</p> <p>productivity 91:9 95:18 223:17</p> <p>products 126:17</p> <p>professional 65:3</p> <p>profiles 200:9 271:3</p>
--	---	--	--

[profit - provided]

<p>profit 74:23 program 42:17 48:15,20 64:25 70:17 73:25 74:15,16 75:4 103:7,11 114:4 170:15 180:15 198:17,18 230:18 251:2 264:23 273:5 274:19 275:6,9 276:9 280:5 284:21 286:7 286:20 296:9 298:12 300:25 302:17 305:15 306:22,25 309:7 programming 89:14 programs 34:11 124:18 progress 272:1 300:7 progressed 244:12 project 28:19 29:18 31:12,19 31:19 32:2,14 33:4,5,9,11,20 34:14 38:25 39:2 42:25 43:1,5 52:13 52:17 53:21 55:6,10 58:4</p>	<p>66:5 93:6 110:1 111:9 124:18 125:3 126:8 156:15 157:4 181:4,13 185:9 194:12 199:14 231:3 239:9 272:24 276:16,17,19 projected 84:23 187:12 projecting 186:10 projection 35:14 80:6 85:6 148:9 projects 47:9 53:8 55:15 59:20 65:17 90:23 124:19 125:4 157:5 179:20 239:1,5 314:1 proliferation 293:15 prompted 175:1 promptly 315:8 prone 257:4 258:5,6 260:25 261:23 264:21 propagating 154:15 161:11 proper 56:2 234:5</p>	<p>properly 213:19 233:19 234:13 properties 253:12 288:3 proportion 60:19 proposal 74:24 120:3 212:6 233:20 311:21 proposals 48:8 propose 9:4 26:7 223:8 proposed 24:21 24:22 37:5,21 47:5 60:4 61:22 69:8,20 70:16 73:17 74:14 83:13 93:16 208:5 210:23 213:8 243:15 245:19 246:8 247:9 277:11 280:1 282:10 283:15 287:25 288:21 306:22 proposing 31:13,20 33:21 34:10 71:5 73:25 74:11 79:18 111:21 131:6 230:4 233:14 284:2 305:17</p>	<p>protect 37:8 282:1 protected 60:6 protecting 79:16 protection 36:21 52:23 protective 32:24 79:12 protests 59:5 protocol 33:22 77:6,8 242:15 242:20 247:3 269:15 274:21 283:20 protocols 242:22 268:13 proud 251:5 prove 170:9 provide 14:12 18:20 40:7 48:25 51:14 59:22 61:20 64:8 70:16,21 72:7 78:18 94:11,11 167:18 208:11 210:6 271:6 280:8 286:21 310:13,22 311:4,4 provided 9:5 50:1 54:12 67:10 102:20 257:13 301:23</p>
---	--	---	---

[provided - question]

<p>303:9 311:10 provider 311:3 provides 268:15 providing 168:2 279:2 280:2 proximal 43:13 128:25 276:7 291:4 proximity 142:21 155:19 156:4 163:16 prudent 35:23 psi 70:8,10 72:19,24 73:1 134:20 146:20 146:21 155:4 191:8,11,12,13 192:5,16,20,24 193:10,17,22 193:24 194:6 202:6,9 203:13 203:15,21 215:8,9,19 216:8 220:22 221:7 222:4,4 256:8,10 265:7 265:9 293:9 psid 205:1 psis 215:22 public 5:12 94:21 254:11 279:3 311:1 316:21</p>	<p>publication 257:8 publicized 284:19 publicly 48:25 94:18 195:19 227:1 264:23 306:23 310:22 published 260:5 293:8 pull 207:15 227:2 259:11 259:19 310:20 pulled 115:1 206:3 249:23 251:15 pump 188:17 188:18,20 189:2,21 191:4 191:4,7 309:17 pumped 188:13 188:15 195:1 212:6 pumping 189:12 309:15 pumps 204:16 204:16,16 pun 252:20 purple 88:21 128:2 129:18 140:11 141:9,9 142:3 purpose 42:8,9 66:22 77:21 83:6,8 110:11</p>	<p>239:3 245:3 247:6 273:25 306:17 purposes 22:3 77:18 181:9 218:9 pursuant 11:14 13:19 push 299:11 pushed 302:22 pushing 204:17 put 18:3,14,15 27:1 29:17 30:6 59:19 119:8 151:18 169:21 204:25 213:17 218:9 219:12 225:24 233:20 246:19 252:19 279:10 283:8 303:6 306:25 310:9 312:13 puts 220:22 270:2,6 putting 103:7 312:12</p>	<p>qualified 316:7 quality 203:17 206:22 209:7 213:24 274:8 276:6 299:19 quarry 114:4 quarter 44:9 quarterly 221:2 270:21 310:15 question 27:11 27:15 58:3 60:3 61:21 74:1 81:21 90:17,18 96:12 97:7 105:7 109:16 113:11 116:16,24 120:11,24 121:19 158:10 161:17 162:23 163:2 164:25 169:24 182:5 187:7 190:5 194:16 197:4 209:21 210:12 210:16 211:16 219:19 220:4 222:22 223:1 225:9 227:24 229:3 232:11 233:3 234:16 247:22 260:18 267:16 280:20 280:23 288:8</p>
		q	
		<p>quad 274:5 quake 289:20 quakes 259:4 266:19 311:5 qualifications 41:10</p>	

[question - rates]

301:1,17,20 307:21 311:13 312:19 313:4 313:20 questioning 236:16 questions 9:22 12:17 16:23 17:11 26:10,11 26:12 34:19 50:15 53:19 54:21,22 55:2 57:9,10,12,14 57:16,17,20 60:11,13,17 61:19 62:12 78:23 92:2 102:14,16 103:10 106:3,6 106:17 107:16 107:18 116:18 118:22 119:22 122:8,9 158:6 159:10,11,12 159:16 169:6,9 174:7,8 175:17 175:21,22 177:24 178:4 209:25 212:17 212:19,21,24 216:17 219:2 219:25 231:1 236:18 237:6 237:12 274:15 279:18 281:3,8	284:5 286:15 287:15,17,18 290:5,8 300:1 301:10,13,15 303:12 306:10 307:22 314:19 quick 57:22 69:22 105:7 106:13 119:21 175:24 237:23 282:16 quicker 234:18 quickly 29:8 57:1 68:24 95:1 quite 35:10,22 80:15 81:12 219:1 223:23 236:5,10 244:20 293:16 r r 2:1 5:1 8:1,4 21:17 152:18 r21575 15:9 r2swd 198:1 radial 197:14 197:14 201:18 201:19 228:8 230:4 232:5 radius 93:20 94:23 99:4 182:7,25 183:6 196:14 198:6 200:14 201:5 201:16 202:12	202:12,20 208:17 210:24 211:4,7,13 242:7 radiuses 242:17 railroad 40:2 raise 38:15 62:22 123:14 178:11 raised 32:1 rake 255:20 ran 134:13 227:21 ranch 190:7 ranchy 105:14 range 189:12 194:2 200:21 215:5 223:24 224:4 230:8 234:10 262:24 rankin 2:11 3:4 9:20,21 10:1 10:12 14:5,14 15:3 16:1 17:16 18:2 19:19 21:25 22:1,3,8 23:14 25:11 rapidly 212:12 rate 37:17 69:20 70:1,4 72:14,17 132:1 132:7,11 133:18,20	136:1,2,2,24,25 137:2,3,12,12 137:20 138:2,5 138:14 139:20 139:20,21,24 140:4 141:18 141:19 142:5 162:1 165:23 171:25 184:8 184:17 186:5,7 186:9,10 188:17 189:21 195:8,22,24 196:1,2 197:2 197:7,9 198:11 198:15,20 203:19 206:5 213:1,9,20 215:2 223:9,9 223:21 224:5,9 225:6,17 226:17,17,21 227:21 228:14 228:15,24 231:11 232:7 232:10,21 233:2 278:2,11 283:22 284:1 285:1 rates 32:18 52:14 72:6 100:12 168:6 171:17 172:3 195:20 202:23 203:3,16
---	---	---	---

[rates - recollection]

<p>204:22,24 212:11 215:11 218:3,4,8,12 224:2 226:22 227:8 229:6 232:13,25 235:5 271:22 rather 35:23 46:12 68:24 104:17 141:18 235:17 rating 313:8 ratio 131:19 132:9,12,18 133:19 177:4,8 ratios 132:2 rattled 207:21 raw 41:4 310:14 ray 77:15 153:12 274:6 reach 8:23 9:3 83:24 135:6 168:1 187:5 189:3 207:13 268:23 308:6 reached 143:6 143:15 144:22 146:9 187:6,21 191:1,4 199:21 201:21 207:24 308:12 reaching 249:12</p>	<p>react 182:9 reacting 230:21 reaction 90:14 reactive 249:19 read 6:13 15:4 19:9 73:9 213:23 254:23 283:6 313:6 reading 128:16 readings 228:13 reads 308:17 ready 30:1 38:13 123:3 216:21 real 205:15 206:2,2,11 209:4,5 233:2 reality 228:4 236:6 realized 202:9 really 28:7 37:12 55:16 57:1 66:23 77:18 82:3,16 83:8 86:18 87:1 89:6 91:19 95:1 96:10,25 98:2 99:18,22,23 101:12,24 103:24 104:19 105:22 110:12 114:6,13 116:25 117:16</p>	<p>118:11,18 119:10 127:11 132:16 133:2 137:23 141:25 142:23 144:6 155:16 169:25 180:15 184:12 194:9 197:9,21 200:3 213:21 215:9 218:13 221:12 225:21 226:25 228:4 229:11,13,23 230:13,22 231:6,9 232:11 233:2,6,23,25 235:2,4,9,22,24 236:7 244:11 247:2 276:5 284:1 293:21 312:22 reason 49:4 59:2 77:10 108:13 112:3 119:16 188:21 190:10 195:18 205:5 211:17 211:21,22 212:1 215:5,14 228:9 230:17 244:16 248:16 286:6 302:9 309:15,24 reasons 32:7 60:17 135:15</p>	<p>211:9 213:13 276:3 301:7 rebuttal 122:17 178:5 314:23 recall 16:25 74:10,19 108:10 167:7 177:23 191:9 210:8 211:13 214:22 217:14 225:6,7 228:22 234:9 237:1 314:22 received 33:3,9 48:13 59:1 receiving 154:10 recent 23:6 186:15 259:19 recently 261:5 294:23 311:24 recess 26:24 recognize 42:11 59:10,14 59:15 206:25 267:20 272:4 295:14,18 recognized 42:2 66:15 238:17 recognizing 296:20 recollection 74:21</p>
--	---	--	---

[recommend - regulators]

<p>recommend 260:10 298:19</p> <p>recommendat... 288:5 313:7</p> <p>recommendat... 24:24 37:4,11 49:12 287:23</p> <p>recommending 79:21</p> <p>reconfigure 26:24</p> <p>reconsider 8:3 12:1,7 13:7,12</p> <p>reconsideration 15:4</p> <p>reconvene 27:3 237:17</p> <p>record 7:4,12 18:17 19:15 25:20 27:5 39:8 40:5 63:12 87:4 122:25 125:22 178:23 238:7 316:9 317:5</p> <p>recorded 316:6</p> <p>recording 123:2 297:25 316:8 317:4</p> <p>records 9:17</p> <p>recover 158:23</p> <p>recoverable 187:14</p> <p>recovered 184:19</p>	<p>recovers 136:17 137:13</p> <p>recovery 179:21 183:19 217:24</p> <p>rectangles 135:12,13</p> <p>rectangular 236:7</p> <p>recycle 50:24</p> <p>recycled 50:16</p> <p>recycles 50:21</p> <p>recycling 50:17</p> <p>red 85:15,16,17 85:25 128:2 130:8 134:4 136:1 139:20 142:3 148:16 151:4,4 192:1 192:14 242:7 242:16,18 246:13 248:16 253:13 256:22 260:14</p> <p>reddish 240:20 246:25</p> <p>redirect 314:19</p> <p>redirects 312:23</p> <p>reds 242:12,12</p> <p>reduce 48:1 73:20</p> <p>reduced 77:25 316:7</p>	<p>reduces 45:15 262:8</p> <p>reducing 236:4 294:17</p> <p>reduction 50:14 244:13 271:20,21,21</p> <p>reductions 252:13</p> <p>redundant 21:16 24:8,12 24:14,18,20</p> <p>reevaluation 138:18</p> <p>reeves 244:16 260:15,16 261:16 262:15 263:4 265:25 266:7</p> <p>reexamination 37:13</p> <p>refer 30:17 136:18 137:1</p> <p>reference 23:17 23:18,20 239:21 246:24 259:13 260:8</p> <p>referenced 14:5 25:22 126:16 246:5</p> <p>references 30:8 159:22 260:9</p> <p>referencing 244:7</p>	<p>referred 26:6 174:11 189:15 240:16</p> <p>referring 30:11 131:23 136:22 158:11 188:10 192:25 240:23</p> <p>reflect 6:21 7:4 7:12 19:15 228:4 230:8 267:25</p> <p>reflected 228:20 229:8</p> <p>reflecting 200:10</p> <p>reflective 230:24</p> <p>reflects 204:6</p> <p>regard 124:7 148:15 151:20 153:20 187:1,8 187:15 235:3</p> <p>regarding 8:20 35:4,17 37:3,5 69:18 73:3 84:10 91:8 120:12 126:17 130:1 146:12</p> <p>regards 300:15</p> <p>regressed 244:11</p> <p>regular 189:5 312:7</p> <p>regulators 39:19 269:25</p>
---	---	---	---

[rehearing - represents]

<p>rehearing 8:1 10:24 12:5 13:17,21 reinforce 80:17 reinjection 125:5 reiterate 19:1 250:13 286:18 rejected 241:18 relate 35:13 180:17 269:14 related 14:11 180:16 204:4 221:4 288:18 301:10 303:10 303:12 316:11 317:7 relates 244:22 251:2 252:2 267:22 relating 297:21 relation 114:1 114:24 147:10 245:19 256:11 relationship 113:18,19 165:9 171:4,7 253:11,11 266:20 267:11 267:18 relationships 171:14 relative 84:21 149:3 234:10 251:25 259:14</p>	<p>316:13 317:10 relatively 6:6 122:23,23 132:10 194:15 197:13 203:21 213:16 288:20 289:2 relax 189:10 relaxation 189:8 relaying 204:5 relevant 157:12 247:21 281:24 relying 114:24 remained 25:19 remaining 181:17,20 184:13,19 185:6,15 186:12,21 187:13 236:22 238:2 remand 23:4 remanding 22:23 remarks 36:13 38:3 remedial 271:18 remember 99:11 108:4 206:17,18 215:24 238:22 remind 211:4</p>	<p>remiss 259:23 remove 207:18 295:17 removed 59:6 205:13 207:17 209:8 rendered 287:9 reoccurred 265:18 repeatedly 11:3 rephrase 154:14 162:23 164:25 177:12 report 26:13 44:9 214:14 215:2 226:25 270:9 277:22 278:11 311:18 312:14 reported 1:21 128:20 195:19 286:10 reporter 8:12 29:25 38:12,14 62:19,21 123:12,14 178:9,11 206:14 reporting 246:23 249:9 254:11 282:4 283:20 310:1 311:19 reports 36:18 243:24</p>	<p>represent 128:3,10 129:6 129:19,23 130:3,15 132:7 132:8 138:17 139:11 143:25 148:5 149:2 150:17 151:1 162:6,13 195:16 224:13 229:21 236:9 242:3,6,17 representation 172:3 188:3 253:4 256:16 256:17 representative 130:23 152:23 250:7 251:10 255:18 represented 129:10 131:2 132:5 185:25 202:24 235:9 243:19 representing 140:12 141:6,8 141:10 144:18 242:18 represents 127:10 128:8 129:7,13,15 130:8 133:17 134:5 135:13 136:1,9,12</p>
---	--	--	---

[represents - resulting]

<p>138:18 139:7 147:23 149:25 150:7 152:17 160:6 167:8 177:18 183:23 190:20 197:17 197:18 201:8 201:17 202:5 203:13 241:23 request 8:2 19:21 20:5 21:1,3,5 22:21 33:22 34:13 75:4 191:9 232:18 238:10 304:5 requested 224:2 232:13 requesting 20:23 26:5 70:2 72:15,19 72:23 221:23 230:18 232:21 require 111:19 176:9 237:10 required 21:17 35:7 68:4 72:12 215:1 313:16 requirement 37:16 269:11 310:21 requirements 69:19</p>	<p>requires 36:24 rerun 230:11 researchers 264:15 reserve 57:11 60:15 105:25 122:17 178:4 181:17 314:22 reserved 149:12 reserves 32:17 67:2 96:13,16 97:24 98:7,17 98:21 105:8 185:15 186:21 236:22 reserving 314:20 reservoir 39:17 47:18 89:25 90:20 124:17 156:23,25 157:1 179:19 180:3,16 182:9 196:11,15,18 196:20 197:17 198:1 199:5,7 199:10 201:1,5 201:8,13 202:10,20 203:9 207:4 208:16,17 216:3 221:4 223:18 228:20 230:25 233:8</p>	<p>234:20 236:11 258:11 262:7 274:8,9 288:3 294:16 305:25 reservoirs 96:9 196:8 259:2 residual 216:25 resistivity 77:15 153:15 274:6 resolution 14:21 19:2 272:4 295:6,16 309:1 resolve 11:18 231:2 resolved 11:24 16:15 26:17 resolving 25:8 resource 41:6 54:17 64:22 94:20 285:9,16 resources 42:19 47:2 respect 106:17 119:23 142:11 185:8 186:20 187:9 195:3 268:5 respond 12:16 16:2 17:1 18:18 19:18,21 219:20 response 15:23 17:5 18:4</p>	<p>48:11 62:4 102:20 155:24 166:14 171:20 176:17,21 177:16,20 241:15 242:4 248:14,24 249:4 250:17 269:15 270:17 responses 250:19 responsibilities 39:14 40:15,18 63:18,19,24 124:8 125:7 responsibility 41:14 65:23 180:19 responsible 5:15 42:20 124:19 125:2 restate 47:12 165:2 187:6 restricted 49:21 149:8 result 52:17 99:20 130:24 131:18 133:25 176:13 207:24 221:16 222:3 268:21 resulted 137:18 186:4 resulting 129:25</p>
--	---	--	---

[results - robust]

<p>results 112:23 169:3 170:17 170:20 226:4 276:23 296:12 299:22 resume 41:10 41:12 64:8 122:24 315:2 return 238:5 reversal 103:10 104:13 reverse 256:3 292:6,14,21 reverted 134:23 review 7:7 10:14,16,17 14:19 15:12 16:2 17:13 19:19 24:1,5 31:24 40:16,16 47:15 52:1 53:4 55:17 56:4,12,15,20 57:2 68:7,17 69:7 71:8,22 95:17 117:1 150:11 215:1 239:7,14,19 252:24,25 253:2,4 258:16 259:22,23 267:19 269:9 271:6,8 281:5 283:1 284:1,15</p>	<p>285:4,12,12,15 301:16 307:3 313:7 reviewed 22:11 22:16 24:22 51:19 56:2 75:2 87:14 269:1 281:9 reviewing 126:10 reviews 239:13 258:14 285:17 revised 11:1 revisions 8:8 30:14,16 revisit 61:24 129:1 175:1 revoke 11:10 12:12 rga 218:13 rich 276:6 279:9 right 10:11 15:11 21:11 23:16 38:15 43:25 44:8 47:6 56:5 57:17 62:15,22 67:14 69:23 71:9,13 72:20 76:11 79:18 80:3,12,25 82:4 84:18 86:4 87:7,18 88:10 91:18</p>	<p>93:20 94:17 96:6 98:8 107:14 110:1 111:8 113:4,24 114:6 115:14 115:20 117:17 120:23 121:16 121:24 122:17 123:14 127:20 129:22 131:24 135:24 139:17 141:16 144:25 147:12 149:5 150:16 153:8,9 153:18 159:22 163:14 166:18 170:20 178:11 183:14 184:5 186:1 188:25 190:23 192:19 193:1,3 194:24 197:16 200:8 202:25 213:2 213:11 217:6 217:10 219:18 221:6 223:10 226:6,14 231:1 234:2 237:19 240:2 244:3 245:12 246:25 247:15,23 253:14,14 261:21 264:22 266:10 268:21 270:11 277:18</p>	<p>289:4,23 291:8 294:7 295:23 298:10 300:10 righthand 30:10,18 44:17 82:25 88:14 113:3 135:7 rights 10:21 32:12 34:12 35:14 36:21 37:9 52:23 157:12 208:8 270:21 ringing 185:5 rings 290:25 rise 34:11 42:13 46:20 252:18 303:19 risk 37:8 50:10 52:20,22 95:22 152:13 239:15 258:9 268:7,11 268:16 289:3 risks 270:9 302:15,21 road 56:1 277:13 roads 75:18 robust 28:20 127:3 140:18 254:2,6 272:7 273:5,13 275:5 275:9 280:3 284:21 286:19 296:15 299:4</p>
--	---	--	---

[robust - samples]

<p>299:22 302:17 310:23,24 rock 164:6 192:7 194:18 203:17 230:21 258:25 259:3 rocks 101:15 rod 161:14 role 124:16 125:8 180:11 180:13 roles 40:25 roll 6:13,16 rolling 185:23 rollup 311:23 room 1:13 5:19 28:2 54:5 269:22 272:16 272:16 root 127:3 142:22 155:18 170:1 rooted 289:21 rosavar 256:7 256:10 rose 264:17 rotate 261:12 rotates 261:1,8 261:11 roughly 45:5,6 45:7 50:18,19 51:1,5 131:21 137:2,16 141:3 146:13 151:8 152:21 162:18</p>	<p>164:2 166:3 193:17 202:6 221:1 240:21 240:24 241:1,4 245:17,21,24 245:25 246:1,3 246:13 248:20 249:10 251:15 251:19,20,22 252:3,8 253:18 256:17,20,21 256:24 257:1 257:19 259:6 260:24 261:1,2 261:3,4,21 264:13,19,20 265:4,8,20,21 266:2,2 292:5 292:12,23 293:4,8 304:24 round 236:16 311:15 route 76:14 routine 220:18 rowena 308:9 rt 226:24 273:9 rt8 235:23 rta 195:21 228:6 299:3 rubin 2:8 17:3 18:6 19:6 20:5 rule 36:23,24 142:24 169:25 216:5 271:8</p>	<p>ruled 271:12 rules 16:25 17:4,8 18:20 211:7 216:10 226:19 ruling 140:15 rulings 13:18 13:19 run 29:7 71:4 94:1 111:3 117:25 119:6 147:20 168:25 170:9 199:3 202:25 273:23 274:11 277:17 300:22 309:14 running 77:16 96:23 275:10 278:7 299:25 300:21 runs 146:4 148:13 rustler 81:17 82:2,5</p> <hr/> <p style="text-align: center;">s</p> <hr/> <p>s 2:1 3:1 4:18 5:1 safe 54:7 209:4 safeguards 35:6 safely 50:8 safety 194:5 216:6,13,15 282:6</p>	<p>sahara 183:15 saint 1:15 salado 83:11,12 131:8 132:3 135:9 138:23 145:2 162:8 173:1 234:11 sales 41:1 salt 99:12 117:14 120:17 121:11 127:13 307:4 salts 99:21 saltwater 35:8 41:21 63:20,21 63:22,25 64:2 65:15,16,20 126:6 129:13 130:5,17 131:5 139:8,24 140:4 140:16 142:21 143:11,16 144:1,8,12 145:7,21 146:7 147:8 151:14 151:19 154:23 155:19 156:22 160:13,16,20 164:4,7 170:8 170:11 267:23 sample 132:2 135:22 162:7 171:13 samples 134:14 134:16,17</p>
---	---	--	---

[samples - see]

<p>171:10 230:23 san 124:10 125:13,15 179:18 266:15 294:3 sand 105:14 sands 83:22 297:11,14,15 297:20 sandstone 297:7 sandstones 113:16 santa 1:16 satisfactory 24:23 satisfy 302:7 saturation 216:25 217:10 286:10 savage 2:9 3:5 10:2,3,5,6,11 12:16,18,19 14:6 15:22,24 18:1,2,4,18 19:17 20:4 saw 6:3 133:23 134:21 142:9 190:25 204:9 227:16 244:13 saying 71:16 77:17 79:22 109:7,22 111:4 112:16 117:23 217:5 224:8</p>	<p>226:16 300:17 302:12 304:17 says 5:14 9:5 83:3 96:8 133:21 136:7 137:17 143:13 206:21 292:10 313:6 scada 120:13 120:20 206:2 206:14 scale 118:13 139:19 223:1 246:12 254:22 255:6 263:3 303:25 scattered 129:19 scenario 205:19 scenarios 154:12 170:12 200:10 scheduled 20:1 scheduling 22:4 schematic 107:24 241:10 scheme 261:25 scherer 25:20 schill 2:9 10:7 scholars 261:9 science 40:9,12 58:7 64:15,17 125:13 179:9</p>	<p>sciences 125:16 scope 55:11,13 90:6 122:2 scrambling 295:15 screen 5:14,19 31:11 43:4 66:18 72:11 screens 81:10 sds 144:2 sdws 73:5 282:2 se 313:8 seal 80:17,18 81:5 181:25 194:8 208:10 sealed 173:24 305:7 search 105:12 227:19 seat 123:22 second 7:3,11 19:14 22:14 23:6,9,23 25:2 25:15 38:3 44:9 79:6 84:23 85:11 91:24 93:24 96:25 133:11 134:4 136:12 189:19 192:2 192:25 200:2 251:6 253:16 254:18 306:10</p>	<p>secondary 183:19 217:11 seconds 205:9 205:21 section 23:15 23:17 85:7,9 85:12,14,25 99:15 106:24 107:1 138:24 139:5,6,9,22 140:1,6 141:3 141:4,5,8 142:15,19 160:12 161:14 163:23 166:3 182:23 195:7 263:21 sections 37:14 61:5,8 85:20 128:1,3 131:6 145:3,18 146:18 162:9 162:20,24 163:8,9 166:13 261:17 sector 64:22 security 5:13 sediments 86:7 see 6:10 10:8 12:10 25:20 26:14 28:15 31:22 38:1 42:13 43:5 50:13 68:10,15 68:16,18 79:17</p>
--	--	--	--

[see - seismicities]

81:16 86:1,5 86:22 88:19 96:1,3,8 97:18 98:20,24 99:18 104:16,25 113:6 114:25 115:21 116:20 117:9,19,25 118:17 121:9 127:25 128:6 128:12 131:17 131:22 132:17 133:19 134:2 136:5,13 137:10,17 138:1 140:13 145:24 146:15 146:23 148:10 153:13 155:24 159:25 161:25 163:20 175:7 176:20 182:22 183:16 184:4,9 184:14 185:24 188:1 189:8,10 189:17 190:22 190:25 191:5 191:22 194:9 194:20,21 195:12,21 196:9 197:22 198:4 199:4 200:2,19 201:6 201:14,22 202:2 203:3,8	208:20 213:18 214:15 215:22 216:6 218:4 222:2 223:7 224:9,14,22,24 225:1,18 226:9 226:25 228:19 229:18 231:21 233:22 234:19 235:2,5 237:6 241:6,10 244:9 244:19,23 245:14,23 246:6,10 248:5 248:22,25 249:11,13,18 250:5 251:12 251:19,24 252:2 253:7,18 254:10,21 255:5,6,8 258:16 259:9 259:16 260:14 261:1,17,20 262:18 263:1,4 263:5,7,8,10,12 263:15,20 264:17 265:4 265:10,19,25 266:5 271:1 278:12 282:16 285:7 286:8 289:24 292:9 292:13 293:25 295:4,23	298:12,15 300:11,22 307:6 308:16 311:19 seeds 275:7 seeing 28:3 39:4 90:3 127:19 130:6 146:20 150:14 152:6 154:9 155:6 156:5 171:9 174:23 175:10 185:13 211:9 228:1,24 230:22 232:16 308:25 309:16 311:21 seek 15:12 37:12 272:3,4 295:6 seeking 10:17 70:7 313:12 seeks 11:9 seemed 97:5 seems 14:16 90:18 250:14 252:1 seen 17:17 101:9 118:13 129:25 130:12 131:12,14 135:14 141:19 142:15,17 144:13 150:10 155:21 158:22	160:8 165:6,7 166:14 171:1,1 171:3,7 176:17 177:16 213:22 215:7 218:6 219:13 220:20 225:12 235:24 240:3 245:20 250:19 251:4 288:5,24 289:20 293:7 293:14 294:23 299:24 311:23 sees 142:4 segue 195:25 seismic 31:25 40:16 99:2,14 99:19 116:23 117:22,24 118:1,8,25 145:18 148:7 151:6 165:15 168:25 176:13 215:1 242:4 248:14 249:19 253:24 254:3,5 261:17,20 262:16 263:16 268:16 279:24 289:12 290:23 291:2,12 293:20 306:22 310:22,25 seismicities 247:11
---	--	--	---

[seismicity - shallow]

<p>seismicity 32:21 39:3,17 41:7 42:7,13 42:14 47:3 57:17 60:15 116:25 118:22 119:1 239:7,11 239:15,16,19 241:3 242:15 242:20,22 244:17 245:4 245:14 247:22 248:3,7,10 249:18 250:5,8 250:16,20,21 252:18 253:5 254:17 256:13 258:8,14 259:23 267:1 267:14,17,22 267:25 268:8 268:11,13 269:7,9 270:6 281:24 288:10 288:19 289:3 292:1 303:20 306:7</p> <p>seismology 40:13 254:20 267:11</p> <p>selection 48:7 282:17</p> <p>send 6:7 172:10 204:13,22 206:25</p>	<p>sending 185:24 229:21</p> <p>senior 180:12</p> <p>sense 206:11 228:17 235:12 307:15</p> <p>sensitive 293:6</p> <p>sensitivities 154:6</p> <p>sent 17:14 203:12 204:15 205:10 207:14 307:7</p> <p>separate 215:6 215:16 226:20 275:11 284:5</p> <p>separation 82:7 118:11,18 161:3 258:21 258:23 305:1</p> <p>separator 57:4</p> <p>sequence 297:12</p> <p>sequences 297:13</p> <p>series 97:17</p> <p>service 45:14 45:16 46:2,5 46:11 47:25 48:1 75:12 215:21 305:24</p> <p>set 7:16 8:7 11:20 12:24 14:1,10,15 16:11,14 17:6</p>	<p>17:7 19:8,10 26:14,24 27:7 36:17 37:6 79:7,8 119:7 141:8,9 200:12 204:25 205:1,2 205:4,4,9 216:15 227:9 262:11 271:5 292:6,11,14,25 293:13 313:21</p> <p>sets 241:10 269:13</p> <p>setting 13:18 14:24 18:10 42:6 124:16 199:1 239:16 279:11</p> <p>settle 207:10</p> <p>settled 16:7 303:3</p> <p>setups 5:21</p> <p>seven 292:4</p> <p>several 29:6 30:4 33:5 46:19 103:22 126:19 131:6 150:3 164:12 181:15 196:7 213:18 252:19 253:21 254:14 255:18 269:22 279:23 294:24</p> <p>severitas 45:18 52:8 60:23</p>	<p>61:5,15,17 67:17 72:4,8 72:15 73:3,12 75:9,12 78:21 79:1 80:6 81:23 84:4 88:8 89:2,6,23 92:15 93:2,20 95:8,9,10,11,13 95:19,23 99:5 119:23 120:12 129:16 153:4,7 173:5 182:5 183:6 190:8,19 191:10,12 195:11,13 199:17,23 208:21,22 214:1 223:5,20 223:24 224:19 225:18 234:4 259:14 290:18 291:5</p> <p>shaded 248:20 248:21 255:5</p> <p>shading 88:21</p> <p>shale 161:3</p> <p>shallow 31:21 32:6,22 45:4 45:25 46:25 49:16,25 53:11 74:11 81:22 191:24 204:7 214:22 225:19 240:12,21</p>
---	--	--	--

[shallow - shut]

<p>241:7 243:8 245:1 246:17 250:14 259:3 259:24 260:3 260:19 261:25 262:3 266:25 267:1,1,24 268:9 272:10 273:7 274:20 282:14 shallower 45:21 132:20 190:11,13 233:14 260:17 266:7 shanor 2:15 8:14 shape 168:20 shapes 236:6 shaping 227:21 share 5:19 33:23 91:4 183:7 193:5 204:2 276:2,4 278:23 310:10 shared 127:17 130:1 140:2 155:14 171:19 181:22 219:14 228:23 272:17 272:19 314:13 shareholder 41:1 sharing 66:18 181:24</p>	<p>sharp 249:13 sheet 44:10 shelf 177:22 shelves 54:10 shmax 145:14 145:23 146:6 148:15,19 149:4,6 151:11 156:6,9,11 167:15 219:8 219:10 256:21 256:24 257:3 264:12,21 shmin 149:4 shoe 188:25 191:23 shoot 188:9 shop 243:25 310:18 short 26:23 77:2 131:18 138:11 187:13 221:1 237:8,17 shorter 212:3 214:11 shortest 213:21 shorthand 71:11 124:7 shortlist 206:2 shortly 129:11 show 34:8 45:20 61:11 71:4 82:10,20 107:24 110:23 113:9,11</p>	<p>126:19 128:23 137:7 140:23 141:21 153:8 163:4 171:5 173:21 201:4 208:15 236:2 241:4 242:21 243:6 244:14 245:1 257:6 268:20,22,24 showed 70:24 97:4 116:18 134:12 143:16 163:7,10 172:20 228:23 261:5 289:23 290:15 291:11 299:5 showing 44:9 69:19 72:11 115:12 116:25 131:10 132:1 133:18 135:8 135:21 138:8 145:3 152:10 152:24 153:5,9 153:23,24 163:5 224:23 229:20 235:1 243:11 244:17 266:21 shown 80:8,21 81:20 84:22 85:7,25 89:5 91:19 97:3</p>	<p>113:8 128:25 129:7,10,12,21 133:5,9,18,19 133:21 136:10 137:21,25 138:6,21 139:5 139:13,19,23 139:25 141:14 142:8 143:13 143:24 144:11 144:16,17,24 146:3 147:6,11 148:5,16,24 149:23 150:23 152:15 153:2 155:15 160:5 162:11,14,15 163:6 165:4 166:10,11,16 167:13,17,24 168:4 172:17 172:24,24 189:9 196:23 212:14 248:12 262:13 shows 44:1,8 44:21 84:20 86:21 88:15 149:5 177:3 184:17 199:20 228:10 251:13 257:11 261:25 shut 143:18 176:22 205:18 205:21 246:23</p>
--	--	--	--

[shut - slide]

<p>250:20 shutoff 211:18 shying 59:13 side 68:13 78:4 78:4 82:25 85:10,13 88:14 113:3 116:20 124:20 127:20 129:15 131:24 132:3 138:21 139:9,17 141:6 141:10,16 146:3 149:23 150:16 152:10 152:25 153:3 162:8,14 166:18 192:19 218:5 224:3,13 228:23 232:14 232:21 233:22 241:11 270:13 295:21 306:15 signature 71:14 316:20 317:18 signed 71:13 significance 85:16 140:13 148:15 152:18 167:12 232:7 significant 44:11 131:22 132:17,18 136:14 141:21 142:4 163:13 258:21</p>	<p>significantly 154:24 signpost 62:6 silurian 24:9 292:19 293:25 similar 45:22 84:4 129:25 142:7 143:8 155:25 159:7 163:4 185:2,22 194:16 203:11 203:20 205:5 213:7 225:17 233:9 255:8 263:2,20 294:8 similarly 121:1 simple 197:13 228:7 231:8 232:5,9 simplest 227:25 simplistic 232:9 257:6 264:24 299:25 300:11 simulated 202:23 simulation 169:2 224:23 298:20 simulations 229:19 single 165:25 177:20 273:17 sinks 241:17</p>	<p>sir 290:11 sit 184:23 204:21 site 204:20 211:23 siting 75:8 sitting 18:13 237:25 312:10 situation 170:2 six 30:23 65:1 128:10,13 137:14 159:22 213:22 sixth 160:3,4 size 202:19 266:12 skills 316:10 317:6 skim 204:13 skin 229:16,18 306:16 skinned 262:21 skins 229:21 skip 33:15 50:15 71:7 290:14 slice 261:19,20 slide 31:11 43:20 78:5,5,6 82:23 83:3,7 83:25 84:15,17 85:5,23 87:8,9 87:12,13 88:4 88:4,6,7,14 91:22 92:2,13</p>	<p>92:14 93:22 97:2 100:10 107:7 127:7,10 127:11,12,22 127:22 129:5 130:21 131:10 133:10 138:16 138:17,18 140:23 141:19 143:4 144:20 144:25 146:10 147:4 148:17 148:24 149:1 149:18,24 151:24 152:13 153:19 155:9 158:9,12 161:25 162:1 177:4 182:18 182:20,21 188:3 190:23 194:4 196:1 210:3,3 211:16 216:19 218:25 220:15 222:10 222:13 239:19 239:19 240:1 241:20,21,21 243:9,10 244:14 245:2,7 245:11,13 247:7,16,18 248:12 250:11 250:24 252:23 252:24 257:7</p>
--	--	---	---

[slide - southern]

<p>259:8 264:9 269:18 272:24 277:9 279:13 291:11,20,21 292:8 293:18 slides 4:22,23 4:24,25 61:11 79:17 84:6 96:11 102:5 147:2 167:1 219:12 231:22 242:23 243:7 246:12 253:5 258:13 259:9 261:18 262:13 264:3,7 268:18 268:19 269:14 288:10 slight 30:15 slightly 82:22 84:6,6,9 89:19 203:20 216:4 255:5 293:13 slip 220:15 257:4 258:6,6 260:25 261:23 264:21 265:6 268:4 293:10 294:22 slow 203:8,21 slowing 278:4 slowly 208:18 slurry 108:23 108:23 154:4 240:17</p>	<p>small 73:14 136:8 141:23 186:9,9 188:13 225:12 242:8 259:12 266:14 smaller 128:7,8 143:25 217:25 223:15 224:1 smart 179:15 307:7 sme 117:4 social 59:2 socialize 232:14 software 89:11 198:19,21 223:15 solada 175:6 sole 77:9 solely 24:15 solid 134:4 207:12,17 209:9 solids 206:21 207:2,10,12,15 207:17 209:8 solution 50:17 97:10 132:8 165:9 solutions 196:8 254:21 255:9 somebody 211:24 238:1 someday 296:24</p>	<p>somewhat 64:25 251:1 275:12 sonar 103:16 sonic 77:15 103:12 274:7 sorry 6:15 21:7 100:20 106:13 115:15 147:19 167:4 175:19 183:23 188:16 191:25 206:16 239:21 262:2 301:18 sort 8:7 9:24 22:6 25:7 53:22 80:17 88:24 90:9 96:1,14 97:5 97:15 98:15 99:23 104:24 109:5 110:21 111:20 117:13 120:2 167:5 174:19 236:21 268:23 276:17 282:12 307:14 307:15,17,18 307:19 308:15 308:16,21,24 309:1,6,8 310:1,3,4,21 311:12,16,18 311:19,22 312:13 313:20</p>	<p>313:22 sound 215:10 sounded 309:10 sounds 25:4 57:2 210:21 232:8 284:20 284:24 sour 124:18 source 73:19 159:2 174:20 243:20,22 sources 32:24 71:20 79:12 241:16 south 1:15 45:4 45:24 145:12 155:22 172:6 183:3 248:18 261:3 southeast 51:4 54:11 63:23 92:9 139:6,25 240:22 241:4 242:4 248:3 251:9,11,18 252:15,16 261:3 264:14 268:9 272:11 276:12 southeastern 41:15 44:5 65:24 242:22 southern 43:11 46:21 64:17</p>
--	---	--	--

[southern - stakeholders]

<p>150:6 179:14 243:22 260:15 260:16,20 261:6,16 262:15 263:2,4 263:21 265:24 266:7 287:1 293:11,14,16</p> <p>southwest 148:13 151:3 160:13 190:9 219:15 248:18</p> <p>space 207:4 233:19 234:2 254:7</p> <p>spaced 234:13</p> <p>spaces 136:10 136:11</p> <p>spacing 141:1 164:5 234:5</p> <p>spacings 163:19</p> <p>spatially 201:11</p> <p>speak 55:25 62:3 158:19,24 181:21 291:5,7 291:17</p> <p>speaker 38:4</p> <p>speakers 115:18</p> <p>speaking 47:17 49:5 173:22 201:25</p>	<p>specific 25:13 44:15,20 57:6 102:21 189:24 197:22 227:13 241:19</p> <p>specifically 8:2 229:5</p> <p>specified 125:17</p> <p>specifying 25:12</p> <p>spectrum 133:2</p> <p>sperling 2:17 2:18 28:8</p> <p>spike 255:20</p> <p>spill 71:2</p> <p>spinner 275:1 278:7 296:24</p> <p>spirit 33:24,25</p> <p>spoke 29:14 81:2</p> <p>spoken 75:7</p> <p>spore 271:4</p> <p>spot 135:25 190:14</p> <p>spring 32:9 61:4 99:2 139:12 140:9 142:12 150:13 151:25 152:2,8 152:10,19,25 153:6,21 154:2 154:13,15,21 154:24 155:8 156:20 157:2</p>	<p>157:13 159:7 168:2 172:21 173:11,12 176:5,8 181:24 240:14 245:24</p> <p>springs 119:24</p> <p>spud 277:12</p> <p>squirrel 43:10 44:24 45:13 52:5 60:24 61:3,15 67:14 67:20,23 68:3 69:2,13,25 70:3,7 71:9 73:10,11 78:23 81:18,25 82:5 82:14 83:4,12 83:18 85:1 87:4 89:22 90:1 92:4,7,21 92:25 94:25 95:3 99:5 100:9 115:8,12 129:13 131:5 153:4,6 173:5 182:5,22 183:9 190:19 191:10 191:12 195:11 195:14 202:14 202:15 208:21 208:24 214:2 222:24 223:7 223:20,24 225:23 234:11 243:3,5 245:19</p>	<p>247:8,13,13 258:15 259:5 285:8 286:9 290:15</p> <p>squirrel's 258:19</p> <p>sra 242:25 243:16 244:8 244:16 246:14 246:16,22 247:4,6,8,9 249:6,7 250:3 250:4 256:19 266:6 290:16 290:24 307:1</p> <p>sras 242:4,24 243:4,6,7 247:3</p> <p>srt 37:17</p> <p>st108 23:20</p> <p>stab 96:12</p> <p>stability 265:12</p> <p>stable 131:11 131:11 132:11 133:19 134:2 163:7 256:5,6 261:13</p> <p>stack 139:14</p> <p>stacked 83:21</p> <p>staff 312:5</p> <p>stage 212:9</p> <p>stakeholder 272:12 310:12</p> <p>stakeholders 33:2 39:18</p>
---	---	--	--

[stakeholders - stick]

<p>296:3,5 stalls 262:5 stamp 68:19 stand 23:1 standard 61:25 62:2 108:16 109:8 209:2 211:20 274:4 274:21 297:20 standards 68:13 78:12 standpoint 90:5 105:4 112:12 151:17 197:9 217:22 218:14 stands 188:6,22 stanford 257:9 star 129:12,15 152:16 195:14 195:14 starred 153:3 stars 129:12 189:9 242:2 243:15 start 30:19 46:12 66:18,19 67:4 74:6 80:2 84:15,16 104:21 126:10 127:6 134:5 154:20 162:14 162:18 216:19 239:18,25 240:10 245:12</p>	<p>277:13 278:3 290:13 300:21 315:8 started 28:23 31:16 41:5 124:10,23 131:21 132:16 146:14 154:4 175:3,7 179:17 238:13 244:10 244:11 starting 73:10 202:6 228:17 239:22 248:5 254:24 277:4 starts 83:2 189:6 192:22 192:23 270:14 270:15 state 1:1 33:14 37:25 38:1 39:7 42:18 43:12,12 44:11 44:12 45:9 47:13 48:18 51:6 53:1 54:9 54:18 58:14 63:11 72:15 73:12 78:21 95:19 108:18 120:13,21 121:5,16 123:25 125:13 125:15 129:16 160:5,10,11</p>	<p>172:5,6 173:1 178:22 183:4 193:7 195:15 197:14 226:11 242:25 243:16 244:8 246:14 248:18 249:7 251:10 252:7 252:22 259:14 272:20 288:19 290:18 291:24 316:22 stated 12:22 55:6 statement 31:3 33:11 35:13 36:18,23 65:21 68:8,11,21 71:12,13,16 73:2 74:4 76:19 285:5,7 286:8 statements 27:12 28:25 126:17 states 25:23 251:7 static 274:1 275:12 stations 253:25 254:3,5,13 255:12 statistically 198:3</p>	<p>status 7:16,17 7:24 8:19 9:1 9:14,24 11:20 12:22,23 14:15 22:4 26:13,21 160:23,25 284:14 300:2 statute 13:20 13:20 statutory 13:23 stayed 179:24 steadier 218:11 steady 197:14 steam 179:20 179:20,21 steep 184:15 stem 93:23,25 94:1,8,10,16,18 94:22 95:2 96:3,18,22 98:3 100:23,24 step 37:17 98:7 98:9 141:21 151:20 188:8 226:17 245:16 278:2 281:10 283:22 284:1 285:1 300:2,5 300:6 303:21 stepped 137:6 147:5 steps 197:1 stick 36:7 138:24 150:6</p>
--	--	--	--

[sticks - stunted]

<p>sticks 139:10 141:6,7,10 143:13 stimulate 156:25 195:10 259:1 stimulated 74:12,24 stimulation 73:24 74:15,16 74:18,20 75:1 75:3 119:3,3 119:18,18 136:19 161:10 176:16,18 271:7,10 283:12 stimulation's 165:19 stipulation 70:17 stone 313:21 stood 48:17 stop 5:24 189:21 238:1 243:25 310:18 stopped 105:24 stops 249:25 259:18 storage 182:8 197:18 199:11 199:25 200:2 202:18 203:6 208:23 209:1 229:12 233:1</p>	<p>234:20,22 store 279:12 straight 184:4 185:25 strand 78:25 strata 34:9 53:13 strategic 301:7 strategies 180:11 strategy 180:14 302:14 stratigraphic 37:14 89:20 90:2 97:3,5,8 101:1,3,11 118:12 stratigraphy 89:19 97:14 263:15 stream 101:13 101:15,16 strength 152:2 181:23 188:7 190:15,21 194:22 stress 111:2 145:16 192:3 192:12 194:1,7 219:3,6,11,14 220:9,10,19,21 220:23,23 221:7,10,12,16 221:18,19 222:3 253:11</p>	<p>255:25 256:5 256:25 257:12 257:15,20,20 260:22,24,25 261:2,6,8 262:8,20 264:1 264:25 265:3 265:11 266:22 267:3,6,10 274:9 288:2,9 289:14,14 292:24 293:4 294:17 stressed 294:22 stretch 220:10 258:4,4 strike 145:23 220:15 256:25 257:17 258:3 strikes 156:8 striking 256:20 string 79:6,8,11 79:15 283:14 strong 134:9 191:3,7 193:5 250:15 266:4 stronger 81:14 129:3 190:17 194:25 struck 304:6 structural 97:16,20 100:25 255:21 263:25</p>	<p>structure 95:24 97:11,13 98:22 107:8 116:19 307:14,20,24 structures 262:18 263:2 struggled 17:18 studied 154:6 studies 32:22 126:15 127:2 129:8 130:24 138:19 139:2 155:14,18 159:22 174:12 248:6 study 82:19 83:16 87:20 91:8 113:21 126:11 128:18 130:20 131:2 132:21 134:11 135:5,17 143:1 144:21,23 146:17,25 148:2 150:8,11 152:1 154:16 155:12 156:1 160:3,24 163:9 175:4 207:25 214:7 260:5 264:11 stumbling 308:18 stunted 298:12</p>
--	--	---	--

[stutter - sure]

<p>stutter 28:14 styled 24:7,17 sub 151:11 153:14 subject 14:18 15:14 22:12 29:16 33:17 41:22 66:8 126:7,13 141:1 156:15 157:4 181:4 194:20 203:22 submissions 215:2 submit 24:25 25:15 67:25 69:1,15 70:11 71:16 222:11 submitted 24:21 33:4,6,8 66:20 67:23 92:18 143:9 223:12,22 238:10 submitting 283:18 subscribed 254:1 subsequent 18:21 20:14 23:19 147:2 159:24 183:8 197:1 257:10 subsequently 11:2 25:17</p>	<p>179:11 subservice 39:15 subset 129:9 223:16 224:1 substance 73:20 83:2 238:18 substantive 143:4 182:18 187:17 substituted 11:5,8 substitution 13:3 subsurface 31:24 47:16 55:24 60:20 73:16 116:5 180:16 255:18 256:1,6 267:2 subtle 136:6 success 107:5 112:16 280:5 296:20 successful 55:10 218:12 272:3 283:22 suction 94:3 sufficiency 100:6 sufficient 184:6 213:1 214:8 suggest 236:24 303:17</p>	<p>suggested 14:6 128:3 175:13 suggesting 74:19 128:16 159:3 171:8 suggestion 297:24 310:4 suggests 155:5 308:21 suite 283:17 suites 198:20 summa 125:14 summarize 17:18 64:13 100:8 155:13 181:11 191:18 summarized 208:21 summarizing 35:5 summary 40:7 125:10 126:12 155:10 158:15 179:6 189:25 191:20 194:4 198:4 207:23 253:1 267:14 279:14 284:15 super 228:2 superior 140:18 164:10 supervision 209:11 287:3 supplement 151:24</p>	<p>support 33:5 37:12,22 45:17 48:14 50:12 52:1 54:18 62:5 168:3 218:20 268:15 269:23 272:6 280:15,15 295:18 299:22 300:14 306:1 311:8 supported 314:1 supporting 33:8 supportive 33:4,11 supports 37:4 134:25 supposed 43:8 164:8 sure 6:1 8:24 9:9 11:22 14:14 33:25 34:7 37:24 53:2 67:21 75:17 76:21 107:11 109:17 109:18 123:1 158:5,14 163:2 165:1,3 177:13 187:22 194:14 206:8,23 235:6 251:5 305:13 312:18</p>
---	--	--	---

[surface - talk]

<p>surface 23:22 31:24 43:16 47:15 60:20 73:16 99:25 176:25 182:12 191:8 193:8,12 194:18 199:2 200:5 202:17 203:23 216:14 226:3 228:12 244:6 245:17 265:23</p> <p>surrounding 198:1</p> <p>surveillance 103:6 114:10 120:5 124:17 134:11,11 164:20 165:4 170:7 171:2 273:17,24 296:9 309:7</p> <p>surveillances 114:15</p> <p>surveys 146:20 146:21 275:2 278:7</p> <p>suspect 8:22 174:22</p> <p>suspected 143:19 175:11</p> <p>suspend 272:5</p> <p>sv 219:10 220:18 222:4</p>	<p>swd 31:19 40:18 41:25 43:13 52:5,8 61:25 63:25 73:12 78:21 87:3 95:19 129:16 143:10 159:1 166:18 166:21 174:13 175:13 182:3 182:22 195:17 204:11,18 208:6,12,15 209:6 213:5 217:23 218:12 218:15 243:15 246:9 259:15 285:20,22 290:19 291:4,5</p> <p>swds 46:6,8,12 46:16,18 65:13 74:11 93:7,16 167:22 168:4 182:10,12 197:10 198:3 204:4,7,8 206:13,24 208:15 209:3,8 214:19 218:9 223:16</p> <p>swear 29:20,24 62:20 123:13 178:10</p> <p>swell 23:22 202:2</p>	<p>switch 91:7,10 106:9</p> <p>sworn 38:18 63:3 123:18 178:15 210:14 238:17,23 316:5</p> <p>synergies 46:4</p> <p>system 30:8,9 33:22 227:16 227:18 290:1,2 307:6</p> <p>systems 203:23 209:6 283:2 296:21 306:12</p> <hr/> <p>t</p> <hr/> <p>t 3:1,1 4:18</p> <p>tab 41:12 64:11 67:8,13,16</p> <p>table 21:20 91:18 184:9 192:1,16 198:4 273:20</p> <p>tables 92:16 231:22</p> <p>tabs 30:23,24</p> <p>tactical 55:14</p> <p>take 15:19 49:7 59:21 69:22 76:19 83:14 88:1 96:12 97:11 100:5 103:25 123:21 146:5,24 151:20 154:17</p>	<p>171:16 189:6 191:14 193:4 193:20 196:2 199:13 202:2,7 221:15 231:12 232:3 234:24 236:17 247:19 248:4 255:7 271:18 275:24 281:10 282:16 298:23 300:2</p> <p>takeaway 142:14</p> <p>takeaways 53:20 92:1 279:14,21</p> <p>taken 17:6 47:14,15 50:25 95:2 138:19 140:8 141:12 153:25 158:23 162:7 201:8 245:8 273:25 316:3,12 317:9</p> <p>takes 214:15 222:1</p> <p>talk 28:23 42:5 44:14 52:21 76:1 78:7 80:1 80:10,14 81:10 86:24 100:4 109:13 113:22 119:2 172:9 195:8 204:12 247:5,20</p>
---	---	---	---

[talk - term]

<p>250:23 252:15 253:15 259:24 264:5 270:15 277:9 281:10 301:11 311:24 talked 12:20 16:4 46:15 50:13 51:8 56:20 58:24,25 60:15 65:2 75:24 78:10 80:16 93:18 97:19 98:13,14 113:25 117:13 181:18 203:18 217:11 252:14 253:5 258:17 262:12 273:6 274:12 275:15 275:22 276:24 279:23 280:7 280:19 283:10 283:11 295:2 309:5,25 talking 30:19 32:20 46:6 65:3 82:9 83:11 102:21 108:22 118:25 135:3 136:22 148:12 191:11 215:11 272:22 288:10,25 tan 84:22 144:17,18</p>	<p>tank 197:18 207:10,16,21 tanks 206:9 targa 2:15 7:25 8:14 target 31:20 87:2 120:18 164:16 173:14 205:6 218:1 targeted 77:23 77:24 103:2 109:24 164:19 165:3 214:24 targeting 77:25 102:23 218:1 targets 78:19 tasks 180:16 taylor 2:20 29:9 81:10 92:10 100:7 178:8,14,24,25 181:11 206:16 216:23 217:1,7 217:13,18,21 218:18,22 219:4,7,11,18 221:9,23 222:6 222:17,21,25 223:5,11 224:12 225:7 225:14 226:6 226:18 227:13 227:23 230:1,6 230:9 231:7,21 232:3,12</p>	<p>233:18 235:7 235:21,23 236:15 237:1,5 273:8 tbd 132:20 153:14,14 team 23:19 29:3,12,13 31:23 52:11 124:16,24,25 150:25 179:25 team's 285:12 teams 204:5 tech 5:8 40:10 40:11 technical 23:19 23:21 24:4 55:17 124:16 124:24 252:24 252:25 253:2,4 technologies 179:16 technology 41:5,6 125:4 296:15,15 tectonics 40:11 40:14 tell 17:20 38:19 55:15,23 63:4 80:4 100:1 101:22 104:6 104:10,15 121:14 123:19 178:16 199:19 238:23 247:15</p>	<p>255:4,9,24 telling 253:10 253:10 tells 199:11 237:7 255:14 255:17,22 256:5 temperature 238:11 temperatures 206:7 temporary 284:2 ten 26:23 124:5 184:3 263:17 263:19 312:16 tend 101:13 208:16 229:14 236:2 tender 41:25 66:11 125:24 181:7 tendered 126:1 tends 231:17 tens 218:1 tensor 254:20 255:9 tenure 180:8 term 61:25 62:3 77:2 131:18 138:11 138:14 180:14 184:7 197:23 302:14</p>
---	--	---	--

[terminating - thank]

<p>terminating 66:12</p> <p>terminology 34:6</p> <p>terms 5:14 28:24 65:5 74:16 83:16 89:8 95:18 105:7 136:20 153:11 183:25 195:22 219:7 227:22 230:22 235:16 283:5</p> <p>territory 311:8</p> <p>test 37:17,17 70:21 76:24 77:5,11,12 82:10 90:13 93:6,25 94:1,1 94:8,9,10,22 96:18,22 97:23 98:3 100:24 106:20 107:3 110:15,21 111:3,20,20 127:13 168:18 169:12 170:3,5 170:12 175:9 187:19,24 188:6,20,22,23 189:5,11,13,18 190:1,5,14,24 191:20 194:13 215:16 221:19 226:17,20</p>	<p>283:22 284:1,2 284:5 285:1 300:19 301:2</p> <p>tested 77:3 214:20</p> <p>testified 38:20 39:21,24 63:5 64:4 123:20 125:19 178:17 180:22 215:18 301:12</p> <p>testifies 29:22</p> <p>testify 29:21,24 36:5 53:15</p> <p>testifying 38:23 316:5</p> <p>testimony 6:1 32:13,19 42:5 42:7,8 55:5 56:21,25 57:9 57:17 58:24 59:11 62:4 66:22 113:25 126:13,14 168:15 169:21 174:10,15 181:14 194:20 203:22 210:22 220:15 224:9 225:13 230:3 238:18 239:3,4 279:15,17,22 303:9 305:6 309:5,8 311:15</p>	<p>testing 77:18 94:8,15 213:7 213:11 283:12</p> <p>tests 57:4 77:3 80:10 93:23 94:16,16,17,19 95:2 96:3 100:23 187:25 188:4 191:21 215:6 275:11 278:2 287:24</p> <p>texas 40:2,10 40:11 43:11,14 44:5 45:5 46:1 51:6,11 64:16 124:22 152:14 152:17 173:1 183:4 190:6,9 195:16 204:7,9 205:14 213:5 214:19,25 218:5 222:20 225:12,19 226:2 227:3,6 229:5,7 230:15 232:16 233:22 243:14,23,24 244:16 252:8 252:22 253:20 259:11 277:8 291:12,15,23 291:25 293:17</p> <p>texnet 243:24 243:24</p>	<p>text 270:11</p> <p>thank 8:10,18 9:11,12 10:11 12:19 14:3 19:5 20:4,12 21:11,12,13 22:8 26:19 27:16 28:5,6 30:2 31:10 34:21,23 36:15 37:22 38:8,21 41:9 42:3 44:14 46:5 54:20 55:2 56:3 57:12 58:3 60:9 62:13,14,17 63:6,8 66:16 70:11 73:21 75:6 78:2 81:12 98:11 102:1,12,16 104:3 105:6 106:11 115:4 119:19 122:1,6 122:7,12,13,20 123:5,21 157:21 159:13 169:6,8 174:4 174:5,8 175:24 177:25 178:18 210:19 211:15 212:16,17 216:17 222:12 227:23 232:13</p>
---	--	---	--

[thank - think]

236:13,15 238:15,19 287:13,21 290:4,5,9 291:10 306:6 306:20 307:10 308:14 314:18 315:9 thankfully 259:9 thanks 97:19 239:18 247:12 252:23 280:18 306:6 that'd 312:3 theoretical 104:13 105:3 theory 88:1 97:23 220:6,16 270:18 thick 86:5 108:23 152:21 152:24 153:7 154:21 173:4,5 297:14 304:25 thicker 89:21 154:24 172:22 194:11 231:12 231:16 thickness 83:21 84:11,12 86:23 89:20 90:2,2,4 90:9 151:25 152:11,21,22 153:1,5 172:20	194:16 196:14 203:18 231:10 231:11 thicknesses 86:6 90:14,20 202:21 thin 79:3 152:25 172:20 262:21 thing 29:19 47:4 59:8 75:6 79:25 80:14 81:24 92:19 197:10 198:9 198:11 236:8 240:5 254:18 289:17 things 5:10 39:19 45:22 51:8 56:23 60:1 65:2 75:18 80:10 101:22 121:18 151:7 198:21 239:6 248:7,8 253:6,6,7,21 256:3 265:13 268:17 270:6 270:21 271:19 271:24 273:18 273:19,21 274:9,13,18 275:7,9 277:24 278:8,22 280:18 285:18	286:5 289:21 290:1 291:22 300:21 303:6 304:3 306:17 309:9,11,14 310:1 think 9:1,2,3 12:10,13 13:25 14:20 17:5,17 18:12 19:1,6 19:24 20:13,23 21:5 23:1,13 24:20,23,24 26:16 30:25 38:13 43:24 46:10,15 49:22 49:24 50:13 52:13,17,20 55:13 58:2,4 58:21 59:7 60:14 61:10,18 62:11 68:21 74:21 75:21 79:22 81:20 84:5 88:5 93:18 98:3 100:14 101:12 103:5 105:2 107:10 108:25 112:4 114:11 119:23 120:5 121:1 122:21 122:22 123:3 161:5,10,16 169:23 174:2	176:10 178:1 190:7 197:15 205:22 207:7 210:15 215:18 216:12 221:9 224:12 225:7 225:18 228:18 229:24 230:10 231:10 233:18 234:3,6,9,15 237:8,11,16 238:17 240:8 248:9 252:12 258:7,9 264:5 265:14 266:11 266:12,14 267:1 269:24 271:13 272:7 273:2,18,21 276:9,15,24 278:17 279:6 279:25 282:8 284:23 285:16 288:1,1,19 289:4,7,18,18 289:25 291:17 292:16 294:3,3 294:4,8 295:25 297:6 299:17 299:18 300:1,6 302:13,18 303:9,21 304:1 304:2,10 307:14,24 310:22 311:11
--	--	--	--

[think - today]

<p>311:16,24 312:9,12 313:24 314:11 314:25 thinking 61:21 256:13 266:25 300:9 314:12 314:15 thinner 89:23 90:3 thins 190:12 third 79:8 87:5 134:12 139:12 140:9 192:18 193:2 thorough 142:24 239:7 267:18 thoroughly 13:16 thought 58:20 101:21 140:2 150:20 196:25 226:15 232:20 263:24 thoughtful 34:1 34:13 thousand 155:4 164:13 218:8 thousands 82:6 218:2 244:24 258:24 273:11 three 19:21 36:1 78:25 79:11 95:2,12</p>	<p>95:20 96:5 105:18 119:24 131:9 135:21 139:14 154:12 162:1 182:25 183:11 186:5 191:20 200:9 234:4 240:20 277:5 309:9 threshold 86:21 90:10 104:24 thresholds 291:6 thrust 292:17 thumb 216:5 tied 200:4 221:1 tight 177:10,14 258:24 till 131:10 251:14 301:23 time 5:6 10:14 11:2 19:4,21 22:7 23:3 26:8 32:3 35:21 37:17 38:9 41:1,24 54:21 57:15 60:11 66:10 82:23 87:14 103:5 105:2 108:21 122:22 127:19 131:9,10,13 132:13,21</p>	<p>133:17 134:22 134:22 139:17 145:22 146:1 146:22 150:13 162:2 165:23 174:13,25 175:8 179:12 182:9 188:14 189:23 196:5 201:1,6 202:3 203:9,11 205:15 206:2,2 206:11 209:4,5 211:22 212:9 213:21 224:1 229:13,15 235:3,9,11,17 238:4 244:5,20 245:6 247:6 248:18 249:1 249:12 250:21 254:7 267:3 271:22 272:5 274:24 275:4 277:17,21 278:9,16,19 286:5,17 287:5 289:15 292:19 294:11 299:1 303:1 308:18 314:16,24 timed 135:25 timeframe 184:3 203:20</p>	<p>timeframes 162:17 timeline 277:10 277:15,25 278:14 timely 30:22 times 162:19 240:3 254:10 271:10 273:3 294:24 timespan 259:21 timing 213:15 235:13 262:23 tip 262:22 title 130:22 titled 243:15 toasty 238:9 today 6:9 18:7 31:14,23 32:14 32:19 33:19 34:17 35:19 36:1 38:5 39:4 42:7,24 51:1 52:12 66:22 71:25 73:22 74:5 75:23 80:9,11 81:11 98:4 100:4 101:9 108:19 118:23 122:3 126:13 157:15 181:13,18,21 189:25 204:7 219:13 224:9</p>
--	--	--	---

[today - tree]

<p>229:20 238:1 240:4 252:15 259:9 261:12 265:17 269:20 270:4 271:9 272:22 273:3 280:1,19 281:11 283:8 286:13 288:16 302:16 303:19 today's 240:9 247:21 together 11:16 27:13,18 29:16 29:17 59:18,25 81:3,13 103:7 103:21 185:24 222:11 233:24 268:6 269:25 270:2,7,8 286:17 293:5 302:22 toilets 207:9 told 95:21 225:10,11 toll 107:3 tom 2:22 29:10 62:18 63:2,13 147:24 181:18 194:19 210:9 297:8,19 tomorrow 288:13 315:2,6 took 10:14 84:9 117:11 132:24</p>	<p>134:10,17 137:18 141:21 148:2 154:3,19 183:22 203:13 231:6 239:6 264:15 280:25 309:8 tool 147:20 top 60:25 81:9 81:22 82:3,4 82:24 135:20 135:20 139:11 182:23,23 190:23 193:9 200:8 201:8,9 202:25 206:17 212:13 234:9 244:6 256:15 275:25 276:3 280:12 305:4 topic 41:8 57:1 210:8 tops 245:15 total 115:13,17 115:18 182:8 199:11 208:23 211:1 233:1 252:1 totally 116:14 touch 66:24 82:13 87:10 110:22 touched 99:10 240:11 284:23</p>	<p>touchstones 282:13 towards 225:23 248:17,18 trace 170:4 275:16 tracer 170:9 300:16,19,24 309:14 tracers 271:14 275:14 300:23 309:14,16,23 track 12:8,9 153:12,13,18 tracking 97:15 tracks 124:20 153:12 233:4 traditional 58:19 118:10 traffic 98:13 traits 131:11 transcriber 317:1 transcript 317:3,5 transcriptionist 316:8 transect 294:25 transects 297:8 transferred 180:2 transform 196:4 235:8 transformation 294:19</p>	<p>transforms 189:22 196:7 transient 195:8 195:23,24 196:1 197:2,7 198:11,20 213:2,9,20 224:5 228:15 228:24 transit 214:10 transitioning 239:2 translate 227:17 transmitted 51:10 transparency 33:24 transparent 278:23 280:3 295:10 transported 51:10 trapped 98:16 trapping 97:21 travel 211:23 traveled 164:20 165:5 travels 201:14 treatment 306:11,14 treatments 278:6 tree 307:15</p>
--	---	--	---

[tremaine - two]

<p>tremaine 2:13 3:7 4:4,6,9,13 8:15,15 21:23 21:23 23:11,13 25:22 26:3,19 27:22,22 34:22 34:23,24 54:24 55:1,4 57:11 102:13,15,18 106:3 157:21 158:4,5,8 159:10 209:22 209:24 210:2 210:14,19,20 212:16 237:14 237:20,22 287:8,16,18,20 290:4</p> <p>tremendous 45:3</p> <p>trend 130:9,16 131:19 165:18 167:16 184:7 185:12,12 248:17 249:11 251:24 252:1 261:17 267:11 277:3</p> <p>trending 261:21</p> <p>trends 148:8 151:2 189:24 245:6 297:10</p> <p>triangle 139:6</p>	<p>triangles 150:17 253:23 253:24</p> <p>trickier 310:25</p> <p>tricks 191:4</p> <p>tried 235:12</p> <p>triggering 311:20</p> <p>triggers 205:16 270:17</p> <p>triple 103:17</p> <p>truck 207:15</p> <p>true 93:2 158:25 231:19 316:9 317:5</p> <p>truncated 152:14</p> <p>trust 121:6</p> <p>truth 38:19,19 38:20 63:4,4,5 123:19,19,20 178:16,16,17 238:23</p> <p>try 36:7 117:19 275:15,18 277:6</p> <p>trying 11:18 16:8 68:20 90:5,19 96:11 99:16,17 115:10 156:25 164:6 197:25 232:6 242:21 253:8 261:10 275:24 300:1</p>	<p>300:25 301:5 302:9</p> <p>tubing 37:17 79:18,21 119:8</p> <p>tune 196:17 252:8</p> <p>tunnel 169:10</p> <p>turn 8:8 38:7 66:21 72:4,10 78:3 82:19,23 83:25 87:8 91:8 92:20 93:22 95:24 127:6 129:5 130:19 135:2 138:16 140:21 143:1 144:20 149:18 153:19 155:9 183:10 187:15 195:2,5 201:3 202:13 202:17 205:23 206:20 224:14 241:20 243:9</p> <p>turned 270:1</p> <p>turning 67:8 88:7 245:7</p> <p>turquoise 88:24</p> <p>twice 38:23</p> <p>two 6:4 12:13 18:4 19:22 23:21 26:21 28:11,19 31:12 31:16,19,20</p>	<p>32:14 34:14 41:19,22 44:15 44:20,21,21 48:5 52:2,25 53:7,8 60:4,16 73:25 79:15,15 79:17 80:11 82:20 84:11 85:21 87:13,15 87:15 89:18 90:6 91:9 92:9 92:16 95:2,11 95:12,12,14,14 95:20 96:5,17 98:21 99:4 100:16 104:1 111:6 113:23 113:24,24 118:16 123:6 126:4,6 134:8 134:12 136:7 136:10,11 137:6,8 139:9 140:19 141:5,6 141:20 142:1 143:11,15,21 143:22,24 144:1,8,11 148:25,25 150:17,18 151:7,14 152:23 156:2 156:15 158:13 163:8 166:12 168:4 173:3</p>
--	---	--	---

[two - understood]

<p>179:23 180:1 181:1,3 182:4 182:24 184:24 194:12 195:1,3 199:14 204:20 207:6 222:11 226:8 229:25 231:5 234:7,12 239:15 240:4 242:1,12 243:15 244:3 251:23 258:5 258:13,14,22 259:6 261:18 264:16 265:2,9 265:11 268:8 269:10,13 273:5 276:16 276:18 277:2,5 283:10 284:13 286:9 287:18 290:1 291:3,8 307:22 309:22 310:3 312:22 313:5 315:8 type 37:14 52:2 110:15 177:16 206:11 214:6 220:15 263:2 types 94:7 170:12 206:1 256:23 typewriting 316:7</p>	<p>typical 35:7 58:18 164:15 171:24 172:3 187:25 188:3 193:16 216:24 218:7 typically 19:25 131:17 188:7 189:1,17 198:3 204:4,6,10,25 213:18 217:23 240:16 typo 222:10</p> <hr/> <p style="text-align: center;">u</p> <hr/> <p>ugs 312:18 uh 115:23 uic 36:3 65:4,7 65:9 66:11 68:14 78:13 305:15 ultimately 231:8,8 unanimously 7:5,14 19:16 unanswered 231:1 uncertain 231:2 uncertainties 280:7 289:1 uncertainty 232:25 233:4 273:7 280:12 288:13 300:12</p>	<p>unclear 22:17 uncontested 21:1,4 unconventional 41:6 54:3 155:16 180:8 240:24 under 21:17 50:6 118:1 130:5 148:20 149:6 156:13 157:16 164:8 200:7,22 203:7 209:11 230:14 230:20 286:2 287:3 underground 32:24 71:20 73:19 79:12 underlying 22:12 128:4 133:4 134:19 142:2,10 144:11,14 163:17 181:4 understand 16:6 31:4 33:10 42:22 49:5 54:15,16 59:25,25 87:21 88:9 112:4 115:7 132:25 153:25 154:16 158:5 163:2 170:1 193:13</p>	<p>197:5 198:3 200:18 220:19 221:6 229:25 230:10,20 231:18 233:8 261:10 268:4 273:14 274:23 275:18 278:8 278:18 300:25 301:1 302:10 302:15,21 understanding 20:17 27:9 34:2 35:20 49:11,13 55:21 56:14 68:6 75:5 77:9 78:14 90:12 126:22 132:16 158:14,25 174:10 248:9 254:6,8 256:4 256:11 257:15 257:22 274:14 274:16,17 275:3 276:11 277:6 278:7 280:6,25 288:2 304:14 310:24 understands 121:23 understood 98:4 220:4 222:6</p>
--	---	--	---

[undertake - velocity]

<p>undertake 87:20</p> <p>undertaken 31:23 32:5,23 51:25 53:4 269:20</p> <p>undertook 83:7 83:16 88:8 94:17 126:13 154:16 239:13 239:14 252:24 268:23</p> <p>unfavorable 149:11 151:18</p> <p>unidentified 38:4</p> <p>uniformity 101:11</p> <p>unintelligible 171:20</p> <p>unique 54:4 261:8 262:11 292:25</p> <p>unit 39:16 120:14,20 121:9</p> <p>unit's 120:17</p> <p>united 251:7</p> <p>units 81:8 86:6 86:15 94:5 97:3,5 101:1,4 118:12 206:3</p> <p>universe 307:24 308:1</p>	<p>university 40:10,13 64:17 125:13,15 179:11,14</p> <p>unknown 32:17 98:21</p> <p>unlock 76:20</p> <p>unopposed 8:7</p> <p>unstable 256:6 256:9 261:15 262:9 288:21</p> <p>update 9:23 11:22 221:24 222:7,9 257:10</p> <p>updates 310:15 312:7,8</p> <p>upgraded 37:18</p> <p>upper 30:9,17 43:23 44:17 80:1,2,4,5,23 84:1 87:18 99:6 103:18 114:1 129:22 181:25,25 187:16 231:10 281:18 297:13 304:23</p> <p>upset 138:1</p> <p>upsets 131:14</p> <p>uptick 248:4</p> <p>usa 27:17 28:10</p> <p>usc 24:18</p> <p>use 5:15 30:8 46:11 47:6</p>	<p>48:3 50:16 57:23 79:18 108:14 111:23 118:3 175:5 195:18 198:17 198:17 222:1 222:15 226:20 230:15 234:20 258:25 275:8 296:23 305:18</p> <p>used 89:11 102:20 112:10 112:22 195:9 195:17 211:6 214:7 223:14 223:25 226:24 227:18 260:9 273:9</p> <p>useful 118:23 196:25</p> <p>usgs 243:21,24 243:25 248:25</p> <p>using 44:17 97:23 106:19 114:1 118:8 136:19,20 198:18 201:15 202:21 227:19 228:14 229:11 235:6 264:22 296:10,12</p> <p>usually 76:25 77:1 108:23,24</p> <p>utility 209:7</p>	<p>utilize 74:25 227:11</p> <p>utilized 24:13 232:1</p> <p>utterly 55:22</p> <hr/> <p style="text-align: center;">v</p> <hr/> <p>valid 116:16 165:9 171:3,7 171:14</p> <p>valley 124:11 179:18</p> <p>value 114:13 117:10 158:24 198:6,7 276:10 299:24 300:11</p> <p>values 198:5 200:15 221:2 264:19</p> <p>valve 206:6</p> <p>variables 275:24</p> <p>variations 89:19 90:2</p> <p>variety 40:25</p> <p>various 39:18 64:21 126:23 241:16 242:22 309:6</p> <p>vary 44:23 203:4 215:9</p> <p>vast 173:23</p> <p>velocity 99:14 99:20,24 117:16</p>
---	--	---	---

[vents - water]

<p>vents 150:21 ventures 126:23 veritas 43:12 224:15 version 310:5 versus 141:18 148:23 162:2 165:23 177:4,8 223:12 245:14 vertical 81:16 81:21 82:7 94:2 115:13,17 115:18 124:13 124:20 132:14 133:5 134:4,4 137:8 140:11 141:15,23 161:2 165:11 165:12 167:18 217:10 220:9 220:23 241:6 264:18 vertically 161:13,18,21 165:6 vested 44:11 273:4 viability 47:9 vicinity 131:4 135:10 149:10 165:20 183:9 218:15 view 12:3 15:17 38:25 42:10,16</p>	<p>49:18,24 55:7 58:4 234:2 286:6 visible 292:7 vision 295:12 visit 205:17 284:16 visualizing 264:25 voice 58:13 volcanic 32:9 volume 69:19 104:24 151:6 154:4,19 212:6 233:13 volumes 32:8 139:18,24 154:18 249:7 250:13,16 284:8,11 293:15</p> <hr/> <p style="text-align: center;">w</p> <hr/> <p>wait 30:18 waited 13:23 waiting 26:15 walk 7:22 30:23 66:23 72:5 78:20 83:14 136:3 183:13 187:24 208:2 220:1 245:11 253:21 270:10 walking 78:24 287:21</p>	<p>want 10:2 28:12 29:2 33:17 37:23 38:2 44:22 50:15 53:21 58:15,15 59:8 60:4 69:22 78:2 80:14 87:2 90:13 93:22 106:10 110:4 112:22 113:5 114:5,22 116:21 117:18 121:8 122:14 127:12 137:7 137:23 138:20 141:17,25 144:6 146:12 149:22 150:4 151:7 154:21 155:2 158:14 170:14 172:7 172:19,21 184:23 207:1 211:15,16 217:3,8,9 218:1 219:16 219:23 221:6 222:5,14 223:6 224:8 226:7 230:18 232:8 232:18 234:19 234:19 247:15 250:13 254:18 259:19 265:13</p>	<p>279:16 281:7 286:18 288:8 295:3 296:9,23 297:24 298:18 304:20 309:4 310:10 312:12 wanted 5:9 28:23 29:19 78:7 79:25 82:19 87:9 88:3,5 92:19 97:10 109:19 116:6 122:3 206:10 217:22 230:12 232:14 235:2 268:21 268:24 281:3 282:16 306:19 wanting 268:20 284:24 wants 24:18 warmer 254:25 waste 32:13,18 34:12 35:14 37:8 52:18,20 52:22 207:18 208:7 209:9 wasted 233:25 watch 189:21 water 32:9,25 39:16 41:7 42:10,10,12,14 42:17 45:6 46:25 50:14,16 50:17,20,21,23</p>
---	---	---	---

[water - well's]

51:2,4,6,10	177:8 179:22	308:22	142:15 155:21
54:1,1,7 55:21	180:11,14,14	watered 150:9	155:22 171:1,7
59:16 64:21	180:18 182:10	175:11	192:7 198:13
65:9,12 70:1	193:17 200:1	watering	202:19,19
71:20 73:19	200:22,23	163:23	203:18 215:7
76:13,25 77:2	203:5,5 204:11	way 16:18	218:6 219:13
77:25 79:13	204:13,15	29:17 58:13	220:20 228:6
82:11 88:1	206:25 207:20	81:4 87:5 91:3	234:5 235:24
102:22,24	208:23 209:1,7	94:19 95:25	238:17 252:13
103:2 104:6	215:25 217:12	96:19,22 108:8	252:14 256:18
114:23 120:17	217:14 218:10	108:11,20	257:24 258:17
121:11,24	224:16,17	110:14 112:11	275:2 280:7
124:19 127:13	225:8 227:5	112:13 118:10	288:5 293:7
131:19 133:18	231:6,13,17	128:5 145:22	294:23 296:12
133:20 134:1	234:17 239:10	161:12 162:15	296:12,19
134:14,16,17	249:7 251:17	170:3 172:16	299:24 308:12
134:21 135:4	251:23 252:1,4	197:6,15 198:2	311:8
136:1,8,14,22	252:6,11,22	235:8,15	weaker 192:6
136:24,24,25	275:4,5,5,6,16	255:24 264:14	webex 5:18
137:1,3,4,11,19	286:3,10,25	279:12 291:1	website 243:21
137:20 138:2,5	289:10 291:22	293:20 302:21	249:8
138:14 139:20	291:24 294:1	304:10 306:24	wednesday 1:9
140:5,14	295:11 297:22	way's 255:22	week 14:11
141:24 142:5	297:23 302:14	ways 118:6	20:18
142:20 143:14	303:19,23	126:21 196:5	weekend
144:13 146:13	307:4 308:25	we've 7:16	101:21
146:23 147:21	water's 251:3	17:17 18:13	weeks 18:5
150:10,14,22	watercut	19:2,9 35:12	19:21,22 76:4
152:6 155:6,15	126:20 127:12	48:22 50:13	249:23
155:19 163:5	127:19 128:8	59:6 76:14	weight 193:15
164:20 165:5,8	128:11,13,13	89:18 98:13	193:18
167:21 170:22	128:15 129:4	103:7 104:24	welcome 5:5
170:25 171:4,5	160:8	128:23 129:23	27:6
171:8,8,10	watercuts	131:12,14	well's 184:17
175:9,10 177:3	128:20 271:3	133:3 138:12	212:9

[wells - william]

<p>wells 31:16,20 32:15,22,23 35:6,8 41:22 43:5,8,15 44:16 46:1 47:5,6 48:3 49:20 50:2,25 52:2 53:8 58:6 59:5 60:4,7,24 61:2,4,14 63:21,21,22,25 64:2 65:4,7,9 65:10,12,16,20 65:21 66:7 68:16 69:2,7 71:4,8 73:22 73:25 77:7 78:13,25 82:16 82:18,20 85:21 86:22 87:3,15 90:7,13,17 91:9 92:3,11 92:21,23 93:6 93:7,8,11,15,19 94:23 96:2,4 100:16 101:7 101:10 103:13 104:2 112:22 112:25 113:23 113:24 119:22 119:24 120:2 124:21 125:1,2 125:9 126:7 127:14,18,18 130:4,17</p>	<p>131:13,17,23 132:19,23 133:12,14 134:12,20 135:1,5,11,14 135:15,22 136:9 138:10 138:15 139:14 140:9 141:7,9 141:11,13 142:1,19,21 143:3,11,16,19 143:21,22 144:2,9,10,12 144:12,15,16 145:2,22 146:2 146:8,13 147:7 147:14 151:14 151:19 152:5 153:4 154:23 155:4,16,23,24 156:3,15,22 157:3,7,11 158:11,12,16 158:17,21,23 159:1,2,8 160:7,8,17,19 160:24 161:1 162:7 163:10 163:11,14,17 164:5 166:12 166:15 167:16 168:5,7 173:3 173:4 175:8,11 176:23 177:1</p>	<p>180:5,8 181:3 181:19 182:3,4 183:2,12 184:24 185:3,4 185:7,9,13,24 186:2,4,6,16,17 186:20 187:2,9 187:13 190:19 194:12,12 195:1,3,16,17 195:19,20 197:8 198:1 199:14 204:18 208:6,19 210:4 210:7,23 213:1 213:5,8,16 214:3,7,14,22 214:25 215:4,7 215:7 217:17 217:21,23,24 218:13,15,17 218:20 222:15 222:18,19 224:15 225:15 225:16,22 226:23 227:2 229:5 230:15 231:5 232:2 233:19,21,23 234:2,15,17 235:24 236:4 246:16,17,18 246:21 252:12 262:1,3 269:10 271:11 273:5,9</p>	<p>273:10 274:20 275:23,25 276:4,18,22,24 280:21 281:1 287:25 291:4,6 298:5,5,6 300:18,23 301:2,24 302:2 302:4 305:19 305:19 309:20 313:17 wellspring 157:8 wendell 1:14 5:6 went 15:12 48:6 82:15 97:22 105:14 124:14 127:10 152:1 168:6 207:22 237:6,6 237:9 west 41:3 89:23 133:10 160:12 166:13 171:6 190:12 western 45:19 138:22 white 153:5 261:18 wi 5:12,16 wide 133:1 215:13 william 2:6</p>
---	--	--	---

[willing - written]

<p>willing 282:20 283:24 284:17 285:1 288:4 295:9 313:15</p> <p>window 134:5</p> <p>wire 274:3</p> <p>withdrawing 20:18</p> <p>withdrawn 241:17,18</p> <p>witness 38:10 38:14,18 53:15 53:18 57:14,21 62:16,21 63:3 66:14 102:14 107:18 122:10 122:18,22 123:4,11,18 170:17 178:1,8 178:10,15 181:8 209:21 212:19 237:13 237:18,21,22 238:3,14 287:14,17 290:8 301:12 311:14 314:23 315:2 316:4</p> <p>witnesses 26:25 29:8,21 30:15 31:14 32:23 34:3,18,20 36:1 37:11 52:21 80:9 100:3 123:6</p>	<p>169:17 315:3</p> <p>wolfcamp 61:2 61:4 129:24 130:21,24 132:20,22 133:4,12 134:6 134:9,16,19 135:1,3,11,14 137:8,9,18,25 138:11 139:14 140:9,12,17,22 141:6,9,11,20 142:1,10,12,18 146:15 150:12 155:23 158:16 159:6,8 161:3 161:6,11 163:14,18 164:5,10,12,20 165:4,5,8 166:11,12 170:20 171:4 174:16,23 175:9,16 176:3 176:9,16,21,23 177:1,11,14 240:14 245:25 262:23,25 285:23,25</p> <p>wondered 31:5</p> <p>wondering 78:20 288:23</p> <p>woodford 151:1</p>	<p>word 5:13 57:23 313:22</p> <p>words 47:13 270:12</p> <p>work 18:25 39:10 40:22 41:4 47:22 48:21 52:11 59:18,23,24 63:14,15 64:20 64:25 65:20 75:16 100:11 124:2 126:18 127:10,16,16 128:22 147:3 148:3 150:24 174:22 178:25 179:1,13 181:12 182:3 187:20 207:13 221:12 236:13 239:1 269:19 269:21,25 270:7,8,24 272:8 273:6,8 278:12 279:2,4 293:7 299:3,5 299:9 303:7 308:4,9 312:4 312:5</p> <p>workable 109:2 109:4</p> <p>worked 29:14 29:16 39:12 40:21,25 41:2</p>	<p>41:3 63:16 64:19,21,23,24 65:8,9,17 124:4 179:2,3 280:24 303:24</p> <p>workgroup 37:13</p> <p>working 5:7 8:21 32:2 42:25 43:1 44:3 48:15 49:3,6,9,12 53:22 62:6 66:4 124:10,15 124:23,23 125:6 170:2 179:12,17,25 279:11 295:10 296:6 308:7 314:1,2</p> <p>works 9:10 101:20</p> <p>world 42:19 296:18</p> <p>worry 93:10</p> <p>worse 88:21</p> <p>worst 88:20</p> <p>worth 98:6 274:14 298:24 299:1</p> <p>worthwhile 96:23</p> <p>writeup 159:24</p> <p>written 17:5 59:2</p>
--	---	--	---

[wrong - zoom]

wrong 279:17 wrote 60:14	175:23 178:3 181:14 187:8	years 12:13 39:13 46:19	zone 23:24 35:24 69:8
x	193:4 194:1	63:17 64:20,22	73:18 80:1,6,7
x 4:1,18 133:17 135:25 139:17 201:10 xlot 189:13,20 190:24 191:20 221:14 xmri 274:11 xto 314:2 xy 246:7	196:24 204:2 205:9,12,25,25 210:18 211:19 215:24 216:5 216:10,23 217:5 218:12 219:5,9,24 220:7,17 221:9 221:25 222:8 222:25 223:6 223:11 224:6 225:2,13,14 226:5,18 227:23 228:16 229:11 230:6,9 235:7,7,21 236:12,15 240:2 241:24 269:19 277:25 286:18 295:20 297:23 299:13 300:20,20 302:4 303:3 306:9 312:9,24	65:1 124:5 131:9 162:15 179:4,24 180:1 180:9 184:4 198:24 201:23 202:7 203:14 246:19 254:15 254:16 284:13 311:22 312:15 313:23 yellow 129:12 132:8 138:21 152:16 242:7 242:17,19 262:1 265:5 yellow s 242:11 yep 193:3 312:24 yesterday 17:14 20:23 30:15 33:8,9 237:5 young 179:10 262:21 267:5 youngest 186:16	96:24 98:25 99:7,15,17 100:6 104:5,7 167:9 187:16 210:7 275:17 292:10 zones 35:9 80:11,18 94:15 105:9,18 173:13 231:19 275:3 290:22 292:11 297:22 298:1 zoom 29:12 260:13
y	year 11:5 48:15 48:20 61:25 62:3 137:17 138:1,2 184:16 186:11,15 235:14,14,14 244:9 260:6 275:1	z	
y 133:18 136:1 139:18 201:7 231:10 y'all 38:23 310:6 yard 75:15 yeah 9:10 57:22 64:15 73:14 85:13 86:18 89:4 91:17 96:1 98:1,2 108:3,5 109:17 111:17 112:3,14,20,20 112:24 113:7 114:16,22 115:6,21 116:8 118:4,24 119:1 119:21 120:8 120:16 122:1,7 160:1,4 162:24		zero 137:2 229:21 zhai 240:5 zoback 257:9 266:11	