

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)	
THE OIL CONSERVATION DIVISION FOR THE)	
PURPOSE OF CONSIDERING:)	
)	
APPLICATION OF APACHE CORPORATION FOR)	CASE NOS. 13,503
APPROVAL OF A WATERFLOOD PROJECT AND)	
QUALIFICATION OF THE PROJECT AREA FOR)	
THE RECOVERED OIL TAX RATE PURSUANT TO)	
THE ENHANCED OIL RECOVERY ACT,)	
LEA COUNTY, NEW MEXICO)	
)	
APPLICATION OF APACHE CORPORATION FOR)	and 13,504
STATUTORY UNITIZATION, LEA COUNTY,)	
NEW MEXICO)	
)	(Consolidated)

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

June 16th, 2005

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, June 16th, 2005, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

ORIGINAL
RECEIVED

JUN 20 2005

Oil Conservation Division
1220 S. St. Francis Drive
Santa Fe, NM 87505

I N D E X

June 16th, 2005
Examiner Hearing
CASE NOS. 13,503 and 13,504 (Consolidated)

	PAGE
EXHIBITS	3
APPEARANCES	5
APPLICANT'S WITNESSES:	
<u>MARIO R. MORENO, JR.</u> (Landman)	
Direct Examination by Mr. Kellahin	7
Examination by Examiner Catanach	29
<u>ROBERT E. CURTIS</u> (Geologist)	
Direct Examination by Mr. Kellahin	37
Examination by Examiner Catanach	47
<u>KEVIN MAYES</u> (Engineer)	
Direct Examination by Mr. Kellahin	51
Examination by Examiner Catanach	75
REPORTER'S CERTIFICATE	81

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	8	29
Exhibit 2	10	29
Exhibit 3	10	29
Exhibit 4	10	29
Exhibit 5	15	29
Exhibit 6	17	29
Exhibit 7	18	29
Exhibit 8	19	29
Exhibit 9	19	29
Exhibit 10	19	29
Exhibit 11	20	29
Exhibit 12	22	29
Exhibit 13	22	29
Exhibit 14	23	29
Exhibit 15	24	29
Exhibit 16	24	29
Exhibit 17	26	29
Exhibit 18	29	29
Exhibit 19	38	47
Exhibit 20	40	47
Exhibit 21	44	47
Exhibit 22	45	47
Exhibit 23	46	47
Exhibit 24	52	75
Exhibit 25	54	75
Exhibit 26	56	75
Exhibit 27	57	75
Exhibit 28	58	75
Exhibit 29	59	75
Exhibit 30	60	75

(Continued...)

E X H I B I T S (Continued)

Applicant's	Identified	Admitted
Exhibit 31	61	75
Exhibit 32	62	75
Exhibit 33	71	75

* * *

Additional submission by Apache Corporation, not offered or admitted:

Identified

Statutory Unitization Act	16
---------------------------	----

* * *

A P P E A R A N C E S

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

FOR BP AMERICA CORPORATION:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR
110 N. Guadalupe, Suite 1
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

* * *

1 WHEREUPON, the following proceedings were had at
2 10:15 a.m.:

3 EXAMINER CATANACH: Call the hearing back to
4 order, and at this time I'll call Case 13,503, the
5 Application of Apache Corporation for approval of a
6 waterflood project and qualification of the project area
7 for the recovered oil tax rate pursuant to the Enhanced Oil
8 Recovery Act, Lea County, New Mexico.

9 And at the request of the Applicant I will also
10 at this time call Case 13,504, which is the Application of
11 Apache Corporation for statutory unitization, Lea County,
12 New Mexico.

13 Call for appearances in these cases.

14 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
15 the Santa Fe law firm of Kellahin and Kellahin, appearing
16 on behalf of the Applicant in these two cases, and I have
17 three witnesses to be sworn.

18 EXAMINER CATANACH: Call for additional
19 appearances?

20 MR. CARR: May it please the Examiner, my name is
21 William F. Carr with the Santa Fe office of Holland and
22 Hart, L.L.P. We represent BP America Corporation in this
23 matter. I do not intend to call a witness.

24 EXAMINER CATANACH: Okay, will the -- Swear in
25 the witnesses.

1 (Thereupon, the witnesses were sworn.)

2 MR. KELLAHIN: Mr. Examiner, we have distributed
3 for you a complete set of the documents in both these
4 cases, and I have provided for reference a copy of the
5 Statutory Unitization Act that the witnesses will discuss
6 in a moment.

7 With your permission, we'll proceed, then, by
8 calling our first witness, Mr. Mario Moreno.

9 EXAMINER CATANACH: Okay.

10 MARIO R. MORENO, JR.,
11 the witness herein, after having been first duly sworn upon
12 his oath, was examined and testified as follows:

13 DIRECT EXAMINATION

14 BY MR. KELLAHIN:

15 Q. Mr. Moreno, for the record, sir, would you please
16 state your name and occupation?

17 A. My name is Mario Moreno. I'm a senior staff
18 landman for Apache Corporation.

19 Q. And where do you reside, sir?

20 A. In Tulsa, Oklahoma.

21 Q. On prior occasions, have you testified as a
22 petroleum landman before the Oil Conservation Division?

23 A. Yes, I have.

24 Q. And pursuant to your employment with Apache, have
25 you been the primary landman responsible for determining

1 the ownership and contacting the owners concerning
2 participation in this unit?

3 A. Yes, I have.

4 Q. As part of your duties and responsibilities, have
5 you prepared certain exhibits for presentation to Mr.
6 Catanach this morning?

7 A. Yes, I have.

8 MR. KELLAHIN: We tender Mr. Moreno as an expert
9 petroleum landman.

10 EXAMINER CATANACH: Any objection?

11 MR. CARR: No objection.

12 EXAMINER CATANACH: Mr. Moreno is so qualified.

13 Q. (By Mr. Kellahin) Mr. Moreno, if you'll take the
14 exhibit package and start with what we've marked as Exhibit
15 1, let's start by identifying this display and indicating
16 to Examiner Catanach what is portrayed by the red outline.

17 A. Well, Exhibit 1, which is our Exhibit "A",
18 basically covers our unit boundary outline, encompassing
19 2080 acres. Of this, 12 tracts are operated by Apache
20 Corporation and six tracts are operated by T.H. McElvain
21 Oil and Gas Company.

22 Q. When we look at Exhibit 1, does it correctly
23 reflect the acreage associated with federal lands in
24 relationship to patented or fee lands?

25 A. Yes, it does.

1 Q. Within the outline shown in red, there is a
2 difference of character in the shading and the color
3 associated with various subdivisions. What does all that
4 mean?

5 A. The hachured sections that are indicated by these
6 tracts represent federal leases, federal tracts. The non-
7 hachured tracts are fee, fee-ownership tracts.

8 Q. Within the context of Exhibit "A", there are some
9 tract numbers and letters associated with the tracts within
10 the unit. What do those represent?

11 A. Those represent the tracts that were identified
12 by our reservoir engineer, Mr. Mayes, which basically
13 breaks out the ownership as to the Blinebry -- the Tubb,
14 the Blinebry and the Drinkard formations.

15 Q. Has all that been done in a matter that's
16 consistent with the requirements of the Bureau of Land
17 Management?

18 A. Yes, it has.

19 Q. Are we looking at what you understand to be the
20 final configuration of the tracts for purposes of
21 unitization?

22 A. Yes, we are. As it stands today, the boundary
23 outline referred to on Exhibit 1 is the current outline as
24 it stands today.

25 Q. Having described the areal extent of the proposed

1 unit that you're asking Mr. Catanach to approve, can you
2 identify for us by some documentation the vertical limits
3 that we're dealing with?

4 A. Yes, under Exhibit 2, which is our Exhibit "C" to
5 our unit operating -- unit agreement, basically identifies
6 the vertical limits of our -- of the unitized interval,
7 being the Blinebry, the Tubb and the Drinkard formations,
8 which are found at an interval between 5615 feet and 6795
9 feet, which is further defined in the unit agreement under
10 Section 2.(v).

11 Q. Let's turn now, Mr. Moreno, to what is marked as
12 Exhibit Number 3. Would you identify what we're seeing
13 when we turn to Exhibit Number 3?

14 A. Exhibit Number 3 is basically the unit agreement
15 which basically sets out the development and operation for
16 the East Blinebry-Drinkard Unit.

17 Q. Is this a form of unit agreement that is
18 consistent with the forms utilized and required by the
19 Bureau of Land Management?

20 A. Yes, it is.

21 Q. We'll come back to the unit agreement and talk
22 about how it's organized in a moment, but turn now with me
23 to what is marked as Exhibit Number 4. When we look at
24 Exhibit 4, there are two separate documents associated with
25 that exhibit. The first one is dated January 13th of this

1 year. What is your understanding of that first document?

2 A. The first document represents the letter from the
3 Bureau of Land Management, basically agreeing and giving us
4 the authorization for our plan of operations and agreeing
5 to our unit agreement that was submitted to them.

6 Q. So pursuant to BLM requirements, you on behalf of
7 Apache have submitted to the Bureau of Land Management the
8 documentations, including the technical support, and
9 obtained their preliminary approval of the unit?

10 A. That is correct.

11 Q. When we turn to the second item, which is March
12 22nd of this year, what does this represent?

13 A. That is the letter from the BLM basically
14 approving the unit agreement, and they have basically
15 assigned a -- I guess a unit number for the unit agreement
16 that has been approved by them.

17 Q. Let's describe in general detail your
18 understanding of what the concept is here. The purpose of
19 the unit and the unit operating agreement is to do what,
20 Mr. Moreno?

21 A. The unit area basically is within the boundaries
22 of the Blinebry Oil and gas Pool and the Drinkard Oil Pool
23 and the Tubb Gas Pool. Apache Corporation proposes to
24 initiate a waterflood project by the injection of water
25 produced from the San Andres formation into the Blinebry

1 and Drinkard portions of the Blinebry Oil and Gas Pool and
2 the Drinkard Oil Pool without affecting the Tubb Gas Pool,
3 pursuant to a plan of operations that has been completely
4 forth in our Application for approval of this project.

5 Q. When we go back to Exhibit Number 3, Mr. Moreno,
6 and look at the unit operating agreement, is it organized
7 in such a way that you can help Mr. Catanach find the
8 provisions that contain language concerning tract
9 participation?

10 A. Yes, it is.

11 Q. And where would he find those?

12 A. Tract participation would be found under Section
13 of the unit agreement.

14 Q. And if he's looking for language to determine how
15 a tract qualifies for that participation, where in this
16 document would he find that information?

17 A. He would find that under Section 14 of the unit
18 agreement.

19 Q. To the best of your knowledge, this agreement is
20 organized in the conventional way for a unit agreement for
21 waterflood purposes?

22 A. Yes, it is.

23 Q. If Mr. Catanach wants to look at the additional
24 attachments to the operating agreement, is there a
25 tabulation, should he choose to do so, by which he can

1 break out the working interest, the royalty and the
2 overriding royalty interest per tract within the unit?

3 A. Yes, he can go to Exhibit "B-1". Exhibit "B-1"
4 will break out in detail lease, working interest owner,
5 royalty interest owner, overriding royalty interest owner,
6 record title owner and -- by tract.

7 Q. To your best knowledge and information, Mr.
8 Moreno, have you and members of the staff of Apache made
9 their best effort to obtain a correct and accurate
10 tabulation of the names, interest and addresses of all
11 those interest owners?

12 A. Yes, we have.

13 Q. How did you go about doing that?

14 A. We started out by having -- once we decided what
15 our boundary outline was going to be and the operators and
16 the owners, we went to each owner and we had them furnish
17 us with their ownership dex, because most of these leases
18 are HBP and they're all federal leases, and we've only got
19 two operators within this unit. Apache being majority
20 operator, we had most of the ownership dex already set up
21 for title. T.H. McElvain had the other tracts, which
22 basically they had furnished us their ownership title dex.

23 So from that we were able to piece together total
24 working interest, overriding royalty interest and royalty
25 interest owners, under the boundaries of the unit.

1 Q. Can you give Mr. Catanach an approximation of
2 what you anticipate to be the range of commitment of
3 working interest ownership that you have available to you
4 in the unit?

5 A. Yes. As it stands right now, we have 82.078
6 percent of actual working interest owners who have signed
7 and ratified the unit agreement and the unit operating
8 agreement.

9 We also have letters from BP and Chevron, who
10 have elected to participate subject to certain
11 modifications to the agreement, which we have agreed to.

12 Given that, those two letters received by BP and
13 Chevron, that takes us up to 99.48 percent of the unit.

14 Q. Direct your attention now to the royalty and the
15 overrides as a component of the percentage commitment to
16 the unit. What is your approximate estimate of that
17 percentage for that group?

18 A. Of the 440 fee lands, basically, which represents
19 21.15 percent of the unit, we have 19 percent of the
20 royalty and overriding royalty interest owners -- 19 of
21 that 21 percent who have ratified. The federal government
22 represents 78.85 percent of the royalty. The two combined
23 together, we have approximately 97.866 percent of the
24 royalty and overriding royalty interest owners who have
25 ratified the unit and unit operating agreement.

1 Q. Let me now direct your attention, Mr. Moreno, to
2 what is marked as Exhibit Number 5. Would you identify
3 this document for us?

4 A. Yeah, Exhibit Number 5 is our unit operating
5 agreement, which basically will govern the operations of
6 the unit.

7 Q. Take a moment, Mr. Moreno, and run through the
8 type of exhibits that are incorporated into the operating
9 agreement. So what's attached to this?

10 A. Okay, we've got Exhibits "A", "B-1", "B-2" and
11 "B-3". "A" basically is the exhibit that covers the unit
12 -- unit boundary.

13 Okay, Exhibit "B-1" identifies the acreage
14 comprising each tract percentage and kind of ownership of
15 the oil and gas lease interests in and all the lands that
16 are within the unit area.

17 Exhibit "B-2" is a schedule showing the tract
18 participation of each tract during unit operations.

19 Exhibit "B-3" shows summary of tract
20 participation of each tract for the proper -- basically
21 we've done this for the proper BLM office.

22 And Exhibit "C", once again, is our type log
23 which identifies the unitized interval underlying the unit
24 area.

25 The other exhibits, we've got -- Exhibit "D" is

1 the accounting procedure that will be applicable to the
2 unit operations.

3 Exhibit "E" attached to the unit operating
4 agreement contains insurance provisions applicable to unit
5 operations.

6 Exhibit "F" is our gas-balancing agreement which
7 will be applicable to the unit operations.

8 Exhibit "G" is a form of indemnity agreement
9 that's under Section 14 of the unit agreement.

10 And Exhibit "H" is our nondiscrimination
11 agreement, which is provided for in Section 22.2 of the
12 unit operating agreement.

13 And the last exhibit we've got is our Exhibit
14 "I", which is a list of the wells committed to the unit
15 operations that will be delivered to the unit operator on
16 the effective date for use in such unit operations.

17 Q. Mr. Moreno, let me direct your attention to the
18 copy of the Statutory Unitization Act that I have
19 circulated, and I'm turning over to page 65, and I want to
20 show you the section 70-7-7.

21 A. Okay.

22 Q. Prior to this morning, have you reviewed all of
23 those individual subsections set forth in the Statutory
24 Unitization Act under 70-7-7?

25 A. Yes, I have.

1 Q. Can you answer to the affirmative as to all the
2 components set forth under that subdivision, under that
3 statutory section?

4 A. Yes, I can.

5 Q. To the best of your knowledge, have you made a
6 good faith, diligent effort to consolidate all the interest
7 owners on a voluntary basis?

8 A. Yes, I have.

9 Q. Let's turn to some of that action now, setting
10 aside the statute for a moment. Let's look at the series
11 of correspondence that you have provided, and let's start,
12 then, with Exhibit Number 6.

13 A. Okay.

14 Q. Identify for Mr. Catanach what you had intended
15 to accomplish by sending this letter and to whom you sent
16 this letter.

17 A. Okay, Exhibit Number 6 represents our letter to
18 all of the working interest owners, basically proposing to
19 the working interest owners our formation of the East
20 Blinebry-Tubb-Drinkard Waterflood Unit. And as you can
21 see, we've got an attachment that shows the list of all the
22 working interest owners that this was sent to, along --
23 well...

24 Q. As part of sending this notice letter to the
25 working interest owner, did the letter include estimates by

1 Apache as to what they anticipated might be the total
2 benefit in terms of additional oil to be produced under
3 waterflood operations?

4 A. Yes, it did.

5 Q. And did you have an estimate that was provided by
6 your technical people as to a range of costs for this
7 project?

8 A. Yes, it did.

9 Q. And to the best of your knowledge, utilizing this
10 information, can these costs be spent at an amount that
11 will realize a profit plus paying for the costs of
12 operation and the facilities?

13 A. To the best of our ability, yes.

14 Q. Let's turn now to Exhibit Number 7 and have you
15 identify what you were doing with this letter.

16 A. Okay, in -- when we also sent out the letter --
17 or notice to the working interest owners for the formation
18 of the unit, we also sent out a letter to the royalty and
19 the overriding royalty interest owners, basically saying
20 the same thing we said to our working interest owners. And
21 that's what Exhibit Number 7 basically identifies.

22 Q. As part of each of those mailings, did you send
23 them copies of the unit agreement and the unit operating
24 agreement with the associated exhibits at that time?

25 A. Yes, I did.

1 Q. Let's turn now to Exhibit Number 8. What is this
2 letter, and what was its purpose?

3 A. This letter is a letter which was a follow-up to
4 our first letter of March 17, basically notifying all
5 parties that we had received our preliminary approval from
6 the BLM. And those parties that had not responded to our
7 first letter, this was just a follow-up basically letting
8 them know that we were going forward with our project.

9 Q. Let's turn now to Exhibit Number 9. Describe the
10 purpose of this letter and what you were trying to
11 accomplish.

12 A. This also is the same letter that we sent out to
13 our working interest owners, basically notifying the
14 royalty and overriding royalty interest owners that we had
15 received preliminary approval to go forward from the BLM on
16 this project and just advising our royalty and overriding
17 royalty interest owners that we were moving forward and
18 that we needed a response from them.

19 Q. The next letter, Mr. Moreno, is out of
20 chronological order but it's marked as Exhibit 10.

21 A. Okay.

22 Q. Identify this for us and tell us the purpose.

23 A. Exhibit Number 10 is a letter which was sent out
24 to all the working interest owners in accordance with the
25 letter we received from the BLM of March 22nd, 2005,

1 basically approving our unit agreement, and we were
2 basically sending this letter, the BLM letter, out to all
3 our working interest owners, advising them that we had
4 received the preliminary approval from the -- actually
5 sending them the letter from the BLM, notifying them that
6 we have now a letter stating we've got the preliminary
7 approval from the BLM.

8 Q. Mr. Moreno, let's turn now to the tabulation of
9 information and the notices for purposes of today's
10 hearing, and let's start with the working interest
11 ownership list, and that is marked as Apache Exhibit Number
12 11.

13 A. Okay, what we've done here is basically broken
14 out a schedule, if you may, of all of our working interest
15 owners, their unit interest, and whether they have ratified
16 or not ratified and signed the unit agreement and the unit
17 operating agreement, plus comments basically stating when
18 we made calls, when we sent letters out, and basically
19 whether we could or we couldn't find them.

20 Q. In addition to the working interest ownership,
21 Mr. Moreno, does this tabulation in subsequent pages
22 include unleased mineral owners?

23 A. Yes, it does.

24 Q. And how do we find that information?

25 A. How do we find that?

1 Q. Yeah, where is it?

2 A. Oh, it's on the second page of the -- first page
3 is identified as working interest owners, and the second
4 page is identified as unleased mineral owners.

5 Same thing here, we basically have broken out
6 their unit royalty interest, and the number of calls that
7 we've made, and the comments we received back from them.

8 Q. As part of this mailing, then, you've attached to
9 this exhibit copies of the return receipt cards?

10 A. That is correct.

11 Q. And if there wasn't a green card returned, then
12 you've attached a copy of that portion of the --

13 A. Of the portion of the --

14 Q. -- mailing that shows that you sent it?

15 A. Right.

16 Q. As part of that mailing, then, what did these
17 people receive? What was sent to them?

18 A. These people received unit agreement, unit
19 operating agreement, in the first mail-out that we sent in
20 the letter of March 17th. They received all correspondence
21 of -- covering the unit agreement and the unit operating
22 agreement.

23 Q. As part of this mailing, then, did they receive a
24 copy of the applications that were filed with the Division?

25 A. This mailing here, yes.

1 Q. And that would have also included the notice of
2 hearing letter --

3 A. Yes.

4 Q. -- that explains to them what they needed to do
5 if they chose to object?

6 A. Right. Basically, this Exhibit 11 covers all
7 notices, all follow-up letters, BLM letters and letters
8 covering hearing notices.

9 Q. Let's turn now to Exhibit Number 12 and see what
10 you did concerning the category of royalty and overrides.

11 A. Okay, once again we prepared another schedule and
12 broke it out by royalty interest owners and overriding
13 royalty interest owners and had a column -- several columns
14 which basically showed whether they executed or not
15 executed the ratification, and their unit royalty interest
16 and comments as to when we sent all the letters and when we
17 followed up with telephone conversations and responses from
18 the people we were able to find.

19 Q. In addition, was there further information
20 supplied to all these potential parties with regards to
21 this hearing? I ask you to turn to Exhibit Number 13. Are
22 these copies of the notice letters for the waterflood in
23 the statutory unitization --

24 A. Yes.

25 Q. -- case that were sent?

1 A. Yes, these are copies of the notice letters that
2 were sent out along with everything else.

3 Q. And attached to that, to the best of your
4 knowledge, is a correct list of the additional parties that
5 were sent notice --

6 A. That is correct.

7 Q. -- this format?

8 A. That is correct.

9 Q. Now let's turn to Exhibit 14 and talk about the
10 waterflood portion of the Application that deals with
11 providing notices pursuant to the C-108 filings where you
12 send notice to the surface owners of the injection well
13 locations and to operators within a half-mile radius. Is
14 that what you're intending to do with Exhibit 14?

15 A. That is correct.

16 Q. So when we turn back behind the certificate,
17 there's the letter, and then followed by that there is a
18 tabulation that has well names associated with it, and then
19 there's a column on the far right that says "Surface
20 Owners"?

21 A. That is correct.

22 Q. To the best of your knowledge and information, is
23 this an accurate list of those surface owners associated
24 with injection wells?

25 A. Yes, it is.

1 Q. And the following page, then, is a list of the
2 operators within a half-mile radius?

3 A. That is correct.

4 Q. With regards to any of these notifications, Mr.
5 Moreno, have you received any objections from any of these
6 parties being notified?

7 A. No.

8 Q. Let's turn now to Exhibit 15. This is a copy of
9 the newspaper advertisement that was placed in the
10 *Lovington Daily Leader* notifying by publication in the
11 newspaper of the cases associated with this Application?

12 A. That is correct.

13 MR. KELLAHIN: Mr. Catanach, I notice that in
14 photocopying the ad, at least this copy only has the one
15 case. Both cases were published, and with your permission
16 after the hearing I will give you the correct publication
17 that has both cases associated with this exhibit.

18 EXAMINER CATANACH: Okay.

19 Q. (By Mr. Kellahin) At this point, Mr. Moreno,
20 let's turn to the chronology that you prepared, Exhibit 16,
21 and let's give Mr. Catanach a general summary of the
22 chronology of activity that you and Apache have undertaken
23 to put this project together.

24 A. Okay, basically this is a chronological order of
25 contacts that we made, and beginning back in April of 2001

1 we first conducted our first working interest owners'
2 meeting. BP, Chevron and some of the other larger interest
3 owners at the time attended our meeting. And basically,
4 this has been an ongoing project since this date.

5 We've had numerous meetings with Chevron and BP
6 and T.H. McElvain, which basically -- once we met with T.H.
7 McElvain, we got them on board with our idea. They were
8 the partners that basically took us over the 75 percent,
9 which basically moved us forward into pushing this project
10 forward, because we then had our 75 percent required by the
11 statute to further try to make this project go forward and
12 work.

13 And basically, I've got other -- it just sets out
14 numerous dates of telephone calls with certain parties,
15 either royalty, overriding royalty owners or working
16 interest owners.

17 Q. As part of this process, Mr. Moreno, did you have
18 suggestions made to you by Chevron and by BP America for
19 alterations in some of the language --

20 A. Yes, I did.

21 Q. -- that you were proposing under these
22 agreements?

23 A. Yes, I did.

24 Q. Do you now have an agreement, as you understand
25 it, with BP America, as well as Chevron and anyone else

1 with regards to any modifications of the agreements, or any
2 alteration of language?

3 A. Yes, we do have an agreement.

4 Q. Let's turn to what is marked as Exhibit 17, and
5 let's have you explain to Mr. Catanach what you are
6 intending to accomplish with Exhibit 17.

7 A. Exhibit 17 basically outlines changes that we
8 will be making to our Exhibits "A", "B-1", "B-2", "B-3" and
9 "C".

10 There are certain alterations that have to be
11 made because of ownership that was just brought to our
12 attention by Chevron, that has required us to add Tract 5D,
13 and we have agreed to this. Exxon is claiming a 5-percent
14 override, McElvain an override. It's under one of
15 McElvain's tracts, so they're trying to sort through this
16 thing to see whether Exxon actually does own the override.

17 There's an article -- Under Article 12.2, BP had
18 requested that we have certain modifications to the Article
19 12.2 and Article 11.4 of the unit operating agreement,
20 which Apache, et al., had agreed to, and this basically
21 sums up what we are deleting out of Article 12.2 and
22 substituting therefor, and also basically sets out what we
23 will be deleting under Section 11.4 of the unit operating
24 agreement.

25 Q. Before we leave that section, Mr. Moreno, let's

1 focus Mr. Catanach's attention on what you and BP were
2 trying to achieve. If you go back to a copy of the
3 Statutory Unitization Act and if you look under 70-7-7 and
4 find Subsection F --

5 A. F.

6 Q. -- what you are trying to achieve here is some
7 agreement upon the language, with both parties' intended
8 purpose to allow you to have the opportunity, as provided
9 under this statute, to recover costs plus interest in
10 addition to the risk factor penalty of 200 percent?

11 A. That is correct.

12 Q. That was the objective?

13 A. That was the objective, that is correct.

14 Q. With the assistance of your attorneys within
15 Apache, did you propose to BP America language that your
16 counsel believed accomplished the purposes and the intent
17 of the statute?

18 A. Yes, we did.

19 Q. Did you receive proposed changes back from BP
20 America as to their construction of that intent and what
21 language that they suggested?

22 A. Yes, we did.

23 Q. As a result of that back and forth, now, are both
24 companies satisfied that you have language in place that
25 will allow you to achieve the objectives set forth in the

1 statute?

2 A. That is correct, we do.

3 Q. When we turn past that issue, on the second page
4 of Exhibit 17, describe for Mr. Catanach the additional
5 changes that have been agreed to.

6 A. Okay, the additional changes are, apparently on
7 the signature page for Chevron U.S.A. we didn't have the
8 dots -- basically it was USA, without the dots in between,
9 so we've changed that.

10 We've changed and added under the Exhibit "D"
11 COPAS, we inadvertently left off the word "Chase" for Chase
12 Manhattan Bank, so we inserted "Chase".

13 Under Section III.2 and III.3, the "Overhead" and
14 "Major Construction, Catastrophe" we inserted a threshold
15 limit of \$25,000, which was also inadvertently left off.

16 And on Sections IV.2.A and 2.b, under "Pricing of
17 Joint Account Material Purchases, Transfers and
18 Dispositions [of] Line Pipe", Chevron had requested that we
19 delete the words "plus 20%", which we agreed to go ahead
20 and do.

21 Q. At this point, to the best of your knowledge,
22 have all the parties that have participated in the
23 negotiations and discussions come to a mutual understanding
24 and agreement about the various language changes?

25 A. Yes.

1 Q. At this point, do you believe that Apache as the
2 operator of the unit will have effective and efficient
3 control of unit operations?

4 A. Yes.

5 Q. And when we come back, then, to Exhibit 18, which
6 is a copy of the portion of the Statutory Unitization Act
7 that we talked about earlier, can you again tell us that
8 you are satisfied that you can answer all these subsections
9 in the affirmative?

10 A. Yes, I am.

11 MR. KELLAHIN: That concludes my examination of
12 Mr. Moreno. We move the introduction of his Exhibits 1
13 through 18.

14 EXAMINER CATANACH: Any objection?

15 MR. CARR: No objection.

16 EXAMINER CATANACH: Exhibits 1 through 18 will be
17 admitted.

18 Mr. Carr, do you have any questions?

19 MR. CARR: No, I do not.

20 EXAMINATION

21 BY EXAMINER CATANACH:

22 Q. Mr. Moreno, how many working interest owners are
23 there in this unit?

24 A. There are 114 working interest owners -- no, I'm
25 sorry, there are -- that's the royalty interest owners.

1 We've got 13 working interest owners.

2 Q. And 114 royalty interest owners?

3 A. 114 royalty interest owners, seven overriding
4 royalty interest owners, and 10 unleased mineral owners.

5 Q. Okay, and I just want to go over your numbers
6 again. At this point, working interest ownership that are
7 committed to the unit is 82.078 --

8 A. That is correct.

9 Q. -- percent?

10 A. That is correct.

11 Q. And royalty interest, which includes the BLM,
12 would be 97.866?

13 A. That is correct.

14 Q. And the BLM has ratified?

15 A. They have approved -- given preliminary approval
16 and have ratified, yes, sir.

17 Q. Okay. Do you know which working interest owners
18 have not approved?

19 A. So far, we have Exxon, which has a .0962 unit
20 percent. They have agreed to give us a term assignment,
21 and they're running that through their channels right now,
22 so they're not going to be an issue.

23 And we've got two other small -- Frank Glispin,
24 J.L. and Jessie Reynolds are the only other working
25 interest owners that have not ratified the agreement.

1 Q. Do you anticipate those two interests joining?

2 A. We've had a lot of problems trying to -- we've
3 made numerous contacts and efforts to try to contact each
4 one of these parties, Glispin and Jessie Reynolds, and we
5 have had no success in getting them to respond.

6 Q. Okay, all the interests you have been able to
7 locate; is that right?

8 A. That is -- yes, the majority -- I would say 99
9 percent of them, yes.

10 Q. So there are some interest owners that you cannot
11 locate?

12 A. There are some that we have undeliverable
13 addresses. There's a couple that have been deceased, and
14 we're trying to follow through with the ownership on that,
15 and their ownership is -- I mean, it's -- unit ownership,
16 when you break it down to the unit, it's less than a
17 quarter percent, or even less than that.

18 Q. And that's royalty interest?

19 A. Those are the unleased mineral owners.

20 Q. Unleased mineral owners.

21 A. Right.

22 Q. And you've gone through all the normal channels
23 to try and find their --

24 A. Yes, sir.

25 Q. -- find these interest owners?

1 A. Yes, sir.

2 Q. Now, the changes that you cited on your Exhibit
3 17 --

4 A. Uh-huh.

5 Q. -- those have already been incorporated into the
6 unit operating agreement and unit agreement?

7 A. With the exception of item number 4, those --
8 item number 4 has not been yet. But everything else has.

9 Q. Do you now have to go back and have the parties
10 re-ratify it with the changes, or how does that work?

11 A. I have talked to most of the working interest
12 owners that have ratified, and they have no problem with
13 these changes. So basically I think what we do is, we go
14 and we send them -- because I've sent most of the working
15 interest owners copies of the suggested changes, so they
16 know this is going to happen and they had no problems with
17 it.

18 So we will go back and just substitute, just
19 substitute the pages, I guess, and have them submit it to
20 all the parties that have ratified, with the pages that
21 have been changed, and just have them substitute those
22 pages.

23 Q. Now, these changes -- that did include changing
24 the unit outline; is that correct?

25 A. No, we did not change the unit outline.

1 Q. You didn't change the unit outline?

2 A. No, no.

3 Q. You just revised the tracts?

4 A. We had to revise a tract under -- if you look at
5 your -- if you look at your Exhibit 1 --

6 Q. If I can find it. Okay.

7 A. -- under 5D --

8 Q. Uh-huh.

9 A. -- that used to be -- covering the east half, the
10 east half of Section 14, that used to be under 5C because
11 we thought Chevron had an interest in the Tubb and the
12 Drinkard.

13 They've subsequently informed me that they had
14 sold that to Apache, and consequently we had to go and
15 create and make that east half, east half, into an
16 additional tract as 5D because Apache now owns it 100
17 percent as to those three horizons, and Chevron has been
18 taken out of it.

19 Q. Okay.

20 A. So what that did is, it affected Apache's and
21 Chevron's working interest only.

22 Q. Have all the parties, or at least all the working
23 interest owners, or all the parties -- they've expressed no
24 concern over the allocation formula, the tract allocation?

25 A. To my knowledge, they have not.

1 Q. Okay, and that's basically based -- 95 percent on
2 cumulative production from the tract?

3 A. I believe that's right.

4 Q. You mentioned that this unit area, I believe,
5 takes in a portion of the Blinebry Oil and Gas Pool --

6 A. Yes.

7 Q. -- Drinkard Oil Pool --

8 A. Drinkard Oil Pool.

9 Q. -- and Tubb Oil Pool?

10 A. And it's the Tubb Gas Pool only; is that right?

11 MR. KELLAHIN: I thought so.

12 THE WITNESS: Yeah, I think it's the Tubb Gas
13 Pool.

14 Q. (By Examiner Catanach) Mr. Moreno, are you
15 familiar with a waterflood unit that we approved -- I'm not
16 sure how long ago; it was a Shell unit, it was approved for
17 Shell --

18 A. Back in 1987, Northeast Drinkard Unit?

19 Q. Yeah, I believe that's the one.

20 A. Yes, Apache operates that.

21 Q. Okay. As I recall, when we did that unit we also
22 -- there was also an application to consolidate the pools
23 into one pool, I think, is what we did.

24 A. I believe that's correct.

25 Q. Is Apache taking a different approach in this

1 case than we did in that case?

2 A. I'll have to defer that to our reservoir
3 engineer.

4 EXAMINER CATANACH: Okay. I believe we did
5 consolidate the Blinebry, Tubb and Drinkard and make it one
6 pool. I don't know if you put that case on or not, Tom.

7 MR. KELLAHIN: I represented the Cones in that
8 case, so if there's a mistake I probably did it.

9 (Laughter)

10 MR. KELLAHIN: I'm happy to help you.

11 Mr. Kevin Mayes, the petroleum engineer that's
12 going to testify in a minute, can help us put that
13 together.

14 Our intent was to -- our intent is not to flood
15 the gas zone in the Tubb. And maybe our nomenclature is a
16 little wrong, but when I looked at those rules for the NEBU
17 unit that you're talking about, I wasn't sure to what
18 extent they overlapped it into this new area, and so --
19 There may be a glitch that we'll have to research, but our
20 intent is to do nothing different than they were doing over
21 there. Got the same operator now.

22 EXAMINER CATANACH: But your intent at this time
23 is not to consolidate the pools?

24 MR. KELLAHIN: I don't think that's necessary.

25 EXAMINER CATANACH: Okay.

1 MR. KELLAHIN: But then we'll have to look at the
2 nomenclature to see how far you extended that consolidation
3 in the other case.

4 EXAMINER CATANACH: I believe that it only went
5 within the unit boundary.

6 MR. KELLAHIN: That's my recollection.

7 EXAMINER CATANACH: And I don't know if this unit
8 is adjacent to that unit --

9 MR. KELLAHIN: Yeah, they match up, we're going
10 to show you the map in a minute.

11 Q. (By Examiner Catanach) And Mr. Moreno, you've
12 gone over 70-7-17, and you can attest that all those
13 requirements will be met by this Application?

14 A. Yes, sir.

15 EXAMINER CATANACH: Okay. All right, I think
16 that's all I have. I may think of something else, but
17 that's I have right now.

18 MR. KELLAHIN: Thank you.

19 THE WITNESS: Thank you.

20 MR. KELLAHIN: At this time, Mr. Examiner, we'd
21 call Mr. Bob Curtis. Mr. Curtis is a petroleum geologist.

22 Mr. Catanach, we are going to start with Mr.
23 Curtis's testimony, and we're going to start with Exhibit
24 19, and this is the map that helps you see the relationship
25 of these projects to the one before you this morning.

1 ROBERT E. CURTIS,
2 the witness herein, after having been first duly sworn upon
3 his oath, was examined and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. KELLAHIN:

6 Q. For the record, Mr. Curtis, would you please
7 state your name and occupation?

8 A. My name is Robert E. Curtis, I'm a petroleum
9 geologist employed by Apache Corporation in Tulsa,
10 Oklahoma.

11 Q. Mr. Curtis, on prior occasions have you testified
12 as a petroleum geologist before the Division?

13 A. Yes, I have.

14 Q. Has it been your responsibility as a geologist
15 for Apache to do the geology studies for this project?

16 A. Yes.

17 Q. And for presentation to Mr. Catanach this
18 morning, do you have a series of geologic displays?

19 A. Yes.

20 Q. And this represents your work product?

21 A. Yes.

22 Q. And the opinions that you're about to express are
23 your opinions about this project?

24 A. Yes.

25 MR. KELLAHIN: We tender Mr. Curtis as an expert

1 petroleum geologist.

2 EXAMINER CATANACH: Mr. Curtis is so qualified.

3 Q. (By Mr. Kellahin) Mr. Curtis, let's start with
4 Exhibit 19. Set the stage for Mr. Catanach, and let's come
5 back to the question he had of Mr. Moreno. Where does the
6 East Blinebry-Drinkard Unit fit in relation to the other
7 waterfloods in this area?

8 A. Exhibit 19 is a locator map showing our proposed
9 East Blinebry-Drinkard Unit in relationship to some other
10 nearby Blinebry, Tubb and/or Drinkard units. It's
11 basically centered on Township 21 South, Range 37 East, in
12 Lea County.

13 This area also represents most of the area that I
14 have mapped. The succeeding geologic exhibits you see are
15 abstracted from this larger area map. East Blinebry-
16 Drinkard Unit is bounded to the west by Northeast Drinkard
17 Unit, which was unitized by Shell in 1987, subsequently
18 purchased by Apache.

19 Q. Are you familiar with the geology for that unit?

20 A. Yes, yes. That unit has unitized the Tubb, the
21 Blinebry-Tubb and Drinkard, and injects water into the
22 Blinebry and Drinkard formations.

23 Q. When we compare that knowledge that you have on
24 the geology for the northeast Drinkard with the geologic
25 analysis that you've done for the East Blinebry-Drinkard

1 Pool, are there any geologic differences that matter?

2 A. No.

3 Q. Are you going to be able to conclude that there
4 is a reasonable geologic basis for the boundary of the
5 proposed Blinebry-Drinkard Unit?

6 A. Yes.

7 Q. Within the context of that areal extent, describe
8 for us then what is the floodable interval that you're
9 seeking to flood?

10 A. We are seeking to flood a portion of the Blinebry
11 formation and a portion of the Drinkard formation, which we
12 will depict on a succeeding cross-section.

13 Q. Is it Apache's intent not to inject water into
14 the Tubb gas interval?

15 A. Yes.

16 Q. Is that the kind of physical operation that's
17 being utilized in the Northeast Drinkard Unit?

18 A. Yes.

19 Q. When we look at the reservoir continuity issue,
20 in looking at the Blinebry portion of that vertical extent,
21 is that a reservoir formation that has reasonable geologic
22 continuity to it so that it's subject to being floodable in
23 a successful way?

24 A. Yes, it is. The Blinebry-Tubb and Drinkard
25 formations extend over a very large part of the east

1 Central Basin Platform in Lea County, New Mexico.

2 Q. So in terms of floodability, then both the
3 Blinebry and the Drinkard within this geographic area are
4 subject to successful waterflood?

5 A. Yes, and in fact they have been successfully
6 waterflooded in at least the three other waterflood units
7 depicted on Exhibit 19.

8 Q. Let's continue, then, Mr. Curtis. If we save
9 Exhibit 19 as our locator map, let's look at the vertical
10 intervals. And if you'll turn to Exhibit 20, before you
11 start describing in detail what your conclusions are,
12 identify for Mr. Catanach what it is that we're looking at.

13 A. Exhibit 20 is a structural cross-section running
14 essentially through the north-south center of the proposed
15 East Blinebry-Drinkard Unit. It begins with a couple wells
16 in the Northeast Drinkard Unit, highlighted in yellow on
17 the locator map.

18 Q. For reference here, on Exhibit 20, I don't have a
19 line of cross-section through the unit. Is there another
20 display --

21 A. Yes, it's --

22 Q. -- I can look at to show me the line of cross-
23 section?

24 A. -- 21 through 24 will show that line of cross-
25 section.

1 Q. Well, let's just do that for a moment. Turn to
2 Exhibit 21, let's unfold that one. And the red line that
3 appears on Exhibit 21 is the line of wells associated with
4 Exhibit Number 20?

5 A. Yes.

6 Q. Let's start, then, on the far western side of the
7 cross-section, Exhibit 20, and have you walk us through the
8 conclusions that you perceive to be applicable as a
9 geologist to the waterflood.

10 A. Exhibit 20 demonstrates the formation tops of the
11 Blinebry, Tubb and Drinkard formations. They are tied back
12 into the type log used in the unit agreements.

13 The two wells on the far left-hand side of the
14 cross-section, the Northeast Drinkard Unit, or NEDU Numbers
15 516 and 517, are actually outside the boundaries of the
16 proposed East Blinebry-Drinkard Unit, demonstrating that
17 the formations being unitized and waterflooded in the
18 Northeast Drinkard Unit do extend over our proposed East
19 Blinebry-Drinkard Unit.

20 The Bunin Estate 1-X on the far right-hand side
21 of the cross-section, then, is outside the eastern boundary
22 of our proposed unit, demonstrating that that well does not
23 have commercial Blinebry or Drinkard reservoir, or
24 commercially floodable reservoir, in that location.

25 Formation tops, you will see on the cross-

1 section, the upper line is the -- I informally call it the
2 top of the Blinebry, but the OCD would call it the Blinebry
3 marker.

4 The red area on the very top of the two far-hand
5 left wells are what is called the Blinebry gas cap. When
6 Shell unitized Northeast Drinkard Unit, they identified a
7 subsea level of minus 2255 feet as the oil-water contact.
8 Anything above that level would be in the gas cap. It
9 would also be our intent not to put water, not to flood
10 that gas cap. That would be not in the best interests of
11 producing those gas reservoirs.

12 The blue highlighted area is what we term the
13 Blinebry oil leg. It extends from either the top of the
14 Blinebry marker or the oil-water contact, whichever is
15 lower, to a subsea depth of minus 2450 feet, below which
16 Blinebry production is sporadic at best.

17 The gray highlighted formation is the Tubb, which
18 we have mentioned as being primarily gas reservoir. We
19 will prevent water from going into that formation.

20 Below the Tubb is the Drinkard. It's broken into
21 two subdivisions on the cross-section. The green part is
22 what we would call the oil leg. We will put water into
23 that part of the Drinkard formation. The blue interval is
24 below a subsea depth of minus 3225 feet, which was
25 identified by Shell in 1987 as the Drinkard oil-water

1 contact, and we will not put water into that interval
2 either. It would not behoove us to do that.

3 The base of the unit is defined as the top of the
4 Abo, then, which is the lowest formation boundary
5 identified.

6 At the very bottom of the cross-section I do show
7 decline curves as to both -- or all three, oil, gas and
8 water production from those wells.

9 Q. When we look at Exhibit 20, as we move from west
10 to east, as we get to the eastern portion or the right-hand
11 side of this cross-section, it appears that you're losing
12 both of these floodable reservoirs.

13 A. That is correct. That's the reason we have
14 placed the eastern unit boundary where it is.

15 Our strategy informing or proposing this unit,
16 kind of looking at all three of the last exhibits together,
17 was, we wanted to unitize the largest possible area,
18 keeping in mind that, number one, Apache wanted to have the
19 largest working interest to be the unit operator.

20 Number two, we wanted to include sufficient
21 outside operators who agreed with our proposal to get the
22 proposal ratified and approved so we could proceed forward
23 with a hearing and then unitization and waterflooding.

24 And number three, include all the Blinebry and
25 Drinkard oil reservoirs, if you will, that we thought could

1 be commercially waterflooded.

2 Q. Let's turn now specifically to Exhibit 21 and
3 have you make the transition in from Exhibit 20 to 21, and
4 show us on this structure map what it is that you're seeing
5 that causes you to draw the eastern boundary of the
6 proposed unit in the fashion that you've chosen.

7 A. Exhibit 21 is a structure map on the top of the
8 Blinebry marker, as exhibited on the cross-section, a 50-
9 foot contour interval. Production from the Blinebry, Tubb
10 and Drinkard is basically a stratigraphic trap, however
11 there are some important structural levels.

12 As I mentioned previously, Shell has identified a
13 subsea level of minus 2255 feet as being the top of the
14 Blinebry oil leg. Unfortunately, it looks as though my
15 mapping software cut off part of those digits, but if you
16 look at the extreme western half of Section 24 on the south
17 edge of the map, the line labeled minus-22-blank-blank is
18 actually minus 2250. So the defined Blinebry gas cap would
19 be higher than or to the west left of that, so we include
20 just a little bit of that gas-cap interval.

21 Also, moving to the east, a subsea depth of minus
22 2450 feet is defined as the commercial limit for Blinebry
23 oil production. It is very near our eastern extent. Just
24 coincidentally, the Drinkard subsea depth of minus 3225
25 falls between that contour line and the Blinebry and the

1 minus-2400-foot contour line in the Blinebry, so again is
2 coincident with that proposed eastern boundary.

3 Q. Let's build on the last two displays and now
4 integrate your isopach on the Blinebry into this to see how
5 that fits together. If you'll turn to Exhibit 22, let's
6 take a moment and unfold that.

7 A. Oh, Exhibit 22.

8 Q. 22, right?

9 A. I went the wrong direction, Mr. Kellahin, excuse
10 me.

11 Exhibit 22 is a net-pay map of the Blinebry oil
12 leg, if you will. We have a 25-foot contour interval in
13 this case. The key on the bottom right-hand side of the
14 map, in addition to other things, shows the general
15 thresholds I used when mapping.

16 To qualify as pay the Blinebry interval, first of
17 all, had to be above minus 2450 feet. Gamma-ray had to be
18 less than 45 -- excuse me, 40 API units. Crossplot
19 porosity between 5 percent and 20 percent. And we chose
20 crossplot porosity because the Blinebry, Tubb and Drinkard
21 are mixed siliciclastic limestone and dolomite formations.
22 The lithology has become rather complex, and without being
23 able to calculate a crossplot porosity, the porosities, and
24 therefore the pays you pick, become increasingly erroneous,
25 and the map loses a lot of continuity, and therefore a lot

1 of utility to us.

2 This is also the map, and as identified back on
3 the cross-section in Exhibit 20, the green interval in the
4 Blinebry is the interval that Mr. Mayes has used for his
5 volumetric calculations.

6 Q. At this point, then, I want you to integrate the
7 Drinkard map. Let's turn to the Drinkard isopach, Exhibit
8 23.

9 A. The Drinkard, again, oil-pay, if you will, map, I
10 used the same threshold criteria: gamma-ray less than 40
11 API units, crossplot porosity from 5 to 20 percent. It
12 demonstrates the existence of Drinkard pay over essentially
13 all of the unit. Again, the zero isopach line coincides
14 very nicely with the eastern unit boundary. And this is
15 the interval identified on Exhibit 20. The cross-section
16 is the green band through the Drinkard formation and is
17 also the unit -- the unit and the map that Mr. Mayes used
18 in calculating volumetrics for the project.

19 Q. Based upon all this data and information, Mr.
20 Curtis, are you able to ultimately conclude that there is a
21 reasonable geologic basis for the configuration of the unit
22 boundary for purposes of waterflood?

23 A. Yes.

24 MR. KELLAHIN: That concludes my examination of
25 Mr. Curtis.

1 We move the introduction of Exhibits 19 through
2 23.

3 MR. CARR: No objection.

4 EXAMINER CATANACH: Exhibits 19 through 23 will
5 be admitted.

6 EXAMINATION

7 BY EXAMINER CATANACH:

8 Q. Is it predominantly the Blinebry that's dictating
9 that eastern boundary, or is both the Blinebry and the
10 Drinkard?

11 A. I would say probably, Mr. Examiner, that it's the
12 Drinkard. Looking at the Blinebry, some pay does exist
13 east of that boundary line, but it is so thin that we don't
14 see it as, number one, being commercially attractive to put
15 water in. Also when looking at production from the wells
16 east of the boundary, they have been such poor producers
17 that any tracts included over there would essentially
18 receive no credit, at least from the cumulative production
19 standpoint, would be heavily overweighted as to the surface
20 area in the participation formula.

21 Q. Is there anything geologically that helps define
22 the north and south boundaries of the unit?

23 A. Let me refer back to Exhibit 19 for just a
24 moment.

25 Q. Nineteen.

1 A. That's the locator map.

2 Not particularly, however to the north, half a
3 mile away from us, is ConocoPhillips' Blinebry-Tubb Unit.
4 Again, Blinebry production in the general area between our
5 proposed unit and Conoco's unit has not been good. To the
6 south part of the -- our proposed unit is abutted to the
7 currently existing Northeast Drinkard Unit, so we for sure
8 could not extend any farther south there. And once again,
9 production south of our unit has not been particularly
10 good, at least through the little bit of Section 24 there
11 you see there on the map.

12 Q. There is a tract that is excluded from both the
13 Northeast Drinkard Unit and the East Blinebry-Drinkard Unit
14 down in Section -- I can't read that section.

15 A. Section 14.

16 Q. Fourteen, yeah. Do you know why that has been
17 excluded?

18 A. Perhaps you should refer that question to Mr.
19 Kellahin, he represented that party. No, actually, your
20 Honor -- Mr. Examiner, that's a 240-acre parcel. The
21 western 160 acres is owned by Mr. Cone. Mr. Cone has
22 resisted unitization attempts since the mid-1980s when the
23 Northeast Drinkard Unit was proposed. We have discussed
24 East Blinebry-Drinkard with him. Again, he does not desire
25 to participate, so he was excluded.

1 Also there's a Chevron tract there that they
2 prefer to be excluded, so we agreed -- you know, yielded to
3 their wishes.

4 Geologically, there's no reason to exclude those
5 tracts. However, for purposes of having our project
6 ratified and proceeding forward, we had to exclude them.

7 Q. Okay. Now, within the Blinebry formation, that
8 is fairly continuous through your proposed unit. It thins
9 to the east. Are there selective intervals in the Blinebry
10 that you've targeted for flooding? It's not the whole
11 interval, right?

12 A. In general, Blinebry porosity and permeability
13 seem to be -- especially permeability, seem to be contained
14 within rather thin intervals separated by thick non-
15 permeable intervals.

16 Obviously -- you know, wells, however are
17 fracture-stimulated, so some of those intervals are
18 connected. Also, you know, we will fracture through some
19 tight intervals.

20 One of the -- essentially, no, we -- well, we
21 probably will not concentrate much water in the area below
22 minus 2450, however Mr. Mayes would be better suited to
23 answer this question. We also intend to do infill drilling
24 to connect zones of permeability that are rather
25 discontinuous.

1 Q. Is the Drinkard kind of the same way, or is that
2 -- is there kind of selective intervals in there?

3 A. It's the same type formation, permeability is in
4 thin zones, separated by thick zones of impermeable rock.
5 Again, I would assume that we would concentrate our water
6 injection into the oil leg, but would defer specific
7 answers to that question to Mr. Mayes.

8 Q. Okay. Now, you're unitizing from the -- I'm
9 looking at Exhibit Number 2, from the NMOCD top of the
10 Blinebry; is that what you're --

11 A. Yes, sir.

12 Q. Okay. That's what we're calling the top of the
13 Blinebry?

14 A. I would assume that's correct. The Division
15 identifies the Blinebry marker and then allows -- and then
16 stipulates that the top of the Blinebry, if you will,
17 reservoir is 75 feet above that marker.

18 Q. Okay. So that's the interval that you're
19 unitizing from that top?

20 A. Yes, sir.

21 EXAMINER CATANACH: Okay, I don't think I have
22 anything else. No.

23 MR. KELLAHIN: Mr. Catanach, with your permission
24 we'll call Mr. Kevin Mayes. Mr. Mayes is a petroleum
25 engineer with the Applicant.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

KEVIN MAYES,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q. Mr. Mayes, for the record, sir, would you please state your name and occupation?

A. Yeah, my name is Kevin Mayes. I'm a petroleum engineer with Apache Corporation in Tulsa, Oklahoma.

Q. On prior occasions, Mr. Mayes, have you testified as an expert petroleum engineer?

A. Yes, I have.

Q. Pursuant to your employment as an engineer with Apache, has it been your primary responsibility to do the engineering aspects for this project area?

A. Yes, it has.

Q. As part of your work, have you made yourself knowledgeable about the engineering matters concerning the Chesapeake -- I'm sorry, the Apache-operated Northeast Drinkard Unit that's adjacent to the current project?

A. Yes, I have.

Q. And are the exhibits we're about to see exhibits that you have prepared?

A. Yes, they are.

Q. And have you been the principal employee of

1 Apache that's been responsible for negotiating the
2 technical aspects of this case, including the participation
3 formula?

4 A. Yes, I have.

5 Q. And when there's discussions between Apache and
6 McElvain, they've been discussions conducted by you on
7 behalf of Apache?

8 A. That's correct.

9 Q. And when there are technical discussions with
10 other working interest owners about this project, it's been
11 with you?

12 A. That's correct.

13 MR. KELLAHIN: We tender Mr. Mayes as an expert
14 petroleum engineer.

15 EXAMINER CATANACH: Mr. Mayes is so qualified.

16 Q. (By Mr. Kellahin) Let's start with some
17 background, Mr. Mayes. If you'll start with what we've
18 marked as Exhibit Number 24, when you analyze the
19 production that's historically gone on, let's use this
20 display to show Mr. Catanach the points that are important
21 to you.

22 A. Okay, yeah, Exhibit 24 is a production plot of
23 the -- a summary of all the production that's come out from
24 under the unitized area. Of course the red curve is gas
25 production, the green curve is oil production, blue curve

1 is water production.

2 And there's two black curves on the exhibit. The
3 first or the lower of the two black curves, running about
4 the 10 line, is a GOR line. That's actually in MCFs per
5 barrel of oil. More recognized term is SCFs per barrel,
6 which would be 10,000 GOR.

7 As you can see in the recent years, that GOR has
8 slightly declined below 10,000. We believe that is due to
9 some slight energy coming across the border from the
10 northeast Drinkard unit and slightly affecting the
11 production in the to-be-formed East Blinebry-Drinkard Unit.

12 EXAMINER CATANACH: Do you all have colored
13 exhibits? Because I have a black-and-white -- or I'm color
14 blind.

15 MR. KELLAHIN: No, it was to see if you're paying
16 attention.

17 (Laughter)

18 EXAMINER CATANACH: Thank you.

19 THE WITNESS: Care for me to repeat all that?

20 Anyway, point of emphasis is, the GOR line has
21 dipped below 10,000 in recent years, and again we attribute
22 that to some slight energy coming across the boundary from
23 the northeast Drinkard waterflood, which has been running
24 for 20 years.

25 Another point to be made, there's another black

1 line that's running about 50 there, kind of running through
2 the blue water-production line. That is the active well
3 count. As you can see, as of right now there's 47 active
4 wells in the unitized area. Current oil production rate
5 for the unit is 78 barrels of oil a day.

6 Q. What was the total wells?

7 A. Total wells, active wells, is 47 wells.

8 Q. And you're deriving what on a daily basis now?

9 A. Yeah, the cumulative production, 78 barrels of
10 oil a day, so that's 1.6 barrels of oil a day per well.
11 Very depleted reservoir, approaching its economic limit.

12 The vintage of the wellbores is 1950, 1960
13 vintage wellbores for the most part, and it is developed on
14 a 40-acre spacing right now.

15 Q. Let's turn now to Exhibit 22 and have you
16 summarize for Mr. Catanach some of the reservoir parameters
17 that you've used to make your analysis.

18 A. I believe it's Exhibit 25 we're up to.

19 Q. I'm sorry, 25.

20 A. Again, this exhibit is just a summary of the
21 reservoir parameters. The first set of information there
22 deals with the average pay over both the Blinebry oil band
23 and the Drinkard oil band, the average porosity, average
24 water saturation, et cetera. The point to be made is that
25 the original oil in place is 53.7 million barrels of oil.

1 I might add at this point that the participation
2 formulas, indeed, a production formula, has no geologic or
3 petrophysics parameters in it. And as has been stated
4 earlier, it's based on 95-percent cumulative production and
5 5-percent surface acres.

6 The next batch of information there deals with
7 the primary recoveries. Cumulative primary recovery to
8 date is 8.3 million barrels of oil, we have 190,000 barrels
9 of remaining oil, making for an ultimate primary recovery
10 of just under 8.5 million barrels of oil.

11 Going on the next batch of information, that 8.5
12 million barrels of oil represents a 15-percent current --
13 or ultimate recovery factor, which is fairly standard for
14 these reservoirs.

15 Going on, you can see that we are calculating a
16 23-percent gas saturation in the reservoir right now.
17 Again, very depleted.

18 The next batch of information down deals with our
19 anticipated injection rates and our fill-up time, and the
20 fill-up time calculates out to be 8.5 years, a fairly
21 lengthy fill-up time on this project.

22 And then the last two pieces of information are
23 our estimated incremental secondary recoveries we expect
24 from this project, which we're estimating at 3.4 million
25 barrels of oil, which is a secondary-to-primary ratio of

1 .41, secondary barrels of oil to primary barrel of oil,
2 which again is a very reasonable number.

3 Q. When we look at the reservoir values you've used
4 for the East Blinebry-Drinkard Unit, how do they compare to
5 the values that were used in the Northeast Drinkard Unit?

6 A. Very comparable.

7 Q. When we talk about the operational aspects of the
8 new unit, is there any material difference in how you
9 propose to operate the East Blinebry-Drinkard from what
10 you're currently using to operate the Northeast Drinkard
11 Unit?

12 A. No, operations will be very similar.

13 Q. Let's turn to some of the analogies. I think you
14 have an Exhibit 26 that makes some comparisons about the
15 performance of the waterfloods in the area?

16 A. Yeah, that's correct. What's represented on
17 Exhibit 26 is the oil-production curve for the three
18 analogous offset waterflood units. A red arrow indicates
19 when injection was started at each of those various units.

20 I scrutinized the response and production
21 performance of these three offset units under waterflood
22 conditions with the larger working interest owners
23 participating in this unit. I might note at this time that
24 all of the working interest owners were balloted to form a
25 technical committee or an engineering committee. All the

1 parties declined, did not want to participate in that, left
2 it to our work through meetings and correspondence to
3 generate the technical aspects of this project.

4 All three of the offset waterfloods have
5 performed nicely, have gained incremental reserves. And
6 again, the average secondary-to-primary of those three
7 offset analogies was .41 barrels of secondary reserves to
8 barrels of primary reserves.

9 Q. Let's turn now to Exhibit 27 and look at what you
10 forecast to be the performance of the current project.

11 A. Yes, Exhibit 27 shows the performance of this
12 unit, a primary oil curve and a primary-plus-secondary oil
13 curve, where the difference in those two curves represents
14 the incremental recovery we expect from this project.

15 You can see initially we will lose 15 barrels of
16 oil a day as we convert 17 producers to water injection.
17 We'll catch up with the primary curve after one year and we
18 will reach peak production out at eight point years [sic]
19 after the reservoir is fully filled up.

20 The peak rate that's dictated on there represents
21 11.6 barrels of oil per day per producing well, which again
22 comes directly off the average of the three analogies.

23 The incremental oil we project recovering from
24 this project is 3.4 million barrels of oil.

25 Q. Mr. Mayes, let me direct your attention to

1 Exhibit 28, and let's talk about the relationship of the
2 injection wells.

3 Do you have a color -- you have a copy?

4 EXAMINER CATANACH: (Nods)

5 THE WITNESS: Exhibit 28 is a plat again, showing
6 the unit boundary, that starts addressing the issues of our
7 infrastructure and our capital expenditures.

8 First of all, the black -- small black box off to
9 the west of the plat, represents the location of our water
10 source well. We will be -- It is completed in and has
11 already been tested for water production out of the San
12 Andres formation. It will supply all of our needs for
13 water injection, so our water source will be 100-percent
14 produced San Andres water.

15 The green lines represent injection lines, then,
16 running from the water source well to the various injection
17 wells.

18 And the blue diamonds represent the injection
19 wells with a blue number associated with those blue
20 triangles that represents what we anticipate to be the
21 injection volume at each injection well.

22 Q. (By Mr. Kellahin) When we get to it in a minute,
23 you are the engineer that prepared and was responsible for
24 completing the Division Form C-108?

25 A. That's correct.

1 Q. Are the proposed injection wells that we're
2 seeing on Exhibit 28 the same ones that you're seeking
3 approval for injection when we get to the C-108?

4 A. Yes, they are.

5 Q. Are you ultimately able to conclude as an
6 engineer, Mr. Mayes, that in your opinion the unitized
7 management, operation and development of this unit is
8 feasible?

9 A. Yes, I do.

10 Q. Are you satisfied that this can be accomplished
11 at a reasonable profit?

12 A. Absolutely.

13 Q. Let's look at the cost components. If you'll
14 turn to Exhibit 29, let's have you go through that summary.

15 A. Yeah, Exhibit 29 represents just a summary of the
16 economics of the project. You can see initial capital
17 investment is going to be \$2.4 million, and then we have
18 broken out the economic summary as to the working interest
19 owner benefit, the mineral owner benefit, and the State of
20 New Mexico benefit.

21 The working interest owners as a group will
22 realize an after-income-tax present value, above and beyond
23 the investment, of \$5.8 million, which generates a 28-
24 percent rate of return.

25 And the benefit to the mineral owners as a group

1 is an after-income-tax present value of \$1.5 million.

2 And of course benefit to the State of New Mexico
3 in tax revenues is a present value of \$900,000.

4 Q. Without approval and implementation of the
5 waterflood project, are there recoverable oil reserves that
6 would be left in the ground?

7 A. Absolutely.

8 Q. Let's turn now, Mr. Mayes, to modifications in
9 the documents so that Mr. Catanach has a clear
10 understanding of the wells that you're going to utilize for
11 production and those wells that you're going to utilize for
12 injection, at least those that you're seeking approval for
13 at this time --

14 A. Correct.

15 Q. -- starting first with Exhibit 30.

16 A. Yeah, Exhibit 30 is an amendment to the unit
17 operating agreement. It is Exhibit "I" of the unit
18 operating agreement.

19 Unfortunately, my operations guys out in the
20 field went and recompleted a Smith Number 1 well, which is
21 in the last group of wells on page 1, recompleted it from
22 the Abo formation up into the Tubb formation on me last
23 week. As a result, I had to consider that that is an
24 appropriate wellbore to include in the unitization, so we
25 did make this amendment to Exhibit "I" which we will send

1 out to all the pertinent parties after this hearing.

2 Q. So when Mr. Catanach is looking for a current,
3 accurate count of wells that will be producing wells within
4 the unit, this would be it?

5 A. Yes, this is all the wellbores that will be
6 brought into the unit and inventoried at the effective
7 date, yes.

8 Q. Let's turn to the tabulation of the wellbores
9 that you're seeking to have approval for injection, if
10 you'll turn to Exhibit 31, please.

11 A. Yes, Exhibit 31 is a list of our 17 wells that we
12 anticipate converting from production into injection.

13 There is one difference between this list and the
14 Exhibit 30 list, that being the second well down, which is
15 the Elliott-Monterey Number 5. This is a wellbore that
16 McElvain operates, and it is currently completed in the Abo
17 formation. It is the intent of McElvain and all the
18 parties to the unit that that wellbore -- it is uneconomic
19 in the Abo formation. They are going to transfer that
20 wellbore to us at the effective date, and the unit will
21 spend the capital to abandon the Abo per regulations and
22 complete it in the Blinebry and Drinkard oil legs and use
23 it for an injector.

24 Q. Let's turn now to the underground injection
25 control topic, and start with what we've marked as Exhibit

1 Number 32, which is the Division Form C-108. Is this the
2 document you've prepared?

3 A. Yes, it is.

4 Q. And are these attachments your attachments?

5 A. Yes, they are.

6 Q. Let's go through in a summary fashion the general
7 high points of this process, and then we can come back to
8 more specific things.

9 A. Okay.

10 Q. If you'll turn past the Application portion, and
11 let's continue turning until we get to what you call the
12 well map, it's the cloud map that's got the half-mile-
13 radius circles drawn around each of the injection wells.
14 If you'll start at that point.

15 A. Yeah, what that page represents is a compilation
16 of all the half-mile radiuses around all the injectors that
17 we're applying for with this C-108 form.

18 Q. Having taken that area, then, have you then made
19 a tabulation, using the Division-accepted form of
20 tabulation, of all the wellbore data with regard to those
21 wells that have penetrated to or through the injection
22 intervals?

23 A. Yes, I have.

24 Q. Let's flip past the map and look at what is
25 marked in this as page 1 of -- I believe this indicates

1 five pages to the display?

2 A. Correct.

3 Q. Now, starting with the first part of the
4 spreadsheet, describe for Mr. Catanach how you have
5 organized the spreadsheet.

6 A. Yeah, just going across the headers at the top of
7 that spreadsheet, the first column is the current operator
8 of the well, second column is the lease name, third column
9 being the well number, then going into the location, both
10 the section and the footage location within that section,
11 the API number -- or, I'm sorry, the type of well that it
12 is, the API number assigned to that wellbore, spud date,
13 total depth, designated with "TD", and then a construction
14 of the wellbore, being all strings of casing that have been
15 set in the wellbore, as well as the volume of cement in
16 terms of sacks of cement circulated around that casing.

17 Next column is the top of cement, and what I did
18 for top of cement is based on a calculation using 25
19 percent excess of the hole volume to account for washouts
20 and non-gauge hole. And the cement slurry that I used, I
21 assumed a 1.00 cubic feet per sack of cement, which is a
22 very conservative yield on the cement.

23 And then the last column is just completion and
24 comments, which is all the perforations that have been shot
25 in any casing interval, squeezes that have been performed,

1 P-and-A treatments, et cetera.

2 Back to the top-of-cement calculation, there were
3 two or three wellbores where the calculation did not cover
4 the top of the Blinebry within 200 feet, and fortunately
5 those wells were all wells that Apache operates and I was
6 able to go to our well files and secure either temperature
7 logs or cement-bond logs and made a more accurate estimate
8 of the top of cement, and those are the top-of-cements that
9 will be reflected in this spreadsheet.

10 Q. Go back and ask you now, if there is a measured
11 top, is it noted on the spreadsheet so Mr. Catanach can
12 find that information?

13 A. It is not, I just plugged that number in. I can
14 certainly provide that --

15 Q. Let's do that subsequent to the hearing, let's
16 give him another spreadsheet that shows him those entries
17 that are a measured top --

18 A. Okay.

19 Q. -- and if you'll further annotate it to note if
20 you're used a cement-bond log or a temperature survey in
21 that analysis so he'll know where you got the number. And
22 when we look at the calculated tops, go ahead and put on
23 the revised spreadsheet the calculation that you've used.
24 And you've used the same calculation every time?

25 A. Yes, I have.

1 Q. Having done that, can you give us the range of
2 cement cover above and below the injection interval? How
3 would we know that?

4 A. Yeah, I mean, the closest calculated -- and I
5 haven't committed it to memory, but is not within 200 feet
6 of the top of the Blinbry formation, and the range runs
7 all the way up to circulated to surface.

8 Q. Within that as your standard, do you as an
9 engineer see anything that you would call a problem
10 wellbore --

11 A. No, I do not.

12 Q. -- where you somehow would have inadequate
13 cement?

14 A. No, I think all wellbores are constructed
15 mechanically to not allow our injection water to escape our
16 target formations.

17 Q. When we look at any plugged-and-abandoned wells
18 within the area of review, do you have schematics in the
19 C-108 that include every plugged and abandoned well?

20 A. Yes, I do, either a schematic or a sundry notice
21 that documents exactly how the well was plugged. All the
22 wells were plugged per NMOC regulations and should not
23 allow water to escape our target formations.

24 Q. So even using current technology on a plugged and
25 abandoned well, you're satisfied that they meet the current

1 standard?

2 A. Yes, I -- Yes, sir.

3 Q. You don't think you should go back and re-plug
4 any of those wells?

5 A. No, I do not.

6 Q. Are there any producing wells that are producing
7 below your waterflood areas for which there may be
8 inadequate cement across the injection interval?

9 A. There's wells that produce below it, but none
10 with inadequate cement, no.

11 Q. So your waterflood is not pressuring up
12 unprotected casing in any well that's deeper?

13 A. No, not to my knowledge.

14 Q. When we look at the other components of the
15 C-108, are you seeking any exception to the current
16 pressure limitation of .2 p.s.i. per foot of depth?

17 A. No, we'll accept the .2 p.s.i. per foot of depth
18 initially and run step-rate tests if we -- for any
19 justification for higher pressure.

20 Q. You recognize the Division practice is to provide
21 a procedure in your order that will allow you to submit for
22 their approval of step-rate tests and therefore increase
23 your pressure?

24 A. Yes, I do. And as a matter of fact, we've done
25 that on the Northeast Drinkard Unit and gotten that

1 pressure raised.

2 Q. When you look at how you're going to handle the
3 operational components of the East Blinebry-Drinkard flood
4 with what you're currently doing in Northeast Drinkard
5 Unit, you have a common boundary. Is there any need for
6 any kind of lease-line boundary injection agreements?

7 A. No, no, don't believe so, no.

8 Q. So what are you doing that causes you not to have
9 to have those kind of agreements?

10 A. Over on the Northeast Drinkard Unit right now, we
11 are drilling a -- producing wells 330 feet off the line in
12 order to protect against this energy escaping the Northeast
13 Drinkard Unit to any surrounding areas.

14 Q. So as operator of both units, you are protecting
15 the owners in both units from migration of product across
16 the common boundary?

17 A. Absolutely.

18 Q. When we look at the window Mr. Catanach was
19 identifying back on Exhibit 19 --

20 A. Nineteen, yes, sir.

21 Q. -- he was looking at the white window --

22 A. Uh-huh.

23 Q. -- which is 160 acres of the Cone tract --

24 A. Correct.

25 Q. -- and there's an 80-acre tract that is a

1 property operated by Chevron?

2 A. That's correct.

3 Q. Have both those entities been afforded the
4 opportunity to participate in the current unit?

5 A. Absolutely.

6 Q. And have they chosen not to do that?

7 A. They have chosen not to do that.

8 Q. Describe for us what you intend to do
9 operationally to keep injection fluids out of any gas
10 production associated with the Tubb Gas Pool.

11 A. Yeah, any -- all 17 of the injectors we currently
12 propose to convert to injection and any injection well we
13 would apply for down the road is not currently completed in
14 the Tubb formation, we will not complete in the Tubb
15 formation.

16 Q. That is a circumstance that exists in the
17 Northeast Drinkard Unit, does it not?

18 A. In some instances it did. I believe all the Tubb
19 has been squeezed off in any injector in the Northeast
20 Drinkard Unit at this time.

21 Q. I guess that was my point.

22 A. Yeah.

23 Q. The protection of the Tubb gas interval in that
24 unit --

25 A. Correct.

1 Q. -- is accomplished in the same fashion that you
2 propose to do so in this new unit?

3 A. Absolutely.

4 Q. Mr. Catanach had a question of pool nomenclature
5 a while ago.

6 A. Yes, sir.

7 Q. Can you help us understand what it is that you're
8 trying to do?

9 A. Yeah, I think so. In the Northeast Drinkard
10 Unit, Mr. Catanach, that was formed back in 1987, they did
11 create a common pool out of the three separate pools. At
12 that time, though, I believe it took administrative
13 application to downhole commingle the three different
14 pools, and at this time it's my understanding that that is
15 not required of these three pools. All that's required is
16 to submit an allocation to the Hobbs District Office. As a
17 result, we did not pursue creating one pool for the East
18 Blinbry-Drinkard Unit. We respectfully entertain the idea
19 if we think that will make things easier, but at this time
20 we hadn't pursued that.

21 Q. Does your C-108 include a schematic or data
22 concerning how you propose to recomplete these wells for
23 injection purposes?

24 A. Yes, sir, there are schematics on every well we
25 propose to convert from production to injection, yes.

1 Q. One of the principal reasons of that process,
2 under that form, is to protect shallow freshwater sources?

3 A. Correct.

4 Q. Have you made a literature search with the State
5 Engineer's Office as well as had field personnel go out and
6 look for windmills and water sources in the area?

7 A. Yes, I have. Those are represented by the last
8 four pages of the C-108, Exhibit 32. That is the location
9 from the State Engineer's Office as to all the freshwater
10 wells, their depth, et cetera.

11 Q. Are you satisfied that the method of setting
12 surface-protection casing in this area is deep enough to
13 protect all shallow freshwater sands?

14 A. Yes, I do.

15 Q. Is there any evidence in your experience, or in
16 the files of Chesapeake, there's any open geologic faulting
17 that would hydrologically connect the injection intervals
18 to shallow freshwater sands?

19 A. No, there appears to be no hydrologic connection
20 outside of the target zones.

21 Q. Is there anything contained in the C-108 that you
22 want to specifically direct Mr. Catanach's attention to, as
23 to being something that you perceive to be a difficulty?

24 A. No, I don't see any problems.

25 Q. Let's turn, finally, then, back to one of the

1 earlier topics, and that's this question of the
2 participation formula. We've specifically included an
3 Exhibit 33, which is taken out of the agreement, and it
4 sets forth the formula. As an engineer, Mr. Mayes, you had
5 some choices to make about a proposed formula to recommend
6 not only to your company, to McElvain and to others?

7 A. Yes.

8 Q. And one of the things you could have chosen to do
9 was to use the complicated two-phase formula that currently
10 exists and is in place for the Northeast Drinkard Unit?

11 A. Could have, yes.

12 Q. That formula for that other unit generally
13 provides what?

14 A. Phase 1 of that formula involves the remaining --
15 estimated remaining primary reserves. Phase 2 uses, I
16 believe -- it's a convoluted deal -- 75-percent ultimate
17 primary and 25-percent current rate, I believe.

18 Q. Why have you chosen not to use something like
19 that for the East Blinebry-Drinkard Unit?

20 A. The East Blinebry-Drinkard Unit, again, is very
21 depleted. All the wells are approaching their economic
22 limit, so there didn't seem to be a need for a remaining-
23 reserve component to the formula. I discussed the formula
24 at length with the five major working interest owners
25 becoming part of this agreement and, you know, the vast

1 majority was in agreement with that assessment.

2 Q. How long have you worked on trying to put this
3 together, Mr. Mayes?

4 A. Over three years.

5 Q. When we look at the components of what you've
6 done, this formula is going to provide equity to the
7 tracts, independent of what you calculate to be the oil in
8 place?

9 A. That's correct.

10 Q. So we don't have to use some kind of engineering
11 -- I mean, some geologic-based component to try to
12 approximate what is the waterflood reserves associated with
13 an individual --

14 A. That's correct, yeah.

15 Q. So you're using production?

16 A. That's correct.

17 Q. And then you've got an acreage factor, factored
18 into the formula?

19 A. Yeah, what happened was, due to some horizontal
20 severs there would have been some very minor tracts that
21 would have received no participation. As a result, the BLM
22 recommended to us to use 5-percent surface acres as a way
23 to give those parties some participation, and all the major
24 parties agreed to that.

25 Q. Are you satisfied that the utilization of this

1 participation formula is fair and reasonable?

2 A. Yes, I do.

3 Q. And it provides reasonable value for all the
4 tracts within the unit that are going to be affected?

5 A. Yes, I do.

6 Q. If you had an interest in this unit, would you be
7 pleased to receive your share of proceeds using this
8 formula?

9 A. Absolutely.

10 Q. Is Apache experiencing any water flows or any
11 surface problems associated with the injection of fluids in
12 the Northeast Drinkard Unit?

13 A. No, we are not.

14 Q. And you said all of your source water for
15 injection into the new project is going to be produced
16 water?

17 A. Going to be produced water from the San Andres,
18 which is the same source as the Northeast Drinkard Unit.

19 Q. So there's no makeup fresh water?

20 A. That's correct.

21 Q. Mr. Mayes, let's make sure we've covered the
22 testimony points concerning the tax credit. We're talking
23 about the enhanced oil recovery tax credit associated with
24 this Application?

25 A. Yeah.

1 Q. Attached to the waterflood Application is an
2 engineering affidavit that sets forth your affidavit with
3 regards to all the components that the Division requires
4 testimony concerning qualification for the enhanced oil
5 recovery tax credit?

6 A. Yes, I believe it does.

7 Q. And is that your affidavit that's associated with
8 that Application?

9 A. Yes, it is.

10 Q. Let me show that to you, Mr. Mayes. Here's the
11 Application, here's your signature.

12 A. Correct.

13 Q. And with regards to the values associated with
14 the capital expenditures and the other items set forth in
15 that affidavit, those are your numbers, right?

16 A. That's correct.

17 Q. Are there any changes or alterations that you
18 desire to make to the information set forth in the
19 affidavit associated with the Application that qualifies
20 this project pursuant to the Division Rules for the
21 enhanced oil recovery tax credit?

22 A. No, I do not.

23 MR. KELLAHIN: That concludes my examination of
24 Mr. Mayes. We'd move the introduction of his Exhibits 24
25 through 33.

1 EXAMINER CATANACH: Exhibits 24 through 33 will
2 be admitted.

3 And I just have a few questions.

4 EXAMINATION

5 BY EXAMINER CATANACH:

6 Q. Mr. Mayes, I was looking at Exhibit Number 28
7 with regards to the injection wells.

8 A. Okay.

9 Q. How did you arrive at that particular injection
10 pattern within the unit?

11 A. Yeah, that's a -- it is a fivespot pattern, which
12 is essentially brought over from the Northeast Drinkard
13 Unit, so it follows the trend of their pattern.

14 There are, let's see, three areas where there are
15 two wells stacked on top of each other. What that
16 represents is, there are twin wellbores. One wellbore is
17 completed in the Blinebry, the other wellbore would be
18 completed in the Drinkard, and it's desired to ensure that
19 water injection makes it down to the Drinkard, and that's
20 why we're utilizing those twin wellbores.

21 Q. So some of the wells are not completed -- Are
22 they drilled down to the Drinkard?

23 A. Some of them over on the east side are not
24 drilled down to the Drinkard, they are just Blinebry. But
25 what one has to realize is, from the top perf of the

1 Blinebry to the bottom perf of the Drinkard is almost 1000
2 feet of gross interval, and we've experienced over at
3 Northeast Drinkard Unit, when you start injection you don't
4 get an even profile of injection across that much of a
5 range.

6 So over on this East Blinebry we're kind of
7 learning from the issues over at Northeast Drinkard and
8 trying to force more water down to the Drinkard, and that's
9 what we have those twin wellbores. But essentially it is a
10 fivespot waterflood pattern we're installing.

11 Q. Now, do you plan on drilling any additional
12 injection wells on the eastern portion of the unit?

13 A. Yes, sir, what the plan of operation is, is to
14 inject for -- I've recommended three or four years to allow
15 this reservoir to start pressuring up and then start
16 drilling 20-acre infill wells. And we will probably work
17 our way from west to east, as the west had more pay in it
18 as you're -- and of course pinching out as you go east.

19 Q. Okay. From the information I've seen, it appears
20 that the Drinkard and the Blinebry are pretty much fully
21 developed within the unit.

22 A. That's correct.

23 Q. You did mention, however, that there was a recent
24 recompletion to the Tubb.

25 A. That's correct.

1 Q. What is the status of the Tubb completions in the
2 unit? Is it --

3 A. Very few. Actually, within the unit area I think
4 there was one existing Tubb completion, then our new
5 completion made two.

6 The interesting thing about the Tubb under this
7 area is that it might have an oil component to it, and as
8 we develop -- as we drill some new wells, get some modern
9 logs, we as a unit -- all the participants are kind of
10 anxious to see if that is a well over there, and we might
11 be able to flood it also. But at this time we're treating
12 it as a gas zone.

13 Q. Uh-huh. Well, are you concerned, then, about the
14 participation formula, being that it's based on cumulative
15 production and the fact that the Tubb is not very well
16 developed in the unit? Is that a concern?

17 A. Well, it's not developed now, so the unit
18 participants will be participating in the capital to
19 develop the Tubb, so I think that the formula is still
20 equitable in that aspect. All the people that are going to
21 get the majority of the production revenue out of the Tubb
22 will be paying the capital to develop the Tubb.

23 Q. In the Northeast Drinkard Unit, have you had any
24 problems with any water getting into the Tubb formation?

25 A. No, no.

1 Q. And as I understand your plan of operations for
2 the injection wells, you would simply perforate the zones
3 in the Blinebry and the Drinkard that you plan to flood,
4 just up and down the hole, and just not perforate any Tubb
5 interval?

6 A. That's correct. I mean, the way all the wells
7 that we're going to convert to injection exist right now
8 is, they are only completed in the Blinebry and the
9 Drinkard.

10 Q. Is that basically the same way that they've been
11 doing it in the other units?

12 A. Northeast Drinkard Unit?

13 Q. Uh-huh.

14 A. Well, the Warren Unit is downstructure to the
15 Northeast Drinkard Unit, and the Tubb does turn into oil,
16 and they do waterflood the Tubb at the Warren Unit.

17 Q. Well, I guess -- Are you satisfied that your
18 wellbore integrity in some of these injection wells is
19 sufficient to not allow any water to get into the Tubb?

20 A. I do, yeah.

21 Q. You were talking about an exhibit that had to do
22 with the EOR. Do I have that?

23 MR. KELLAHIN: I thought we did.

24 THE WITNESS: I don't know as we made an exhibit
25 out of it. We verbalized it more than anything else.

1 EXAMINER CATANACH: Okay, so you were just --

2 MR. KELLAHIN: You were talking about that
3 production display, and he only mentioned it in his
4 testimony. There's not a separate EOR exhibit, right? You
5 were looking at the production data --

6 EXAMINER CATANACH: Well, as far as qualifying
7 the project for the EOR tax credit --

8 MR. KELLAHIN: I think the tax credit --

9 EXAMINER CATANACH: -- we were talking about that
10 last --

11 MR. KELLAHIN: Yeah, right.

12 EXAMINER CATANACH: -- and there's not an exhibit
13 to that effect.

14 MR. KELLAHIN: His testimony is, the affidavit
15 associated with the Application is his testimony, and it
16 meets all the requirements of the tax credit process.

17 EXAMINER CATANACH: Okay, I've got it.

18 MR. KELLAHIN: I thought you were talking about
19 gas-oil ratio, I'm sorry.

20 EXAMINER CATANACH: I just wasn't sure that there
21 was an exhibit that kind of went over that.

22 MR. KELLAHIN: You would have to look at his
23 affidavit associated with the Application. We were trying
24 to shorten this process, Mr. Catanach. We can make it
25 longer if you want.

1 EXAMINER CATANACH: Okay, I think that's all I
2 have, although I'll probably think of something later that
3 I should have asked, I'm sure. That always happens.
4 Anyway, that's all I have.

5 Mr. Carr, you didn't have anything?

6 MR. CARR: I have no questions.

7 EXAMINER CATANACH: Okay. There being nothing
8 further in these cases, Cases 13,504 and 13,503 will be
9 taken under advisement.

10 (Thereupon, these proceedings were concluded at
11 11:55 a.m.)

12 * * *

13
14
15
16
17 I do hereby certify that the foregoing is
18 a complete record of the proceedings in
the Examiner hearing of Case No. 13503, 13504
heard by me on June 16, 2005.

19 David R. Catnach Examiner
20 Oil Conservation Division
21
22
23
24
25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL June 19th, 2005.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 16th, 2006