

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

ORIGINAL

APPLICATION OF DEVON ENERGY PRODUCTION Case 14970
COMPANY, LP, FOR SPECIAL RULES AND
REGULATIONS FOR THE SCANLON DRAW-BONE SPRING
POOL, TURKEY TRACK-BONE SPRING POOL, AND
WINCHESTER-BONE SPRING POOL, EDDY COUNTY,
NEW MEXICO

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID K. BROOKS, Presiding Examiner
PHILLIP GOETZE, Technical Examiner
RICHARD EZEANYIM, Technical Examiner

May 16, 2013

Santa Fe, New Mexico

This matter came on for hearing before the
New Mexico Oil Conservation Division, DAVID K. BROOKS,
Presiding Examiner, and PHILLIP GOETZE, Technical
Examiner, RICHARD EZEANYIM, Technical Examiner, on
Thursday, May 16, 2013, at the New Mexico Energy,
Minerals and Natural Resources Department, 1220 South St.
Francis Drive, Room 102, Santa Fe, New Mexico.

REPORTED BY: Jacqueline R. Lujan, CCR #91
Paul Baca Professional Court Reporters
500 Fourth Street, N.W., Suite 105
Albuquerque, NM 87103 505-843-9241

RECEIVED OGD
2013 MAY 16 8:29

A P P E A R A N C E S

FOR THE APPLICANT:

JIM BRUCE, ATTORNEY AT LAW
P.O. Box 1056
Santa Fe, New Mexico 87504
(505)982-2043

WITNESSES: PAGE

Curt McKinney:

Direct examination by Mr. Bruce 4

Jeff Bentley:

Direct examination by Mr. Bruce 14

Examination by Examiner Ezeanyim 18

INDEX PAGE

EXHIBITS 1 THROUGH 11 WERE ADMITTED 13

EXHIBITS 12 THROUGH 15 WERE ADMITTED 18

REPORTER'S CERTIFICATE 28

1 EXAMINER BROOKS: Back on the record.

2 We'll call Case Number 14970, application of
3 Devon Energy Production, LP, for special rules and
4 regulations for the Scanlon Draw-Bone Spring, Turkey
5 Track-Bone Spring and Winchester-Bone Spring Pools, Eddy
6 County, New Mexico. Call for appearances.

7 MR. BRUCE: Mr. Examiner, Jim Bruce, of
8 Santa Fe, representing the applicant. I have two
9 witnesses.

10 EXAMINER BROOKS: Would the witnesses
11 please stand and identify themselves?

12 MR. McKINNEY: Curt McKinney, geologist
13 with Devon Energy.

14 MR. BENTLEY: Jeff Bentley, reservoir
15 engineer with Devon.

16 (Two witnesses were sworn.)

17 MR. BRUCE: Mr. Examiners, a couple of
18 introductory matters. If you look at Exhibit 1, we're
19 here today for, as you said, the Scanlon Draw, Turkey
20 Track and Winchester-Bone Spring Pools.

21 Exhibit 1 simply gives the current legal
22 description of the pools. As you will see from some of
23 the geologic exhibits, there are wells that are
24 attributed to those pools in the Division's records, but
25 the pools haven't been officially expanded under the

1 procedure yet.

2 I also put in the acreage for the Parkway-Bone
3 Spring pool. The reason why is a lot of the data out
4 here is in the Parkway-Bone Spring Pool, and that pool
5 already has a 10,000-to-1 GOR under Order Number R-9160,
6 which is submitted as Exhibit 2. And since these pools
7 are all in close proximity, Devon is requesting that the
8 other three pools be granted a 10,000-to-1 GOR, just as
9 the Parkway-Bone Spring Pool has been.

10 EXAMINER BROOKS: Very good.

11 CURT McKINNEY

12 Having been first duly sworn, testified as follows:

13 DIRECT EXAMINATION

14 BY MR. BRUCE:

15 Q. Mr. McKinney, could you state your name and
16 city of residence?

17 A. My name is Curt McKinney. I reside in
18 Oklahoma City, Oklahoma.

19 Q. Who do you work for, and in what capacity?

20 A. I work for Devon Energy Corporation. I'm a
21 petroleum geologist.

22 Q. Have you previously testified before the
23 Division?

24 A. Yes.

25 Q. Were your credentials as a petroleum geologist

1 accepted as a matter of record?

2 A. Yes.

3 Q. Are you familiar with the geology involved in
4 this application?

5 A. Yes.

6 MR. BRUCE: Mr. Examiner, I tender
7 Mr. McKinney as an expert petroleum geologist.

8 EXAMINER BROOKS: He is so qualified.

9 Q. (By Mr. Bruce) Mr. McKinney, could you
10 identify Exhibit 3 for the Examiner and discuss its
11 contents?

12 A. Exhibit 3 is a map of the area under
13 consideration, 19 South, 29 East, Eddy County. Several
14 of the wells have a color code associated with them that
15 would designate what Bone Spring pool they are assigned
16 to. So the only wells that have color are Bone Spring
17 wells, and they're just distinguished one from the other
18 according to what pool they belong to. And then the
19 yellow color fill on some of the sections represents
20 Devon's lease position in an overall sense.

21 Q. And what is Exhibit 4?

22 A. Exhibit 4 is the same map -- same area that we
23 just looked at, and it also has the yellow acreage shown.
24 And then there's a dashed blue outline that shows the
25 extent of the Parkway West unit. It's a state unit. And

1 then the wells with colored attributes surrounding the
2 well symbol are Bone Spring producers. And I've just
3 assigned a color, depending upon which part of the Bone
4 Spring formation is productive from that particular well.

5 There's also just a zigzag line of a
6 cross-section here that we'll show you later, just to
7 demonstrate the relative continuity of the reservoir
8 across this area.

9 Q. Up in the upper right, the color code does
10 give what zone these wells are producing from, does it
11 not?

12 A. Yes, that's correct.

13 Q. In what zone has Devon done most of its
14 development out here?

15 A. Our efforts to date have been in the Second
16 Bone Spring sand and the First Bone Spring sand. And in
17 a general sense, everything you see that's in kind of a
18 greenish color would be Second Bone Spring sand
19 production, and everything you see that's in a reddish
20 color is First Bone Spring. And then other colors just
21 represent different members of the Bone Spring.

22 Q. Over on the left side of the map primarily, I
23 see some blue circles. What are those?

24 A. Those are Third Bone Spring producers.
25 There's just a small number of them.

1 Q. Down to the south or southeast, there's a few
2 purple circles. What is that?

3 A. Those are produced from what's called the
4 Avalon sand member of the Bone Spring.

5 Q. So pretty much every Bone Spring zone is
6 productive out here?

7 A. Yes, that's correct.

8 Q. Let's move on to Exhibit 5. Could you discuss
9 the structure out here?

10 A. Again, same area, so same scale. Everything
11 is the same, so there will be no confusion there.

12 At the well symbols, you'll see a Sub C value.
13 That's the top of Second Bone Spring lime, which is
14 easily correlated across the area.

15 And this is a map that's at the top of the Sub
16 C structure of the Second Bone Spring lime. The purpose
17 of this map is just to show there aren't any known faults
18 out here in the Bone Spring. There isn't any significant
19 structural closure. It's more or less a monoclinial dip
20 from northwest to southeast, roughly at about a degree,
21 just to show that structure doesn't play a significant
22 role in the trapping of these sands.

23 Q. Let's move on to your first cross-section that
24 was denoted on this map.

25 A. Same cross-section line of section. This

1 first one is just to show the continuity of the First
2 Bone Spring sand. The cross-section is hung on the top
3 of the First Bone Spring sand. The sand is designated by
4 the orange color. The carbonate above and below are in
5 the blue hues, generally.

6 These are all either sonic or density neutron
7 logs. So you've got the gamma ray on each well, the
8 gamma ray on left track, and then the porosity curve is
9 on the right. And we color filled the porosity, anything
10 greater than 8 percent, just to help the porosity to
11 bounce out.

12 We have larger scale copies of this, if this
13 not large enough to review. I tried to make this big
14 enough so you can see the numbers.

15 This is a horizontal play for Devon and for
16 other players. We generally, in the First Bone Spring,
17 land at approximately 6,900 to 7,000 feet and drill
18 laterally across these sections. The entire sequence is
19 productive, so we just frack our way through all of that.

20 Q. What is Exhibit 7?

21 A. That's an interval isopach of a member. This
22 is my nomenclature. Every geologist is going to
23 subdivide these sands according to their own
24 interpretation. I break the First Bone Spring sand
25 interval out into four members that I think are

1 contributing to the production. This is an interval
2 isopach of the --

3 EXAMINER EZEANYIM: Excuse me. Which
4 exhibit are we talking about now?

5 MR. BRUCE: Exhibit 7, Mr. Examiner.

6 THE WITNESS: It should be the one with
7 the red contours.

8 This is -- again, it's an interval isopach of
9 what I call the middle B sand of the First Bone Spring
10 sand interval. It's really just -- this is generally the
11 zone that we land in, because it's about two-thirds of
12 the way through the overall sequence. Most of frack
13 height, when we stimulate these, goes up, and some of it
14 goes down. So we think we are able to frack the entire
15 sequence.

16 And basically what the map is designed to show
17 is that the reservoir is present across the area. There
18 isn't really anything to segregate one area from another.
19 It thickens and thins, but it's generally present across
20 the area. We have found it, in fact, productive across
21 the area where we've drilled.

22 The color coding on the wells -- I've only got
23 the First Bone Spring producers turned on, if you will,
24 or designated on this map, so you can sort of focus on
25 where the First Bone Spring is actually productive. It's

1 widespread across the area, also across multiple pools.

2 Q. Let's discuss the Second Bone Spring. What --
3 maybe I'll let you run with it.

4 A. It's the same line of cross-section that
5 you've seen. We just dropped down approximately 800 feet
6 down section to the Second Bone Spring sand interval.

7 This one is also stratigraphically hung on top
8 of the Second Bone Spring sand. It's this one. It's a
9 thicker section. The Second Bone Spring sand interval is
10 thicker than the first, but it's very similar in terms of
11 its productivity for us.

12 Here again, I subdivided out. But we
13 generally land our wells in the Second Bone Spring around
14 7,850 across the area. And the purpose of the
15 cross-section is, again, just to show you that the sands
16 are present across the area. I just kind of started on
17 the far west side and went to the far east side. That's
18 all that's demonstrated -- that's all I'm trying to
19 demonstrate with this.

20 Again, we've color filled in the porosity just
21 to show you that there is porosity in the sands across
22 the area. It thickens and thins. The quality varies.
23 But with laterals, we're able to access all the reservoir
24 that's available to us and bring it on.

25 EXAMINER EZEANYIM: Is there any

1 indication of the first sand in here?

2 THE WITNESS: Of the what?

3 EXAMINER EZEANYIM: First Bone Spring
4 sand. Do you indicate anything on this?

5 THE WITNESS: No.

6 EXAMINER EZEANYIM: Just for the second?

7 THE WITNESS: This is just for the second.
8 They're all the same wells. Every well is just moved
9 down section. In order to be able to see it and look at
10 it, I had to blow it up, so we had to break it into two
11 pieces.

12 And then the final exhibit is the -- again,
13 it's an isopach of the member of the Second Bone Spring
14 sand interval that we land in. I designate that as the
15 lower sand.

16 It's also -- again, you can see that it's
17 present across the area. I've got -- each well symbol
18 has the thickness of this particular mapped interval
19 shown next to the well. It varies in thickness, but it's
20 always present. It's a series of channels, basically,
21 but it's never absent. And that's the purpose of the
22 exhibit, to show its continuity across the area. There's
23 nothing to segregate it, really.

24 Again, we've turned on just the wells that
25 produce from the Second Bone Spring. And I guess if you

1 could show these two on your desktop next to each other,
2 the isopach of the First and the Second, you'll see that
3 we've drilled quite more -- Industry and Devon have
4 drilled quite a bit more Second Bone Spring wells to date
5 than the First.

6 We're just about finished -- at least Devon
7 is -- with drilling the Second. We've got it just about
8 fully drilled up. By the end of this year, I suspect
9 we'll be completely drilled up on the First Bone Spring.
10 So we're moving pretty fast on this. We've had a couple
11 of rigs running out there for a period of time now.

12 Q. (By Mr. Bruce) Although there are four Bone
13 Spring pools in this area, is there any reason
14 geologically to differentiate between the four pools?

15 A. I don't believe so.

16 Q. And did Devon Energy's Land Department check
17 the OCD records to determine all of the Bone Spring
18 operators in these four pools and the outlying areas
19 where the wells have been attributed to the pools?

20 A. Yes.

21 Q. Does Exhibit 10 reflect all of the operators
22 in this area, Bone Spring operators?

23 A. Yes, it does.

24 MR. BRUCE: And Mr. Examiner, Exhibit 11
25 is simply my Affidavit of Notice to the operators in the

1 pool, and they all did receive actual notice of the
2 hearing.

3 Q. (By Mr. Bruce) Mr. McKinney, were Exhibits 3
4 through 9 prepared by you?

5 A. Yes.

6 Q. Were Exhibits 1, 2, 10 and 11 just compiled
7 from company business or Division records?

8 A. Yes.

9 MR. BRUCE: Mr. Examiner, I'd move the
10 admission of Exhibits 1 through 11.

11 EXAMINER BROOKS: Exhibits 1 through 11
12 are admitted.

13 (Exhibits 1 through 11 were admitted.)

14 MR. BRUCE: I have no further questions of
15 the witness.

16 EXAMINER BROOKS: Very good.

17 Mr. Ezeanyim?

18 EXAMINER EZEANYIM: No questions.

19 EXAMINER GOETZE: No questions.

20 EXAMINER BROOKS: I have no questions,
21 either.

22

23

24

25

1 JEFF BENTLEY

2 Having been first duly sworn, testified as follows:

3 DIRECT EXAMINATION

4 BY MR. BRUCE:

5 Q. Please state your name for the record.

6 A. Jeff Bentley.

7 Q. And where do you reside?

8 A. Oklahoma City, Oklahoma.

9 Q. Who do you work for, and in what capacity?

10 A. I work for Devon Energy as a reservoir
11 engineer.

12 Q. Have you previously testified before the
13 Division?

14 A. Yes.

15 Q. Were your credentials as an expert reservoir
16 engineer accepted as a matter of record?

17 A. Yes.

18 Q. Are you familiar with the reservoir matters
19 related to this application?

20 A. Yes, I am.

21 MR. BRUCE: Mr. Examiner, I tender the
22 witness as an expert engineer.

23 EXAMINER BROOKS: He's so accepted.

24 Q. (By Mr. Bruce) Mr. Bentley, let's go through
25 these exhibits a couple at a time. Looking at Exhibits

1 12 and 13, you're looking at particular wells, these
2 Osage federal wells. Why did you pick out these wells
3 for these exhibits?

4 A. These were, I guess, wells that were drilled
5 that target the First Bone Spring sand. They have a long
6 history to them. They have a lot of production data.
7 And I was just trying to capture that so we could see how
8 it behaved through time.

9 Q. Were these wells used in the application which
10 resulted in the special pool rules for the Parkway Bone
11 Spring pool?

12 A. Yes, they were.

13 Q. Looking at this -- well, just go ahead and
14 describe the exhibits,

15 A. The first exhibit, Exhibit 12, is just showing
16 a production graph. You'll see the gas in red and the
17 oil in green. You see that for the last 20 years,
18 they've been tracking very nicely, very close. I don't
19 see any divergence. I don't see gas diverging away from
20 the oil production.

21 Q. And Exhibit 13 is just simply a GOR graph?

22 A. Yes. Exhibit 13 is just showing that that is
23 exactly what's happening. You see the GOR is very
24 consistent for the past 20 years, roughly around 10,000
25 standard cubic feet per barrel.

1 Q. What are Exhibits 14 and 15?

2 A. Exhibits 14 and 15 are going to mirror these
3 two exhibits, but these are horizontal First Bone Spring
4 wells that we've drilled. There's -- we started the
5 horizontal on a few of our wells back in 2012 and have
6 continued. We only have a dataset of about nine
7 currently.

8 But we do see that the oil-to-gas ratio is
9 increasing on us beyond the 2000 pooling agreement that
10 we have, standard cubic feet per barrel. It's
11 approaching that 10,000 mark.

12 Q. So it looks like, based on Exhibit 15, the GOR
13 increased for about two months, and then it's been slowly
14 fluctuating or increasing since then?

15 A. Sure, sure. I just want to point out that
16 these things have -- a lot of these have recently been
17 brought on production. We only have about a half a
18 year's worth of history.

19 Q. You would anticipate that these horizontal
20 wells would mimic the vertical wells, the Osage wells,
21 and eventually have a GOR of about 10,000-to-1?

22 A. I do believe that's the nature of the Bone
23 Spring.

24 Q. What type of reservoir is this?

25 A. A solution gas drive reservoir.

1 Q. Now, you're concentrating mainly on the First
2 Bone Spring. Have you seen increased GOR in the Second
3 Bone Spring also?

4 A. You know, initial results, it was fairly
5 steady. But I am seeing -- you know, our Second Bone
6 Spring development has been going on longer. Those GORs
7 are starting to increase also.

8 Q. In all of these pools, there is no horizontal
9 severance among the Bone Spring zones. They are all
10 covered by the pool rules of the four pools?

11 A. That's correct. There's no difference between
12 the First, Second or the Third. We see the Bone Spring
13 as the entire interval, several thousand feet thick.

14 Q. In your opinion, will the granting of this
15 application reduce the ultimate production from the pool?
16 In other words, will it adversely -- will increasing the
17 GOR adversely affect production for the pool?

18 A. No, it will not.

19 Q. In your opinion, is the granting of this
20 application in the interest of conservation and the
21 prevention of waste?

22 A. Yes.

23 Q. Were Exhibits 12 through 15 prepared by you?

24 A. Yes, they were.

25 MR. BRUCE: Mr. Examiner, I move the

1 admission of Exhibits 12 through 15.

2 EXAMINER BROOKS: Exhibits 12 through 15
3 are admitted.

4 (Exhibits 12 through 15 were admitted.)

5 MR. BRUCE: I have no further questions of
6 the witness.

7 EXAMINER BROOKS: Very good.

8 Mr. Ezeanyim?

9 EXAMINER EZEANYIM: Okay.

10 EXAMINATION

11 BY EXAMINER EZEANYIM:

12 Q. Do you happen to know what the bottomhole
13 pressures are?

14 A. This is a normally-pressured reservoir. We
15 see about 7,000 feet down, 7,100 feet down.

16 Q. It's normally pressured?

17 A. It's normally pressured. So you're looking at
18 around 3,200 psi.

19 Q. Then there's three pools you're asking for?

20 A. Yes.

21 Q. Since I'm on the three pools, I have Scanlon,
22 Turkey Track and Winchester. Which one is producing from
23 the First Bone Spring?

24 I mean these pools -- I mean I'm trying to --
25 because you have the Avalon shale, you have the First

1 Bone Spring, Second Bone Spring.

2 And then on these three pools, what I'm asking
3 is -- the information here is only on the First Bone
4 Spring. Do you have anything on the Second Bone Spring?
5 Because the Second Bone Spring is always more prolific
6 than the First. Correct me if I'm wrong, but I don't
7 have any demonstration from the Bone Spring.

8 It appears to me that some of these pools
9 might be producing from the Second Bone Spring. We'll
10 come back to that. But let me go through what I wanted
11 to ask you before we go to that and then look at your
12 analysis.

13 Do you have any idea about the bottomhole
14 pressure? Do you have the bubble point? And what is the
15 current pressure? Do you have the bubble point pressure?
16 What is the current pressure right now; do you know?

17 A. Well, the current pressure right now is going
18 to be just a little bit under the 3,200 psi that I
19 mentioned before, because they've recently been brought
20 on production. I don't have that with me, but I can
21 definitely find out.

22 As far as -- what was your other question?

23 Q. Bubble point pressure.

24 A. We're in the early stages of getting some PVT
25 samples out there. I don't have the bubble point

1 pressure in this pool or this area, Parkway. But we have
2 done PVT analysis in Parkway, which is, I don't know, 10
3 miles over to east. And we see First Bone Spring bubble
4 point pressure around 3,800 psi.

5 So that tells me that this reservoir is
6 probably slightly below bubble point. That's my opinion
7 at this point. I don't have actual PVT analysis to
8 support that.

9 Q. You should get that PVT analysis on the
10 offsets. I know you say Parkway had 10,000 gas/oil ratio
11 in 1990. Things change. It's a concentration, but
12 things change.

13 Now, the wells are producing below bubble
14 point; right? We can safely say that? Even without the
15 PVT analysis, we can say those wells in the three pools
16 are producing below bubble point; right?

17 A. On the First Bone Spring?

18 Q. On the First Bone Spring.

19 A. Yes.

20 Q. So are you above bubble point in the Second
21 Bone Spring?

22 A. I don't have that data with me.

23 Q. What about Avalon? I need to have that
24 information. So it's only on the First Bone Spring that
25 the production is below bubble point, only the First Bone

1 Spring?

2 A. Yes.

3 Q. That's where you gathered this information?

4 A. Yes.

5 Q. So it's safe to assume that the Second Bone
6 Spring is still above bubble point? I mean you don't
7 have a PVT to demonstrate that?

8 A. No.

9 Q. It depends on the state of production that we
10 can know how much gas/oil ratio to give you. We need to
11 establish that. That's why I'm asking the question.

12 A. I know the Second Bone Spring produces at a
13 GOR a lot less than the First Bone Spring. And since
14 we're horizontally developing the First Bone Spring,
15 we're looking at seeing that that gas ratio to oil
16 increases, and that's why we're looking at a 10,000-to-1.

17 Q. Everybody says, "Well, we got it for the
18 Parkway." Yeah, you got it for Parkway. It might be
19 different for the other pools. And then how many years
20 from now, 13 or 14 years? Things change. We need to
21 look at that PVT analysis to see what the well is doing.
22 I know you said that the drive mechanism is what,
23 solution gas drive?

24 A. Yes, depletion drive.

25 Q. Initially, do you have a gas cap?

1 A. No, we do not see a gas cap.

2 Q. There was no gravity segregation? It's just
3 solution gas drive?

4 A. It's a solution gas drive reservoir.

5 Q. You don't have -- as you're producing gas, no
6 gas cap is developing?

7 A. We do not see that.

8 Q. So only primary energy gas solution?

9 A. Yes.

10 Q. Did you say you are going to do a PVT
11 analysis?

12 A. We are collecting PVT samples on the First
13 Bone Spring.

14 Q. Do you have any idea about the allowables in
15 these pools?

16 A. Allowables are 2000 to 1.

17 Q. Not allowable --

18 A. Oh, the --

19 MR. BRUCE: Mr. Examiner, I looked that
20 up. In the Parkway Bone Spring pool, it's 187 barrels a
21 day; in the Scanlon Draw, it's 230 barrels a day; in the
22 Turkey Track, it is 230 barrels a day; and in the
23 Winchester, it's 187 barrels a day.

24 EXAMINER EZEANYIM: Okay. So we're not
25 even getting close to that allowable. So that's

1 indicating that most of them may be below bubble point.

2 You know, the ones that are below bubble point will
3 produce more gas. And then when we produce more gas, we
4 lose a little bit.

5 Q. (By Examiner Ezeanyim) But anyway, let's go
6 back to these. These are the wells -- the Osage, these
7 are federal wells. Are they in Parkway or the Scanlon?
8 Which pool are these --

9 A. These are in Section 34.

10 MR. BRUCE: They're in the Parkway Bone
11 Spring.

12 Mr. Examiner, for future reference, if you --
13 Exhibit 3 has the pool boundaries. Exhibit 4 would show
14 the First and Second Bone Spring wells. So you can
15 figure out which is which.

16 Q. (By Examiner Ezeanyim) Right now what we are
17 analyzing -- what is your name?

18 A. Jeff.

19 Q. Okay. So what we are analyzing now is the
20 Parkway, because the Parkway already got approval for
21 10,000; right?

22 A. Yes.

23 Q. And that's where you got this?

24 A. Yes.

25 Q. It appears they are making 10,000, if you

1 calculate it from this. That's one of the questions I
2 wanted to ask, whether you are really getting up to
3 10,000 gas/oil ratio. We're trying to reduce waste by
4 producing only gas. When we approve this, that's what
5 we're going to be looking at. I want to produce more oil
6 than gas. Of course, you want to do that?

7 A. Yes.

8 Q. Okay. Why do you want 10,000 gas/oil ratio?

9 A. I want the 10,000 because I need that gas. I
10 can't pinch the gas back because I guess you'll
11 proportionately decrease your oil. I believe you're
12 still going to be at 10,000. It's hard to pinch a well
13 back to a GOR ratio. That added back pressure is going
14 to reduce your oil flow into the wellbore. It might to
15 the point where it's detrimental, and you are creating
16 waste because that gas has a lower viscosity. It's going
17 to want to come through the reservoir first.

18 So pinching it back could, in my professional
19 opinion, produce more gas and leave more oil trapped in
20 the reservoir, thus producing waste, which is what we're
21 trying to prevent.

22 Q. That is something wrong with solution gas
23 drives, that's true. But now I put it to you that most
24 of these pools are below bubble point. Because if
25 they're above bubble point, you wouldn't be allowed to do

1 10,000. I mean you know that you wouldn't be allowed to
2 do 10,000. That's why PVT analysis is very important.
3 You're not going to be allowed to do 10,000 when you are
4 above bubble point because I don't think you want to get
5 \$2.50 on mcf. You don't want to do that. So we need to
6 handle it carefully. I just assumed that -- how long
7 have these wells been producing; do you know?

8 A. I showed that on that one graph, the
9 production graph. It showed only half a year. And
10 that's -- the longest one has produced half a year. So
11 we started a half a year ago producing these things. We
12 started seeing these GOR increases.

13 Q. Because the bubble point is close to the
14 bottomhole pressure. So you can just start to IP the
15 wells, and you see within four months you are below
16 bubble point. I've seen wells do that. So it's safe to
17 say that most of these pools are operating below bubble
18 point.

19 And that's a very good condition because we
20 want to help you produce whatever you could, but we need
21 to get more data. I'm sorry we don't have PVT. But from
22 what you presented to me, I think they are below bubble
23 point, even if the well is normally pressured.

24 I should have asked this question. I wanted
25 to get the porosity and the permeability in this area.

1 A. The porosity is going to be 10 to 15 percent,
2 on average. And the permeabilities, you're talking in
3 the tenths of millidarcies, probably .01 to .5. It's a
4 very tight reservoir.

5 Q. That's what you have with solution gas drive.

6 Let's talk about -- I can see here this oil
7 production here is production from these wells?

8 A. Yes, the vertical wells.

9 Q. So really they're very, very marginal
10 production. The oil production from the pools are
11 marginal. If you look at -- I mean the --

12 A. They're long lived. Yeah, they're marginal.

13 Q. Yeah, very, very marginal. And they have been
14 producing for less than a year. I would love it to be,
15 you know, better.

16 I know you have approval for Parkway. Are you
17 asking for temporary pool rules or permanent pool rules?
18 Do you want to make it permanent right now?

19 A. Yes.

20 EXAMINER EZEANYIM: No further questions.

21 EXAMINER BROOKS: Mr. Goetze?

22 EXAMINER GOETZE: No questions for this
23 witness.

24 EXAMINER BROOKS: I have no questions.

25 MR. BRUCE: I have nothing further in this

1 case, Mr. Examiner.

2 EXAMINER BROOKS: Case Number 14970 will
3 be taken under advisement.

4 * * *

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. _____,
heard by me on _____.


_____, Examiner
Oil Conservation Division

REPORTER'S CERTIFICATE

I, JACQUELINE R. LUJAN, New Mexico CCR #91, DO
HEREBY CERTIFY that on May 16, 2013, proceedings in the
above captioned case were taken before me and that I did
report in stenographic shorthand the proceedings set
forth herein, and the foregoing pages are a true and
correct transcription to the best of my ability.

I FURTHER CERTIFY that I am neither employed by
nor related to nor contracted with any of the parties or
attorneys in this case and that I have no interest
whatsoever in the final disposition of this case in any
court.

WITNESS MY HAND this 29th day of May, 2013.


Jacqueline R. Lujan, CCR #91
Expires: 12/31/2013