

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)
) CASE NO. 13,888
APPLICATION OF BURLINGTON RESOURCES OIL)
AND GAS COMPANY, L.P., FOR APPROVAL OF)
A PILOT INFILL WELL PROJECT WITHIN THE)
SAN JUAN 27-5 UNIT, RIO ARriba COUNTY,)
NEW MEXICO)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: WILLIAM V. JONES, Jr., Hearing Examiner

March 15th, 2007

Santa Fe, New Mexico

2007 MAR 29 AM 8 07

This matter came on for hearing before the New Mexico Oil Conservation Division, WILLIAM V. JONES, Jr., Hearing Examiner, on Thursday, March 15th, 2007, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

March 15th, 2007
Examiner Hearing
CASE NO. 13,888

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESSES:	
<u>K.W. CRYER</u> (Landman)	
Direct Examination by Mr. Kellahin	7
Examination by Examiner Jones	17
<u>NEALE ROBERTS</u> (Engineer)	
Direct Examination by Mr. Kellahin	19
Examination by Examiner Jones	64
Examination by Mr. Brooks	77
REPORTER'S CERTIFICATE	80

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	10	17
Exhibit 2	13	17
Exhibit 3	9	17
Exhibit 4	16	17
Exhibit 5	21	64
Exhibit 6	22	64
Exhibit 7	26	64
Exhibit 8	29	64
Exhibit 9	32	64
Exhibit 10	34	64
Exhibit 11	37	64
Exhibit 12	40	64
Exhibit 13	46	64
Exhibit 14	47	64
Exhibit 15	48	64
Exhibit 16	51	64
Exhibit 17	56	64
Exhibit 18	63	64

* * *

A P P E A R A N C E S

FOR THE DIVISION:

DAVID K. BROOKS, JR.
Assistant General Counsel
Energy, Minerals and Natural Resources Department
1220 South St. Francis Drive
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

* * *

1 WHEREUPON, the following proceedings were had at
2 10:55 a.m.:

3 EXAMINER JONES: Okay, let's go back on the
4 record this morning and call Case Number 13,888,
5 Application of Burlington Resources Oil and Gas Company,
6 L.P., for approval of a pilot infill well project within
7 the San Juan 27-5 Unit, Rio Arriba County, New Mexico.

8 Call for appearances.

9 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
10 the Santa Fe law firm of Kellahin and Kellahin, appearing
11 on behalf of the Applicant, and I have two witnesses to be
12 sworn.

13 EXAMINER JONES: Any other appearances?
14 Will the witnesses please stand to be sworn?
15 (Thereupon, the witnesses were sworn.)

16 MR. KELLAHIN: Mr. Examiner, by way of
17 introduction we have before you a three-ring binder that
18 has the hard copies of the PowerPoint presentation.

19 In addition, we have put in the cover of your
20 book a copy of the PowerPoint presentation, and so the DVD
21 disk there for you will show you the same presentation
22 you're about to see here.

23 The exhibits are in the same order in the book as
24 you're going to see on the PowerPoint. I may for
25 convenience skip around in the first part to get you

1 oriented.

2 The concept is, currently within the 27-5 Unit --
3 it's one of the large federal units in the San Juan Basin.
4 Burlington Resources continues to be the operator of that
5 unit. Within Section 8 of that unit, which is internal
6 from the outer boundaries, within Section 8, they have
7 targeted Section 8 for a pilot project. Within the unit
8 itself, the density for Dakota -- for Mesaverde wells can
9 be four wells to a section. We're on -- no, it's more,
10 it's eight wells to a section. We can do 80-acre density.

11 And so what we're looking at here is to provide
12 the opportunity so that we can test on 40-acre density to
13 see if the pilot project, based upon the computer modeling,
14 will in reality support that density. So when you look at
15 Section 8 you're going to see how it's currently developed.
16 We're going to target for you the proposed infill pilot
17 wells.

18 You will note that the pilot wells are all being
19 drilled from various islands within that section and
20 directionally drilled. Part of that reason was to have an
21 economy of effort to use the least amount of surface
22 disturbance that would be required to initiate these wells,
23 and the plats will demonstrate that for you.

24 The Application asks for you to approve the
25 concept of directional drilling. The actual details of

1 themselves will be submitted to the District under the
2 administrative processing so that they will have the
3 directional plan in the C-102 that has all these locations
4 on it, and then there'll be the vertical plan. So what
5 we're going to show you today is the concept, and request
6 that you authorize the Division District, as they can do
7 now under the administrative process, to approve the wells
8 themselves.

9 The presentation you're about to see has been
10 made to the Bureau of Land Management. We have obtained
11 their concurrence. The concept has been generated among
12 all the working interest owners, and we have a substantial
13 approval from the working interest owners. It has been --
14 this same presentation has been made to the District Office
15 in Aztec, and with your permission we'll go forward and
16 make that presentation to you today.

17 K.W. CRYER,

18 the witness herein, after having been first duly sworn upon
19 his oath, was examined and testified as follows:

20 DIRECT EXAMINATION

21 BY MR. KELLAHIN:

22 Q. For the record, sir, would you please state your
23 name and occupation?

24 A. My name is K.W. Cryer, and I'm a landman for
25 Burlington Resources, which is a wholly owned subsidiary of

1 ConocoPhillips Corporation.

2 Q. Mr. Cryer, where do you reside?

3 A. Farmington, New Mexico.

4 Q. On prior occasions have you qualified before the
5 Division as an expert petroleum landman?

6 A. No, I have not.

7 Q. Summarize for us your education.

8 A. I graduated with a bachelor's of business
9 administration in petroleum land management from the
10 University of Oklahoma in 2006. I have worked with
11 ConocoPhillips since June. I have worked in mostly federal
12 units, and now starting to get on the fee lands as well.

13 Q. Among your responsibilities, have you been
14 designated the responsibility to deal with the land matters
15 within this unit concerning this pilot project?

16 A. Yes, sir, I have. I have retrieved the ownership
17 list in the participating areas within the unit and have
18 been in contact with them.

19 Q. As part of your process, have you and others
20 under your direction initiated proposals for the pilot
21 project to the working interest owners in the unit?

22 A. Yes, we have. We've sent out a letter, a ballot
23 letter, to get them to join in to the pilot project.

24 Q. To the best of your knowledge and information,
25 are you currently working with a current list of those

1 working interest owners and participants?

2 A. Yes, this is based off our Division order system,
3 and we believe it is the most current representation of
4 ownership.

5 MR. KELLAHIN: At this time, Mr. Examiner, we
6 tender Mr. Cryer as an expert petroleum landman.

7 EXAMINER JONES: Mr. Cryer, did you grow up in
8 New Mexico or --

9 THE WITNESS: Oklahoma.

10 EXAMINER JONES: Okay. Well, that's a new state.
11 Okay, Mr. Cryer is qualified as an expert
12 petroleum landman.

13 MR. KELLAHIN: With the assistance of Mr.
14 Roberts, who is the petroleum engineer who will testify in
15 a moment, I'm going to have him run the PowerPoint, and
16 we'll have Mr. Cryer refer to different things.

17 Let's start by flipping over and finding the
18 display that shows the area map. I think it's behind Tab
19 Number 3, Mr. Examiner, the first exhibit behind Tab 3.

20 Q. (By Mr. Kellahin) Mr. Cryer, what are we looking
21 at here?

22 A. Mr. Examiner, we're looking at a locator map of
23 the approximate location of the San Juan 27-and-5 Unit.
24 And you notice, you can see the Navajo Reservoir, the towns
25 of Bloomfield, Farmington and Aztec.

1 Q. Is this a fully formed, continually approved
2 federal unit?

3 A. Yes.

4 Q. It's an exploratory unit?

5 A. Yes.

6 Q. Are there participating areas in this unit?

7 A. Yes, there are. The Mesaverde and Dakota
8 participating areas are fully developed within the unit.

9 Q. Do you have a display that targets the section
10 involved with the San Juan 27-and-5 Unit?

11 A. Yes, in the next page behind Exhibit Tab 3 we
12 have outlined in red the section in question and the
13 development of the wells within that section and the unit.

14 Q. The entire unit area, then, has been approved as
15 a participating area for the Mesaverde?

16 A. Yes, sir.

17 Q. As well as --

18 A. As well as the Dakota.

19 Q. The Dakota too?

20 A. Yes, sir.

21 Q. Let's turn now and let's go through Exhibit 1,
22 and starting with the Application itself let's go through
23 and identify the attachments behind Exhibit Number 1,
24 starting off with the Application itself.

25 A. Okay. Behind Exhibit Tab 1 is the Application we

1 submitted for the 27-5 Infill Pilot Project.

2 Q. The first attachment, then, to the Application
3 is?

4 A. This is another locator map that we submitted to
5 the Conservation Division.

6 Q. And behind that is what?

7 A. This is a current list of the wells within this
8 section, of Section 8 of 27-5 Unit.

9 Q. Is there also a display that shows all the
10 proposed project wells that are to be added to the section?

11 A. Yes, on the next page there is a list of the
12 proposed wells that we have. There are 17 total wells, 14
13 of them are Mesaverde-Dakota commingles, two pressure
14 observation wells, and one Dakota stand-alone.

15 Q. When we look at this tabulation of wells and
16 their location, does this include just the surface
17 location, or is the bottomhole location also reflected?

18 A. The bottomhole location is reflected.

19 Q. Well, I'm -- I think you're mistaken --

20 A. Oh, I'm sorry.

21 Q. -- yeah, look again.

22 A. Oh, no, it is not, I'm sorry.

23 MR. KELLAHIN: The footages, Mr. Examiner, are
24 just for the surface.

25 THE WITNESS: I apologize.

1 MR. KELLAHIN: We'll have to supply the
2 bottomhole locations when they've been surveyed in.

3 EXAMINER JONES: On Exhibit C it's just surface?

4 MR. KELLAHIN: Those are just surface.

5 MR. ROBERTS: I notice the third column from the
6 right --

7 MR. KELLAHIN: That's just the unit letter. So
8 all we have is a unit letter, and we don't have the
9 footages for you.

10 EXAMINER JONES: Okay.

11 Q. (By Mr. Kellahin) Is there a naming or a well-
12 identification problem now that you're trying to resolve
13 with the OCD Aztec Office on how to name these wells?

14 A. Yes, there is. If you notice, behind the well
15 number there's a P. That simply stands for proposed. They
16 do not have the capacity to handle an additional amount of
17 wells, so we're currently working with them to change their
18 databases and -- to allow for that to happen.

19 EXAMINER JONES: We have an abacus, we don't have
20 a computer.

21 Q. (By Mr. Kellahin) Well, when that's resolved,
22 then, you'll file your APDs and your appropriate forms to
23 get the surface and the bottomhole locations established on
24 record before the Division?

25 A. Yes.

1 Q. Let's turn behind the identification for the
2 wells and find what's the next display.

3 A. You're referring to Exhibit 2?

4 Q. Well, there should have been a locator map
5 somewhere.

6 A. Yes, I'm sorry, okay. Yeah, look at -- described
7 as Exhibit D is a locator map of the wells. As you can
8 see, what we try to is take the existing wells and then,
9 obviously, like he said, drilling directionally into the
10 different --

11 Q. Let's turn now to Exhibit Number 2 and look at
12 the documents behind Exhibit Number 2. What's the first
13 thing we find?

14 A. This is a proposal letter for the working
15 interest owners in the 27-and-5 participating areas for the
16 Mesaverde and Dakota formations. We sent this out by
17 certified letter to all of the working interest owners.

18 Q. What's the current status of your voluntary
19 commitment percentages for this project?

20 A. We're -- on both formations, we're up over 99
21 percent on both. And simply, I think the last part was a
22 no-response and not a no.

23 Q. Six pages back in Exhibit 2 there's a letter from
24 the Bureau of Land Management.

25 A. Yes.

1 Q. Do you see that?

2 A. On January 18th we held a meeting, as we talked
3 about earlier, with the Bureau of Land Management and the
4 New Mexico Oil Conservation Division and gave them this
5 same thing, and out of that meeting they gave a letter of
6 their support for us, and this is what this letter is.

7 Q. While it's not a slide in the PowerPoint, Mr.
8 Examiner, behind Exhibit Tab Number 2, the next display is
9 Mr. Alexander's certificate of mailing.

10 Mr. Cryer, for purposes of this hearing did
11 Burlington cause copies of the Application and the notice
12 of hearing to be sent to all the working interest owners in
13 the unit?

14 A. Yes, we did, we submitted a letter February 23rd.

15 Q. And when we turn behind Mr. Alexander's
16 certificate, there's a notice letter over my signature of
17 February 12th? Keep going. Under 2 [sic].

18 A. I think I grabbed the wrong book, I'm sorry.

19 Q. It's all right. Is this an accurate copy of the
20 notice letter that Burlington sent to the working interest
21 owners?

22 A. Yes, and it is very accurate.

23 Q. And the tabulation of parties that were sent that
24 notice was prepared by Burlington?

25 A. Uh-huh.

1 Q. And it's the same master list that you've used
2 for the unit?

3 A. Yes, it is.

4 Q. When we turn past the letter there's a tabulation
5 of those interest owners in a hard copy, and behind the
6 hard copy, then, are copies of the return receipt cards,
7 are there not?

8 A. Yes, there are.

9 Q. And you've re-examined all those cards, have you,
10 Mr. Cryer?

11 A. Yes. Originally, we kind of got some confused
12 because we sent out two certified letters, one for the
13 proposal for them to join, and one for the notice of the
14 hearing, and we got some confused. But what are in your
15 book are the accurate copies for the hearing.

16 MR. KELLAHIN: It should be right after the
17 tabulation of interest owners, if you flip --

18 MR. BROOKS: What tab?

19 MR. KELLAHIN: It should be behind -- Mine is
20 behind Number 2.

21 THE WITNESS: I think they're behind 1.

22 MR. BROOKS: I don't think they're in here.

23 THE WITNESS: They're in 1.

24 MR. BROOKS: Oh, well, then --

25 THE WITNESS: Yeah, I'm sorry.

1 MR. KELLAHIN: Behind Number 1. Yeah, your hand
2 is on --

3 EXAMINER JONES: Number 1. There it is.

4 MR. KELLAHIN: There it is.

5 MR. BROOKS: Okay, thanks.

6 Q. (By Mr. Kellahin) As a result of those mailings
7 and those proposals, have you received any objection from
8 any interest owner?

9 A. Not -- no one.

10 Q. We've covered the items in Exhibit Number 3.
11 Let's turn to Tab 4 and look at the documents behind Tab 4.
12 What are you demonstrating here, Mr. Cryer?

13 A. This is a chronology of events involving the
14 27-and-5 Infill Pilot Program.

15 Q. When did this chronology begin?

16 A. January 15th, 2005.

17 Q. And where are we now with this chronology?

18 A. We are currently on the second page, present-day
19 at the hearing.

20 Q. And so these are the major topics in the
21 chronology affecting the pilot project?

22 A. Yes, they are.

23 MR. KELLAHIN: With your permission, Mr.
24 Examiner, that concludes my examination of Mr. Cryer.

25 We move the introduction of the exhibits that

1 he's testified to. They are exhibits behind Tabs 1 through
2 4.

3 EXAMINER JONES: Exhibits that are behind Tabs 1
4 through 4 will be admitted into evidence.

5 EXAMINATION

6 BY EXAMINER JONES:

7 Q. How big is Section 8, how many acres?

8 A. 640.

9 Q. Even 640?

10 A. I believe so.

11 Q. And these are both in the same PA, and there was
12 a -- the Mesaverde allows four wells for -- in the Dakota
13 in this instance, or already allows eight then; is that
14 right?

15 A. Excuse me?

16 Q. Wells per 640?

17 A. Yes.

18 EXAMINER JONES: And do you guys know what order
19 that was? Are you going to go over that in a little bit or
20 -- I can find it if --

21 MR. KELLAHIN: I've got the reference here for
22 you, Mr. Examiner. Here's a copy of the order that the
23 Division issued on February 3rd of 1998. It's Order Number
24 R-10,989, and it allowed four wells in the 320.

25 EXAMINER JONES: Okay.

1 MR. KELLAHIN: In addition, Mr. Examiner, the
2 order will show some flexibility in well locations from the
3 interior quarter quarter lines -- in fact, from any
4 interior line, you can be 10 feet off that line.

5 EXAMINER JONES: Okay. Are you the one that we
6 should ask about surface locations and picking the
7 locations? You're going to have three witnesses; is that
8 right?

9 MR. KELLAHIN: Perhaps we ought to save that for
10 the engineer and see --

11 EXAMINER JONES: Okay.

12 MR. KELLAHIN: If we can't clear that hurdle, I
13 have other witnesses that could be called.

14 EXAMINER JONES: Okay. Mr. Alexander is back
15 there, I see.

16 Q. (By Examiner Jones) POW, what does that mean?

17 A. Pressure observation well.

18 MR. BROOKS: Also it usually means pulled out of
19 well.

20 (Laughter)

21 MR. BROOKS: Everywhere else it means prisoner of
22 war.

23 (Laughter)

24 MR. KELLAHIN: We have some of those around here,
25 don't we?

1 MR. BROOKS: Well, you know, when I first got
2 into this business I was very confused because I kept
3 seeing POW on the drilling report. Who had the drilling
4 crew taken prisoner?

5 Q. (By Examiner Jones) Let's see here. Okay, you
6 guys are talking in this case about deviated wells from the
7 same surface location but not any horizontal drilling here;
8 is that --

9 A. No.

10 Q. -- correct? Okay.

11 EXAMINER JONES: And that's -- Mr. Brooks?

12 MR. BROOKS: I don't think I have any questions.

13 EXAMINER JONES: We may have questions later, but
14 I think we're done.

15 MR. KELLAHIN: You can step down.

16 Mr. Examiner, at this time I'll call Mr. Neale
17 Roberts.

18 NEALE ROBERTS,

19 the witness herein, after having been first duly sworn upon
20 his oath, was examined and testified as follows:

21 DIRECT EXAMINATION

22 BY MR. KELLAHIN:

23 Q. Mr. Roberts, for the record, sir, would you
24 please state your name and occupation?

25 A. Neale Roberts. I'm a reservoir engineer for

1 Burlington Resources, a wholly owned subsidiary of
2 ConocoPhillips.

3 Q. Where do you reside, sir?

4 A. I live in Farmington, New Mexico.

5 Q. On prior occasions have you testified before the
6 Division as a petroleum engineer?

7 A. No.

8 Q. Summarize for us your education.

9 A. I have a bachelor's in petroleum engineering from
10 Colorado School of Mines, 1980.

11 Q. Subsequent to graduation, where have you been
12 employed and in what capacities?

13 A. I've been employed numerous places around the
14 world as a reservoir engineer, most recently in Farmington,
15 New Mexico, since 1998.

16 Q. How long have you been involved in this Mesaverde
17 pilot project in the 27-and-5 Unit?

18 A. Since 2005.

19 Q. What are your primary responsibilities for the
20 project?

21 A. I am responsible for the modeling studies, the
22 original proposal budget and assisting the coordination of
23 the implementation, and data monitoring, gathering and
24 follow-up simulation studies.

25 Q. As part of that analysis, have you utilized the

1 expertise of petroleum geologists within Burlington?

2 A. Yes, sir.

3 Q. Have you found that information to be
4 knowledgeable and accurate?

5 A. Yes.

6 Q. As part of your process, have you reviewed all
7 the pressure data that's available within the area?

8 A. Yes.

9 Q. And have you reviewed the production data that's
10 available to you as well?

11 A. Yes.

12 Q. As a result of that study, do you now have
13 recommendations concerning a pilot project for the
14 Examiner?

15 A. Yes, I do.

16 MR. KELLAHIN: At this time, Mr. Examiner, we
17 tender Mr. Roberts as an expert petroleum engineer.

18 EXAMINER JONES: Mr. Roberts is qualified as
19 expert petroleum reservoir engineer.

20 Q. (By Mr. Kellahin) Mr. Roberts, let's turn to the
21 PowerPoint presentation and have you commence by telling
22 the Examiner and counsel how you have organized the
23 presentation.

24 A. Yes, the presentation is divided into three
25 parts, three separate pieces of work, actually. It would

1 begin chronologically with a scoping study, which led to a
2 pilot proposal which we'll discuss, and finally we've done
3 some preliminary modeling work in anticipation of the
4 actual project.

5 Q. At the conclusion of all the presentation, have
6 you summarized your ultimate conclusions at this point in
7 the project?

8 A. Yes.

9 Q. Are those conclusions demonstrating to you the
10 recommendation to the Examiner that he approve the pilot?

11 A. Yes, sir.

12 Q. Let's turn now to the infill scoping study.
13 First of all, define for us what you mean by that term.

14 A. The infill scoping study, which begins with Tab
15 6, was essentially designed to identify areas of infill
16 potential and select one or more for further analysis or
17 pilot testing, if we were to find any.

18 Q. In order to do that, what was then required?

19 A. Basically what we did is described here in this
20 infill scoping study slide. We began with an original-gas-
21 in-place grid and subtracted from that the EUR that we
22 expect to recover under the existing 80-acre development
23 plan, to generate a remaining gas in place at the end of
24 the current development.

25 That grid, then, was divided by a grid which

1 defined the minimum EUR per well in order to calculate a
2 maximum number of additional wells that can be drilled to
3 recover that gas.

4 Adding that to the existing wells provided us
5 with the total wells per section, from which we were able
6 to calculate a maximum density per section.

7 And then as a final step, having generated those
8 figures for the Mesaverde and the Dakota, was to reconcile
9 those numbers, one formation against the other and then of
10 course against the existing development, in order to
11 determine how many wells remain to be drilled in each
12 section.

13 Q. All right, Mr. Roberts, let's start then with the
14 workflow for the infill scoping study, and if you'll turn
15 to the next slide, let's talk about the Mesaverde original
16 gas in place.

17 A. Yes, the next slide is provided just as an
18 example of the workflow I just described. This would be
19 the Mesaverde original gas in place, contoured on an MMCF-
20 per-section basis.

21 The slide following that is the Mesaverde --

22 Q. Go back a minute, let's --

23 A. I'm sorry.

24 Q. -- let me ask you some questions.

25 A. Okay.

1 Q. When we look at the plat showing the original gas
2 in place, you've identified in the lower right a red
3 square. What's that?

4 A. That would locate 27 and 5 on this map.

5 Q. To the north and west of that square is an area
6 outlined in red that has a meandering shape to it. What
7 does that represent?

8 A. That is referred to internally as the Mesaverde
9 fracture trend. That's an area of the Basin that we
10 consider to be relatively more fractured than the rest of
11 the Basin.

12 Q. Do you have your laser pointer, Mr. Roberts?
13 Point that out for us so we can all make sure we're looking
14 at the same thing.

15 A. Yes, we're talking about this outline here.

16 Q. Within the shape of that contour is what?

17 A. Within -- inside of that contour, we believe the
18 rocks are relatively more fractured in the Mesaverde than
19 outside of that contour.

20 Q. Is the original gas in place based upon a
21 volumetric calculation?

22 A. Yes, the calculations are made from well logs, a
23 database that we update periodically and generate new maps.
24 This map would represent our most recent interpretation.

25 Q. Has this geologic map and the subsequent geologic

1 maps been prepared by Burlington geologists?

2 A. Yes.

3 Q. And are they relied upon by those geologists in
4 analyzing Mesaverde wells and their locations?

5 A. Yes.

6 Q. And do you also rely on them?

7 A. Yes.

8 Q. To the best of your knowledge, are they accurate?

9 A. Yes.

10 Q. Let's turn, then, to the next slide and look at
11 the resulting projection for the EUR from existing wells.
12 How do we read this display?

13 A. This is generated by projecting recoveries from
14 all of the active wells in the Basin, using decline curve
15 analysis, summing it at a section level, and then
16 contouring the expected recoveries per section Basinwide.

17 Q. When you move -- Use your pointer for me. If you
18 move to areas of the green and the reds, within that shade,
19 what are we seeing in those areas that distinguishes them
20 from the areas in the project San Juan 27-and-5 Unit?

21 A. Right, the contouring, the darker colors indicate
22 higher expected recoveries per section, while the lighter
23 colors anticipate lower recoveries per section, and you see
24 the 27-and-5 unit down here in the southeast is expecting a
25 relatively low recovery per section.

1 Q. And the recovery within the San Juan 27-and-5
2 Unit, the EUR is based upon what well density at this
3 point?

4 A. 80 acres --

5 Q. Okay.

6 A. -- per well.

7 Q. So visually, then, what do you conclude about the
8 display with regards to our project area?

9 A. The recoveries in the project area we would
10 expect to be low relative to better parts of the Basin in
11 the northwest.

12 Q. Let's reverse it now and look at the remaining
13 potential. Do you have another slide?

14 A. This slide displays the difference, in fact, of
15 the previous two maps, which would give us remaining gas in
16 place at the conclusion of the current development. And it
17 shows in the fracture trend and in the better-quality rock
18 in the northwest a very low remaining gas in place, and
19 conversely in the southeastern area with the poor expected
20 recoveries from the 80-acre we see a relatively higher
21 remaining gas in place.

22 Q. Let's turn to the next point, then, in your
23 presentation and have you analyze and explain to us your
24 minimum economic calculations.

25 A. Okay, behind Tab 7 there's a chart which displays

1 our work to calculate a minimum EUR per well in order to
2 get break-even economics under different cost scenarios,
3 one assuming a stand-alone well and the other assuming a
4 commingled well.

5 Q. When we look at this slide, what is the color
6 significance?

7 A. Well, the red line would represent the
8 relationship between gas price and minimum EUR, assuming
9 commingled costs -- in other words, cost-sharing between
10 the Mesaverde and the Dakota. The green line above the red
11 line, because it is assuming stand-alone cost to develop
12 either formation. So the --

13 Q. The conclusion with regards to stand-alone versus
14 commingled wells is what at this time?

15 A. Stand-alone is poorer economics. It permits less
16 development. Commingled costs permit more development of
17 the gas. And obviously, the higher the gas price, the less
18 gas is needed to justify a well.

19 Q. As part of your Application, are you also seeking
20 to include the Dakota within this, so you can commingle
21 Dakota and Mesaverde?

22 A. That's correct.

23 Q. Will there be procedures in place that you can
24 test the zones separately, and within each zone test the
25 zone separately?

1 A. We expect to run -- we have a significant budget
2 set aside for running spinner surveys periodically
3 throughout the life of these wells.

4 Q. So the potential of commingling does not
5 adversely affect your science project?

6 A. No.

7 Q. Let's turn to the next slide then. It's
8 captioned Maximum Well Density Calculation. What are you
9 doing here?

10 A. Yes, this just lays out the various assumptions
11 that are in here, in the calculation.

12 Q. Now this applies only for purposes of the scoping
13 study?

14 A. That's correct, that's correct. Throughout this
15 section of the presentation we're talking only about the
16 scoping study.

17 Q. And how is that different from the pilot study?

18 A. The pilot study is a more rigorous methodology
19 employing three-dimensional numerical modeling which can
20 easily discern between acceleration and new development, as
21 well as the interference effects between wells and so
22 forth.

23 Q. Well take us, then, through your analysis of the
24 scoping study and talk about the assumptions you make.

25 A. Right, for the sake of simplicity in a Basinwide

1 scoping study, these assumptions were basically necessary
2 to permit the study. But we assume that each section is a
3 homogeneous tank, that the wells in each section would
4 divide the remaining gas equally, they would be drilled
5 simultaneously, we would not consider any effects of
6 acceleration nor any possibilities for recompletions to
7 access gas, and we would assume further that the density
8 would only progress geometrically.

9 Q. Take us to the next slide. What are you showing
10 us here?

11 A. This is the result of that calculation. It is
12 still subject to reconciliation between the two formations
13 and existing development, so you see a chart for the
14 Mesaverde on the bottom left that shows both cases, stand-
15 alone and commingled, and a chart on the lower right for
16 the Dakota, similar to the Mesaverde.

17 It remains to -- as I said, to reconcile the two
18 formations, you know, to confirm that all the commingle
19 opportunities are taken advantage of first before any
20 stand-alones are contemplated. And then of course, the
21 existing wells also have to be considered.

22 Q. Okay, let's turn to Exhibit Tab 8 and look at the
23 first slide behind Exhibit Tab 8. Within Exhibit Tab 8,
24 what are you demonstrating with these various slides that
25 we're about to look at?

1 A. These are maps which show the maximum possible
2 density per section following the reconciliation that I
3 described at various gas prices for the two different
4 formations.

5 Q. Why is that important for you?

6 A. We showed earlier that a project like this is
7 sensitive to gas prices, and so -- you know, nobody of
8 course can be certain of the future, as far as what the
9 prices might be, so we like to look at various
10 sensitivities to that gas price.

11 Q. Show those to us.

12 A. Okay, this first slide is generated at five
13 dollars an MCF. And then the other important feature of
14 these maps is to kind of locate where the potential is, and
15 you see all along the southwestern side of the Mesaverde
16 field there is some potential to increase spacing to 40s,
17 and possibly 20s in some small areas at five-dollar gas.

18 Q. The area shaded in pink, which is a substantial
19 portion of the 27-and-5 unit --

20 A. Right, the green is all currently approved, the
21 red shades would require new rules. And this -- the first
22 kind of shade of reddish hues is the sections that could
23 possibly justify 40-acre densities.

24 Q. So at this point in the analysis, if we look at
25 Section 27-and-5 unit, there are further opportunities in

1 the Basin to extrapolate the success, if you have them, in
2 the pilot and put them elsewhere in the unit -- in the --

3 A. Yes.

4 Q. -- in the Basin?

5 A. Yes.

6 Q. Distinguish this one from the next one in terms
7 of what happens to the color codes. Let's look at the
8 seven-dollar case.

9 A. The next slide is the same information
10 interpreted at seven dollars per MCF, and you see there is
11 an expanding area of 40-acre potential, as well as some
12 growth in the 20-acre potential.

13 Q. Okay, let's look at the last one for the
14 Mesaverde at the ten-dollar level.

15 A. Similar to the previous slide, all the areas
16 expanding.

17 Q. Using this methodology, let's turn to the Dakota
18 and look at the five-dollar example in the Dakota.

19 A. Here at five dollars you find the potential
20 primarily located in the southeast, with some in 27-and-5
21 and west and south of there.

22 Q. And as we move to the seven-dollar example in the
23 Dakota, what happens?

24 A. Similar to the previous examples, you see the
25 areas of 40- and 20-acre potential expanding.

1 Q. Okay, and then the ten dollars in the Dakota?

2 A. And ten dollars, you see a large increase in the
3 potential areas for development.

4 Q. Let's go now to Exhibit Tab 9 and talk about the
5 slides behind Exhibit Tab 9. What are you doing now?

6 A. What we've done in this first slide is, we've
7 looked at an area that we refer to as the southeast federal
8 units area, which we operate in the southeastern part of
9 the Basin and tried to quantify the opportunities that
10 might exist for us at a 40-acre density at different gas
11 prices. And this includes the stand-alone Mesaverde
12 opportunity, stand-alone Dakota opportunities, and then
13 Mesaverde and Dakota commingled opportunities.

14 Q. The colors may have been more clearly expressed
15 if you look at the hard copy.

16 A. Yeah.

17 Q. What's the conclusion, then?

18 A. The conclusion is that there is a significant
19 potential for additional development drilling within a
20 reasonable range of gas price assumptions.

21 Q. At this point, then, you've concluded the scoping
22 study and determined within a certain area there's a
23 feasibility for this?

24 A. Yes.

25 Q. And you now make a translation into identifying

1 exactly what you would do within the pilot area?

2 A. That's correct.

3 Q. Let's look at that. And your conclusions, then,
4 when we leave the first part of the presentations, are
5 what?

6 A. Yeah, we believe that 40-acre infilling appears
7 to be quite possible under various reasonable assumptions
8 of future gas prices. We see an overlap in the Dakota and
9 Mesaverde potential in the southeast federal units area,
10 and we have recommended an infill pilot in the northwestern
11 quarter of 27 North and 5 West.

12 Q. Now when we move into the infill pilot proposal
13 itself, how did you determine that Section 8 in 27-and-5
14 ought to be the pilot area?

15 A. We felt from a geology and reservoir perspective
16 that it was more or less representative of the potential
17 that we see in that area. Our midstream people advised us
18 that there's a trunk line running through the middle of
19 Section 8 that will assist us with offtake capacity for a
20 large production increase. We have considerable high
21 quality data in the area in the way of log data, as well as
22 later pressure tests.

23 Q. Is this the best of the Mesaverde or the Dakota?

24 A. No, as far as infill potential, no, it's typical
25 of this area.

1 Q. Let's look at your specific project objectives
2 for the pilot. If you'll turn to Slide 10.

3 A. Behind Exhibit 10. Our objective is to create a
4 development plan for the southeast federal units area
5 that's optimized under the current cost and price
6 environment, because we feel that that is the most
7 efficient in terms of surface disturbance and reservoir
8 depletion, and it also provides the maximum net present
9 value for the unit mineral owners.

10 Q. Let's go to the slide that helps to quantify the
11 magnitude of the opportunity here if the pilot is
12 successful.

13 A. Yes, as we concluded our feasibility study and
14 looked to 27-and-5, the first thing we did was kind of
15 tabulate some of the volumetric numbers to have a look at
16 where we were there. And what we see is that -- just
17 quickly, is, the original gas in place under the unit was
18 in the order of 1.4 TCF. The cumulative production as of
19 June, 2006, is just over 360 BCF, giving us a current
20 recovery of about 26 percent.

21 Q. How many years did it take to do that?

22 A. It took over 50 years to get to 26-percent
23 recovery.

24 Q. And how are you examining the opportunity to get
25 some of the rest?

1 A. This hearing is to look at the possibility of
2 increasing the density.

3 Q. What are the numbers that you have below the
4 green?

5 A. The other, I guess, main point here is, using
6 decline curve analysis we anticipate additional recovery of
7 something on the order of 350 BCF, which would bring us to
8 about a 50-percent ultimate recovery under 80-acre density.

9 Q. What type of drive mechanism is associated with
10 the Mesaverde?

11 A. It's a volumetric depletion gas reservoir, and
12 for that type of reservoir we feel like we -- it's
13 reasonable to try to get higher -- a better recovery.

14 Q. Let's turn to the next slide now. What are you
15 illustrating here, Mr. Roberts?

16 A. This is just some discussion of the figures
17 presented on the previous slide. If we start with the
18 cumulative production, I think everyone should agree that
19 those are hard numbers. That's where the money changes
20 hands, so those are -- you know, those are based on meter
21 numbers, which are constantly calibrated.

22 The recoverable reserves are based on decline
23 curve analysis. I suppose that any reservoir engineer is
24 going to come up with a slightly different answer, but
25 there will be a limited range of uncertainty around that

1 number.

2 The original gas in place, on the other hand,
3 probably should be considered to have the greatest
4 potential uncertainty. That number is based on log
5 calculations, but it can be validated by a material
6 balance.

7 And for doing that, we would use the production
8 data that we referred to earlier, along with pressure data,
9 which we have two sources for, which would include a first
10 delivery pressure, which is a wellhead pressure obtained
11 just prior to turning the well to sales. That data is
12 somewhat problematic in that it's a commingled pressure
13 measured at the wellhead, without any particular QC as to
14 whether the well is fully built up or there might be some
15 remaining load in the hole, et cetera.

16 In addition to that, we have layer pressure tests
17 that we've obtained by lowering cast-iron bridge plugs with
18 gauges below them in order to isolate each layer after
19 perforating and before frac'ing, and then measuring a
20 falloff for two to three weeks prior to completing the
21 wells, and we consider that to be very high-quality data.

22 Q. Is the pilot designed in such a way that you'll
23 obtain data that will help you resolve some of these
24 problems?

25 A. Yes, we will use pressure observation wells in

1 order to record pressure on the layers over time, in
2 addition to further layer pressure testing on the new pilot
3 wells.

4 Q. Let's turn to the information behind Tab 11 and
5 talk about the Dakota layer pressures.

6 A. Right, this part of the presentation is looking
7 at the validation of the log volumes using the pressure
8 data, and this first slide is showing firstly, on the
9 right, a pressure that we derived from the first delivery
10 pressure from the initial drilling campaign of the Dakota,
11 showing an initial reservoir pressure slightly over 3300
12 pounds.

13 The other data is -- the layer pressure data on
14 the Twowells, Cubero and lower Cubero, from four different
15 wells in the unit, measured during 2001. And what you see
16 is a fairly small amount of depletion differential between
17 each layer and slightly differential between the wells.

18 Q. The letters on the far left are a code for what?

19 A. For the layers of the Dakota, the Twowells, the
20 Cubero and the lower Cubero.

21 Q. TWLS is what?

22 A. Twowells. CBRO is Cubero.

23 Q. The Application requests approval of two pressure
24 observation wells?

25 A. That's correct.

1 Q. And you want approval of both of them?

2 A. We would like approval of both of them. In fact,
3 today we are contemplating the possibility of dropping one
4 of them.

5 Q. You don't know which one to drop at this point?

6 A. More than likely we would drop the first one, the
7 one that is labeled in the exhibits as POW 1.

8 Q. The plan now is to seek the Examiner's approval
9 of both of them?

10 A. Yes, sir.

11 Q. And what would be the basis for having two, as
12 opposed to one?

13 A. The original idea behind the POW wells, in
14 addition to monitoring pressure decline and validating
15 volumetrics, was also to obtain interference test data that
16 might help us to evaluate permeability anisotropy. The
17 modeling work that we've done so far suggests that the
18 results of that testing may be somewhat ambiguous, and so
19 we are hesitant to spend the money that it takes to obtain
20 that data, knowing that it could be ambiguous.

21 Q. What is the potential capital investment for the
22 additional wells?

23 A. Each POW well is expected to cost in excess of \$2
24 million, with no return other than information.

25 Q. So your request, then, is to have both of these

1 approved in this Application, and then you may select from
2 those, whether you drill them both or just use one or the
3 other?

4 A. That's correct.

5 Q. Turning to the next slide, you've got some
6 pressure decline plots here. What are you showing?

7 A. What I'm showing here, these P/Z are arranged
8 geographically with Section 8's plot in the center. We are
9 looking from the center of each section, at an 8000-foot
10 radius around each section center, and looking at the
11 material balance data around that, around that point.

12 The blue points represent first delivery data,
13 and these little yellow triangles represent pore-volume-
14 weighted average pressures from the layer pressure tests.

15 Q. Why are you looking at this slide?

16 A. The purpose of this slide is to check the log
17 calculations versus the material balance data. If I -- the
18 pink lines, then, are actually constructed from logs and
19 initial pressures independent of the current pressure
20 measurements.

21 What we see here is that not only the first
22 delivery pressure data, but also the very high quality
23 layer pressure data, falls almost exactly on the lines and
24 in our minds validates our log calculations.

25 And we have -- I'm sorry they're so small, but

1 you see there's two data points in Section 16, another data
2 point in Section 18, and then in fact another one in
3 Section 19, just out of the area, all of them following
4 very close to the lines constructed from the log data.

5 Q. This, then, allows you to validate the log data?

6 A. Yeah, we feel that this validates the log volume
7 interpretation.

8 Q. Do you also use this information in your
9 simulation?

10 A. Yes.

11 Q. Let's turn to Slide 12 and talk about the
12 Mesaverde volumetrics.

13 A. Right, the Mesaverde volumetrics are less
14 straightforward. There's two problems that we deal with in
15 the Mesaverde that we don't see in the Dakota. The first
16 is multiple pressure gradients, and the second is a non-
17 marine unit called Menefee that has problems with sand
18 continuity.

19 Q. Let's look at the next slide.

20 A. This slide, up in the upper left we see a Basin
21 locator map. The Basin is indicated by this red outline
22 here, and cutting the Basin is a black line which is the
23 line of section displayed by the main picture to the right.

24 Q. As we look at the main picture, then, the far
25 right would be the north side of the line?

1 A. Right.

2 Q. And then the far left would be the south side of
3 the line as that diagonal line is placed on the locator?

4 A. That's correct.

5 Q. When we look, then, at the big display, project
6 for us approximately where we would find in this sequence,
7 geologic sequence, Section 8.

8 A. Section 8 would occur someplace in here. If you
9 look at the locator map, 27-and-5 is to the east of this
10 line of section, but if we project onto the line of section
11 it would be somewhere in this area.

12 Q. And for the record, then, you're down looking at
13 the Menefee, you're moving to the right on the Menefee as
14 it pinches out, and just to the top there's the Cliffhouse?

15 A. That's correct.

16 Q. You see the "C" in Cliffhouse? If we draw a
17 vertical line starting with the C and go up and down, that
18 would be the approximate location of Section 8?

19 A. Yeah, thank you.

20 Q. What is that -- How are you going to deal with
21 that as a reservoir engineer?

22 A. Okay, this slide depicts, if you will -- the non-
23 marine units are displayed by orange, the marine sandstones
24 are displayed in yellow, and then the marine shales are
25 displayed in blue.

1 And if we look at the Dakota down at the base of
2 the section, we see the Dakota sand separated by thin
3 marine shales.

4 Conversely, in the Mesaverde we see the thick
5 marine sands separated by a very thick non-marine shale.
6 So that while the Dakota gas appears to have a common
7 initial pressure gradient between layers, we have a
8 situation in the Mesaverde where it's suggested that the
9 same assumption may not be valid.

10 Q. So what do you do?

11 A. Well, we look at the data.

12 Q. And how would you look at the data?

13 A. This first slide following that display is
14 looking at the first delivery pressures from the first
15 drilling campaign of the Mesaverde, which we took to be
16 1949 to 1959, and we've posted those pressures against the
17 TM "X" coordinate, or the easting.

18 So we can look at this data now from west to east
19 across the Basin, and we see a fairly consistent trend
20 indicating initial bottomhole pressures in the west of
21 maybe 1250 pounds, gradually grading to maybe 1300 pounds
22 in the east.

23 But as we look at this data, we need to bear in
24 mind that the typical completion over which this was
25 measured will have commingled the Cliffhouse with the Point

1 Lookout, and the wellbore pressure would then be controlled
2 by the perm contrast of those two layers and limited by the
3 lowest-pressured layer.

4 So with that in mind as we look at the next
5 slide, what we see here is that -- there's our 1300-pound
6 line that we saw very clearly in the first delivery
7 pressure data from 1949 to 1959. And posted as well on
8 this chart is layer pressure data gathered in 2005 and 2006
9 that shows a Cliffhouse depleted somewhat below that 1300-
10 pound line, but Menefee and Point Lookout, both zones in
11 every case, having significantly more pressure than the
12 first delivery pressures would indicate.

13 The conclusion from this slide is that the
14 pressures -- first delivery pressures in this area must
15 have been indicating Cliffhouse initial pressures, while
16 the Point Lookout has an initial pressure in excess of 1950
17 pounds.

18 Q. Turn to the next slide for us. You need to
19 explain what you're doing here. What is Channel Belt Point
20 Bar Model? What's this for?

21 A. Well, we're trying to understand, you know, how
22 we have different gradients, and we're at the same time
23 wanting to understand what to do with our Menefee volumes.
24 And what these four displays are showing is a very simple
25 object model looking at 20-to-1 diameter:thickness

1 geobodies with a 10 times vertical exaggeration. And for
2 example, you know, something very similar to what we see in
3 Menefee outcrops, which is very thin sand lenses, on the
4 order of a few hundred feet across, less than 10 feet
5 thickness.

6 And what this illustrates is the importance of
7 net to gross with respect to sand continuity and, more
8 importantly, effective pore volume.

9 If we look at the upper left-hand display, we see
10 a 10-percent net-to-gross model, which indicates that aside
11 from the lenses that have been penetrated by wells, all
12 other lenses are likely to be disconnected from those
13 sandbodies and therefore ineffective to any development.

14 Q. Which one of these net-to-gross illustrations is
15 most illustrative of the situation you find in Section 8 of
16 27-and-5?

17 A. It would be the 10-percent illustration.

18 Q. So then what are you going to do?

19 A. What we've chosen to do initially is to
20 essentially neglect that volume and say that it is
21 ineffective. And being ineffective, it also explains, you
22 know, the possibility to have two gradients in the
23 Cliffhouse and Point Lookout.

24 Q. Let's turn to one last slide before we take our
25 break. If you'll finish up with the next slide.

1 A. Okay. What we see here is similar to the Dakota.
2 The first thing that we notice is that the first delivery
3 pressures fall below our calculated lines, as we would
4 expect them to follow the Cliffhouse depletion. We then
5 have anchored our calculated lines at the pore-volume-
6 weighted average initial pressure from our initial analysis
7 of the LPT data, then anchored them on the right side from
8 our log calculation excluding the Menefee and including the
9 Chacra 1, Chacra 2, Cliffhouse and Point Lookout.

10 And then finally what we see, if we look at the
11 layer pressure data, being really the only reliable data
12 that we can go to in this instance because of the
13 commingling, we see in Section 6 a nearly perfect fit, as
14 well as in Section 15. Again, a perfect fit between the
15 material balance and the log calculations.

16 So the conclusion of that is that we feel very
17 confident, with our log volume calculations, going forward.

18 MR. KELLAHIN: Is this a good place to stop, Mr.
19 Examiner?

20 EXAMINER JONES: Yeah.

21 MR. BROOKS: Okay.

22 (Off the record)

23 EXAMINER JONES: 1:15 all right with you?

24 MR. KELLAHIN: Sure.

25 (Thereupon, a recess was taken at 11:53 a.m.)

1 (The following proceedings had at 1:25 p.m.)

2 EXAMINER JONES: Okay.

3 MR. KELLAHIN: Mr. Examiner, we'll return to the
4 exhibit book, and we're going to start with Exhibit Tab 13
5 and the first display after that. You're going to be
6 looking at a color plat that shows the pilot plan and gives
7 you a visual illustration of the location of the pilot
8 wells.

9 Q. (By Mr. Kellahin) Mr. Roberts, let's turn to the
10 display on the screen. Identify what we're looking at.

11 A. This is a plat of Section 8 showing the existing
12 wells, as well as the new pilot wells that are proposed,
13 according to our infill pilot proposals.

14 Q. What's the concept for locating the wells on the
15 surface in relation to their ultimate bottomhole location?

16 A. Each of the wells is drilled from an existing
17 surface location to its bottomhole location, according to a
18 20-acre density.

19 Q. Do you have some visual illustrations to show us
20 how this will take place?

21 A. Yeah.

22 Q. Let's turn to the next display.

23 A. This display is showing the typical production
24 footprint, which impacts on the order of three acres.

25 Q. Next?

1 A. Then this would be a schematic of a drilling
2 footprint for multiple wells on a given pad, showing the
3 dimensions and how they would change according to how many
4 wells we drilled upon the pad, with the possibility to
5 drill up to five wells from the same pad. The surface
6 impact of that drilling footprint ranges from 3 to 4.7
7 acres, depending on how many wells we drill.

8 Q. Next?

9 A. And then this would -- this next slide shows the
10 ultimate final production footprint, scaled according to
11 the number of wells with the surface impact ranging between
12 3 and 5.4 acres for the final production footprint.

13 Q. Do you have a display that illustrates the
14 magnitude of surface disturbance?

15 A. Yes, this next display shows an estimated current
16 production footprint of about 28 acres. Our expected
17 footprint at the conclusion of our drilling would be on the
18 order of 37 acres. We believe that that will have saved us
19 from impacting about 42 acres, where straight-hole drilling
20 would have impacted on the order of 79 acres.

21 Q. Let's turn to the timeline, if you'll turn to Tab
22 14 and look at the first slide.

23 A. This time line is just the highlights of the
24 project, beginning with the unit partners' meeting back in
25 August of 2006. We met, you see, with the BLM and NMOCD in

1 January, and we are on the third task in 2007, today, with
2 seeking the pilot approval. Following that, we will wait
3 on partner and regulatory approvals and hope to implement
4 at least the first seven wells of the pilot during this
5 year before wintering, and then conclude the implementation
6 in 2008. And then we have some few years of data
7 monitoring and simulation studies before we hope to be back
8 here with an infill application, possibly 2010.

9 Q. Do you have a projection of the costs associated
10 with the pilot?

11 A. Yes, we have budgeted about \$34 million over two
12 years for the pilot. About two-thirds of that is for
13 drilling, with the remaining one-third for data
14 acquisition, including the POW wells, spinner surveys,
15 layer pressure tests and logs and things.

16 Q. Let's turn to Tab 15 and have you commence your
17 discussion about how you're going to organize the modeling
18 of the pilot.

19 A. Right, this is the third section of the
20 presentation. We've built a preliminary model, and I will
21 divide also this piece of the presentation into three
22 sections where I will describe the model in general, then
23 talk about the productivity modeling, and then conclude
24 with some sensitivities that I've run for development
25 sensitivities.

1 Q. Let's turn, then, to the next slide and have you
2 give us the model description.

3 A. The model is built using a 150-foot gridding with
4 a 50-foot local grid refinement over the pilot area. The
5 grid is oriented 10 degrees east of north, which we believe
6 to be parallel to the natural fracturing, as well as the
7 present-day maximum horizontal stress.

8 There are eight active layers in the model, four
9 in the Mesaverde and four in the Dakota. There are two
10 inactive layers.

11 The volumetrics are gridded from log data and
12 validated by material balance. There was a 10-percent
13 adjustment applied to the Dakota, with no further editing
14 done to the model.

15 The horizontal permeabilities were gridded from
16 performance data, which necessitated that we input the same
17 perm in every layer of each reservoir, subject to further
18 editing to achieve our history match. The vertical
19 permeabilities are set to zero on all layers.

20 The initial pressures on the upper Mesaverde,
21 which comprises the Otero and the Cliffhouse sands, was set
22 at 1312 from first delivery pressures; lower Mesaverde,
23 which comprises only the Point Lookout, was set to 1947
24 from our layer pressure data; and the Dakota was
25 initialized at 3340 pounds based on layer pressure data, as

1 well as first delivery data.

2 Q. Do you have a schematic that will illustrate the
3 model?

4 A. Yes, this next slide shows the model area,
5 centered on Section 8 in 27-and-5, and there is the grid
6 superimposed on that area.

7 Q. Give us an example of the type log you're using
8 for the pilot.

9 A. Okay, our type log is built from Well Number 112
10 in the southwest corner of Section 8, and you see on the
11 log the two Otero layers with the Cliff House below, then
12 the Menefee and Point Lookout making up the layers of the
13 Mesaverde piece of the model, and then the four layers of
14 the Dakota piece of the model, Twowells, Paguate, Cubero,
15 and lower Cubero.

16 Q. Do you have an illustration that imposes the
17 location of the infill wells on the model?

18 A. Yes.

19 Q. Let's turn to that.

20 A. This is simply a three-dimensional view of the
21 model, initialized with initial pressures in each zone.

22 Q. Do you have a display that allocates for the
23 model the original gas in place by zone?

24 A. Yes, this display here shows how the original gas
25 in place is distributed between the different layers of the

1 model, and with all layers bearing, you know, a significant
2 portion of the gas relative to the total, with the
3 exception of the Paguate, which is nearly absent in this
4 area.

5 Q. Let's turn to Exhibit 16 and have you describe
6 for us how you're going to run the model.

7 A. In fact, this is how we manage to model the
8 productivity. We model the stimulations around -- or at
9 the wellbores by increasing permeabilities around the well
10 cells in a configuration which honored the fracture half
11 length that we derived from rate transient analysis.

12 We then applied global permeability multipliers
13 to the grids in order to raise or lower the productivity to
14 such a point that half of our wells had too much
15 productivity, while the other half had too little.

16 At that point we addressed the layer pressure
17 data by redistributing permeabilities between layers while
18 maintaining a constant perm thickness per formation, and
19 finally adjusted the anisotropy in the lower Cubero in
20 order to address an interference issue with an adjacent
21 well, or a well adjacent to the 40F.

22 At that point in time we went back to the model
23 wells that had insufficient productivity, and caused them
24 to match by applying local permeability multipliers. And
25 the wells which had excess productivity, we caused them to

1 match by reducing the productivity index.

2 Some of the challenges that we encountered during
3 this exercise included variable productivity among the
4 wells. In particular, we noticed that the older wells
5 tended to lose a significant amount of productivity over
6 time, particularly in connection with global curtailment
7 during the 1980s.

8 We also noticed a number of our wells exhibiting
9 a strong, what we take to be dual porosity effect, where
10 they appeared to have anomalously high productivities at
11 early times, which would diminish over time.

12 And then finally, current productivity matching
13 was further complicated by loading in the field and some of
14 the problems that we have to optimize wells under those
15 conditions and the downtime that we occasionally experience
16 around that problem.

17 Let me have you go, then, through the
18 illustration of methods by which you have calibrated your
19 model to deal with these various challenges.

20 A. This slide here shows the permeability
21 multipliers that were applied. And you can basically
22 assume that if you don't see a highlighted box around a
23 well, then it didn't receive a perm multiplier but it
24 instead received a productivity reduction. And if you
25 compare the visibly modified wells with the non-visibly

1 modified wells, they are more or less randomly distributed
2 throughout the grid. And we take this to mean that while
3 the average permeability may be accurately reflected in the
4 grid, there is another level of heterogeneity that is at a
5 scale that we are unable to map from well data.

6 Q. When you adjust the permeabilities, you're trying
7 to make the adjustment in order to make what component of
8 the data match known production?

9 A. We are trying to -- the model at this point is
10 running on rate control, and so we impose the rate, and
11 then we look to see whether the simulated pressure is
12 matching the observed pressure.

13 Q. Next slide?

14 A. And this is the same display for the Dakota. And
15 again, you see smaller local grid corrections, but still
16 the same sort of random distribution between upward
17 revisions and downward revisions. So again, there's a
18 heterogeneity apparent in the field that we're not able to
19 accurately predict. We feel like on average we will be
20 right, but in each specific well's case we will probably be
21 wrong.

22 Q. Next slide?

23 A. This is our layer pressure match. On the left
24 you have our one Mesaverde data point that is close to the
25 model. In fact, it's not actually in the model, and so the

1 data is indicating the data from the 82N well, while the
2 simulated line is actually from a grid cell that is closest
3 to that well.

4 Then the 40F, you see the observed data and the
5 simulated line. And in the lower Cubero, this is where we
6 impose some anisotropy. There's a well just to the west of
7 this well that was originally causing a large amount of
8 depletion in the lower Cubero, and in order to rectify that
9 we imposed a strong north-south anisotropy in order to
10 reduce the depletion effects at this location.

11 In the 137F, we have a bit of a mismatch in the
12 Twowells and Cubero. We observed large amounts of
13 depletion north and south of this position in the model,
14 such that with a slight change in the azimuth, or the
15 orientation of the grid, we would have been able to match
16 this very accurately. But given the state of the model and
17 data at this point in time, we thought that it was not
18 necessary to go to that trouble since there are other
19 factors that could as easily explain these pressures.

20 Q. Did you calibrate your model so that it would
21 have a history match of the performance of wells?

22 A. Yes.

23 Q. And is there a slide that illustrates that?

24 A. Well, these -- in fact, this slide and -- I'm
25 sorry, this --

1 Q. This one here.

2 A. -- one as well, also illustrates the match.

3 Q. Lead us through the components of this one.

4 A. The lower red line is the production history of
5 the well. This red line is the cumulative production
6 history of the well. The black circles are the observed
7 pressure points from the history, while the black line is
8 the simulated pressure.

9 And what we see here is a very good match up
10 until curtailment, which occurs here in the 1980s, at which
11 time we appear to have lost a significant amount of
12 productivity which we did not recover when the well was
13 restored to full-time production, such that we were forced
14 to reduce a productivity that had matched earlier, in order
15 to match the current pressure data and performance of the
16 well.

17 Q. The curtailment of production was caused by what?

18 A. Market conditions.

19 Q. How have you dealt with the apparent existence of
20 a dual porosity effect in the pool?

21 A. The dual porosity effect that I was speaking of
22 is illustrated in the next slide, and because the model is
23 set up as a single porosity model, we were not able to
24 address it in a rigorous way. And in fact, we don't see
25 this effect on every well. You didn't see it on the

1 previous example.

2 But we do from time to time see occasions on a
3 well that is apparently producing very normally, without
4 any apparent problems -- in fact, the model is barely able
5 to produce that rate at early times, while at later times
6 it appears to have, in fact, excess productivity. So in
7 order to make the early rate, we have to impose such a
8 productivity that at the current time we have way too much
9 and I'm forced to reduce the productivity in order to match
10 the current response.

11 Q. You're using a single porosity model, is that
12 what it is?

13 A. Yes.

14 Q. In your professional judgment, is that still an
15 appropriate model to use for this type of pilot?

16 A. Yes, I think it is. It could result in -- on the
17 occasions that we experience this type of behavior in the
18 future, we would tend to be conservative in our predictions
19 of these types of wells.

20 Q. Let's turn to the next slide.

21 A. This -- following the history-matching exercise,
22 we turned the model on to bottomhole pressure control at
23 the current bottomhole pressures of each of the individual
24 wells, in order to generate this base forecast.

25 Q. Let's turn to the next tab, 17, and start with

1 the development sensitivities. What's the general plan
2 here, what are you illustrating?

3 A. Right, we have now a calibrated model such that
4 it is appropriate, we feel, to look at various development
5 scenarios, which we did by varying the development
6 sensitivity, as well as the maximum offtake capacity from
7 the section.

8 Q. Those, then, are the two variables?

9 A. Those are the ones that we've looked at, at this
10 point in time. Before we did that, though, we were
11 concerned with flux of gas from outside of the pilot area
12 into a high density pilot, and so we had to adjust --

13 Q. Flux meaning what?

14 A. Basically by increasing the density in Section 8
15 to 20-acre spacings, we would create a pressure sink in
16 this area that will pull gas from outside of the pilot
17 area. And so in this exercise we were interested in
18 looking at what impact full-scale development at 20 acres
19 or 40 acres would look like, and so we didn't want to have
20 the flux that is likely to occur during the pilot to affect
21 these sensitivities, so we've taken some steps to eliminate
22 that.

23 Q. In a layman's sense, you've modeled the Section 8
24 in such a way that you've eliminated this effect --

25 A. The ability of gas --

1 Q. -- along the --

2 A. -- to flow into it --

3 Q. Yeah, on the edges of --

4 A. -- for the purpose of these sensitivities, yes.

5 Q. All right, sir. Next slide.

6 A. As I mentioned, the variable development
7 densities could lead to gas flux from the low- to the high-
8 density areas, and this is my entire model. So I created a
9 boundary around the pilot area and just carved off all the
10 exterior grid cells and re-initialized the model on the
11 2007 pressure fields prior to running these sensitivities.

12 Q. Next?

13 A. This display is showing the pressure field as we
14 interpret it today in the Mesaverde. The top two slides
15 are the Otero 1 and 2, the Cliffhouse and the Point
16 Lookout.

17 Q. As you go through the next series of slides and
18 impose in the model a density that changes the acreage --

19 A. Yes.

20 Q. -- in the model, the color codes are going to
21 change?

22 A. That's correct.

23 Q. In what way are we going to see those changes?

24 A. The colors are scaled to pressure, and what I'm
25 going to show is the predicted Mesaverde pressures in 2057

1 under various densities. And what you'll see is that with
2 each density increase there is less pressure remaining in
3 the field in 2057, indicating that there is incremental
4 recovery with each change in density.

5 Q. So on the color scales, we're going to be moving
6 from the right towards the left?

7 A. That's correct.

8 Q. And we'll get more of the blues?

9 A. From high pressure to low pressure, or from red
10 to blue.

11 Q. Let's see what happens under the 80-acre example.
12 This is it?

13 A. This is it.

14 Q. And then what happens when we go to 40 acres?

15 A. See, when we go to 40 acres there's a lot more
16 blue, indicating incremental recovery from the 80-acre
17 case.

18 Q. And if you take the model down to 20s what
19 happens?

20 A. Even more blue, indicating again an incremental
21 recovery from the 40-acre case.

22 Q. Let's do the same thing in the Dakota now.

23 A. Here is the Dakota in 2007, with the Twowells,
24 the Paguate, the Cubero and lower Cubero.

25 And here is the predicted pressures in 2057 under

1 an 80-acre plan and a 40-acre plan and a 20-acre plan.

2 Q. Do you have a slide that will demonstrate this in
3 a different format?

4 A. Yes, this slide here is showing the rates and
5 cumuls versus time for the different density sensitivities,
6 given a 5-million-a-day offtake capacity for the section.
7 And you see -- to me of most interest is the differential
8 cumulative productions over the next 50 years for the three
9 different cases.

10 Q. So on this slide, our current density is 80
11 acres, effective?

12 A. Right.

13 Q. And so we're looking at the red line?

14 A. That would be the red line, indicating a recovery
15 in 2057 of about 31 BCF.

16 Q. And the pilot would test the 40-acre effective
17 density, which is the green line?

18 A. The green line, 40 acres indicates a recovery in
19 50 years of about 41 BCF, or an increment of about 10,
20 while the 20-acre case shows an increment -- or gets up to
21 a little over 44 or an increment of about 13 BCF.

22 Q. Now what happens if you increase this to 10
23 million?

24 A. 10 million, we don't see much change in the
25 cumulative production. Still, there is incremental

1 recovery in each case.

2 Q. And then at 15 million?

3 A. And 15 million is much the same story. We're not
4 really able to sustain a 15-million-a-day plateau, except
5 in the case of 20-acre density.

6 Q. Can the model detect for us what portion of the
7 gas production would be accelerated recovery, as opposed to
8 new reserves?

9 A. Yes, it can. It --

10 Q. Do you have a slide that shows us the recoveries
11 in Section 4?

12 A. Yes.

13 Q. Come back one.

14 A. Come back one?

15 Q. Yeah, let's start with this one.

16 A. Well, this shows the incremental -- or the total
17 recoveries, I should say, from which you can get the
18 incremental recoveries. I have three cases, the 80, the 40
19 and the 20. They're largely the same, regardless of the
20 offtake capacity.

21 You can see for the Mesaverde we would expect to
22 recover about 48 percent of the original gas in place with
23 an 80-acre program, as compared to 70 percent under a 40-
24 acre development, 77 percent under a 20-acre development.
25 That translates to 14 BCF, 20 BCF and 23 BCF for each of

1 the developments.

2 The Dakota, on the other hand, we would expect
3 about a 68-percent recovery under 80-acre density, 84
4 percent under 40-, and 89 percent under 20-, which
5 translates to 16.7, 20.5 and 22 BCF, respectively.

6 Q. Okay. Now let's to apportionment between new gas
7 and acceleration.

8 A. In the 40-acre development, we expect the new
9 wells to recovery on the order of 2 BCF, with about 60
10 percent of that being new gas and the remainder being
11 accelerated gas.

12 Q. And if the model is run at 40-acre well
13 densities, what happens?

14 A. You mean 20-acre well densities?

15 Q. I'm sorry, 20. Yes, 20.

16 A. In that case, we expect the wells to recovery
17 about a BCF apiece with a similar apportionment between new
18 gas and accelerated gas.

19 Q. Then finally, let's turn to the composite slide
20 that packages this all together. Help us understand what
21 you're doing here.

22 A. This is looking at our preliminary development
23 economics for the different cases that we just looked at.
24 It assumes that wells were drilled only as needed to
25 maintain the plateaus, that there is no midstream

1 investment, which is important to know that in this area we
2 typically only have between 5 and 10 million a day offtake
3 capacity. And it assumes a 100-percent working interest
4 with a 1/8 burden on both zones.

5 And what we see here is, for example, with a 5
6 million a day offtake capacity, the 40-acre case appears to
7 give us the maximum net present value. If we have as much
8 as 10 million a day offtake capacity, the 40- and the 20-
9 acre densities are more or less the same.

10 If we were to have as much as 50 million a day
11 offtake capacity, in that case the 20-acre option appears
12 to be the superior by a couple of million dollars. But as
13 I said, in most cases there would be some capital
14 investment required to achieve that kind of capacity. So
15 we have not looked into that at this point in time.

16 Q. Mr. Roberts, let's turn now to Tab 18 and have
17 you summarize your conclusions.

18 A. To summarize everything that I've presented here
19 this afternoon, I think we feel that the infill scoping
20 study indicates significant areas of the Basin where
21 additional drilling could be feasible.

22 We see a large overlap in the Mesaverde and
23 Dakota potential in the southeast federal units area.

24 We believe that volumetric and decline analyses
25 in 27-and-5 indicate poor recoveries in both reservoirs

1 under the current development plan.

2 And we propose a high-density pilot in order to
3 evaluate optimum density under current cost and price
4 environment.

5 We feel that we can drill the pilot wells from
6 existing pads, and that will minimize the surface
7 disturbance.

8 And at this point in time our preliminary
9 modeling is indicating that the recoveries can be improved
10 by increasing the well densities in the Mesaverde and
11 Dakota.

12 MR. KELLAHIN: Mr. Chairman, that concludes --
13 Mr. Examiner, that concludes my examination of Mr. Roberts.
14 We move the introduction of his Exhibits 5 through 18.

15 EXAMINER JONES: Exhibits 5 through 18 will be
16 admitted into evidence.

17 EXAMINATION

18 BY EXAMINER JONES:

19 Q. Well, I'm really impressed with you all's
20 presentation today.

21 A. Thanks.

22 Q. Incredible. Real classy job.

23 It seems like Burlington must have real
24 integrated policy or procedures of integrating teams to --
25 you know, like you have the scoping and then you have the

1 pilot and -- I mean, that's all logical, but it takes
2 coordination, it takes a lot of management buy-in to all
3 that.

4 A. Yeah, yeah. We've been at it for a while.

5 Q. Is Conoco integrated with this yet,
6 ConocoPhillips?

7 A. Yeah. In fact, they did not have really a
8 parallel organization to ours. Their subsurface people
9 tended to work a few weeks ahead of the rigs, while --

10 Q. Okay.

11 A. So we were a bit unique in that respect, and they
12 basically just let us continue to exist, so...

13 Q. Well, I think that's a smart move on their part,
14 leave you guys alone and let you do your thing.

15 You pretty much answered a lot of my questions.
16 The scoping -- you know, I can ask a lot of questions that
17 probably wouldn't -- more for my benefit and David's
18 benefit here than would really help in our decision on
19 this, but I guess one of the -- I could narrow it down to
20 some specifics.

21 To pick one section out of this whole gigantic
22 area to concentrate on, I guess, because this is
23 conventional gas, so you don't have to -- like a coalbed
24 methane, you would need to spread it out to look for --
25 Permeability is such a great influence on the outcome of

1 infill drilling or something, but you decided to just
2 concentrate on one section here. And you're not worried
3 about the scale-up after this being not as representative
4 as it could be?

5 A. I think we would limit the area that we would
6 extrapolate these results to, based on the characteristics
7 that we feel like we've got here.

8 You know, the Mesaverde recoveries seem to be
9 controlled primarily by a low permeability in this area,
10 which, you know, is kind of restricted to the southeast
11 federal units, while the Dakota would be limited to the
12 particular stratigraphic environment that we have at this
13 location, which again is limited in areal extent to more or
14 less the southeast federal units area.

15 In other words, beyond that we have different
16 stratigraphic units --

17 Q. Okay.

18 A. -- exhibiting different properties, and --

19 Q. Okay.

20 A. -- we wouldn't intend to extend beyond that
21 limit.

22 Q. But you could use the same approach for --

23 A. Right, we -- in fact, we envision similar
24 projects in other parts of the Basin once we get this one
25 up and running.

1 Q. Yeah. I guess some specific questions, real
2 quick, for my own...

3 Your model, does it turn off the production at a
4 certain pressure from each little lens, like in the
5 Mesaverde and the --

6 A. No, we just let it run with, you know, bottomhole
7 pressure control, and if things stop contributing -- you
8 know, as we would in the field -- I mean, we don't do any
9 workovers to close anything.

10 Q. What I -- I guess that's probably it, but the
11 models that -- does it -- is it a bottomhole model, or is
12 it a surface? Because you're downhole commingling these
13 wells, right?

14 A. Right.

15 Q. So you've got -- you don't have any water
16 loading, I guess, that you're worried about?

17 A. We have loading problems, but that's not really
18 included in the model.

19 Q. That will be handled by production?

20 A. Right.

21 Q. And the Cliffhouse is -- you had a lower
22 pressure, but a higher permeability also; is that correct?

23 A. Yeah --

24 Q. Rather than the Point Lookout?

25 A. -- right.

1 Q. And I'm not really familiar with the Dakota and
2 all the different -- Looks like the Paguate is non-
3 contributory; is that right?

4 A. Yeah, it's basically a placeholder --

5 Q. Okay.

6 A. -- in this case.

7 Q. So it's the Cubero or something that's --

8 A. The Cubero and the lower Cubero are the big --

9 Q. The big --

10 A. -- contributors, yeah, with some Twowells.

11 Q. Okay. That model you ran, is that an in-house
12 model, or --

13 A. It's Eclipse.

14 Q. Oh, okay. Okay. So it's just gas, you just ran
15 the gas?

16 A. Single-phase --

17 Q. Single-phase.

18 A. -- gas model.

19 Q. To go back to your scoping, though, this business
20 about doing log analysis on so many wells, it's just
21 incredible. Your team, I guess, your geologist or whoever
22 your log analysts were -- must have been an incredible
23 amount of work --

24 A. They work with --

25 Q. -- you know, to do that.

1 A. -- databases that include upwards of three and a
2 half, four thousand wells, all digital data, with the tops
3 picked on every well --

4 Q. Yeah.

5 A. -- and macros that basically process the entire
6 batch and output, all of the reservoir parameters for
7 mapping into mapping data sets.

8 Q. Oh, wow. And then you import it into your model?

9 A. Right.

10 Q. Irreducible water saturation in each of those
11 zones, I guess, that's a big -- one of the big things for
12 your log analysis.

13 A. That's tricky, yes.

14 Q. I mean, it can affect your results big time, so
15 -- I like to see that you matched up your -- was it a
16 B_{gi}/B_{gf} match you did to the logs? Is that what you were
17 doing there, where you match the --

18 A. Well, the upper point was the initial pressure
19 over initial Z factor, and the lower right point was the
20 log-calculated pore volume times the formation volume
21 factor.

22 Q. Oh, okay.

23 A. So it was -- you know, the conventional P/Z
24 material balance plot is P/Z versus cum production, so at
25 zero pressure we should have the entire original gas in

1 place, which we can calculate from the logs --

2 Q. Yes.

3 A. -- as well as from the pressures.

4 Q. Yeah.

5 A. So we -- the pink line, if you remember, was
6 constructed from the log calculation --

7 Q. Yeah.

8 A. -- and then the pressure data was just
9 superimposed on that to show that the pressure data was
10 very much in line with the log calculation.

11 Q. Okay, so you had a check and balance there.

12 A. Right.

13 Q. And the petrophysicists can go back and change
14 their stuff?

15 A. Yeah, if I come up with a line -- you know, from
16 his work with a line that, you know, bears no relationship
17 to the pressure data, well then, I go back to the
18 petrophysicist --

19 Q. Yeah.

20 A. -- and say, Hey, something's wrong here.

21 Q. Yeah, okay.

22 A. But that wasn't the case.

23 Q. Your abandonment pressure, does that have
24 anything to do with this? I know gas wells will -- I guess
25 -- by the slope of your cum plots, you don't get that much

1 more cumulative by producing for a long, long time, and
2 then -- so really, you know, sometime the well loads up and
3 stops or --

4 A. Well, it's always going to be a function of the
5 pipeline gathering pressure, which today is creating
6 bottomhole pressures on the order of 350 pounds --

7 Q. Oh.

8 A. -- and for the sake -- Yeah, for the sake of this
9 exercise, I just held that constant for the entire
10 forecast. The reality is that they're always working to
11 lower their line pressures, so in fact, you know, our wells
12 should be seeing lower and lower bottomhole pressures as
13 time goes on, and we should experience incremental recovery
14 as a result of that.

15 Q. Okay.

16 A. But we didn't make any assumptions along those
17 lines for this case.

18 Q. Okay. So your management is willing to do this
19 pilot. Incredible costs you talked them into here, for --
20 just to verify your model; is that right?

21 A. Yeah.

22 Q. So you must have had to do a real sales job on
23 your management.

24 A. Well, they were really in it from the beginning.
25 I think they recognized the possibility that 80s really

1 weren't enough, and so they were asking the question,
2 really almost before we were looking into it ourselves, and
3 the -- in fact, it looks -- preliminary economics on the
4 pilot itself, even with the data-acquisition costs, it may
5 have a slightly positive cash flow itself.

6 Q. Okay. I notice you're using 13 for your --

7 A. -- discount rate?

8 Q. -- interest rate, yeah.

9 A. That's ConocoPhillips, yeah.

10 Q. Your prices you use for those, I notice you use
11 different prices, you plug in the beginning price and let
12 it escalate with your company's predicted escalation; is
13 that right?

14 A. Right.

15 Q. Okay.

16 A. Yeah, they have various price forecasts as well
17 that they use for internal economics.

18 Q. Planners are always playing games with their
19 predictions.

20 A. I make my predictions and they make theirs.

21 Q. They make theirs. Let's see here.

22 So you're looking at -- Well, you've got your
23 cumulative plot, so I can look at the difference there, on
24 that.

25 But your surface disturbance, I guess we ought to

1 just touch on that. I guess that BLM was pretty concerned
2 about -- or happy that you guys were starting out from the
3 same --

4 A. Uh-huh.

5 Q. And that way, you don't have to put in other
6 facilities as much either, do you? I mean --

7 A. Well, yeah, I guess we can hope that there will
8 be some savings on the facilities, you know, that might
9 offset some of the directional costs, but we haven't done
10 that part of the engineering yet. I know that our
11 experience at Negro Canyon, we did realize some savings by
12 clustering our production facilities.

13 Q. Yeah. These wells will be S-shaped, is that --

14 A. Yes.

15 Q. -- what you're going to do? Okay. Let's see.

16 And you're not going to do any CO₂-sequestering
17 in this project, I take it?

18 A. No.

19 Q. Do you own your own spinner tool? You've got \$5
20 million for a spinner tool --

21 A. No.

22 Q. It might pay to buy one.

23 A. Yeah, you can get stock in the spinner tool
24 company.

25 Q. Yeah, it's better to concentrate on wells.

1 Are you going to do a bunch of papers on this,
2 SPE papers or anything?

3 A. I hadn't really thought about that.

4 Q. The data sharing, as far as -- you know, you guys
5 are all ConocoPhillips, Burlington now, I guess you --
6 internally. And by coming, showing this, you're showing a
7 lot, you know, here. But I think it's great that
8 Burlington is not as tight on that as Meridian might have
9 been in the past. That's a real advantage to having one
10 huge company that can concentrate on a big area, instead of
11 a bunch of little companies that are all competing. Some
12 of the pilot projects, as Mr. Kellahin knows, that we get
13 in here are not -- they seem to be not as much science, I
14 should say, as what you guys are doing.

15 Do you look into this as kind of an open-ended
16 thing here, to where you're looking for some kind of an
17 order that would just enable the infill drilling in this
18 section and -- or are you looking to come back in and show
19 some of your results, or you don't want to do that?

20 A. I think what we're looking at doing here is
21 learning what we can about the feasibility of the infilling
22 as well as learn more about the anisotropy, in order to
23 determine whether there's something we should be
24 considering in the way that we lay down our pattern. And
25 at the time that we're ready to go forward with it, we

1 would be back to request an order.

2 Q. The flux -- You were talking about pulling in gas
3 from outside. Of course, you're looking at it here as a
4 way to really tell what's going on within this section
5 you're working on, but there's no -- there wouldn't be any
6 correlative-rights problems with that, I take it, because
7 you're --

8 A. That --

9 Q. -- these are both PAs --

10 A. Right.

11 Q. -- you're out in the middle of a PA, and --

12 A. One of the reasons for going to Section 8, we did
13 not want to use a section on the exterior of the unit and
14 run into those kind of issues.

15 Q. Okay. This well that was interfering, it just
16 hit a big fracture in the Dakota, was that it?

17 A. No, it just happens that the well is, I believe,
18 less than 1000 feet away --

19 Q. Oh.

20 A. -- and if -- You know, the original run without
21 anisotropy, of course, created a circular drainage pattern
22 around that old well, that showed a large amount of
23 interference at the new 40F location --

24 Q. Okay.

25 A. -- and in order to eliminate that and get

1 something more consistent with our observation, I had to
2 impose some anisotropy in that lower layer in order to make
3 its drainage more elliptical and reduce the interference at
4 the 40F location.

5 Q. Okay. I think I understood that.

6 As far as your locations go, I'm not sure that we
7 have to know for this order exactly the bottomhole
8 locations. We would know the spots, you know, the units at
9 least.

10 MR. KELLAHIN: That was our concept, Mr.
11 Examiner, is to share with you the spot, and leave it to
12 the District to give us the specifics once we had the
13 directional surveys ready and use their administrative
14 process to get those approved. They're going to be at
15 standard bottomhole locations, they're at standard surface
16 locations.

17 EXAMINER JONES: Really, all of them are
18 standard?

19 MR. KELLAHIN: Yeah, they're standard because of
20 the order I gave you a while ago that gives you a 10-foot
21 setback.

22 EXAMINER JONES: Okay.

23 MR. KELLAHIN: And so they can do it at the
24 District when we have the rest of the details.

25 EXAMINER JONES: Okay.

1 MR. KELLAHIN: So I don't think that has to delay
2 your decision about giving us a specific bottomhole target,
3 as long as we have the concept approved --

4 EXAMINER JONES: Yeah.

5 MR. KELLAHIN: -- which is largely a density
6 exception to both pools.

7 EXAMINER JONES: Density exception. So that's
8 basically what you're asking for here. Okay.

9 And the downhole commingling will be individually
10 done; is that it? Or --

11 MR. KELLAHIN: I assume that's how we'll do it.
12 There's a well-established practice to run those through
13 for commingling, and we'll do that when we have the data.

14 EXAMINER JONES: Okay, those are pre-approved.

15 MR. KELLAHIN: Right.

16 EXAMINER JONES: I have no more questions.

17 EXAMINATION

18 BY MR. BROOKS:

19 Q. Well, I don't have much. This was a very
20 technical presentation, so a lot of it I didn't follow very
21 well. But I just wanted to ask about the -- first, about
22 the surface interference. I believe you said if you did
23 these all as separate wells, it would take about 79 acres.
24 And it got down to what? About 34, did you say?

25 A. Thirty-seven.

1 Q. Thirty-seven. So that's a little bit more than
2 50-percent, about 55-percent reduction.

3 How much additional drilling cost do you incur to
4 get to that level of production?

5 A. Not -- I don't have that figure with me. We --
6 It does cost extra.

7 Q. I'm sure that it does. I was just curious to
8 know what rate of efficiency you were getting there in
9 terms of cost for the surface interference.

10 The other thing I -- the only other question I
11 had was, if I understood you right, the -- and my question
12 really is, what is your concept of how far these results
13 project? Is this something -- you think this is a typical
14 area that will demonstrate the use -- that the 80-acre
15 spacing is appropriate over a much larger area, or do --
16 You said something about, you're going to wait and judge
17 that at the end.

18 A. Without being too precise, I think, you know,
19 that the results of this pilot should be applicable to
20 several townships in this area. You know, this southeast
21 federal units area that we refer to is basically from
22 27-and-4 up to 28-and-7, and then we feel like that's a
23 reasonable initial approximation of where we would
24 extrapolate these results to.

25 Q. And beginning back at your -- the very first of

1 your presentation, that a lot of the area -- a lot of the
2 area farther away is sufficiently more fractured that you
3 would think that that would probably not be appropriate for
4 the higher densities?

5 A. There are large areas that we don't think need
6 more drilling, but there are other areas that we would
7 probably look at separately for possible increased density
8 as well.

9 MR. BROOKS: Okay, thank you.

10 THE WITNESS: They would be different geologic
11 settings that would have to stand on their own merits.

12 MR. BROOKS: Okay.

13 EXAMINER JONES: Okay, I think we've ran smooth
14 out of questions here, so -- I really appreciate you guys
15 coming in today.

16 MR. KELLAHIN: Thank you, Mr. Examiner.

17 THE WITNESS: Thanks.

18 EXAMINER JONES: With that, we'll take Case
19 13,888 under advisement.

20 And that being the last case on the docket, this
21 docket is closed.

22 (Thereupon, these proceedings were concluded at
23 2:18 p.m.)

24 I do hereby certify that the foregoing is
a complete record of the proceedings in
* * the Examiner hearing of Case No. _____
heard by me on _____

25

Examiner

Oil Conservation Division

STEVEN T. BRENNER, CCR
(505) 989-9317


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL March 22nd, 2007.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 16th, 2010