

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO
11 March 1981

EXAMINER HEARING

IN THE MATTER OF:

Application of Sun Texas Company
for salt water disposal, Lea County,
New Mexico.

CASE
7186

BEFORE: Richard L. Stamets

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation
Division:

Ernest L. Padilla, Esq.
Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

For the Applicant:

William F. Carr, Esq.
CAMPBELL, BYRD, & BLACK
Jefferson Place
Santa Fe, New Mexico 87501

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

2

I N D E X

SCOTT J. GLASER

Direct Examination by Mr. Carr	3
Cross Examination by Mr. Stamets	18

E X H I B I T S

Applicant Exhibit One, C-108	5
Applicant Exhibit Two, Plat	6
Applicant Exhibit Two-A, Tabulation	8
Applicant Exhibit Three, Sketch	8
Applicant Exhibit Four, Water Analysis	12
Applicant Exhibit Five, Listing	12
Applicant Exhibit Six, Schematic	14
Applicant Exhibit Seven, Log	15
Applicant Exhibit Eight, Map	16

1
2 MR. STAMETS: We'll call next Case 7186.

3 MR. PADILLA: Application of Sun Texas
4 Company for salt water disposal, Lea County, New Mexico.

5 MR. CARR: May it please the Examiner,
6 my name is William F. Carr, with the law firm of Campbell,
7 Byrd, and Black, and I'm appearing on behalf of the applicant,
8 Sun Texas Company, and I have one witness.

9
10 (Witness sworn.)

11
12 SCOTT J. GLASER
13 being called as a witness and being duly sworn upon his oath,
14 testified as follows, to-wit:

15
16 DIRECT EXAMINATION

17 BY MR. CARR:

18 Q Will you state your name and place of
19 residence?

20 A My name is Scott J. Glaser, Midland,
21 Texas.

22 Q Mr. Glaser, by whom are you employed
23 and in what capacity?

24 A I'm employed by Sun Texas Company as
25 an engineer.

1
2 Q Have you previously testified before
3 this Commission and had your credentials accepted and made a
4 matter of record?

5 A No, sir.

6 Q Will you briefly summarize for the
7 Examiner your educational background and your work experience?

8 A My educational background consists of
9 a Bachelor's of Science at Purdue University, mechanical
10 engineering, and one year of graduate school, majoring in
11 geology.

12 I'm a member of two professional societies,
13 the Society of Automotive Engineers, and a junior member of
14 the SPE.

15 Summer employment while going through
16 college. for three summers I worked as a project engineer in
17 the textile industry, and I have had approximately one year
18 experience in the oil field, six months working as an engineer
19 for The Seismograph Service Corporation, geophysical survey
20 company, and approximately six months with Sun Texas Company
21 as a development engineer.

22 Q Are you familiar with the application
23 filed in this case?

24 A Yes.

25 Q Are you familiar with the subject well?

1
2 A. Yes, sir.

3 MR. CARR: Are the witness' qualifications
4 acceptable?

5 MR. STAMETS: They are.

6 Q. Mr. Glaser, will you briefly state what
7 Sun Texas Company seeks with this application?

8 A. Sun Texas Company seeks approval to
9 convert the presently TA'd State C Account No. 1 Well No. 3
10 to salt water disposal service. It is located in Unit L
11 of Section 2, Township 12 South, Range 33 in the Bagley-
12 Siluro-Devonian Pool.

13 Q. Have you prepared certain exhibits for
14 introduction in this case?

15 A. Yes, sir.

16 Q. Will you please refer to what has been
17 marked for identification as Sun Exhibit Number One and ex-
18 plain to the Examiner what it is and what it shows?

19 A. Sun Exhibit Number One is the NMOCC
20 Form C-108, Application to Dispose Salt Water by Injection,
21 for the proposed well, to conversion salt water disposal
22 service.

23 The proposed injection -- the proposed
24 formation for injection is the Devonian. The top of the
25 Devonian is at 10,146 feet. The bottom of the interval is

0 5 9 4
1 not penetrated.

2 We plan to inject through open hole.

3 The proposed interval of injection will be from 11,034 feet
4 to 11,370 feet. As such, the well consists of squeezed perfs
5 and open perfs. The squeezed perfs are noted. The open perfs
6 are 10,856 feet through 90 feet, and they will be squeezed
7 prior to injection.
8

9 I would like to interject that this is
10 a revision to what we originally applied for. We plan only
11 to inject into the open hole.

12 Q When was this well drilled?

13 A This well was drilled in April of 1950
14 and it was TA'd in November, 1970. as uneconomical to produce

15 Q Will you now refer to Exhibit Number
16 Two and review this for the Examiner?

17 A Yes, sir. Exhibit Number Two is a plat
18 of the area noting the wells within a two mile radius of the
19 proposed salt water disposal conversion.

20 I direct your attention to the three
21 shaded blue boxes. The central shaded blue box is the pro-
22 posed salt water disposal well, located in Unit L of Section
23 2, the Sun Texas Company No. 3.

24 The upper shaded box is the present salt
25 water disposal well for the area, and it is the Amerada BTC

7
Salt Water Disposal No. 4.

The lower shaded blue box consists of the P&A'd salt water disposal wells that have been used in the past. They consist of two Amerada wells, Chambers No. 1 and 2, and the Sun Texas Company State B Account No. 1 Well No. 2.

The color coding transparent dots over the wells denote the formations from which the wells have been producing. I direct your attention to the lower lefthand corner. The red overlays denote the Devonian; the Orange, the Bagley-Penn, and so on.

Q This exhibit also shows the lease ownership in the area.

A Yes, sir. The yellow shaded areas are the areas owned by Sun Texas Company. I'll further emphasize that all the shaded colorings you've seen on this map corresponds to the Sun Texas Company code. Amerada wells and other companys are denoted by the superscripts over these.

Q Some of the acreage is not only shaded in yellow but has a red line around it, and I believe some of the tracts are also shaded in green. This shading does not have any bearing on this application here today.

A No, sir. The outline red denotes area that has been farmed out by Sun Texas and I believe the

1
2 lightly shaded green is area under consideration for farmout.

3 Q Will you now refer to what has been
4 marked for identification as Sun Exhibit Number Two-A and
5 explain to the Examiner what this shows?

6 A Exhibit Two-A is a tabular form of the
7 producing formations of the wells -- for the wells within the
8 two-mile radius of the proposed conversion. It denotes the
9 well name and number, the operator, its unit and section,
10 township range, and the formation, and its current status.

11 Q Will you now refer to Sun Exhibit Number
12 Three?

13 A Sun Exhibit Number Three is a diagram-
14 matic sketch of the proposed salt water disposal well con-
15 version. It denotes the casing strings, number of sacks
16 cemented for each string, the tubing size, depth, and packer
17 set depth. It should be noted that all the cement -- all
18 strings are fully cemented to the surface. There are perfor-
19 ations which have been squeezed at 10,907 feet through 10,994
20 feet, which will be below the packer.

21 The perforations from 10,856 to 10,890
22 feet are perforations that are currently open but will be
23 squeezed prior to injection.

24 The well presently is TD'd at 10,034
25 feet and will have be drilled out to -- excuse me, 11,034

1
2 feet, and will have to be drilled out to 11,370 feet.

3 Q If the application is approved, in your
4 opinion will the proposed injection pose a threat of contamin-
5 ation either gas, oil, or water, in the area?

6 A No, the proposed completion will not --
7 will pose no threat to these zones.

8 MR. STAMETS: While we're right there,
9 could I ask a question?

10 A Yes, sir.

11 MR. STAMETS: Do you have some perfora-
12 tions at 9950?

13 A Yes, sir. Those are perforations which
14 allowed us to cement the upper portion of the 5-1/2 casing
15 string. I should have explained that. When we --

16 MR. STAMETS: So those are effectively
17 sealed.

18 A Yes, sir.

19 Q What is the source of the water you
20 propose to inject in the subject well?

21 A Referring to Exhibit Two, the plat of
22 the area, the source of the water, the wells which will be,
23 water will be disposed of, is located in Section 2, Unit A,
24 which is the Sun Texas State D Account 1 Well No. 1; in
25 Section -- excuse me, in Unit B, Sun Texas State C Account 1

1
2 Well No. 1; and in Section F, the Sun Texas State C Account
3 No. 1 Well No. 2. These three wells will be -- will have
4 their produced water disposed of.

5 Q What have you been doing with the water
6 that has been produced by these wells?

7 A Previously we have disposed of them in
8 the Amerada No. 4 Salt Water Disposal Well, located in Section
9 5, Unit N.

10 Q What are you presently doing with the
11 water?

12 A Presently there is no water to be dealt
13 with, as the -- these three wells are shut in while Amerada
14 undergoes repairs on their presently -- on their Amerada
15 Disposal Well No. 4. This is causing us to forego 205 barrels
16 a day of oil production.

17 Q How quickly could you be prepared to
18 inject water in the subject well?

19 A Pending the Commission's approval, we
20 could in a realistic timeframe of four weeks.

21 Q What volumes do you anticipate injecting?

22 A We anticipate injecting 6580 barrels
23 per day.

24 Q Do you plan to inject under pressure or
25 by gravity?

1
2 A. By gravity, sir.

3 Q. If an order was entered by this Commis-
4 sion which imposed a pressure limitation of 0.2 of a pound
5 per foot of depth to the top of the injection interval, would
6 that pose any problem whatsoever for Sun in its plans for
7 this well?

8 A. It would not impose any problem. It
9 would be adequate.

10 Q. Will you now refer to what has been
11 marked for identification as Sun Exhibit Number Four?

12 A. Could I interject at this point here,
13 before we go to Exhibit Four? I left out something which was
14 important, talking about the Amerada No. 4 Well.

15 I'd like to elaborate. The reason that
16 it is shutin at this time is that they have extensive casing
17 repairs due to the corrosive waters of the salt water that
18 they've been disposing of previously, and the repairs require
19 running a liner in the bottom portion of the well.

20 Amerada has informed us that this will
21 restrict their injection capabilities. Previously it was
22 approximately 11,000 barrels of water per day, and they're
23 estimating that the -- it will be capable of only, maybe,
24 7000 to 8000 barrels of water per day.

25 It is the opinion of Sun Texas Company

1
2 that this will not be adequate to dispose of Sun Texas' water
3 as well as whatever water Amerada may have to dispose of.

4 Q Will you now proceed to Exhibit Number
5 Four?

6 A Yes, sir. Exhibit Number Four is a water
7 analysis of the wells which we seek to inject -- disposed
8 water we seek to dispose of.

9 Q Are there wells within a 1/2 mile radius
10 of the proposed injection well which penetrate the injection
11 zone?

12 A Yes.

13 Q Will you now refer to Sun Exhibit Number
14 Five and explain to Mr. Stamets what this shows?

15 A Yes, sir. Exhibit Number Five is a
16 tabular listing of the wells within 1/2 mile of the proposed
17 injection well that penetrate the zone of interest.

18 The table consists of the well name and
19 legal location, the casing and set depths, the sacks of
20 cement used to set each casing string, the cement tops, the
21 TD of each well, the subsea depth of each TD, the producing
22 interval, the lowermost subsea producing interval, and the
23 plugback TD, and the subsea plugback TD.

24 Q And this table is submitted to comply
25 with the requirements of the Commission's Memorandum 3-77, is

1
2 that correct?

3 A. That is correct, yes, sir.

4 It is worth noting that the two wells
5 which we're concerned of within the 1/2 mile radius of this
6 area are the Amerada BTI No. 1 and the Amerada State BTA No. 1.
7 They are currently Devonian producers. I have calculated
8 the lowermost subsea producing interval at -6537 and -6520
9 for the wells, respectively.

10 I would like to note in the underlying
11 lower righthand corner, that Sun Texas plans to inject at
12 -6780 to -7116 in order to avoid flooding out their wells.
13 This is the main reason we revised our C-108 and decided to
14 inject into the open hole.

15 Q Will you now refer to what has been
16 marked for identification as Sun Texas --

17 MR. STAMETS: Could I ask a couple
18 questions while we're right here?

19 There are other wells within a half a
20 mile --

21 A. Yes, sir.

22 Q -- of the proposed well, but I would
23 assume, since they are not on this list, that they were not
24 drilled deep enough to penetrate the injection horizon.

25 A. Correct, sir. I used a cutoff of -6610

1
2 as an approximate top of the Devonian to use -- get these
3 wells that fall in that area.

4 MR. STAMETS: And then you've calculated
5 some of these cement tops, I see, where they've got a little
6 asterisk beside them.

7 A. Yes, sir, and the asterisk denotes an
8 assumption of 30 to 40 percent cement loss to the formation
9 or some other effects for the area. I did not really have
10 access to any logs that might give me a more definite area,
11 for the Amerada wells particularly.

12 MR. STAMETS: Is this 30 to 40 percent
13 loss an appropriate factor in this area?

14 A. For this area from prior Sun Texas wells,
15 yes, sir.

16 MR. STAMETS: And then a number of the
17 wells, like the second well on the list, show a definite
18 figure. Is that from temperature survey or where did that
19 figure come from?

20 A. That was reported, I believe, by one
21 of the Commission forms. I don't recall right offhand, sir.

22 MR. STAMETS: Okay. Thank you.

23 Q. Will you now refer to Exhibit Number
24 Six and explain to the Examiner what this is and what it shows?

25 A. Exhibit Number Six represents the

1
2 schematics of all the plugged and abandoned wells within 1/2
3 mile radius of this -- of our proposed injection well. I'd
4 like to say, in terms of brevity, unless the Examiner would
5 like me to go into more detail, that all these wells were
6 plugged and abandoned in accordance with the NMOCC rules and
7 were approved as such.

8 I would also like to point out there
9 seems to be an inconsistency with the number of P&A'd wells
10 I show on Exhibit Five with that on Exhibit Six. I show four
11 P&A'd wells on Exhibit Six and only three in Exhibit Five.
12 The reason being, is one of the wells in Exhibit Six, speci-
13 fically the Amerada Bagley Disposal No. 2, the last schematic
14 of Exhibit Six, lies just outside of the 1/2 mile radius,
15 and so I do not include it in Exhibit Five.

16 Q Have you checked the Oil Conservation
17 Division files on each of the plugged and abandoned wells?

18 A Yes, sir.

19 Q Does Exhibit Six conform with the data
20 reported to the Commission?

21 A Yes.

22 Q Will you now refer to Exhibit Number
23 Seven and explain to the Examiner what this is and your
24 purpose in offering it in this case?

25 A Exhibit Seven -- Exhibit Number Seven

1
2 is a spontaneous potential and resistivity log of the proposed
3 injection well. Its purpose is merely to show the interval
4 in question, its top, which is located at 10,846 feet.

5 Q Now will you refer to Sun Exhibit Number
6 Eight and review this for Mr. Stamets?

7 A Exhibit Number Eight is the Sun Texas
8 Company's interpretation of the top of the Devonian in the
9 Bagley Pool area. I would like you to note the structural
10 position of the existing salt water disposal well, Amerada's
11 No. 4. It is located high on the structure at approximately
12 -6400 feet on the Isopach.

13 I'd like to note that the proposed salt
14 water disposal well is located 200 feet lower, approximately,
15 at roughly -6600 feet, as far as structure.

16 The previously approved salt water
17 disposal wells, which are now P&A'd further south, are located
18 in a comparable position.

19 Q Mr. Glaser, are you aware of similar
20 applications having been granted for salt water disposal in
21 the same general area and in this pool?

22 A Yes, sir, specifically the Amerada
23 Salt Water Disposal No. 4, which we've been referring to
24 throughout this case; the Amerada Hess Corporation Chambers
25 No. 1 and No. 2, which are noted on Exhibit Two and the

1
2 structure map as currently P&A'd salt water disposal wells;
3 as well as Sun Texas Company's State B Account No. 1 Well No.
4 2, which is also a P&A'd salt water disposal well.

5 MR. CARR: Mr. Examiner, the order num-
6 bers on each of those, if you'd like them, Sun Texas Order
7 No. is R-4718, which was approved February 13, 1974; the two
8 Amerada injection wells, the Chambers was approved by Order
9 R-3377, February 12th, 1968; and the Bagley Salt Water Dis-
10 posal Well was Order No. R-3339, approved November the 9th,
11 1967.

12 Q Mr. Glaser, in your opinion will
13 granting this application be in the best interest of conser-
14 vation, the prevention of waste, and the protection of cor-
15 relative rights?

16 A Yes, sir.

17 Q Were Exhibits One through Eight prepared
18 by you or under your direction and supervision?

19 A Yes.

20 MR. CARR: At this time, Mr. Examiner,
21 we would offer into evidence Sun Texas Company Exhibits One
22 through Eight.

23 MR. STAMETS: These exhibits will be
24 admitted.

25 MR. CARR: I have nothing further of

0-4-0-6

1
2 this witness on direct.

3
4 CROSS EXAMINATION

5 BY MR. STAMETS:

6 Q Mr. Glaser.

7 A Yes, sir.

8 Q Exhibit Number Six --

9 A Yes, sir.

10 Q -- the page that represents the Amerada
11 Mathers "WE" No. 1 Well.

12 A Yes, sir.

13 Q That well shows a bottom plug in the
14 casing. Do you know the size of that or is that the bottom
15 plug that was in there from the original cementing operation?

16 A At the casing shoe, sir?

17 Q Yes.

18 A I am relatively confident it is the
19 original plug that was placed.

20 Q Do you have any idea how much cement
21 that represents?

22 A No, sir.

23 Q Perhaps it's ascertainable from the
24 Division records with any luck.

25 Is the injection interval in your well

1
2 below the casing point in this well?

3 A The Mathers, sir?

4 Q Yes.

5 A I would have to calculate it, sir. It
6 is definitely lower than the Amerada salt water disposal No.
7 4, which is currently producing.

8 I could submit that data at a later time.

9 Q Okay, that would be -- I would appreciate
10 that. I'm trying to make certain that this well is not going
11 to be conduit for the movement of fluids and it seems like
12 it shouldn't be --

13 A Yes, sir.

14 Q -- with that bottom plug in there and
15 then the cement retainers.

16 Do you know if there was any cement put
17 on top of those retainers?

18 A No, sir. Well, excuse me.

19 Q There's so much information on there it
20 is hard to discern.

21 A I can give that to you, sir.

22 Q All right, that's the only well on there
23 that I'm concerned about. If you could add a little bit of
24 information to the record subsequent to the hearing, I will
25 appreciate it.

1

20

2

A. Uh-huh.

3

Q. Will the tubing that you use in this

4

well be a lined tubing?

5

A. Yes, sir, very definitely.

6

Q. And you will be loading the annulus?

7

A. Yes, sir.

8

Q. Okay. One of the requirements which we

9

will probably have to adopt as a result of the Federal Under-

10

ground Injection Control program, is the test of the annular

11

space in a well such as this upon setting the tubing and

12

packer. If that is required, --

13

A. Excuse me, tests, I don't follow you.

14

Q. Okay, pressure test.

15

A. Oh, okay.

16

Q. To insure that before injection starts

17

that everything is -- has integrity, that there are no leaks

18

in the casing tubing or packer, and what they propose was some

19

sort of a pressure test that could be run once everything is

20

installed. Could that be done on this well?

21

A. Oh, yeah, we're very agreeable. Are

22

you referring to, perhaps, loading the back side with a

23

lighter hydrostatic fluid, for example, oil, and setting a

24

pressure gauge at the surface on the annulus, so that if a

25

packer failure ever did occur we'd see a sensible pressure

0 4 0 9

1
2 rise at the surface?

3 Q Something like that.

4 A Similar to that.

5 Q Of course if you're on a vacuum it might
6 be the opposite thing.

7 A True.

8 Q Or we might be in a situation where
9 periodically we would want to come out there and run a pres-
10 sure test on the backside.

11 A Uh-huh.

12 Q And the idea is that you would have
13 essentially an original guideline that says, yes, at least
14 at one time this thing was solid.

15 A Okay.

16 Q What type of -- how much pressure would
17 you think would be appropriate on the backside of this system
18 to assure that we did have integrity?

19 A Oh --

20 Q Without unseating the packer?

21 A Well, the packer we are planning on
22 using is a Gyverson (sic) UniPac Five, and it has an unloading
23 valve in it, such that when the tubing rate is relieved, the
24 annulus and the tubing pressures are equalized so you don't
25 overload the packer or the tubing string. As a design number,

1
2 I don't have one right now at this time. It was designed
3 with a salt water solution --

4 Q Let's throw that in with the additional
5 information --

6 A Okay.

7 Q -- on this other well, as to what pres-
8 sure you believe would be appropriate for that test.

9 A Okay.

10 MR. STAMETS: Any other questions for
11 this witness? He may be excused.

12 Anything further in this case?

13 The case will be taken under advisement.
14

15 (Hearing concluded.)
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREPY CERTIFY that
 the foregoing Transcript of Hearing before the Oil Conserva-
 tion Division was reported by me; that the said transcript
 is a full, true, and correct record of the hearing, prepared
 by me to the best of my ability.

Sally W. Boyd C.S.R.

SALLY W. BOYD, C.S.R.

Rt. 1 Box 193 B
 Santa Fe, New Mexico 87501
 Phone (505) 455-7409

I do hereby certify that the foregoing is
 a true and correct copy of the transcript in
 the file of the hearing of the 7/18/86
 held at Santa Fe, N.M. on 3-11-87.
Richard L. Hunt, Examiner
 Oil Conservation Division