

NEW MEXICO OIL CONSERVATION COMMISSION  
 EXAMINER HEARING

SANTA FE, NEW MEXICO

Hearing Date SEPTEMBER 29, 1994 Time: 8:15 A.M.

NAME	REPRESENTING	LOCATION
William L. Carr	Engelbert Carr, Santa Fe	Santa Fe
Dominic Eximer	R.W. Bryan	SF
Joe Perez	Mobil	Midland
Sal Gutierrez	"	"
Galen Bulba	Montgomery Adams	Santa Fe
Scott Gutberlet	Unocal	Midland
Rick Teague	Unocal	Midland
GARY SMALLWOOD	ARCO PERMIAN	"
DERROH Wolfenbarger	ARCO PERMIAN	ARTESIA
Bill Hawkins	Unocal	Denver
GARY WEITZ	Amoco	DENVER
W. Kellahin	Kellahin Kellahin	Santa Fe

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING )  
CALLED BY THE OIL CONSERVATION )  
DIVISION FOR THE PURPOSE OF )  
CONSIDERING: ) CASE NO. 11,103  
)  
APPLICATION OF MOBIL EXPLORATION )  
AND PRODUCING, U.S., INC. )  
\_\_\_\_\_ )

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

September 29th, 1994

Santa Fe, New Mexico

E

NOV 2 1994

11

This matter came on for hearing before the Oil Conservation Division on Thursday, September 29th, 1994, at Morgan Hall, State Land Office Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico, before Deborah O'Bine, RPR, Certified Court Reporter No. 63, for the State of New Mexico.

\_\_\_\_\_  
\*\*\*\*\*

## I N D E X

September 29th, 1994  
 Examiner Hearing  
 CASE NO. 11,103

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>JOE PEREZ</u>	
Direct Examination by Mr. Buller	4
Examination by Examiner Catanach	17
REPORTER'S CERTIFICATE	23

\* \* \*

## E X H I B I T S

	Identified	Admitted
Exhibit 1	7	17
Exhibit 2A	8	17
Exhibit 2B	9	17
Exhibit 2C	9	17
Exhibit 3	9	17
Exhibit 4	10	17
Exhibit 5	11	17
Exhibit 6	11	17
Exhibit 7	13	17
Exhibit 8	13	17
Exhibit 9	13	17
Exhibit 10	13	17
Exhibit 11	15	17

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

RAND L. CARROLL  
Attorney at Law  
Legal Counsel to the Division  
State Land Office Building  
Santa Fe, New Mexico 87504

## FOR THE APPLICANT:

MONTGOMERY & ANDREWS, P.A.  
325 Paseo de Peralta  
P.O. Box 2307  
Santa Fe, New Mexico 87504-2307  
By: GALEN M. BULLER

\* \* \*

1 EXAMINER CATANACH: At this time we'll call Case  
2 11,103.

3 MR. CARROLL: Application of Mobil Exploration &  
4 Producing, U.S. Inc., for downhole commingling, Lea County,  
5 New Mexico.

6 EXAMINER CATANACH: Are there appearances in this  
7 case?

8 MR. BULLER: Galen Buller from Montgomery &  
9 Andrews law firm in Santa Fe, representing Mobil.

10 We have one witness.

11 EXAMINER CATANACH: Any additional appearances?  
12 Will the witness please stand and be sworn in at this time?

13 JOE PEREZ,

14 the witness herein, after having been first duly sworn upon  
15 his oath, was examined and testified as follows:

16 DIRECT EXAMINATION

17 BY MR. BULLER:

18 Q. Mr. Perez, would you please state your name for  
19 the record?

20 A. Good morning, Mr. Hearing Examiner. My name is  
21 Joe Perez. I work for Mobil Oil as an operations engineer,  
22 and I reside in Midland, Texas.

23 Q. Could you please tell the Hearing Examiner what  
24 your current position with Mobil is?

25 A. I'm an operations engineer.

1 Q. Have you ever testified before the New Mexico Oil  
2 Conservation Division before?

3 A. No, I have not.

4 Q. Would you please summarize your educational and  
5 background and work experience?

6 A. I have a degree in petroleum engineering which I  
7 received from University of Texas in Austin in 1983.

8 I've been with Mobil for about 11 years, eight  
9 years as a production engineer, two years as a gas plant  
10 engineer and one year as a facilities engineer.

11 During my career with Mobil, I've worked closely  
12 with various groups in the organization, such as the land  
13 donation groups, environmental, regulatory oil and gas  
14 counsel, among other groups.

15 I'm familiar with the land plats which we will be  
16 discussing this morning, as well as all the other exhibits  
17 which we propose to present in this hearing.

18 Q. Can you describe to the Hearing Examiner, Mr.  
19 Perez, your familiarity with the proposed downhole  
20 commingling application, including its location and the  
21 notice that was given?

22 A. Okay. I'm very familiar with the proposed  
23 downhole commingling application. One of my duties as an  
24 operations engineer is to look at the efficiency of our  
25 operations.

1           In this particular well, mechanical failures  
2 associated with the dual completion configuration had  
3 become numerous, and so we proposed to the state to  
4 downhole commingle the Abo zone, which is the top interval,  
5 and the Penn and Wolfcamp intervals, being the lower two  
6 intervals.

7           The Penn and Wolfcamp were previously commingled  
8 in 1989 under a separate application.

9           During the time that the application was being  
10 prepared to commingle all three intervals a mechanical  
11 failure occurred, or I should say another mechanical  
12 failure occurred.

13           A provisional approval pending State review of  
14 the Application was granted by Mr. Jerry Sexton of the New  
15 Mexico Oil Conservation Division, and thus the well was  
16 commingled in May of 1994.

17           Subsequent to that, the Application was denied.

18           We are continuing to produce this well under  
19 verbal approval by the State, pending the outcome of this  
20 hearing.

21           And yes, I am familiar with the location of this  
22 well. It will be discussed in Exhibit 1.

23           As for notices to the offset operators, I'm also  
24 familiar with that, and I do have with me the certified  
25 mail return receipts.

1 Q. Have you also reviewed the plats depicting the  
2 lands surrounding the proposed project?

3 A. Yes, I have.

4 MR. BULLER: Are the witness's qualifications  
5 acceptable, Mr. Hearing Examiner?

6 EXAMINER CATANACH: They are.

7 Q. (By Mr. Buller) Mr. Perez, would you please turn  
8 to what's been marked as Exhibit 1 in the exhibit booklet  
9 and could you describe for the Hearing Examiner what this  
10 exhibit is and what you're trying to show through it?

11 A. Okay. Exhibit 1 is a location plat showing the  
12 relative position of our Bridge State Number Abo 104, which  
13 is in Section 25 of Township 17 South and Range 34 East.

14 The offset operators are Amerada Hess, Phillips,  
15 Arco, Shell, Texaco, Conoco, Marathon and Pennzoil. The  
16 majority of these offset operators are also joint interest  
17 partners in this wellbore. Not all, but the bulk of them.

18 Q. And has notice of this hearing been provided to  
19 each of these offset operators?

20 A. Yes.

21 Q. By certified mail, return receipt requested?

22 A. That's correct.

23 Q. Have any of these offset operators contacted you  
24 or protested this Application?

25 A. No.

1 Q. You testified earlier that Mobil's proposal is to  
2 produce this well from three zones; isn't that right?

3 A. That is correct.

4 Q. Is ownership of production within each of these  
5 three zones common?

6 A. Ownership is common in the lower two intervals,  
7 the Penn and Wolfcamp, both of which Mobil has a 100-  
8 percent interest.

9 The Abo interval is a joint interest property  
10 with Mobil having nearly 78 percent working interest.

11 Joint interest approval for commingling requires  
12 Mobil plus one partner. We have obtained approval from 30  
13 of 31 joint interest owners, which account for nearly 99  
14 percent of the working interest, and one joint interest  
15 owner has been notified but has not responded.

16 Q. Representing approximately one percent of the  
17 interest?

18 A. About one percent, that's correct.

19 Q. Okay. Would you please identify for the Hearing  
20 Examiner what's been marked as Exhibits 2A, 2B, and 2C, and  
21 describe what you're trying to show through these exhibits?

22 A. Okay. Exhibit 2A is a structure map of the North  
23 Vacuum Abo field. The Vacuum Abo unit is outlined in red.  
24 The subject well is shown with a red arrow.

25 And what we're trying to show here is that the

1 subject well overlays very close to the top of the  
2 structure in the Abo field.

3 Exhibit 2B is a structure map of the Penn  
4 structure. And as shown in the red arrow, again, the  
5 subject well overlays pretty close to the top of the  
6 structure in this area also.

7 Exhibit 2C is a structure map of the Vacuum  
8 Wolfcamp Pool. And again, as shown there in red arrow, the  
9 subject well again overlays very top close to the top of  
10 that structure. And what we're trying to show here is that  
11 the subject well is in a strategic location to recover the  
12 maximum reserves from these three zones.

13 Q. Why don't we go ahead and look at Exhibits 3 and  
14 4, because they are going to help sort out through some of  
15 the data that I think we need to insert here. Could you  
16 identify for the Hearing Examiner both Exhibits 3 and --  
17 Well, let's start -- Let's just do 3 first.

18 A. Okay. Exhibit 3 is a data sheet and a production  
19 test summary basically showing the lease name, well number,  
20 well location.

21 It shows that the upper zone is a North Vacuum  
22 Abo with a completion interval between 8444 and 9300. The  
23 lower zone is a Wolfcamp and completed between 9552 and  
24 10,116.

25 The current productivity test summary are tests

1 based on our field tests and show that the upper zone  
2 tested under the developed pumping system 60 barrels of oil  
3 per day, 30 MCF and 68 barrels of water, with a 500 GOR;  
4 and that the lower zone, being the Wolfcamp and Penn, also,  
5 at the time, under a water pumping system tested 37 barrels  
6 of oil, 50 barrels of water, 73 MCF -- I'm sorry I got that  
7 wrong; let me make a correction -- 37 barrels of oil, 50  
8 MCF, 73 barrels of water, with a 1351 GOR.

9 Both zones produce an intermediate crude, and we  
10 expect no problems in commingling the two waters.

11 Q. And this is the same data sheet that was  
12 submitted earlier to the Hearing Examiner as part of the  
13 Application?

14 A. That's correct as part of the original  
15 Application.

16 Q. Why don't you go ahead, then, and describe for  
17 the hearing examiner what Exhibit 4 is, what you're trying  
18 to show with that?

19 A. Okay. Exhibit 4 is a computation of relative  
20 values of the hydrocarbon production before and after  
21 downhole commingling.

22 Again, this is a -- This data sheet was submitted  
23 with the original application prior to the provisional  
24 approval.

25 And what we're trying to show here is that the

1 computational value of production before commingling and  
2 after commingling would be the same. In other words, we  
3 would expect no revenue loss from commingling.

4 In actuality, since we have commingled the  
5 production, the production has slightly increased as a  
6 result of removing that packer off the bottom two intervals  
7 and reducing that producing that bottomhole pressure.

8 So in actuality, the relative values would be a  
9 little bit higher after commingling.

10 Q. Why don't you go ahead and identify what's been  
11 marked as Exhibits 5 and 6 and explain what you're showing  
12 through those?

13 A. Okay. Exhibits 5 and 6 are wellbore schematics.

14 Exhibits 5 shows the previous condition of the  
15 wellbore, prior to the provisional approval. And Exhibit 6  
16 shows the current condition and how commingling will occur  
17 into the future.

18 Basically what we're showing is that the previous  
19 configuration, we had two tubing strings with a packer set  
20 at 9500 isolated the Abo formation from the Wolfcamp and  
21 the Upper Penn.

22 Under this configuration we did have quite a few  
23 mechanical failures. I will discuss those in one of the  
24 later exhibits. But with that packer in the hole, we were  
25 unable to circulate chemical down to the lower tubing

1 string, and that was one of the causes of a lot of the  
2 failures, among packer failures and among others.

3 The current completion, as shown in Exhibit 6,  
4 shows one tubing string with a tubing anchor allowing all  
5 the gas to get up the casing, with a downhole column pump  
6 producing fluids from all three zones.

7 Q. And just for clarification, Exhibit 5 says  
8 current completion and Exhibit 6 says proposed  
9 completion --

10 A. That's correct.

11 Q. -- and that's not exactly accurate?

12 A. That's correct. Again, these were documents  
13 submitted in the original application, and since the  
14 provisional approval we're now under proposed completion  
15 scenario --

16 Q. You're actually --

17 A. -- which is actually current now.

18 Q. -- current now? Okay, thank you.

19 Would you go ahead, then, and identify what's  
20 been marked as Exhibit 7, 8, 9, and 10 and describe to the  
21 Hearing Examiner what you're showing through those  
22 exhibits?

23 A. Okay. Exhibit 7 is a production -- Well,  
24 actually Exhibit 7, 8, and 9 are production plots from all  
25 three of the intervals.

1           Exhibit 7 is a production plot for the Vacuum Abo  
2 field with the oil shown in green, the gas in red, and the  
3 water in blue.

4           Exhibit 8 is again a production plot with the  
5 same legend of the Vacuum Upper Penn.

6           And Exhibit 9 is and production plot of the  
7 Vacuum Wolfcamp.

8           And I'd like to draw your attention to Exhibit  
9 10, which is a plot of all three zones commingled, just to  
10 show that we took the trend and looked at the history of  
11 production from all three zones.

12           As you can see, in June of 1994, it does show an  
13 increase in that test in that production, and since the  
14 well was commingled and made, that response is due to  
15 relieving that back pressure on those bottom intervals.

16           Since then it's -- We've had some flush  
17 production. It's coming back to what it normally was,  
18 getting close to norm. But it's still a little bit higher,  
19 especially the gas volume; it really jumped up after  
20 relieving that back pressure.

21           Q.   And do you note any other anomalies in Exhibit  
22 10, or does it look like a fairly normal test --

23           A.   Yes --

24           Q.   -- in your expert opinion?

25           A.   -- it looks like a fairly normal decline, it

1 looks like a normal curve.

2 It does give us a basis to look at some trends  
3 and, after commingling into the future, would allow us to  
4 see any variance from that trend. And that's basically  
5 what we tried to show, is to have some basis for  
6 evaluation.

7 Q. How does Mobil plan to allocate production from  
8 these three zones?

9 A. Okay. Basically we're using the same procedure  
10 that was used when we commingled the Penn and the Wolfcamp.

11 What was done is that we had taken test data  
12 prior to commingling and used weighted averages to allocate  
13 production from that point on. And basically what we've  
14 done and have gotten approval from our joint-interest  
15 partners is to do the same method, look at the production  
16 prior to commingling, and then based on those weighted  
17 percentages allocate production to each of the intervals in  
18 that respect.

19 And that has been, again, discussed with our  
20 joint-interest partners, and it has been approved by them.

21 Q. By all but one, apparently?

22 A. By -- Except 1 percent, right, which has not  
23 responded, has not protested but has not responded.

24 Q. Okay. Let's turn to Exhibit 11, and maybe you  
25 could identify Exhibit 11 and describe for the Hearing

1 Examiner what this is.

2 A. Exhibit 11 is a well history. And what I'm  
3 trying to show here is that starting in 1989, after we  
4 commingled the Penn and Wolfcamp, from that point on we're  
5 showing nine to ten failures. And these failures have been  
6 mostly tubing failures or packer failures as a result of  
7 having the dual string in the hole.

8 Interesting thing to note is that since we have  
9 put it on with one string, since it has been commingled, we  
10 have not had any failures since then.

11 And we're trying to show that the efficiency of  
12 this operation has not been very good. Anytime a well goes  
13 down, it's gown down for at least a week or two weeks.  
14 During that time if you're going to cross-flow, that  
15 probably would be the time that you would cross-flow  
16 because you're allowing the pressure to build up, and if  
17 there's any variance in pressures at that time you would  
18 cross-flow.

19 Having one tubing string in the hole allows us to  
20 keeping the well pumping longer, keep it pumped off and  
21 have all zones producing at all times to prevent or reduce  
22 any chance of a cross-flow.

23 Q. Based on your review of these exhibits, what  
24 conclusions have you reached concerning the viability of  
25 this Application for downhole commingling?

1           A.    It's my opinion that the viability for downhole  
2 commingling is one that's going to provide a mutual benefit  
3 for the State, for Mobil as an operator and for our joint-  
4 interest partners.

5                   As we have seen in our production plots, oil and  
6 gas volumes increased slightly following the provisional  
7 approval to commingle.  It's my opinion that by reducing  
8 that excess backpressure from those lower intervals we  
9 should be able to recover additional reserves otherwise  
10 left in the ground.

11                   Also, since this well was commingled in May, as I  
12 mentioned, we have not had any failures.

13                   We are also improving the economic viability of  
14 this well.  This should allow us to produce the well over a  
15 longer period of time.

16                   And by approving the feasibility and economics of  
17 this wellbore and by producing it for a longer period of  
18 time, again, additional recovery of reserves should be  
19 seen.

20           Q.    In your opinion, will approval of this  
21 Application result in the recovery of hydrocarbons  
22 otherwise left in the ground?

23           A.    Yes.

24           Q.    Will this approval prevent waste?

25           A.    No --

1 Q. Will it prevent waste?

2 A. -- yes, it will prevent waste.

3 Q. Okay. Will the approval result in the  
4 conservation of oil and gas, and will it result in the  
5 protection of correlative rights?

6 A. Yes, it will.

7 Q. Were Exhibits 1 through 11 prepared by you or  
8 under your supervision?

9 A. Yes.

10 MR. BULLER: Mr. Hearing Examiner, at this time I  
11 move for admission of Exhibits 1 through 11.

12 EXAMINER CATANACH: Exhibits 1 through 11 will be  
13 admitted as evidence.

14 MR. BULLER: And that concludes our direct  
15 testimony.

16 EXAMINATION

17 BY EXAMINER CATANACH:

18 Q. Mr. Perez, do you know which order originally  
19 approved the downhole commingling of the Penn and the  
20 Wolfcamp?

21 A. Yes, sir. I have it in my file, I can get it.

22 Q. Okay, I'd appreciate that.

23 A. The administrative order is DHC-725.

24 Q. In that order, is there an allocation of  
25 production between the Penn and the Wolfcamp?

1           A.    I don't see it in the order.  It was submitted, I  
2 believe, in the original application for this project.  I  
3 don't see it in the order as the allocation.

4           Q.    So you're not aware how the well was being  
5 allocated?

6           A.    I do have the original -- the application -- a  
7 copy of the application that was submitted, and -- I don't  
8 have those percentages that were -- that are allocated to  
9 each of these zones here.

10          Q.    I've got the original application.  It appears on  
11 one of the C-116s that 96 percent is allocated to the Penn,  
12 four percent to the Wolfcamp?

13          A.    Okay, that sounds about right.

14          Q.    You've got a single interest owner who has not  
15 signed on for commingling?

16          A.    They have just not responded.  It's a one-percent  
17 joint-interest owner which has not responded.  And  
18 basically we're trying to not only meet the joint interest  
19 obligation but to exceed it, and we have done that by  
20 getting at least 30 of the 31, and what was required was  
21 Mobil plus one.  Like I said, that one partner has not  
22 responded, and so we don't really know if they would object  
23 to it or not.

24          Q.    Okay.  You don't think he has any problem with  
25 it?

1 A. No, sir.

2 Q. Okay. Isn't the Abo formation currently under  
3 waterflood?

4 A. That is correct, it is under waterflood.

5 Q. Is that Abo production pretty stable?

6 A. It has been in my opinion, I believe that the  
7 production plots from a lot of our Abo producers, and we  
8 don't see significant changes over a long period of time.  
9 It has been fairly steady.

10 Q. Do you have a recommended percentage allocation  
11 for this waterflood?

12 A. Yes. Let me see if I can dig through it right  
13 quick.

14 The allocation would provide 60 percent of the  
15 production, allocate 60 percent of the production to the  
16 Abo, and 40 percent to the Bridges State leases.

17 Q. I'm sorry I lost you there.

18 A. Okay.

19 Q. 60 percent to the Abo --

20 A. 60 percent to the North Vacuum Abo unit --

21 Q. Uh-huh.

22 Q. -- and then 40 percent to the lower two  
23 intervals, being the Penn and Wolfcamp. And then from that  
24 40 percent, you would allocate 96 to the Penn and four  
25 percent to the Wolfcamp.

1 Q. How did you arrive at that?

2 A. Based on the previous production prior to  
3 commingling, we took the weighted averages of the actual  
4 production, roughly 60 oil to the Abo and 40 oil to the  
5 Penn-Wolfcamp.

6 Q. The partners have signed off on that allocation  
7 method --

8 A. Yes, sir --

9 Q. -- percentage?

10 A. -- that is correct.

11 Q. Do you expect the water production to increase  
12 significantly due to the waterflood?

13 A. We've been waterflooding since 1983 to 1986. At  
14 that time we converted to that 40-acre spacing, and  
15 production since then has been fairly stable, and we have  
16 not seen any significant changes in production.

17 One of the reasons that I wanted to combine the  
18 production prior to commingling was to look at that trend  
19 that we had before. We've got that basis so that any  
20 variables from that trend we can track.

21 And if we see a significant increase in water or  
22 a significant increase or decrease in oil, then at that  
23 time we can go in there and isolate and test the Abo by  
24 itself to see if any change had occurred, and if necessary  
25 at that time we could also make changes to the allocation

1 based on partner approval, obtaining partner approval.

2 Q. Is there any detrimental effects to the well when  
3 you start producing more water from the Abo?

4 A. No, sir. We have done some water analysis, and  
5 we've looked at that. Everything looks compatible. We've  
6 been producing for roughly -- what? -- three, four months  
7 with no problems, no mechanical failures, slight increase  
8 in production. So I wouldn't expect any problems.

9 Q. Is the bottomhole pressure in the Abo  
10 significantly higher than the Penn and Wolfcamp?

11 A. We estimate about 2,000 pounds bottomhole  
12 pressure, and I don't believe that the pressures are that  
13 varied.

14 The way I look at it is that if we can keep this  
15 well producing and keep it pumped on, regardless of the  
16 pressures in the zones -- You've got a common pressure in  
17 the wellbore so they're all producing in that common pump.  
18 And by going to a single completion we're able to keep it  
19 on longer, so any time we will have somebody pooled we do  
20 eliminate chances of any cross-flow.

21 Q. Is the well -- Do you know what the well is  
22 producing currently?

23 A. It's producing about 90 to 95 barrels of oil, and  
24 about 150, 120 MCF.

25 And like I say, we did have that peak, probably

1 because of flush production, and I expect it will probably  
2 be declining in the near future.

3 Q. Within that North Vacuum, that's mostly state  
4 acreage, is it not?

5 A. Yes, sir.

6 Q. Have you talked to anybody with the Commissioner  
7 of Public Lands about this proposal?

8 A. Not to my knowledge.

9 Q. Okay, I'm not sure, exactly sure on their rules  
10 on that, but you may want to check on that to see if you  
11 need to get anything from them.

12 A. Okay.

13 EXAMINER CATANACH: I have nothing further in  
14 this case.

15 Anything further, Mr. Buller?

16 MR. BULLER: I have nothing further.

17 THE WITNESS: Thank you very much.

18 EXAMINER CATANACH: There being nothing further,  
19 Case 11,103 will be taken under advisement.

20 MR. BULLER: Thank you.

21 \* \* \*

22

23

24

25

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO )  
 ) ss.  
COUNTY OF SANTA FE )

I, Deborah O'Bine, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that my notes were transcribed under my supervision; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

*Deborah O'Bine*

DEBORAH O'BINE  
CCR Number 63

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 11103, heard by me on September 27 1994.

*David [Signature]*, Examiner  
Oil Conservation Division