


STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION COMMISSION



IN THE MATTER OF THE HEARING)
CALLED BY THE OIL CONSERVATION)
COMMISSION FOR THE PURPOSE OF)
CONSIDERING:)
)
APPLICATION OF MERIDIAN OIL, INC.)
_____)

CASE NO. 11,274

REPORTER'S TRANSCRIPT OF PROCEEDINGS

COMMISSION HEARING

ORIGINAL

BEFORE: WILLIAM J. LEMAY, CHAIRMAN
WILLIAM WEISS, COMMISSIONER
GARY CARLSON, COMMISSIONER

April 27th, 1995

Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Commission on Thursday, April 27th, 1995, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, before Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

April 27th, 1995
 Commission Hearing
 CASE NO. 11,274

	PAGE
EXHIBITS	4
APPEARANCES	5
APPLICANT'S WITNESSES:	
<u>FRANK A. SEIDEL</u> (Drilling Engineer)	
Direct Examination by Mr. Kellahin	12
Examination by Commissioner Weiss	35
Examination by Commissioner Carlson	39
Examination by Chairman LeMay	40
Further Examination by Commissioner Weiss	44
Further Examination by Commissioner Carlson	44
Examination by Mr. Carroll	46
<u>ALAN ALEXANDER</u> (Landman)	
Direct Examination by Mr. Kellahin	47
Examination by Mr. Carroll	60
Examination by Commissioner Weiss	61
Examination by Commissioner Carlson	63
Examination by Chairman LeMay	65
MARATHON WITNESS:	
<u>RICHARD E. POLLARD</u> (Petroleum Engineer)	
Direct Examination by Mr. Campbell	72
Examination by Commissioner Weiss	84
Examination by Commissioner Carlson	86
Examination by Chairman LeMay	87
Further Examination by Commissioner Weiss	88
Examination by Mr. Carroll	89

(Continued...)

OIL CONSERVATION DIVISION WITNESS:

MICHAEL E. STOGNER

(Petroleum Engineer/NMOCD Hearing Examiner)

Direct Examination by Mr. Carroll 90

Examination by Chairman LeMay 102

Examination by Commissioner Weiss 105

STATEMENTS TO THE COMMISSION:

BILL HAWKINS

(Petroleum Engineer, Amoco Production Company) 109

NED KENDRICK(Attorney, Montgomery & Andrews; speaking
on behalf of Mobil Exploration and
Production, Inc.)

118

LARRY SANDERS

(Permian Basin Petroleum Association) 120

RUTH ANDREWS(New Mexico Oil and Gas Association,
Arco, Texaco)

127

SUMMARY

By Mr. Kellahin 129

REPORTER'S CERTIFICATE 136

* * *

E X H I B I T S

Meridian	Identified	Admitted
Exhibit 1	10	60
Exhibit 2	15	60
Exhibit 3	18	60
Exhibit 4	54	60
Exhibit 5	20	60
Exhibit 6	48	60
Exhibit 7	52	60
Exhibit 8	56	60

Baker Hughes INTEQ Brochures:

<i>Drilling Systems</i>	26	-
<i>MWD</i>	28	-
<i>Navi-Drill Downhole Motors</i>	28	-

* * *

Marathon

Exhibit 1	74	84
Exhibit 2	77	84
Exhibit 3	78	84

* * *

Oil Conservation Division

Exhibit 1	92	102
-----------	----	-----

* * *

A P P E A R A N C E S

FOR THE COMMISSION:

CAROL LEACH
General Counsel
Energy, Minerals and Natural Resources Department
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE OIL CONSERVATION DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

FOR MARATHON OIL COMPANY:

Marathon Oil Company
P.O. Box 552
Midland, TX 79702
By: DOW L. CAMPBELL
Attorney, CPA

FOR MOBIL EXPLORATION AND PRODUCTION, INC.:

MONTGOMERY & ANDREWS, P.A.
325 Paseo de Peralta
P.O. Box 2307
Santa Fe, New Mexico 87504-2307
By: EDMUND H. KENDRICK

* * *

A P P E A R A N C E S (Continued)

ALSO PRESENT:

BILL HAWKINS
Amoco Production Company

LARRY SANDERS
Phillips Petroleum, Odessa, Texas
Representing Permian Basin Petroleum Association

* * *

1 WHEREUPON, the following proceedings were had at
2 9:15 a.m.:

3 CHAIRMAN LEMAY: Call Case Number 11,274, which
4 is the Application of Meridian Oil for statewide
5 administrative approval for high-angle/horizontal
6 directional wells drilled in New Mexico.

7 Appearances in Case 11,274?

8 MR. KELLAHIN: Mr. Chairman, I'm Tom Kellahin of
9 the Santa Fe law firm of Kellahin and Kellahin, appearing
10 today on behalf of the Applicant, Meridian Oil, Inc.

11 I have two witnesses to be sworn.

12 CHAIRMAN LEMAY: Thank you.

13 Additional appearances?

14 MR. HAWKINS: Commissioner, I'm Bill Hawkins with
15 Amoco, and we don't have any legal representation today,
16 but we would like to make some comments and suggestions on
17 the rules.

18 CHAIRMAN LEMAY: Thank you, Mr. Hawkins.

19 MR. CAMPBELL: Mr. Chairman, Dow Campbell,
20 attorney with Marathon Oil Company, and -- out of Midland,
21 Texas, and we have one witness.

22 CHAIRMAN LEMAY: One witness?

23 MR. CAMPBELL: One witness.

24 CHAIRMAN LEMAY: Thank you.

25 MR. KENDRICK: Ned Kendrick with Montgomery and

1 Andrews law firm for Mobil Exploration and Production, Inc.

2 No witnesses, just a couple of comments.

3 CHAIRMAN LEMAY: Thank you.

4 MR. SANDERS: Larry Sanders with Phillips

5 Petroleum out of Odessa, Texas, representing Permian Basin

6 Petroleum Association.

7 And we have just a prepared statement that I'll

8 read in.

9 CHAIRMAN LEMAY: Thank you, Larry.

10 MR. CARROLL: Mr. Chairman, Rand Carroll on

11 behalf of the New Mexico Oil Conservation Division.

12 I may have one witness that I'd ask you to swear

13 in.

14 CHAIRMAN LEMAY: Okay, anyone else?

15 Those witnesses that are going to be giving

16 testimony in the case, will you please stand and raise your

17 right hand?

18 (Thereupon, the witnesses were sworn.)

19 CHAIRMAN LEMAY: Thank you. You may be seated.

20 Mr. Kellahin, you may begin.

21 MR. KELLAHIN: Thank you, Mr. Chairman.

22 (To audience) There's more of these handouts up

23 here if you'd like to have copies.

24 Mr. Chairman, Meridian appreciates the

25 opportunity to present a discussion for you this morning

1 concerning the adoption of some administrative procedures
2 for horizontal wells.

3 The two experts I'm bringing to you this morning
4 are Mr. Alan Alexander, who's a petroleum landman, and Mr.
5 Frank Seidel.

6 We've handed out to you an exhibit book and the
7 existing rules, along with a copy of brochures that Frank
8 has provided to us from Baker Hughes -- I'm sorry, Frank,
9 what's the source of the material? Baker Hughes --

10 MR. SEIDEL: Baker Hughes INTEQ, Baker Hughes
11 Corporation.

12 And the reason for the information is purely to
13 provide some description of some of the equipment that we
14 use to horizontally drill with.

15 MR. KELLAHIN: There are three different
16 pamphlets, Frank. Identify for us and we'll discuss in a
17 minute each pamphlet.

18 Identify each one for me so that I --

19 MR. SEIDEL: Okay, we have a *Drilling Systems*
20 pamphlet; one on *MWD*, which is an acronym for *Measurement*
21 *While Drilling*; and one pamphlet for the *Navi-Drill*
22 *Downhole Motors*.

23 MR. KELLAHIN: The concept that Meridian has
24 proposed to you is one in which we have taken from our past
25 horizontal cases. Meridian and I have presented probably

1 two dozen horizontal cases to the Examiner.

2 I have given you a sample of one of the Examiner
3 orders out of the Canyon Largo case, so you can see how the
4 Division has handled these issues in terms of the hearing
5 process.

6 With that background of information, then, Mr.
7 Alexander and Mr. Seidel and I drafted what we filed on
8 February 21st as a discussion draft of the proposed rule.

9 That discussion draft was generated in this
10 fashion: Prior to filing with the Division, we circulated
11 a working copy to all operators that we could find who had
12 filed a horizontal application before the Division in the
13 last several years.

14 And in response to that solicitation we obtained
15 the cooperation and assistance of our other operator
16 friends. They included Bill Hawkins with Amoco, John Rowe
17 with Dugan, Ken Schramko with Phillips, David Boneau with
18 Yates, Dow Campbell and the technical staff at Marathon for
19 Marathon, Sally McDonald with Meridian; and others.

20 From those early drafts, then, we compiled what I
21 will call a shopping list. And we filed a shopping list in
22 terms of the proposed rule, which is what you have before
23 you when you look in the exhibit book and look behind
24 Exhibit Tab Number 1. That was the discussion draft
25 application rule that we then recirculated to all parties

1 that had done these type of cases.

2 Mr. Alexander and I decided on the strategy that
3 we would have a detailed, all-encompassing rule, the idea
4 being that if you had a suggestion on paper, it might
5 trigger your thought process to recognize whether you
6 actually wanted that item in the rule or not, rather than
7 having a very simple rule as currently exists in Texas.

8 As a result of circulating that information,
9 then, we have received comments, suggestions and ideas from
10 other participants in the industry.

11 Mr. Seidel and Mr. Alexander will, this morning,
12 present to you what Meridian believes to be their revised
13 proposed rule. Others are going to propose suggested
14 changes.

15 The New Mexico Oil and Gas Association, through
16 Ruth Andrews, has also circulated these proposed rules and
17 ideas to their membership, and she has received written
18 comments from Arco and Texaco.

19 Our recommendation to you is that after the
20 presentation this morning, the industry has done just about
21 all we can do in terms of suggesting a rule, and we would
22 like to recommend that you then, with your guidance and
23 decision, suggest to the Division, to Mr. Stogner and to
24 Mr. Carroll, that they then formulate what the Division
25 would utilize as a final rule. We think the process has

1 evolved to the point where we are ready for you to make a
2 decision on what the rule ought to be.

3 The purpose, then, this morning is to bring a
4 drilling expert with Mr. Seidel's experience in horizontal
5 well technology, tell you the major parts of his activity
6 so that as you see the rule proposed to you unfold, you'll
7 understand why we did what we did. So that's the purpose
8 of our presentation this morning.

9 And with those comments, then, I'd like to call
10 Mr. Frank Seidel.

11 FRANK A. SEIDEL,

12 the witness herein, after having been first duly sworn upon
13 his oath, was examined and testified as follows:

14 DIRECT EXAMINATION

15 BY MR. KELLAHIN:

16 Q. For the record, sir, would you please state your
17 name and occupation?

18 A. Frank A. Seidel. I'm a senior staff drilling
19 engineer with Meridian Oil in Farmington, New Mexico.

20 Q. Mr. Seidel, would you summarize for us your
21 education and your employment background?

22 A. I have a BS degree in chemical engineering from
23 New Mexico State University, and I've worked for 12 years
24 for Amoco Production Company in various assignments
25 throughout the company, and for the last year I've been

1 employed by Meridian Oil in Farmington.

2 In that time I've drilled 14 -- or worked on 14
3 horizontal projects, in the Austin Chalk, in the Texas
4 Pearshall field, in Mississippi, in the Wilcox field in
5 Louisiana, and also in Oklahoma in the East Velma Middle
6 Block field, and in New Mexico I engineered the first
7 horizontal well for Amoco in the Mesaverde.

8 Q. Mr. Seidel, have you had an opportunity to
9 participate in a proposed rule to be sponsored by Meridian
10 Oil, Inc., for the establishment of an administrative
11 procedure for obtaining of approval of the Division for the
12 application of this technology in the State of New Mexico?

13 A. Yes, sir, I have.

14 Q. As part of that review, have you looked at the
15 current Rule that deals with deviation tests and
16 directional drilling?

17 A. Yes, sir, I have.

18 Q. And based upon that study and your background and
19 information, do you now have certain opinions, conclusions
20 and recommendations for the Commission?

21 A. Yes, I do.

22 MR. KELLAHIN: We tender Mr. Seidel as an expert
23 drilling engineer.

24 CHAIRMAN LEMAY: His qualifications are
25 acceptable.

1 Q. (By Mr. Kellahin) If you'll turn with me, sir,
2 to the first topic, let's look at what I've passed out to
3 be the current Rule. It's Rule 111. And without going
4 through the details of the Rule, describe for us whether in
5 your opinion the existing Rule is adequate within the
6 context of its procedure to handle the processing of the
7 horizontal/high-angle directional drills that are -- wells
8 that are the subject of this case.

9 A. No, I do not believe that it's adequate to
10 support the administrative approval of applications for
11 either drilling a high-angle or a horizontal or a deviated
12 wellbore.

13 Q. As Meridian proposed to craft this rule, do you
14 propose that Rule 111 be entirely eliminated, or simply
15 supplemented and edited to be consistent with the adoption
16 of a new rule that deals with the horizontal wells?

17 A. I believe that Rule 111 should be supplemented
18 with the information -- further detailed information that
19 we've come up with to support an administrative process for
20 obtaining approval.

21 Q. Once that editing has taken place, then, what
22 purpose would be served by the current Rule 111?

23 A. The current Rule 111 could still be utilized to
24 handle wells where the wellbore was just deviated due to
25 junk in the hole, where we -- what we call in the -- in our

1 industry a blind sidetrack, where you've lost a piece of
2 bottomhole assembly in the hole and you just want to go
3 around it, you don't have any control of azimuth.

4 And that's one definition that we have in our
5 proposed application, is that a directional well is any
6 well where the azimuth is intentionally controlled, whereas
7 in -- Rule 111 does talk about directional wells, but it
8 doesn't provide for the administrative approval of an
9 application in itself, it doesn't have the detail needed in
10 order to provide that process.

11 Q. Let's turn to Meridian's proposed rule, which is
12 found behind Exhibit Tab Number 2. This proposed rule has
13 been edited using as its master the original proposed rule
14 contained in its application. Let's turn and have you then
15 help us understand how the rule, proposed rule, is
16 organized.

17 A. Okay.

18 Q. Where would we find a definition, then, that
19 would tell us the kind of creature that's going to be
20 covered by these horizontal rules?

21 A. Okay, the first page that you find in our
22 applications -- and then the subsequent several pages,
23 three pages, the first three pages, you find definitions.

24 And I'd like to go ahead and give you a bit of
25 background, why we decided to have such a detailed series

1 of definitions.

2 The main reason was, in my opinion, to put
3 everyone on a level playing ground, have everybody speaking
4 the same language. Even within our own industry there's
5 some confusion as to what people define as various
6 terminologies. So this was our attempt to provide common
7 understanding of our proposed rule.

8 And we even went as far as to characterize a
9 vertical well, which is -- you'll find this under A (h); a
10 horizontal, which you'll find under A (i); a high-angle
11 well, which is found under A (j); and a directional well,
12 which I spoke of earlier, which is found under A (k).

13 And then -- Do you want me to go on further about
14 the characterization?

15 Q. Not just yet.

16 When we look on page 2 at the definition under
17 (k) -- it says "directional drilled well" -- describe for
18 us what you mean as a technical person when we make that
19 statement.

20 A. What that means -- what this statement means,
21 from my -- in my opinion, is that I have a preconceived
22 plan of controlling both inclination and azimuth
23 intentionally in order to steer my wellbore intentionally
24 to a predesignated bottomhole target.

25 Q. How is that different, then, from what would

1 still remain as the type of activity to continue to be
2 controlled under Rule 111?

3 A. Well, as I previously stated, there are some
4 situations that are common practice within the industry
5 worldwide where we control inclination, but we don't
6 necessarily control azimuth, and that's for steering away
7 from old wellbores or junk in the hole, where there's no
8 intentional control of the azimuth or no intentional
9 bottomhole location to be penetrated.

10 Q. Under the proposal, then, anytime a well has an
11 intentional deviation plus an intentional azimuth, it would
12 fall within the context of this horizontal rule?

13 A. Right, it would be designated a directional well.

14 Q. Okay.

15 A. And all wells -- In my opinion, all wells that
16 have a controlled inclination and azimuth, which includes
17 horizontal wells, are directional wells.

18 So what I'm saying is that a horizontal well is
19 just a type of directional well.

20 But since it is a new technology, it's been
21 around for roughly -- commonly been around for roughly ten
22 years, we felt that there was some characterization
23 necessary so that once again we would provide a common
24 ground for -- which industry and regulatory people -- to
25 converse.

1 Q. The next definition is for the term "lateral".
2 What does that mean to you?

3 A. The term "lateral" is -- to me, is a term that's
4 expressively used to describe a horizontal wellbore.
5 It's -- In my experience, it's never been used to describe
6 a -- purely a directional well. It's a horizontal wellbore
7 term.

8 Q. Can you further refine the term "lateral" to be
9 subdivided into different types of categories?

10 A. Yes, we broke out the lateral into five different
11 categories, and --

12 Q. Let's turn to Exhibit Number 3. If you'll look
13 behind Exhibit Tab Number 3, there's a schematic that I
14 think illustrates this next topic.

15 Without describing in great detail what this
16 means, give us a summary of what you've illustrated here
17 with this display.

18 A. Okay. Due to the fact that horizontal technology
19 is still relatively new to some people -- there are some
20 companies out there that still have not drilled their first
21 horizontal well -- but there's been -- which I'll show
22 later in my presentation.

23 But there's been a sharp increase in the number
24 of directional or horizontal wells done over the last ten
25 years. It's become a common practice within the oilfield.

1 And what I have depicted in Exhibit 3 are some
2 common descriptions of the different types of radiuses and
3 laterals that are found commonly within the oilfield today.

4 Q. Have these illustrations been reduced to a
5 written portion of the definition section for the rule?

6 A. Yes, they have.

7 Q. Is there any significance attached, when we get
8 to qualifying a particular well under the administrative
9 order, to what category you put your well in, whether it's
10 an ultra-short radius or a long-radius type of horizontal
11 well?

12 A. No. Once again, this is a -- purely a
13 description, a process, so that once -- when -- The intent
14 here is that when industry talks to the regulatory body,
15 that we're able to talk in common terms, and it's a -- It's
16 purely a descriptive type of a process here.

17 Q. All right, sir. Have you reviewed Meridian's
18 records to find an example of an application that went to a
19 hearing --

20 A. Yes, sir, we have.

21 Q. -- the purpose of which was to demonstrate to the
22 Division the appropriateness of the horizontal well and to
23 obtain Division approval?

24 A. Yes, we have.

25 Q. And do you have an example of that?

1 A. Yes, I do. It's -- I'd like to refer to Exhibit
2 5.

3 Q. All right, and if the Commission please, Mr.
4 Seidel is beginning to talk about the Canyon Largo
5 presentation, which is the topic of the order I
6 distributed.

7 If you'll pull that foldout, Exhibit 5, out, Mr.
8 Seidel, before we talk about what you're showing here,
9 describe for us how this fits into an administrative
10 application.

11 A. The way it would -- Under the new rule?

12 Q. Yes, sir.

13 A. Okay. Well, under the new rule, the information
14 that is depicted in Exhibit 5 is asked for under Section C,
15 Number (3), (4) and (5).

16 So this is something that the Examiners would
17 typically see, because it's asked for under our rule
18 application.

19 Q. All right. When we look at this display, what
20 are the parts in the display that fit in with the proposed
21 administrative application?

22 A. Okay, I'm going to refer back to the proposed
23 application, to Number C, Number (3), and I will read it:

24

25 a vertically oriented well plan view of subject

1 well including true vertical depth of the top and
2 bottom of the subject pool, true vertical depth,
3 lateral length, estimated kickoff point, penetration
4 point and degree of angle to be built in the project
5 wellbore(s);

6

7 And Number (4) is:

8

9 a horizontal plan view of the subject well and
10 its spacing unit showing the directional unit, the --
11 and drilling-producing window, including the estimated
12 azimuth and maximum length of the lateral(s) to be
13 drilled;

14

15 And Number 5 is :

16

17 A type log section on which is identified the top
18 and bottom of the subject pool and the anticipated
19 kickoff point(s) for the wellbore;

20

21 And the intention here, from a drilling
22 standpoint, is to tell the story of what we want to do.

23

24 It shows the top exhibit -- At the very top of
25 the exhibit shows a plan view of what we're intending to
do. It indicates the area which will be affected and the

1 surface location and the terminus of the horizontal
2 wellbore also depicted, so that the person looking at this
3 can get an appreciation for our plans.

4 Q. In this particular case, you are dealing with the
5 Blanco-Mesaverde Pool, 320 gas spacing, and the project
6 then included two spacing units consisting, then, of an
7 entire section?

8 A. That's correct.

9 Q. Within that section, how was the proposed
10 producing lateral to be oriented within the section? Where
11 was it to be located? In the top part of the display you
12 have Section 3.

13 A. Right.

14 Q. Within Section 3 it's been subdivided --

15 A. Uh-huh.

16 Q. -- and there's some setback dimensions.

17 A. Right.

18 Q. Within that display there's a red line.

19 What is achieved by controlling that red line,
20 which is the producing lateral?

21 A. It's -- By keeping it within the spacing unit, by
22 -- that's --

23 Q. All right, within that spacing unit, what are the
24 setbacks from the section?

25 A. They're whatever was legal for this particular

1 pool.

2 Q. All right. In this case, then, it's 790 feet?

3 A. That's correct.

4 Q. All right. Within that area, then, what is
5 proposed under the administrative rules we're recommending
6 to the Commission?

7 A. I guess I don't understand the question exactly.

8 Q. Are you proposing any setbacks for the producing
9 lateral within the administrative rules?

10 A. Yes, we are.

11 Q. And how do you achieve that setback?

12 A. The setback is achieved in the same way a
13 vertical well would be achieved.

14 Q. All right, for purposes of the Canyon Largo well,
15 then, what was proposed?

16 A. A 790 setback.

17 Q. Within that outer boundary, then, what was the
18 plan?

19 A. The plan was to not go outside of the boundary;
20 it was to drill from one drill block to the next.

21 Q. Is that consistent with other orders entered by
22 the Division in terms of a setback for the horizontal
23 wells?

24 A. Yes, it is.

25 Q. And is that a concept crafted into the proposed

1 administrative rule?

2 A. Yes, it is.

3 Q. When you look at the profile portion of the
4 display, what amounts to this cross-section --

5 A. Uh-huh.

6 Q. -- describe for us what happens, as a drilling
7 engineer, when you take this well and start at the kickoff
8 point. Describe for us what you do.

9 A. Okay, what we do is, we have -- We pre-plan this
10 existing profile, and what we do is, we try to follow this
11 plan as closely as possible.

12 We have a kickoff point which -- the definition
13 of which, that's where we begin our directional angle-build
14 process.

15 And we build at a fixed radius, which is depicted
16 in the definitions and also on the previous exhibit, and we
17 build a curve up to a predetermined inclination. And in
18 this case it was 88 1/2 degrees.

19 And also depicted here are the tops of the -- the
20 top and bottom of the producing interval, which is required
21 by the proposed rule.

22 It also indicates the pay zone that was targeted,
23 and it also shows how we were attempting to stay within
24 that target interval, or pay interval.

25 And it's also depicted on two type logs, on

1 either end, which are intended to be offset wells.

2 And also on this particular exhibit, it also
3 shows the dip of the formation.

4 So it's -- In my opinion, it's a very inclusive
5 type of exhibit, showing the detailed drilling plan.

6 Q. Can you give us a short history of the
7 development of the horizontal technology?

8 A. Yes, it was developed by -- Texas Eastern was the
9 short-radius developer, where they used the old articulated
10 collars, and -- But they were able to build in the -- along
11 the lines of the short radius described in the definitions.

12 And then in the early 1980s, working with Arco,
13 Texas Eastern, which became Eastman Christensen, developed
14 the intermediate-radius technology. And I was lucky enough
15 to be involved in some of the first commercial pools that
16 became available, working in the Austin Chalk.

17 And at that point, it became more of a common
18 drilling process in that it used common drilling equipment,
19 used mud motors and existing telemetry equipment. And from
20 there, it's been a constant improvement in our ability to
21 directionally drill and to control our wellbores.

22 Q. Let's turn to some of the brochures that Baker
23 Hughes provided and have you go through those and give us a
24 taste for the kinds of advances in technology that have
25 occurred and the types of equipment that you have and what

1 you can achieve with that equipment.

2 A. Okay. Well, once again, I would like to state
3 that horizontal drilling is now a worldwide accepted
4 drilling practice.

5 The brochures that I have today that I'd like to
6 refer to are: *Drilling Systems* brochure -- It kind of gives
7 an overview of the type of tools that we use.

8 I'd like to also point out on page number 2,
9 Baker Hughes is a worldwide company and they're real good
10 at keeping statistics. They do our rig count, for example,
11 within the United States.

12 But this gives an indication since 1986. If I'm
13 reading this graph right, there was approximately 1000
14 directional horizontal wells done in the country. And as
15 of 1993, if I'm reading this graph right, it looks like
16 about 14,000 were done in 1993. So that's a tremendous
17 growth in the use of directional horizontal technology.

18 The next page, page 3, gives a cutaway view of a
19 mud motor. These mud motors are called positive
20 displacement motors, and they work very much like a
21 progressive cavity pump, which a lot of you may be familiar
22 with. But it works by pumping mud, pumping drilling fluid
23 through the motor and causing the bit to spin, and the
24 drill string is fixed and you're able to control which
25 direction the drill string goes by some telemetry equipment

1 which I'll talk about later.

2 But we have the capability -- the industry, not
3 just Baker Hughes INTEQ, but there's many other companies
4 within the oilfield that have this capability, and it's all
5 similar.

6 I'd like to refer to page 7, 6 and 7, and it
7 gives you an idea of -- it shows some of the -- First of
8 all, I'd like to point out the maximum build rates for
9 Baker's Navi-Drill motor configurations. And these fall
10 right in line with the definitions that were provided in
11 our Application.

12 And it also shows the different types of motors,
13 short-radius motor, and then a -- the AKO/ABS-type motors
14 and DTU can either be used on just a directional well or a
15 horizontal well, and they are commonly used that way. And
16 we have very good capability.

17 Page 9 shows a plan view of multi-horizontal
18 wells off an offshore platform, to give you an idea of what
19 our capabilities are as far as knowing exactly where our
20 bottomhole locations are. And this is an extreme necessity
21 offshore, because you don't want to drill into another one
22 of your wellbores.

23 So we feel that in the drilling industry we have
24 very good capability for controlling our directional well
25 paths and providing any regulatory body a survey indicating

1 exactly where a bottomhole location is.

2 And I'd like to -- That's all I have for this.

3 And these other two brochures, the *MWD* brochure
4 just speaks about -- Once again, MWD is an acronym for
5 measurement while drilling.

6 It's something we typically use throughout the
7 world to not only tell us where we are from a directional
8 standpoint by providing inclination surveys and azimuth
9 readings, but we've also advanced to the point where we can
10 get formation information, like gamma-ray logs, nuclear
11 logs, resistivity logs, porosity information.

12 So there's been a continuous improvement of the
13 technology, and a lot of it was spawned from the increase
14 in directional and horizontal work that's been done over
15 the last ten years.

16 And the last brochure, the *Navi-Drill Motors*,
17 just gives a little bit more detail about the mechanical
18 workings of the motor. It talks about the definition of a
19 positive displacement motor.

20 And it's here purely for -- just to provide a
21 common understanding, once again, of some of the tools that
22 we use, typically, in the oil field.

23 Q. Let's turn to page 4 of our revised proposed rule
24 and look at subsection C, and let's walk the Commission
25 through the parts that you now suggest to us ought to be

1 utilized in a submittal to the Division for administrative
2 approval.

3 You've had a chance to work on the original draft
4 application and to reconsider each of the parts of an
5 application. Do you now have recommendations for the
6 Commission as to what are the necessary components of an
7 application?

8 A. Yes, sir, we do, and they're outlined in Section
9 C, (1) through (12).

10 Q. All right, sir. Let's go through how you would
11 recommend an operator apply for an application in terms of
12 the pieces of the request that he should furnish
13 information.

14 A. Okay, what this is based upon is something that's
15 already typically been done on cases that have been heard
16 before the Commission, and what we tried to do was go
17 through our cases, as well as other operators' cases, and
18 find things that we felt would be necessary exhibits for
19 the Commission to have so that they could make a
20 determination of -- from an administrative standpoint,
21 whether to approve an application or not.

22 And they are -- Number (1) is a plat indicating
23 the section, township and range that the well is to be
24 drilled in and the project area, the proposed surface
25 location, the drilling producing area for subject well, any

1 existing wells in the proposed project area or adjoining
2 sections, and all offset drilling units in the applicable
3 pools and all of their associated operator well and well
4 location and spacing units, which is a typical exhibit.

5 Q. You're recommending striking the specifics of a
6 nine-section plat, are you not?

7 A. That is correct. And the reason for that is that
8 -- as Mr. Alexander will indicate, that we're fortunate
9 enough to live in a -- work in a Jeffersonian-laid-out type
10 of a survey system, but there are some areas where it may
11 not be applicable just to have a nine-section plat. You
12 might want to have more than a nine-section plat or less
13 than a nine-section plat.

14 But the intent here is that we show the correct
15 information.

16 Q. Part (2) is to simply put a label on the kind of
17 horizontal project you're proposing?

18 A. That's correct.

19 Q. And that would track the definition section so
20 that everyone would know if you had a short-radius
21 application or a long-radius application of the technology?

22 A. Right, and that's purely for communication in the
23 applicant process.

24 It's also to provide a means for the industry to
25 track the different types of wellbores that are currently

1 being drilled in different types of directional wells.

2 Q. We've already discussed sub (3), which was the
3 submittal of a graphic representation of the plan view and
4 the vertical view of the well plan, as you've shown in your
5 exhibit book?

6 A. That's correct.

7 Q. And (4) would be the horizontal plans?

8 A. Right, (3), (4) and (5) have already been
9 presented.

10 Q. All right. You're proposing to strike the
11 initial suggestion of some type of written summary
12 concerning drilling and stimulation, which is (6)?

13 What's the reason to delete that?

14 A. Well, the first reason is that this information
15 is generally already provided through an APD or a sundry
16 process.

17 And oftentimes when we're doing a horizontal
18 project, we don't know exactly what we're going to do. We
19 have an indication -- We have an idea of where we're going
20 to put our lateral or our wellbore, but we don't oftentimes
21 -- don't have all the data. We may be out processing
22 seismic data up until the drilling. But we -- It's not
23 going to change the spacing that's associated with the
24 horizontal wellbore, but it may -- the exact details of the
25 plan may be unknown at the time of application.

1 Q. Are the Division orders currently allowing the
2 operator the flexibility to make these types of changes in
3 the field, so long as you honor the side boundary setbacks
4 for your producing lateral?

5 A. Yes, they do.

6 Q. Subparagraph (7) is proposed to be deleted.
7 What's the reason to strike that?

8 A. We feel that this is already adequately covered
9 -- Let me backtrack.

10 One thing that we tried to do here was, anything
11 that was covered already, any rules that were already
12 covered in a vertical well situation, we felt didn't need
13 reiteration here.

14 And as far as plugging and abandonment, we feel
15 that there's adequate rules available to -- that provides
16 for the plugging and abandonment of a -- of any wellbore,
17 regardless of the configuration.

18 Q. Okay. In reviewing the cases that went to the
19 hearing, those cases almost always deal with a request for
20 and the approval of some type of allowable to be assigned
21 to the horizontal well?

22 A. That's correct.

23 Q. And subparagraph (8) proposes to have some
24 request from the applicant as to what type of allowable and
25 method to be assigned to the horizontal well?

1 A. That's correct.

2 Q. All right. So you propose to leave that in?

3 A. Yes, sir.

4 Q. All right. Sub (9), what is that?

5 A. In the event there are any existing wells within
6 the project area producing from the same pool from which
7 the project well is intended to produce, then the applicant
8 shall submit engineering and technical data, including a
9 written summary, which demonstrates why any existing wells
10 are unable to effectively drain the project area.

11 And this is something that we've already been
12 presenting in the hearings. It's an exhibit, and we
13 propose to leave it in. But, you know, we -- because we
14 felt that any data which will provide further understanding
15 for the Examiners to approve the application would be
16 beneficial.

17 Q. You're proposing at this time to strike -- While
18 the edited draft does not show that, you propose to delete
19 paragraph (10) as to the cost and the consent of the
20 working interest owners in the spacing unit?

21 A. That's correct.

22 Q. And number (11), which you also propose to
23 strike, deals with the same topic insofar as it talks about
24 the participation of the interest owners within the spacing
25 unit that pays for the well?

1 A. That's correct, this -- In our opinion, this
2 deals with contractual type of relationships and --

3 COMMISSIONER WEISS: What are you talking about?
4 (11) here, did you say?

5 MR. KELLAHIN: (10) and (11).

6 (10) is an affidavit saying that the working
7 interest owners in the spacing unit have consented and that
8 there's a disclosure of cost.

9 And (11) deals with notification by the applicant
10 that he's notified all those parties within the spacing
11 unit.

12 COMMISSIONER WEISS: And you want to strike that?
13 Is that what you said?

14 MR. KELLAHIN: That's Mr. Seidel's
15 recommendation, that those two items be deleted.

16 THE WITNESS: And the reason is, we feel that
17 this is an internal -- you know, a contractual type of a
18 relationship between us and our working interest partners.

19 Q. (By Mr. Kellahin) All right, sir. Let's turn,
20 then, to the last part of the submittal, which would be
21 subparagraph (12), and what does that involve?

22 A. "A statement or plat showing the names and
23 addresses of all operators of spacing units, or working
24 interest owners of undrilled spacing units offsetting the
25 unit in which the project is located and attesting that

1 applicant, on the same date the application was submitted
2 to the Division, has sent notification to all those parties
3 by submitting a copy of the application to them by
4 certified mail return receipt requested."

5 Q. And that's currently what's being done for the
6 hearing purpose, is it not?

7 A. Yes, it is.

8 MR. KELLAHIN: That concludes my examination of
9 Mr. Seidel, Mr. Chairman.

10 We're going to call Alan Alexander to talk about
11 the other parts of the proposed rule, but that concludes my
12 direct questions of this witness.

13 CHAIRMAN LEMAY: Thank you, Mr. Kellahin.

14 Are there any questions of the witness?

15 Commissioner Weiss?

16 EXAMINATION

17 BY COMMISSIONER WEISS:

18 Q. Yeah, I just wanted to make clear in my own mind
19 here that (11) and (12) are -- one is for within the unit
20 and (12) is for anybody outside the unit?

21 A. That's correct.

22 Q. And you don't propose to quit notifying --

23 A. Oh, we're going to --

24 Q. -- people outside of the unit?

25 A. -- we want to keep 12 in.

1 Q. Very good.

2 Let's see, I had a couple others too.

3 Do you think that -- You had a lot of definition,
4 detail.

5 A. Uh-huh.

6 Q. Do you think that will change as the science
7 progresses?

8 A. No, that's one thing that we made some changes
9 to, that we pretty much have it covered in that -- The only
10 thing that's been changing is the lateral length. And in
11 the original draft, lateral length was in there.

12 And like -- they said that -- in the original
13 draft, I believe, short radius was 750 feet. Well, I don't
14 agree with that. I already know some places in the world
15 where short radius, they're up to 1500 feet.

16 So -- But the radiuses are pretty well standard.

17 Q. Well, I guess my question is, maybe it's not
18 necessary to define it because it might change next year.
19 You already know of some this year, so -- I don't know.

20 A. Yeah. It's my opinion that these are standard --
21 pretty well standard types of radiuses.

22 And once again, the -- we have it covered from --
23 all the way -- from zero all the way up to 90 degrees,
24 basically.

25 Anything less than two degrees is a typical

1 directional well, two degrees per hundred. And we have
2 it -- 90 degrees in one foot, that's about as severe as you
3 can get.

4 So we pretty well have it covered from -- the
5 whole spectrum.

6 Q. And then would you tell me again why you think
7 (9) is necessary?

8 A. Well, we're kind of -- We took this one out and
9 put it back in, took this one out and put it back in. And
10 the reason why we left it in there was to provide an
11 understanding for the Examiners, to give them further data
12 to support our application for administrative approval of
13 the horizontal well.

14 Q. Some people may be of the opinion if you want to
15 drill a dry hole, go ahead.

16 A. That's right.

17 (Laughter)

18 MR. KELLAHIN: The issue has come up within the
19 -- Mr. Chairman, Commissioner Weiss, the case has -- the
20 issue has come up within the context of the horizontal well
21 being a well in addition to the well spacing density
22 pattern for that pool.

23 And it is not universal, but it is often
24 presented to the Examiner to demonstrate that the
25 horizontal well is going to recover additional reserves

1 within the spacing unit that's not achieved with additional
2 vertical wells.

3 And so Frank's right, we keep putting it in and
4 taking it out, but it's internal within the spacing unit.

5 COMMISSIONER WEISS: Is it a waste issue? It's
6 not a -- I don't understand what's in there, frankly.

7 MR. KELLAHIN: Well, it could be one or both.

8 It could be a waste issue in terms of drilling an
9 unnecessary well.

10 And it could be a correlative-rights issue in
11 terms of whether the interest owners within that spacing
12 unit want the additional horizontal well, are satisfied
13 with the two vertical wells.

14 Now, that's often a contract issue among those
15 parties, but it's also a regulatory issue for regulators
16 when they decide what your well density is for a pool. The
17 horizontal well counts as another well.

18 It's a judgment call, and that's why we air it
19 with you, because it's the kind of thing that you need to
20 make directions to the Division on how to handle this issue
21 if there is to be a rule that deals with it.

22 COMMISSIONER WEISS: Yeah, I have no other
23 questions.

24 Thank you.

25 CHAIRMAN LEMAY: Commissioner Carlson?

EXAMINATION

1
2 BY COMMISSIONER CARLSON:

3 Q. In your notification I guess, under paragraph C
4 (12) --

5 A. Uh-huh.

6 Q. -- you envision as part of that notification,
7 notifying those owners and operators what their rights are?

8 In other words, do they have -- notifying them
9 that they have to submit an objection within 20 days? Or
10 it's just a copy of the application that we're --

11 A. I have to refer that to Mr. Alexander.

12 MR. KELLAHIN: Mr. Alexander will cover that,
13 Commissioner Carlson.

14 But the concept would be that that notice is
15 similar to what we do now for administrative notices, that
16 the 20-day notice period, the applicant sends a copy to the
17 offsets and says, You need to file an objection or you
18 don't get hurt.

19 COMMISSIONER CARLSON: Okay, and it does inform
20 them that they have 20 days to do that?

21 MR. KELLAHIN: And perhaps this needs to be
22 edited to make that specific, but that was certainly our
23 purpose.

24 THE WITNESS: Yeah, it's the same -- under the
25 same process that we've been notifying.

1 MR. KELLAHIN: If you'll look at --

2 COMMISSIONER CARLSON: And Mr. Alexander will
3 address those issues?

4 MR. KELLAHIN: Yes, sir. If you'll look at
5 subsection D under that, it says the Division will approve
6 it when...

7 COMMISSIONER CARLSON: Right, yeah, I understand
8 that. I just -- You know, if an operator doesn't know he
9 has that right -- well --

10 MR. KELLAHIN: The point is well taken, and
11 perhaps we should edit that to make it specific.

12 COMMISSIONER CARLSON: Okay. I'm sorry, Tom,
13 what else is Mr. Alexander going to testify to?

14 MR. KELLAHIN: We're going to go through how the
15 Division has handled the allowable allocations --

16 COMMISSIONER CARLSON: Uh-huh.

17 MR. KELLAHIN: -- give you an example of how the
18 rest of the parts of the application are crafted,
19 particularly in terms of notice, that kind of thing.

20 COMMISSIONER CARLSON: Okay. I have no other
21 questions. Thank you.

22 EXAMINATION

23 BY CHAIRMAN LEMAY:

24 Q. As I understand it, this application for
25 administrative approval would not cover what we call

1 drainholes where you just go out a couple hundred feet.

2 That would be more than under the administrative approval
3 for a vertical hole?

4 A. This will cover all directional wells.

5 Q. Where you have a multiple fishhook-type situation
6 at the bottom, this would cover that also?

7 A. Yes, sir. Any directional well drilled within
8 the state could be handled under these definitions.

9 Q. There was some talk, I know -- and maybe I just
10 picked this up -- that that type of well where you go down
11 and drill out three or four 200-foot laterals --

12 A. Uh-huh.

13 Q. -- as long as you're not going very far out from
14 a 200-foot radius, we'll say, around the vertical, would be
15 basically the same as a vertical well, it would maybe not
16 have to be covered by the detail in here.

17 Was that a topic of discussion at all?

18 A. Not that I know of. Multilateral wells are
19 spoken about under Section B, Number 4.

20 Q. Uh-huh.

21 A. It talks -- The project well includes either a
22 single lateral or multilaterals which conform to conditions
23 1 and 2 that are already talked about as far as the
24 spacing.

25 So as far as high-angle drill holes, anything --

1 Once again, this takes the burden -- I think this also
2 takes the burden off the Commission that any well that has
3 intentional control of inclination and azimuth is a
4 directional well and will be handled under this
5 application.

6 Q. Uh-huh. And could I refer you, Mr. Seidel, to
7 Exhibit Number 5 just again?

8 A. Uh-huh.

9 Q. In terms of that -- I understand that without
10 seeing the log, you certainly don't know where you're going
11 to perforate the well, but the assumption is when you
12 submit this that you will be perforating within that
13 drilling window and not outside of it?

14 A. That's correct. And Mr. Alexander will -- He has
15 some exhibits to indicate that.

16 Q. Okay. One final question for my own
17 clarification. This measurement while drilling, what's the
18 tolerance of error within that? Can you tell within a few
19 feet of where you are when you're drilling or --

20 A. Yes, sir. There is a -- what they call circle of
21 uncertainty, but it's as good as -- As far as I know, in my
22 experience, it's as good as the best survey instruments
23 that we have, which would be a gyro survey. It's very
24 similar to that, as far as accuracy. So it's within 10-
25 percent accuracy.

1 Q. Which is what in feet, offhand?

2 A. Well, if it's a 100-foot radius, it's within ten
3 feet.

4 Q. Within ten feet?

5 MR. ROBERT ORR: Mr. Witness, with what?

6 THE WITNESS: I believe it's with -- I believe
7 the -- As far as I know, the circle of uncertainty is
8 within 10 percent.

9 Q. (By Chairman LeMay) That was translated within
10 ten feet, you say?

11 A. I believe so.

12 Q. Ten feet would be the maximum you could off of
13 drilling?

14 A. Right. It may give some indication in here. Let
15 me look quickly.

16 But it's -- They're becoming as accurate as any
17 other type of survey that we've had before, which would be
18 a gyro survey, is the most accurate.

19 And right now, I believe what's acceptable within
20 the Oil and Gas Commission are multi-shot surveys. Any
21 kind of inclination and azimuth type of a reading is
22 accepted. So this is just one type.

23 CHAIRMAN LEMAY: Uh-huh.

24 THE WITNESS: But there's many types.

25 CHAIRMAN LEMAY: Okay. I think Commissioner

1 Weiss had an additional question.

2 FURTHER EXAMINATION

3 BY COMMISSIONER WEISS:

4 Q. Yeah, follow up on Mr. LeMay's comment there
5 about lateral length.

6 Do you think there's any need for -- cover a
7 minimum lateral length in here or --

8 A. No, sir.

9 Q. The direction is purely enough, huh?

10 A. Yes, sir. I think the reason is that the spacing
11 unit is going to determine lateral length, typically, or
12 mechanical considerations.

13 Q. Well, I'm talking about short laterals, 20 feet
14 long or something. Say some guy -- I don't know if this
15 becomes a practice or not.

16 A. I don't think it needs to be --

17 Q. Just directions?

18 A. Yes, sir.

19 COMMISSIONER WEISS: I have no other questions.

20 CHAIRMAN LEMAY: Commissioner Carlson?

21 FURTHER EXAMINATION

22 BY COMMISSIONER CARLSON:

23 Q. Mr. Seidel, I'm unclear as to when an applicant
24 would use the existing Rule 111 and the proposed rule.
25 Could you explain that a little bit?

1 A. Uh-huh. Well --

2 Q. Explain the different -- as you envision the
3 difference between the two.

4 A. Okay. What I see Rule 111-A is in addition to
5 Rule 111.

6 It's up to the Commission to decide whether to
7 take Rule 111 and overhaul it to include all of the
8 considerations that we have in Rule 111-A, or to take some
9 of the redundancy that's in Rule 111 and 111-A and restrict
10 Rule 111 to a single rule that will handle only what I call
11 deviated wellbores.

12 And the deviated wellbore is any wellbore where
13 you have a control of inclination but you don't have a
14 control of azimuth.

15 Any well that has a control of inclination and
16 azimuth will be considered a directional well and will be
17 provided by -- under the provisions that we have in Rule
18 111-A.

19 But it's up to the Commission if a whole new rule
20 is necessary or can be incorporated with the existing Rule
21 111-A.

22 But what I would ask is that we go back through,
23 that the Commission goes back through, and takes out any
24 kind of conflicts or redundancies between the two rules if
25 it was going to be merged together.

1 COMMISSIONER CARLSON: Okay, thank you.

2 CHAIRMAN LEMAY: Additional questions of the
3 witness?

4 MR. CARROLL: Yes, sir, Mr. Chairman, I have a
5 couple of questions.

6 CHAIRMAN LEMAY: Yes, Mr. Carroll?

7 EXAMINATION

8 BY MR. CARROLL:

9 Q. Mr. Seidel, is it your proposal that the Division
10 can administratively approve the extension of setback
11 limits?

12 A. I'd rather refer that question.

13 Could you wait and refer that question to Mr.
14 Alexander?

15 He's an expert witness in that regard.

16 MR. CARROLL: And the other question I'll refer
17 to Mr. Alexander too.

18 That's all I have, Mr. Chairman.

19 THE WITNESS: Thank you.

20 CHAIRMAN LEMAY: Any other questions of the
21 witness?

22 If not, he may be excused.

23 THE WITNESS: Thank you.

24 MR. KELLAHIN: I'd like to call Mr. Alexander at
25 this time, Mr. Chairman.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ALAN ALEXANDER,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q. Mr. Alexander, would you please state your name and occupation?

A. Yes, my name is Alan Alexander, and I'm currently employed as a senior land advisor with Meridian oil in the Farmington, New Mexico, office.

Q. Have you been involved on behalf of your company in obtaining information in formulating a proposed draft rule to be adopted by the Commission for administrative processing of horizontal wells?

A. Yes, sir, I have.

Q. Have you also been involved on behalf of your company in the horizontal well applications they have filed with the Division, which have been processed through the hearing procedures of the Division?

A. Yes, I've been involved in several of those applications.

MR. KELLAHIN: We tender Mr. Alexander as an expert witness.

CHAIRMAN LEMAY: His qualifications are acceptable.

1 Q. (By Mr. Kellahin) Mr. Alexander, let's turn to a
2 schematic so that we can better understand some of the
3 definitions.

4 If you'll turn behind Exhibit Tab Number 6, let's
5 look at that display. Would you identify it for us and
6 describe for us how each of these terms is utilized, then,
7 on this display?

8 A. Yes, this display is meant for informational
9 purposes for everybody that is involved in this hearing
10 this morning. It's not intended as one of the data display
11 items, just strictly for a discussion of the efficiencies
12 and the terms that we're using in the proposed order.

13 The exhibit behind Exhibit Tab Number 6 is a plan
14 view of a generic horizontal well, and this particular one
15 I drew up thinking about a 320-acre spacing unit, typical
16 gas spacing unit, or even a 160-acre typical gas spacing
17 unit.

18 It's scaled, and the setbacks that are employed
19 here are actually 790 feet from the drilling unit boundary.

20 And if you'll look up -- I have designated
21 certain portions of this plat, and if you'll look at the
22 very top, I have an arrow pointing to the setback for
23 drilling and producing area. And that's the internal
24 rectangular hatched area. That's the distance it is away
25 from the outside of the drilling unit.

1 And the drilling unit is the larger area, and
2 you'll see an arrow pointing to it that's in the cross-
3 hatched. That would be the proposed drilling unit or
4 drilling units in the case of the 160-acre spacing.

5 Q. All right. Let's take that point first.

6 When you look at how the Division has handled the
7 approval of these wells through the hearing process, what
8 have they allowed operators to do in terms of locating that
9 well on the surface, in relation to this setback drilling
10 producing area?

11 A. Well, historically on vertical wells, the
12 wellbore, of course, would have to be located inside the
13 setback area, because that's ultimately -- the wellbore is
14 ultimately directly underneath or approximately -- very
15 close to directly underneath the well, and so it would have
16 to be within the setback areas.

17 We've had testimony in prior cases and developed
18 a strategy about horizontal wells in that we don't believe
19 it's necessary any longer for horizontal -- the wellhead
20 itself where you start penetrating the earth, it is not
21 necessary for that to be located within the setbacks for
22 each applicable pool.

23 The only thing that we see that is necessary for
24 a horizontal well is that, if you'll drop down to the
25 fourth -- or drop down to the fifth definition on this

1 plat, it says "producing interval", and what I've shown is
2 a borehole, a horizontal borehole, and I've colored it
3 black from the area that it penetrates, the setback area,
4 to the terminus of it, which I have run all the way to the
5 other side of the setback area. Now, it's not necessary
6 that the terminus has to go that far, but that's as far as
7 we're proposing that it can go.

8 And so what we're only restricting here is --
9 We're not restricting the surface location at all. That's
10 what we're proposing not to restrict. We're only going to
11 restrict the producing interval of the borehole, and that
12 would be strictly limited to the setback area for the
13 applicable pool.

14 Q. Has that been a solution adopted by the Division
15 when they handle these on a hearing basis?

16 A. Yes, that's correct.

17 Q. That they allow the operator the flexibility to
18 satisfy certain surface conditions, as well as the choice
19 of the operator to have the well located within a normal
20 vertical well setback?

21 A. That's correct.

22 The other thing that I wanted -- if you could
23 visualize this -- and I didn't show it, but I have shown a
24 determined azimuth for this well in the direction that it's
25 going.

1 The order is suggesting that that borehole can
2 actually go anywhere from that surface location point, as
3 long as the producing interval is restricted to the
4 setbacks. It could have gone to the north, it could have
5 gone more to the south, it could have gone to the west.
6 And that is not really important, and we're asking for
7 flexibility on the behalf of the operator to make that
8 determination at the time that he drills the well.

9 We have in the past -- We've drilled a vertical
10 pilot hole in order to run fracture-finding logs, and from
11 those fracture-finding logs we can determine what the
12 directions of the fractures might be.

13 For instance, if you'll turn back to the plat
14 that Mr. Seidel used under Number 5, if you'll fold that
15 out for just a second and you look up at the top on the
16 plan view, you'll see the azimuth of that borehole extended
17 out beyond the plat, and you come out to a histogram of the
18 fracture in the area.

19 That's typically what we might do. We might
20 drill a pilot hole first, run the fracture-finding logs in
21 there, see which direction the fractures run, and then
22 orient the wellbore. I mean, we may have had a
23 predetermined orientation, coming to the hearing, that
24 suggested that it went a little bit different direction.

25 But after we run those logs we say, Well, no,

1 we're a little bit wrong, the fractures in this area run a
2 little bit different direction. Therefore it's necessary
3 for us to reorient the wellbore.

4 And we're asking for that flexibility in this
5 order, that we can reorient the wellbore either before we
6 actually commence the wellbore or possibly as we're
7 drilling the wellbore.

8 But the restriction is that it cannot produce
9 anywhere other than the producing interval, no matter which
10 direction it's finally oriented.

11 Q. And that's a flexibility currently allowed under
12 the orders entered by the Division?

13 A. That's correct.

14 Q. All right. Let's look at that producing lateral,
15 then. If you'll look behind Exhibit Tab Number 7, you've
16 got a vertical view of this example?

17 A. Yes.

18 Q. All right, let's describe and discuss this
19 display.

20 A. I wanted to follow up with the prior exhibit,
21 with this Exhibit Number 7, to give you a vertical profile
22 of what I just said, and this exhibit is constructed much
23 on the same lines as the prior exhibit.

24 I have some dashed setback lines in there that
25 would indicate the area that is permissible for completing

1 the wellbore, and I have drawn the vertical portion of the
2 wellbore outside of those setbacks, just as I illustrated
3 that in the last exhibit.

4 And you'll see that actually in this one I'm
5 illustrating a situation where the wellbore, as we're
6 building our build rate from our kickoff point, can
7 actually penetrate the target formation. But as you'll
8 see, I have definitely restricted the producing interval of
9 that wellbore to only the setback area.

10 So what we're suggesting is that you can actually
11 drill a wellbore, and you can penetrate the target
12 formation before you get to the setbacks, but you cannot
13 complete outside of the setback area.

14 And I think that's the protection we've built in
15 for correlative-rights issues, particularly for offset
16 owners and operators.

17 But we do want the flexibility to set the surface
18 of the wellbore and the configuration of the boreholes such
19 that mechanically we can devise the best directional
20 wellbore, and we don't want to be restricted by the
21 placement of the surface location to accomplish that task.

22 And I think we're fully protected when we
23 restrict the producing interval of that wellbore to the
24 setback area.

25 Q. In addressing the notification to the offsets,

1 let's turn to Exhibit Tab Number 4 and have you describe
2 for us how Meridian and other applicants are satisfying the
3 notice requirements for these types of activities.

4 A. Yes, this is in relation to the question that was
5 asked about our notice, and more directly with regard to
6 paragraph -- subparagraph (12), where we do believe that we
7 need to notify the offset owners or operators. If there's
8 not an operator there -- We would be notifying the operator
9 if there's an operator there, but if there's no operator of
10 an existing well, then we would notify the owners in that
11 particular drilling block.

12 We do this by certified return receipt mail, and
13 the subparagraph D under (12) provides that -- it's the
14 normal provision that we have for administrative rules, is
15 that if an operator wants to object after being notified,
16 he must do so within 20 days. If he doesn't do so within 20
17 days, the Division has the authority to go ahead and
18 approve the order.

19 Now, they also have the authority to go ahead and
20 set for hearing if they feel that's necessary to do that.

21 But this would be -- This is the standard type of
22 plat that Meridian uses. There could be other plats and
23 other ways to notify the offset owners.

24 The idea here is that you notify the offset
25 owners by certified mail so that we know that all of those

1 people have the opportunity to offer comments or
2 suggestions to the Division before the order is approved
3 administratively.

4 Q. Follow up with the next display after that first
5 plat and describe for us what that shows.

6 A. This plat we have historically been furnishing in
7 all of the hearings. It's a plat that simply depicts -- In
8 this case, it is a nine-section area, but that's not
9 necessary that it should always be a nine-section area. We
10 just have the flexibility of doing that here since it's a
11 Jeffersonian survey and we have nine sections surrounding
12 it.

13 But it depicts the offsetting wells that would --
14 in the offsetting sections to the type of well that's
15 offsetting out there.

16 It's basically information for the offset owners
17 and for the Division so that they can look at the
18 particular application and see if there's anything that
19 they think causes them any kind of concern from a
20 correlative-rights or a waste standpoint.

21 Q. Let's turn now, Mr. Alexander, to the topic of
22 what the Division, after noticing hearing, has been doing
23 in terms of assigning a project allowable for the
24 horizontal wells.

25 If you'll turn to page 6 of the redraft of the

1 proposed rule --

2 A. Yes, sir.

3 Q. -- under subparagraph E, let's talk about the
4 original concept, and then let's talk about the proposed
5 change.

6 First of all, what is the typical solution the
7 Division utilizes for assigning an allowable for the
8 horizontal well?

9 A. The typical solution that I'm aware of -- and I
10 certainly haven't been involved in all of the cases, but
11 from the ones that Meridian has been involved in it's been
12 that if the borehole cuts the drilling block -- a drilling
13 block -- for the particular pool -- and that could be
14 anywhere from 40s to 320-acre units -- but if it cuts one
15 of those drilling units, then that drilling unit is
16 included in the calculation of the allowable, and it's a
17 multiple of those drilling blocks that are actually cut by
18 the wellbore.

19 There has been discussion and debate about this,
20 and it's not an easy topic to fully resolve, by any means.
21 But we have offered a possible solution to that.

22 Q. All right. Let's turn, to illustrate what you're
23 suggesting as an alternative way to set an allowable, to
24 the display behind Exhibit Tab Number 8.

25 A. The display that I've presented here is just

1 really a graphical representation of the wording that we
2 have provided the Division and the other participants in
3 paragraph E.

4 And perhaps the display is a little bit easier to
5 understand than the wording is, and maybe if you look at
6 the display and then go back to the wording you'll more
7 easily understand it.

8 Again, on the display behind Exhibit Tab Number
9 8, you can readily see in this instance the 40-acre drill
10 blocks. In this case I chose to use 40 acres because it's
11 one of the situations that you could run into that would
12 involve more drill blocks than other situations, obviously.

13 Q. All right. Let's take this and let's say the
14 operator has dedicated the east half of the section as a
15 project area and that he -- 40-acre oil spacing -- and that
16 the operator is successful in drilling a lateral of the
17 length shown on the display.

18 Show us what the Division commonly does in terms
19 of assigning allowable. If it's on 40-acre oil spacing and
20 you get 100 barrels a day per 40, how would you calculate
21 the allowable for this well?

22 A. Well, you can determine from this exhibit which
23 of the 40-acre tracts the wellbore actually penetrated or
24 cut. And they would be the northeast-northeast quarter,
25 the southeast of the northeast quarter, the -- and all of

1 the quarters in the southeast quarter except for the
2 southeast of the southeast quarter.

3 And that would -- To date, that has typically
4 been the allocation. In other words, you would take those
5 quarter sections and the allowable for each of those, and
6 add them together to come up with a total allowable for the
7 wellbore.

8 Now, the problem that you get into is that if
9 you'll look down close to mid-section line on this
10 particular exhibit, you'll see that that borehole comes
11 very, very close to the southwest of the northeast quarter.
12 In fact, it's almost between that quarter section and the
13 northeast quarter of the southeast quarter.

14 Looking at that, you might suspect that that
15 wellbore, in fact, would drain the southwest of the
16 northeast quarter.

17 Under the current approach, we would not receive
18 any allowable for that quarter section, even though it had
19 been dedicated to the well.

20 So in an attempt to resolve some of that with
21 some of the common usage that the Division has employed to
22 date, what we're suggesting is that you run a line
23 perpendicular from the wellbore, out from the wellbore,
24 based upon the setback footage for the applicable pool.

25 Now, in this exhibit I've scaled it, and this is

1 a 40-acre oil pool that has 330-foot setbacks. And so
2 those perpendicular lines running out from the wellbore --
3 and in my exhibit they're not exactly perpendicular, but
4 that would be the intent -- you would run out 330 feet from
5 that wellbore.

6 And if that line intersected an undrilled,
7 unpenetrated drill block, then perhaps what we ought to do
8 is include that drill block in the allocation allowable.

9 And the rationale behind that is, we don't have
10 to come up with a comprehensive study of the drainage
11 radius of a lateral horizontal wellbore. That could be
12 very complicated and time-consuming to do that.

13 And in using the setbacks, the Division has
14 historically employed those in pools, and those are built
15 around the drainage concept. While they may not be exactly
16 accurate, they do employ the drainage concept. And so
17 we're using, actually, a concept that we've used for many
18 years, if we decide to do this.

19 And we offer this as a possible solution to the
20 problem of including the correct number of drilling units
21 in the allocation allowable.

22 MR. KELLAHIN: Mr. Examiner, that concludes my
23 direct examination of Mr. Alexander.

24 At this point we would move the introduction of
25 Meridian's exhibit book, which includes Exhibits 1 through

1 8.

2 CHAIRMAN LEMAY: Without objection, those
3 exhibits will be entered into the record.

4 Are there any questions of Mr. Alexander?

5 MR. CARROLL: Yes, Mr. Chairman, I have a couple.

6 CHAIRMAN LEMAY: Yes, Mr. Carroll?

7 EXAMINATION

8 BY MR. CARROLL:

9 Q. Mr. Alexander, is it Meridian's proposal to allow
10 the OCD to administratively approve the extension or
11 expansion of setback limits?

12 A. No, sir, not in this application. We would abide
13 by the existing setback requirements for each applicable
14 pool.

15 Q. And the Canyon Largo unit application involved in
16 Exhibit 5 included two spacing units?

17 A. Yes, sir.

18 Q. How would different ownership interests in those
19 two spacing units affect administrative approval under your
20 proposal?

21 A. Well, that's -- we would have -- That's really a
22 contractual matter, as we see it, that we would provide for
23 the distribution of the revenues to the working interest
24 owners and the burden owners contractually, if we didn't
25 already have a contractual vehicle to do that such as a

1 joint operating agreement.

2 And that could vary, depending upon the
3 application, on how you want to approach the sharing of the
4 revenues.

5 But historically, that's been a contractual
6 issue, and I would perceive that it remain in that context.

7 Q. So it wouldn't affect the administrative
8 application or --

9 A. No, sir, I don't believe we're asking the
10 Division to solve our contractual problems at all here. I
11 think we have to solve those beforehand.

12 MR. CARROLL: That's all I have, Mr. Chairman.

13 CHAIRMAN LEMAY: Thank you, Mr. Carroll.

14 Additional questions?

15 Commissioner Weiss?

16 EXAMINATION

17 BY COMMISSIONER WEISS:

18 Q. Yes, sir, Mr. Alexander, I kind of recall there
19 being something here, like on Exhibit 7, where the well
20 caved in and the operator came in and said, Well, we want
21 to have -- we want to perforate now and complete in the
22 setback area because we need to -- But as I recall, the
23 offset operator didn't want to do that -- didn't want them
24 to do that.

25 That's the only problem I see coming out of

1 this -- what you've proposed.

2 A. Yes, sir, in our proposal he would not be allowed
3 to perforate in that area without coming forward to a
4 hearing to do that.

5 This rule does not allow a person to perforate
6 anything outside of the setback area.

7 Q. Okay. And then on your proposed twice --
8 wellbore radius twice the setback distance, were you guys
9 just talking about the ownership problem there if in
10 example -- in Exhibit 8, in that northeast -- well, that
11 section up there, the area, the 40 acres that that's not
12 cross-hatched?

13 Let's see, if -- or the one right below it. Does
14 that guy have to participate in the AFE, does he have to
15 help pay for the well, or how does that work?

16 A. Yes, sir, because what we would have done in the
17 beginning in this example is, we would have designated the
18 entire east half of the unit for the drill block for this
19 well.

20 And then contractually we would have resolved the
21 participation problems before we come to you for
22 administrative approval.

23 So to answer your question, yes, sir, he would
24 participate.

25 COMMISSIONER WEISS: Thank you, that's all the

1 questions I have.

2 CHAIRMAN LEMAY: Commissioner Carlson?

3 EXAMINATION

4 BY COMMISSIONER CARLSON:

5 Q. Yeah, following up on that question, if the owner
6 -- Well, let me back up.

7 If the language in paragraph E on Exhibit 2, the
8 original language there -- and looking back at Exhibit 8,
9 the owners in the southwest of the northeast there would
10 not be contributing at all under the original proposal; is
11 that correct?

12 A. No, sir, that's not correct. Really, the --
13 Let's back up and say again, when we file our APD to drill
14 this well, we would designate the 320-acre unit.

15 That's really the same for our proposal and the
16 original language and what's been done to date. That
17 hasn't changed. All of those people would participate in
18 that wellbore.

19 The only thing that we're talking about is
20 setting an allowable for the wellbore, not the
21 participation in it. It's two separate matters that we're
22 discussing now.

23 Participation is set when you file your APD and
24 you designate the drilling unit. All the people in that
25 drilling unit would participate in the well.

1 Q. Okay. So you envision that being a 320-acre
2 drilling?

3 A. Yes, sir, in this example.

4 Q. In that example?

5 A. Yes, sir.

6 Q. All right. When you give notice, now, do you
7 typically notify royalty owners in adjacent acreage?

8 A. In the event that there is not an existing
9 wellbore offsetting the unit that you want to drill to the
10 same formation, we would notify all owners of production.

11 Now, if those royalty owners have signed an oil
12 and gas lease, the practice currently in the Division is to
13 notify the oil and gas lessee of that, because they are the
14 owners of the right to drill and participate in that
15 production.

16 Q. If it's unleased acreage, would the land owner
17 get notice?

18 A. Yes, sir, the mineral owner, if it's unleased,
19 would be notified.

20 Q. How many applications for horizontal drilling
21 before the Division have you been involved with?

22 A. Just off the top of my head, probably six or
23 seven hearings to drill horizontal wells.

24 Q. Has any party intervened in opposition to the
25 proposal in any of those hearings?

1 A. Yes, sir, and that's not determined after the
2 fact. That's determined before the fact.

3 So let me go over that -- I probably haven't
4 explained that very clearly. Let me go over that one more
5 time.

6 At the time we proposed drilling the well, we
7 would file an APD, and we would propose the drilling unit
8 for that well to be the entire east half of this section.
9 We would contact all the owners in the east half of that
10 section, and they would either participate, or perhaps we
11 would construct some kind of a nonconsent proposal for them
12 to not pay for the cost of the well but ultimately
13 participate in it.

14 So we would set all of those things up front, and
15 so everybody is in the well and everybody's participating
16 that is going to participate.

17 Then we go drill the well, and we determine
18 ultimately what the azimuth and direction of the wellbore
19 is. Now, we complete the well.

20 Then we come to the Division for an allowable
21 after we file our completion report.

22 Then at this point in time -- Everybody's already
23 in the well, but the only thing we're determining now is
24 what allowable that wellbore is actually going to have.

25 Q. But you're going after a 320 for -- like a

1 communitization agreement, but you -- You would do that for
2 a San Andres well that would be on 40-acre spacing?

3 A. If you contemplated that your wellbore was going
4 to penetrate substantially all of that 320-acre block.

5 Q. And then you would invite in all the interest
6 owners in the 320? What happens if an interest owner had
7 some dryholes in there and you had an offset competing 320
8 that didn't have any dryholes?

9 What I'm looking at is competition in the
10 reservoir based on extending the spacing unit to a
11 communitized area and then asking for an allowable based on
12 that communitized area without productive limits basically
13 being established by any other method?

14 A. Yes. Now, this example really contemplates that
15 this is the first borehole in this particular spacing unit.

16 I didn't try to go through and describe the
17 various scenarios that you could get into if you had
18 existing wellbores which have already existing dedications
19 to them, such as -- We may have a wellbore in this one of
20 these 40-acre tracts that's currently already drilled
21 and --

22 Q. If you have a dryhole, maybe you've condemned it,
23 huh?

24 A. You've condemned it in that dryhole. But maybe
25 not -- You haven't condemned the rest of the 40.

1 But that's the point: You can have a multiple of
2 conditions out there, and you have to address those
3 contractually before you come to the Division for a request
4 for a horizontal wellbore.

5 Q. Well, I guess my point -- I was getting more at
6 the complexity of trying to address something
7 administratively when there's still the avenue for a
8 hearing when you have a correlative-rights issue. I mean,
9 aren't we saying that these applications can still go to
10 hearing if they vary from the norm?

11 A. Certainly.

12 Q. And I visualize this idea -- And item number 3
13 may work fine in the San Juan Basin.

14 But other issues in the Permian Basin can be a
15 lot different when you're dealing with smaller spacing
16 units --

17 A. Yes, sir.

18 Q. -- when you're dealing with competition, we'll
19 say, within the reservoir for oil with offset operators,
20 and therefore the allowable can be a significant factor?

21 A. It certainly can, and that's the whole reason,
22 the whole rationale behind notifying offset people.

23 Q. Yeah.

24 A. And you would notify the people in this 320 when
25 you proposed it for the internal owners.

1 So you've got both classifications of people
2 notified --

3 Q. Uh-huh.

4 A. -- and they have the full right to come and
5 protest it, in which case I'm assuming the Division would
6 set it for hearing --

7 Q. Yeah.

8 A. -- and explore any of those particular peculiar
9 matters that may impact this particular project.

10 Q. Yeah, generally we allow for administrative
11 approval for the common case.

12 My point is, even at Division discretion, there's
13 a lot of cases that don't fit the common case, where there
14 may -- there have to be a designed order to fit --
15 especially the correlative-rights issues.

16 A. Yes, sir.

17 Q. And another example -- and I bring this up only
18 because it's happened and may not be able to be addressed
19 within a rule, but your Exhibit Number 7 whereby -- I think
20 you testified that it would not be administratively
21 approvable, in your recommendation, to perforate outside of
22 the window within the proration unit that's allowed?

23 A. That's correct.

24 Q. In other words, to encroach on an offset
25 operator?

1 A. That's correct.

2 Q. For a moment -- Have you had Permian Basin
3 experience?

4 A. Very little.

5 Q. Okay. Well, in the Permian Basin we do have some
6 Pinnacle Fusselman fields. If you were going to try and
7 directly drill -- encounter the productive acreage, maybe a
8 very small 10- or 20-acre target down there, and maybe you
9 miscalculate on your seismic and you come up with the only
10 productive interval in that wellbore is outside the
11 drilling window that you're allowed to produce in, but you
12 still have it on your acreage.

13 A. Yes, sir.

14 Q. It's been experience, common practice for the
15 operator with a rig on location to call me and say, Hey,
16 I've got this deviated wellbore with some productive --
17 I've got some productive Devonian, some productive
18 Fusselman. It's outside of the window, but it's under my
19 acreage. Can I complete that well at my own risk and
20 expense? Otherwise I've got to move the rig off, move it
21 back on, and therefore come to hearing for an allowable.

22 A. Yes, sir, I understand that.

23 Q. You understand that?

24 A. Yes, sir.

25 Q. The situation?

1 A. Yes, sir.

2 Q. You're not going to address that with this rule?

3 A. No, sir.

4 Q. That would be something that would be at the
5 discretion of the Director?

6 A. That's correct, this rule does not address those
7 situations.

8 Q. Okay. I bring that up only to say that's common
9 practice, and it's prudent, once you have a rig on
10 location, to generally do what you need do while that rig
11 is there, recognizing that you can have a correlative-
12 rights issue once you perforate, move off, et cetera.

13 A. Yes, sir, we are not proposing that for an
14 administrative application.

15 CHAIRMAN LEMAY: All right. I have no additional
16 questions.

17 Any other questions of the witness?

18 If not, he may be excused.

19 And let's take about a 15-minute break and come
20 back for Marathon.

21 (Thereupon, a recess was taken at 10:43 a.m.)

22 (The following proceedings had at 11:07 a.m.)

23 CHAIRMAN LEMAY: We shall continue.

24 I think Mr. Campbell, with Marathon --

25 MR. CAMPBELL: Yes --

1 CHAIRMAN LEMAY: -- are you ready?

2 MR. CAMPBELL: That's correct.

3 My name is Dow Campbell. I'm an attorney with
4 Marathon Oil Company out of the Midland, Texas, office, and
5 we're here in support of Meridian's Application and here to
6 offer a few additional recommendations to their proposals.

7 And we have one witness today, Mr. Dick Pollard.

8 CHAIRMAN LEMAY: Okay.

9 RICHARD E. POLLARD,

10 the witness herein, after having been first duly sworn upon
11 his oath, was examined and testified as follows:

12 DIRECT EXAMINATION

13 BY MR. CAMPBELL:

14 Q. Please state your name, employer and occupation
15 for the record.

16 A. My name is Richard Pollard. I work for Marathon
17 Oil Company in Midland, Texas, and I'm an advanced senior
18 petroleum engineer.

19 Q. Mr. Pollard, have you testified before the New
20 Mexico Oil Conservation Commission on any prior occasion?

21 A. No, I have not.

22 Q. Okay, please summarize for us your educational
23 background as well as your work experience.

24 A. I graduated from Marietta College in 1969 with a
25 bachelor of science degree in petroleum engineering.

1 Following graduation, I spent three years in the
2 United States Army as a petroleum lab specialist.

3 Following discharge from the Army, I hired on
4 with Getty Oil Company, worked as a petroleum engineer for
5 approximately three years before hiring on with Marathon
6 Oil company, and have worked for Marathon Oil Company
7 continuously for the last 20 years in various capacities,
8 including production, reservoir engineering and government-
9 compliance work.

10 Q. Okay. Is it part of your current duties to
11 review proposed rules and regulations for Marathon of the
12 OCD in New Mexico?

13 A. Yes, it is.

14 Q. Okay. Pursuant to those duties, have you
15 reviewed Marathon's proposed rule for administrative
16 approval of horizontal, high-angle and directional wells?

17 A. Yes, I have.

18 Q. Okay, have you actively participated in any of
19 Marathon's Oil Conservation Division hearings regarding
20 horizontal wells?

21 A. Yes, I recently testified in the OCD horizontal
22 hearing as an expert reservoir engineer in our Denton
23 application.

24 Q. Okay, based on your studies and experience with
25 Denton, do you have any recommendations to the Commission

1 regarding the proposed rule?

2 A. Yes, I do.

3 MR. CAMPBELL: Mr. Chairman, I tender Mr. Pollard
4 as an expert engineer.

5 CHAIRMAN LEMAY: His qualifications are
6 acceptable.

7 Q. (By Mr. Campbell) Before we elaborate on your
8 specific recommendations, let's review for everyone's
9 benefit Marathon's history of horizontal wells in New
10 Mexico, and it might be best to begin with Exhibit Number
11 1. Please identify that for everyone present.

12 A. Exhibit Number 1 shows Marathon's operation in
13 the Denton Devonian lease in Lea County, New Mexico.

14 The yellow area represents our lease holdings,
15 approximately 280 acres.

16 Our first proposal before the hearing was in
17 March of 1994, for application for a horizontal project
18 area.

19 Q. Why do you think it's beneficial to summarize
20 Marathon's experience in the Denton field?

21 A. I feel that this example illustrates the need for
22 administrative approval of directional or horizontal wells,
23 when no correlative rights are being violated.

24 Q. As opposed to Meridian's example, this is an oil
25 field, correct?

1 A. That is correct, this is a Devonian oil field
2 developed on 40 acres.

3 Q. And does the highlighted area have a common
4 ownership?

5 A. Yes, it does.

6 Q. Okay, what does the dashed line represent on that
7 highlighted area?

8 A. The dashed line represents the 330-foot standoff
9 line which is the standoff requirements for this field.

10 Q. Okay. How many times has Marathon testified
11 before the OCD seeking approval for directionally drilled
12 wells within the Denton field?

13 A. We've appeared three times, first time being in
14 March of 1994.

15 Q. Okay. Can you summarize for us what Marathon was
16 requesting in those three hearings?

17 A. In March, 1994, Marathon was requesting
18 horizontal project area, as shown in yellow on this
19 exhibit.

20 Initial well that we requested was Well Number 5.

21 Q. Okay. What was the outcome of that hearing?

22 A. We were granted approval to only drill the Number
23 5 well in the northeast direction, as shown on this exhibit
24 in red.

25 Q. Okay. Did Marathon subsequently directionally

1 drill the Number 5 well?

2 A. No, we did not. The Well Number 4, which we
3 consider to be structurally higher than the Well Number 5,
4 is a better candidate for horizontal drilling.

5 However, at the time of the hearing Well Number 4
6 was still commercial, whereas Number 5 had been shut in for
7 many years. So we elected to ask for Number 5 first.

8 In the interim, Number 4 production had dropped
9 off to where the well was no longer commercial, and thus a
10 better candidate for horizontal drilling.

11 Q. Okay. What did Marathon -- What was granted by
12 the Division out of our second hearing?

13 A. In November -- In our second hearing, Marathon
14 asked that we be granted the horizontal Well Number 4, as
15 well as Number 6, both shown on this exhibit. We were
16 granted permission to drill horizontally out of both
17 wellbores.

18 Q. Okay. Was either the Number 4 or the Number 6
19 ever directionally drilled?

20 A. The Number 4 well was drilled and completed in
21 February, 1995, and production reached a maximum of 499
22 barrels of oil per day. The well is currently producing
23 over 150 barrels of oil a day.

24 Well Number 6 has not been sidetracked as of this
25 date.

1 Q. Okay. Please tell us the purpose of our request
2 for a third hearing.

3 A. Based on the success of the Number 4 well,
4 Marathon felt that the Number 5 well was now our second
5 best candidate for horizontal work, so we reapplied to the
6 Commission to sidetrack the Number 5 well.

7 Q. Okay, let's turn to Exhibit 2. Please identify
8 Exhibit 2 for the Commission and tell us what it depicts.

9 A. Exhibit 2 shows a cross-section from the Number 5
10 well to the Number 4 well. And as can be seen on the
11 bottom left-hand corner, the cross-section cuts through the
12 Number 5 well and cuts through the intersection of the
13 horizontal in the Number 4 well.

14 The orange cross-section area is the tight cap of
15 the Devonian, or can be considered the top of the Devonian.

16 As can be seen, the Number 5 well is programmed
17 to be drilled horizontally, basically parallelling the
18 tight cap and going updip towards the Number 4 well.

19 The little dot, "horizontal wellbore", basically
20 underneath the Marathon Denton Number 4 well, is the
21 horizontal section of the Number 4 well. If you can think
22 of it, the well's horizontal section is coming out of the
23 paper at you, and that's where it would be in relationship
24 to our proposed Number 5.

25 Q. Okay, what's the current status of our hearing on

1 the -- our third hearing on the Denton field?

2 A. We are currently waiting on determination.

3 Q. Okay. To recap, Marathon's had to testify three
4 times before the OCD seeking approval for directional wells
5 on this 280-odd-acre lease.

6 Have you estimated what it's cost Marathon for
7 the hearing process?

8 A. Based on my inquiries, Marathon has expended over
9 four man-months preparing for these three hearings.

10 Q. Okay. Do you have any idea what the OCD has been
11 -- has incurred?

12 A. In addition to the expenditure by Marathon for
13 geologic, drilling engineer, reservoir engineer and
14 associated people and the travel expenses, the OCD had to
15 prepare, conduct and issue orders on three separate
16 occasions on this one project.

17 Q. Okay. Keeping in mind Marathon's experiences
18 regarding the Denton field, let's turn to what we have
19 labeled Exhibit 3. Please identify this exhibit.

20 A. Exhibit 3 is a proposed regulation by Meridian,
21 as attached to the original application.

22 Q. Okay. Please summarize what's on this exhibit
23 that Marathon is not requesting be changed.

24 A. Let me go back to the exhibit one time, just to
25 make it a little clearer. On this exhibit shows the

1 original wording. Marathon has struck through the words we
2 would propose to be deleted, and we have underlined the
3 wording that we propose to be added on it.

4 Q. Just to clarify the point, this is a red-line
5 version of their original proposal. We had not seen that
6 revised proposal until today.

7 Again, please summarize what we were not
8 expecting to change, what we were not proposing changes.

9 A. Marathon fully supports Meridian's effort to
10 allow administrative approval of directional wells.
11 Marathon concurs that the correlative rights of the offset
12 operators should be protected.

13 We also agree that adequate notification be
14 provided to owners of offset leases. We support the
15 Division's right to retain the discretion to call a hearing
16 when needed.

17 Q. Since several changes are noted on this exhibit,
18 please summarize the three general categories of
19 modifications which Marathon is recommending to the
20 Commission.

21 A. First, we are requesting that many of the
22 definitions be removed or simplified.

23 Second, the amount of information requested
24 should be substantially reduced.

25 And third, we're requesting we simplify the

1 allowable procedure for directional wells in project areas.

2 Q. Okay. Without reviewing the proposal entirely,
3 line by line, please state which definitions you're
4 suggesting should be deleted and why you're suggesting
5 that.

6 A. This proposal was originally presented as well
7 definitions for horizontal wells, high-angle wells and
8 directional wells.

9 Beyond the definitions, there is no difference or
10 differentiation in the treatment between the three types of
11 wells.

12 For simplicity's sake, we recommend that only one
13 type of well be defined. That is a directional drill well,
14 which is defined as a well intentionally deviated from the
15 vertical, as Meridian has defined it.

16 Q. Okay. Do you have any additional definitions
17 that you feel should be deleted? And if so, why?

18 A. Yes, the definition of ultrashort-, short-,
19 medium-, and long-radius laterals should be removed.
20 Again, there is no distinction or reference made elsewhere
21 in the regulations which warrant these definitions.

22 It is also my belief that the industry has not
23 standardized on these definitions, and due to the high
24 technology being used and continued development in this
25 technology, the definitions may be outmoded before they're

1 actually put in print.

2 Q. Is that all your recommendations regarding
3 deviations, other than minor --

4 A. Yes.

5 Q. -- typographical changes?

6 A. Yes, it is.

7 Q. Okay. You mentioned a second category of
8 modifications as the reduction in the amount of information
9 which is required under this rule.

10 Please summarize your recommendations regarding
11 that topic.

12 A. Will you repeat the question, please?

13 Q. Sure. You talked about the three general
14 categories. The first was refining and deleting
15 definitions, and secondly restricting the amount of
16 information that is required pursuant to this rule to be
17 filed with the administrative application. Please
18 summarize your recommendation as to that category of
19 modifications.

20 A. It is Marathon's intention in our proposal of
21 changes to reduce the burden on both the applicant as well
22 as the OCD by limiting the required information to that
23 which is required or -- which is not required, excuse me,
24 or provided under other rules or forms or is not needed at
25 the time of application to grant the approval.

1 Basically, we feel a lot of this information is
2 required and submitted on other forms.

3 Q. Okay. Can you give us some examples of what
4 you're calling unnecessary or duplicate information?

5 A. Yes, in Section C, Number (1), as originally
6 proposed by Meridian, require nine-section plat. We feel
7 this is overkill. A plat similar to what we submitted as
8 Exhibit 1, we feel, is more appropriate.

9 Q. And that's especially in the smaller --

10 A. Smaller oil-development areas.

11 Q. -- 40-acre proration units, et cetera, for
12 oilfield.

13 Okay. Any further examples?

14 A. And C (2) requires the well be produced by
15 characterization, projected by characterization.

16 Because we are moving the definitions, that no
17 longer applies, and that requirement does not need to be in
18 the rules, if you remove the definition of high-angle,
19 short-angle-radius wells.

20 Number (6), a written summary of drilling, casing
21 and completion programs is required. We feel it's not
22 needed, and I believe Meridian has already struck that
23 proposal. That's Number 6.

24 Number 7, likewise, we feel, is not needed. That
25 refers to the plugging and abandonment procedure being

1 provided in the Application. As Meridian stated, we feel
2 that is provided in other documentation, prior to plugging
3 the well, thus not being needed.

4 Number 10 also requires a copy of the approved
5 AFE. I believe Meridian has struck this already.

6 We feel the AFE contains proprietary information
7 and should not be provided and become public record.

8 Most JOAs provide for nonconsenting parties. An
9 applicant should not be denied if they're not 100-percent
10 approved, as they can be taken care of, as mentioned, by
11 contractual arrangements.

12 Nonconsenting parties has, of course, recourse to
13 a hearing if they have a problem.

14 Q. Okay, that summarizes your changes to -- What?
15 Section C of the proposed rule; is that correct?

16 A. Yes.

17 Q. Okay, let's turn to the allowables issue, which
18 you referenced as the third of the three general categories
19 of modification.

20 What is Marathon's recommendation regarding
21 allowables?

22 A. Marathon proposes to simplify the application
23 process by adopting the concept of shared allowables for
24 routine administrative approval of horizontal wells.

25 The concept provides for a single project

1 allowable whereby production can be from any -- or any
2 combination of wells within the project area.

3 This concept was presented during our three
4 hearings on the Denton project, and I believe it was well
5 received.

6 Q. Do you have any other recommendations regarding
7 the proposed rule?

8 A. No, I don't.

9 MR. CAMPBELL: Okay, this concludes my
10 examination of Mr. Pollard, Mr. Chairman.

11 I move for the introduction of our Exhibits 1, 2
12 and 3.

13 CHAIRMAN LEMAY: Without objection, Exhibits 1
14 through 3 will be admitted into the record.

15 Questions of the witness?

16 Commissioner Weiss?

17 COMMISSIONER WEISS: Yes, I have a couple.

18 EXAMINATION

19 BY COMMISSIONER WEISS:

20 Q. Yeah, concerning -- You were here and heard Mr.
21 Alexander talk about allowables?

22 A. Yes, I did.

23 Q. He proposes two kinds of setback as being the --
24 at least -- I can't understand what he wrote, but I think
25 that's what that says, wellbore radius equal to two times.

1 A. Yes.

2 Q. And I looked at your plat here in Exhibit 1.
3 Number 6 would violate that. If you had two kinds of
4 wellbore radius there, you would be over on the unleased or
5 the other operator's acreage there.

6 I guess it would work in the case of Well Number
7 5, it would be pretty close.

8 A. Yes. Well, what Marathon would be asking for in
9 the case of Number 6, that we would have the allowable of
10 Number 6 and Number 7, and we would be able to share that
11 allowable or produce that allowable either out of Number 6
12 or out of Number 7 or both.

13 Q. I understand what you're proposing. I'm just --

14 A. Okay.

15 Q. -- thinking through what he had proposed and how
16 that would affect you if that should happen.

17 And I guess that wouldn't work here because
18 Number 6, if you had two times the setback distance there,
19 you'd be over on the acreage there that's not included in
20 your project areas --

21 A. Yes.

22 Q. -- is that right?

23 A. That's correct.

24 Q. So that wouldn't work there.

25 Could -- If that were the rule, could you use

1 Number 7 and drill south?

2 A. For the benefit of increasing allowable purposes?

3 Q. Well, to avoid the problem of -- If two times the
4 setback were the apparent wellbore radius, two times the
5 setback distance was the apparent wellbore radius, perhaps
6 you wouldn't be allowed to drill Number 6 because you would
7 be effectively interfering with the acreage there that's
8 not in your project area. But if you drilled from 7, you
9 wouldn't be; is that correct?

10 A. I believe that would be correct.

11 COMMISSIONER WEISS: All right. Just a comment.

12 I was just looking at this.

13 That's all the questions I have. Thank you.

14 CHAIRMAN LEMAY: Commissioner Carlson?

15 EXAMINATION

16 BY COMMISSIONER CARLSON:

17 Q. In your three hearings for horizontal wells, was
18 there any opposition to Marathon's proposals?

19 A. As far as I know -- I only attended the last one,
20 which there was not, and I believe there was no opposition
21 in the first two either.

22 MR. CAMPBELL: No, there was not, there was no
23 opposition.

24 COMMISSIONER CARLSON: I guess I have a question
25 of Mr. Kellahin.

1 How strongly does Meridian feel about Marathon's
2 rewrite of your proposed rule? Could you live with the
3 changes they recommend?

4 MR. KELLAHIN: I'm not sure I know the answer
5 yet, Mr. Carlson. Let me think about it, and may I respond
6 later?

7 CHAIRMAN LEMAY: I think we'll have, before this
8 is over, some pretty general discussion as to -- I'd like
9 to set a couple parameters to maybe some submittals at the
10 end.

11 But that's a good question. Let's put that on
12 hold just for the time being.

13 MR. CAMPBELL: Likewise, Marathon did not see
14 their proposed change till today either, so we're --

15 CHAIRMAN LEMAY: Yeah, I understand that.

16 MR. CAMPBELL: -- we're not sure how they apply
17 to every situation we have either.

18 COMMISSIONER CARLSON: All right. That's all I
19 had.

20 EXAMINATION

21 BY CHAIRMAN LEMAY:

22 Q. Okay. But Mr. Pollard, what you're saying
23 basically is, you -- It's a project allowable, you're
24 describing a project allowable as one in which if the
25 directionally deviated well crosses any portion of a

1 proration unit, you add that proration unit's allowable
2 into the total allowable of the well?

3 A. That is correct.

4 Q. When you're getting into existing wells -- I
5 noticed your proposal also allowed for dividing up the
6 allowable in any proportion that the operator chose, if
7 there was more than one well on an existing proration unit?

8 A. That's correct.

9 Q. I guess I could visualize a situation where if
10 you get in competition in the reservoir, if you had a well
11 very close to an offset operator, that you might pull that
12 one a little harder than another well, a vertical or --

13 A. Well, in all cases we would be within the
14 standoff area allowed by field rules, in this case 330
15 feet.

16 Q. And you're not limiting the number of wells
17 within a proration unit; the only limitation would be one
18 of allowable; is that right?

19 A. That is correct.

20 CHAIRMAN LEMAY: Okay.

21 COMMISSIONER WEISS: I have one more question.

22 CHAIRMAN LEMAY: Yeah, Commissioner Weiss.

23 FURTHER EXAMINATION

24 BY COMMISSIONER WEISS:

25 Q. Does the engineering and geology influence the

1 direction of these wells more than the allowable situation?
2 Or which --

3 A. In our particular case, yes, we are trying to get
4 structure and trying to cross fractured areas that have not
5 been drained.

6 Q. I guess you're saying that that could vary by
7 situation though, it's not -- This may be unique to this
8 reservoir here?

9 A. The allowable is high enough that even a
10 horizontal well cannot produce even one proration unit's
11 worth allowable.

12 What we could foresee and we could hope, that
13 some day we could find a case that we would need that extra
14 allowable.

15 COMMISSIONER WEISS: Okay, thank you.

16 CHAIRMAN LEMAY: Any other questions of the
17 witness?

18 MR. CARROLL: Yes, Mr. Chairman, I have one
19 question.

20 CHAIRMAN LEMAY: Mr. Carroll?

21 EXAMINATION

22 BY MR. CARROLL:

23 Q. The same question I asked Meridian.

24 Is it Marathon's proposal to allow the OCD to
25 administratively approve the change or alteration of

1 setbacks?

2 A. No, it is not our intention to alter the setbacks
3 administratively.

4 Q. And why is that?

5 A. We feel that should be in a hearing.

6 Q. And why should it be in a hearing?

7 A. Because it involves the rights of offset
8 operators.

9 MR. CARROLL: That's all I have, Mr. Chairman.

10 CHAIRMAN LEMAY: Okay. Additional questions of
11 the witness?

12 If not, you may be excused. Thank you very much,
13 Mr. Pollard.

14 Mr. Carroll, do you plan to put on a witness
15 or --

16 MR. CARROLL: Yes, I do.

17 CHAIRMAN LEMAY: Okay.

18 MICHAEL E. STOGNER,

19 the witness herein, after having been first duly sworn upon
20 his oath, was examined and testified as follows:

21 DIRECT EXAMINATION

22 BY MR. CARROLL:

23 Q. Mr. Stogner, will you please state your name and
24 your place of residence for the record?

25 A. My name is Michael Stogner. I'm a petroleum

1 engineer with the Oil Conservation Division here in Santa
2 Fe, and I reside in Estancia, New Mexico.

3 Q. And is it part of your duties as a petroleum
4 engineer for the OCD to review and consider applications
5 for directional drilling?

6 A. Yes, it is.

7 Q. On prior occasions, have you had an opportunity
8 to testify before this Commission?

9 A. Yes, I have.

10 Q. And have your qualifications as a petroleum
11 engineer been accepted?

12 A. I believe so, yes.

13 MR. CARROLL: Mr. Chairman, I offer Mr. Stogner
14 as a petroleum engineer and ask that his qualifications be
15 accepted.

16 CHAIRMAN LEMAY: They're accepted.

17 Q. (By Mr. Carroll) Mr. Stogner, you've heard the
18 testimony given prior to yours. What specific comments or
19 recommendations do you have concerning what you've already
20 heard?

21 A. Essentially maybe a historical retrospect to the
22 Commission's and Division's involvement with horizontal
23 drainholes over the years, and perhaps some additional
24 thoughts for the Commission to consider in adapting rules
25 and regulations for administrative procedures, how we've

1 gotten to this point, perhaps some other pools that already
2 have pool rules that provide for administrative procedures,
3 perhaps another way to look at allowable proceedings, bring
4 up some scenarios and some further exceptions that might
5 prove helpful in the Commission making its decision.

6 Q. Okay. I'll ask you to look at what has been
7 marked as OCD Exhibit Number 1.

8 A. Exhibit Number 1 is just a scenario, and which we
9 have seen in the past, perhaps not exact, but what I've
10 tried to depict here would be similar to a situation that
11 Petroleum Development, which is Mr. Jim Johnson out of
12 Albuquerque's company, what they have been doing down in
13 the Chaveroo area in Chaves and Roosevelt County in the Tom
14 Tom-San Andres Pool and down in that area.

15 And what we have done in that particular area, he
16 has developed leases with horizontal wells, he's had
17 producing wells, vertical wells, old plugged and abandoned
18 wells, vertical, and then he has come in and perhaps
19 drilled a horizontal, decided to change the technology a
20 little bit different in another one and take off.

21 There in this particular area, the geology or the
22 direction of the drainhole -- and I'm deviating from the
23 terminology here because that's what I'm used to -- the
24 horizontal portion or drainhole is not dependent on
25 geology. So we have had scenarios in there where

1 horizontals would take off in different directions. Food
2 for thought. A project allowable.

3 And we have provided in those orders, signed by
4 Mr. LeMay and -- whereby the district supervisor could
5 perhaps assign a project allowable when this scenario
6 occurs.

7 And if you look here, in this particular
8 scenario, I've got three vertical wells producing, three
9 horizontal wells producing. The three horizontal wells go
10 in all different directions.

11 We have a similar scenario whenever we have a
12 waterflood, we have a project allowable where we take the
13 number of 40-acre tracts attributing production in the
14 lease or project unit, whatever -- in this particular case
15 the project or the lease -- times the depth bracket
16 allowable. This then would become the project allowable.

17 And then within that project allowable -- With
18 that project allowable being assigned, then all the wells
19 can produce that allowable in any proportion.

20 Just food for thought, perhaps an easier
21 scenario. That way we wouldn't have -- Well, in this
22 particular instance, we would have two 40-acre tracts
23 attributed to the same well.

24 It becomes almost impossible in this instance
25 that you would have a proration unit per se. Just

1 something to consider, allowing either the district
2 supervisor or perhaps in the administrative process setting
3 the allowable.

4 That's all I have on Exhibit 1.

5 Q. Mr. Stogner, do you have any recommendations as
6 to the definitions proposed by Meridian and the deletion of
7 certain definitions proposed by Marathon?

8 A. Well, personally I like the definitions. Here in
9 the regulatory realm, we always have inquiries about how
10 many horizontal wells have been drilled, how many of them
11 have been long-radius, short-radius, whatever the case may
12 be.

13 In that particular aspect, for statistical
14 purposes, it may not be a bad idea.

15 Also, I think, if we had them in there, perhaps
16 if we revisited whatever rule comes out of the Commission
17 today, in our general rules, revisit it in two or three
18 years to see if it is doing an adequate job, to see if it
19 needs to be changed, to see if it needs a new direction.

20 That's something that we normally don't do with
21 our general rules and regulations, is revisit them, not
22 like we do special rules and regulations in a pool.
23 Perhaps we may want to do that.

24 There again, I like the concept of the
25 definitions, and the reasons I think definitions earlier on

1 were important to us is because to get to this point I
2 believe we were trying to, early on, develop pool rules to
3 allow for what kind of directional drilling or horizontal
4 work best in that pool, and that's the reason we came up
5 with that.

6 But I personally like the definitions.

7 Q. Mr. Stogner, have you had the opportunity to
8 review Meridian's original proposed rule included with
9 their application and then their proposal to delete certain
10 of the information required under that proposed rule and
11 then Marathon's proposed deletions of information be filed
12 with the Division?

13 A. Yes, I do.

14 Q. Do you have any recommendations as to what
15 information should be required?

16 A. As far as recommendations, no, not at this point.
17 I'd just like to offer some comments, perhaps, or some
18 insight on perhaps some amendments to these rules or even
19 additions that the Commission might want to consider.

20 Q. Now, are you prepared to offer your insight at
21 this time?

22 A. Yes, I am, basically.

23 Q. Will you tell us what you recommend?

24 A. I really didn't have anything prepared today,
25 inasmuch as I wanted to see what the industry would come up

1 with and see where they were going. Perhaps some of my
2 ideas would be covered by some of the others, perhaps in
3 the closing arguments and closing statements.

4 As far as a historical retrospect, if I could,
5 this is not the only case. In 1955, Case Number 942 came
6 out, the Conoco-Continental Oil Company, to provide for a
7 short-radius horizontal drilling technology in those days.
8 That case was essentially dismissed due to lack of
9 interest.

10 And then in 1979 -- or late Seventies, early
11 Eighties -- Arco, down in the Empire Abo, started drilling
12 short-radius horizontal drainholes.

13 At the same time, Harlan Drilling, which was
14 essentially a spinoff of the Texas Eastern group, at the
15 same time was drilling horizontal wells up in the Gallup
16 formation, up in the northwest. I was heavily involved
17 with that one.

18 And that was essentially the extent of the
19 horizontal drilling in the early days, and more -- that was
20 more so to develop the tools and techniques.

21 In 19- -- about 1985, 1986, El Aquitaine
22 [phonetic] wanted to do their great American adventure as
23 far as horizontal drilling, and they were at that time
24 foremost in the horizontal technology. They came out to
25 New Mexico and wanted to extend into the fractured zone of

1 the Mancos formation and intercept different fractures.

2 After that, Meridian, Amoco, Yates, Petroleum
3 Development, many others, American Hunter, Veteran
4 Exploration, Merrion, Benson Montin and Greer, for various
5 reasons came into different pools and tried to develop
6 horizontal techniques.

7 Some of the pools that we have -- There's three
8 of them that have special rules. The Basin Fruitland Coal
9 Pool has an administrative procedure for horizontal
10 drilling, and that's in Order R-8769, I believe. The Rio
11 Puerco that Veterans is developing are one of their
12 offshoots. They change names all the time, and I can't
13 keep up on it.

14 Up in the northwest there's some procedures
15 administrative in that particular pool, and of course the
16 old Empire Abo, which I've recommended to the Director
17 three approvals within the last several months. They
18 wanted to get active again in the Empire Abo.

19 Some of the comments I've heard with respect to
20 general rules and regulations over the years -- It was our
21 idea in the beginning, or at least we tended that way, was
22 to promulgate rules for different pools, whatever worked,
23 if a short radius worked in one particular pool, or the
24 long, far-extending method in the other, then we would
25 develop it toward that, to its unique problems, such as

1 ownership, if we had 40-acre spacing, versus 640.

2 I've got two 640-acre proration units that Benson
3 Montin and Greer -- so I've got one -- no, I think I've got
4 two 1280-acre proration units in the state because of the
5 horizontal well. And that's how that got started, or at
6 least that's where we were going.

7 And I believe now we have had enough experience
8 -- and I know this question has been asked several times.
9 I can't really think of any time where the actual
10 horizontal well has been objected to. There has been
11 objections to, say, an increased allowable or getting close
12 to a lease line. But I -- As far as the actual horizontal,
13 I don't recall any time when that was the cause of the
14 objection.

15 We've seen many instances in this state where an
16 operator has wanted to push that window of opportunity, if
17 you will, past the regular setback requirements.

18 Merrion is a good example. In their particular
19 instance, they were trying to avoid water coning when a
20 high-porosity -- how would you say? -- windblown-sand-dune-
21 type formation, substructure formation, where they were
22 trying to get the horizontal well on the crest of the
23 buried sand dune. And in this instance they formed units.

24 But however, the geology called for them to --
25 and in this particular instance, skirt within 10 feet of

1 the lease line.

2 It was thrown out. Everybody had an opportunity
3 to come in and object, nobody did. In this case, geology
4 called for it, nobody objected, they had the opportunity
5 to, and it was approved. It just made the window of
6 opportunity.

7 And that was one of the things I think this state
8 -- somewhat unique, is the window concept, as opposed to
9 looking at a drainhole or a horizontal. Let's open it up
10 to the window, because you don't know exactly what
11 direction -- In some instances, like Meridian's case, where
12 are we going, actually, when we get down there? Or, if you
13 start drilling and you have a problem, you can pull back,
14 get started again. Or drill multiple drainholes or
15 horizontals.

16 So we came in with the window concept. I learned
17 this lesson the hard way when I was in Alabama and I
18 watched a supervisor of mine stand up in the commission on
19 a 330-acre spacing -- I'm sorry, 40-acre spacing, 330
20 offset; the well was at 330-330 -- and we were going to
21 drill a 500-foot horizontal or lateral.

22 And in those days we had no direction control.
23 The only direction control we had is watching the pipe go
24 down in the direction in which we screwed the directional
25 device in. Those were the days. And they said, Oh, of

1 course we can control the deviation.

2 Of course we can now, there's no doubt about it.
3 But to what degree of excellence do you want? Sure, you
4 can put it on a dime if you want to, but that's going to be
5 adding cost.

6 So that's the reason -- and I'm glad that
7 Meridian and everybody else has adopted this window
8 concept. I think in the long run it's economical for them,
9 it's -- it puts less burden on us and our district people
10 to be able to go in.

11 But I think there ought to be an administrative
12 procedure in which we can push the setback requirements for
13 geological purposes.

14 We're also looking at, in the next few months,
15 more geological exceptions at unorthodox locations. This,
16 of course, goes hand in hand.

17 One of the reasons most of these cases go to
18 hearing in the first place is because they took exceptions
19 to several different things. Not only directional
20 drilling. You had to set up a nonstandard proration unit
21 usually, because the lateral extended beyond the proration
22 unit limit. Usually an unorthodox location was involved,
23 whether the surface location, like in Meridian's example on
24 page 6 -- or Exhibit 6, I should say -- showed.

25 Also, a lot of them wanted an increased

1 allowable. Well, that kind of comes hand in hand with the
2 formation of a nonstandard proration unit, especially if
3 you have two 40-acres or whatever the case may be, you just
4 doubled it.

5 But in some instances, many parties -- I can't
6 remember, some company out of Odessa, I believe, wanted an
7 increased allowable, beyond the normal acreage factor. I
8 think that ought to be considered for an administrative
9 process. And then that way, because of the notification,
10 if anybody had a problem, we could take it to hearing.

11 Also, it has been brought -- some instances,
12 perhaps -- and I refer now to Meridian's Exhibit Number 6.
13 In this particular scenario, their producing portion of the
14 well is within the setback requirements for the proration
15 unit in this pool.

16 And in this particular instance, why -- or
17 perhaps some of the companies have indicated -- In this
18 particular instance, why go with an administrative process?
19 Why not let the APD and the district's approval be the
20 final say in this one, in this particular instance like
21 this?

22 And then once the well is drilled and a
23 directional survey is done, and then is shown that the
24 actual producing portion is well within the setback
25 requirements, then an allowable can be signed off or

1 approved at the district level.

2 That is some of the comments I've heard, perhaps,
3 and I just bring that up for the Commission to consider,
4 because I know as far as -- You heard testimony on Meridian
5 and Marathon today. They did not mention that, nor both of
6 them talked about not being able to extend the setback
7 requirements administratively.

8 That's all I have.

9 Q. Mr. Stogner, did I hear you right? You're
10 recommending that the OCD be allowed to administratively
11 approve the expansion of windows through altering the
12 setbacks?

13 A. Yes, I do. And yes, I am.

14 MR. CARROLL: Mr. Chairman, that's all I have of
15 this witness, and I'll move what has been marked as OCD
16 Exhibit Number 1 into the record.

17 CHAIRMAN LEMAY: Without objection, OCD Exhibit 1
18 into the record.

19 Questions of the witness?

20 Commissioner Weiss?

21 COMMISSIONER WEISS: I don't have any questions.

22 CHAIRMAN LEMAY: Commissioner Carlson?

23 EXAMINATION

24 BY CHAIRMAN LEMAY:

25 Q. Mr. Stogner, I just had one. Just as an example,

1 on your example here --

2 A. Yes.

3 Q. -- what happened -- or how would you feel if --
4 we'll say the -- on a project allowable, if the two wells
5 there were extremely marginal, we'll say a barrel a day --
6 The two wells I'm speaking to are in the extreme northeast
7 portion of the map and the extreme southeast, the two 40-
8 acre locations that the horizontal wells have not
9 penetrated.

10 Based on your example, I think you would be
11 recommending an allowable of 8 times 80, or 640 barrels of
12 oil per day for the project, where possibly under the -- if
13 a project allowable was defined as only those proration
14 units penetrated by horizontal wells, you would take maybe
15 6 times 40 and have 240 barrels of oil per day allowable
16 assigned to the project, because two of those 40s, at least
17 under one recommendation, would not qualify to be added
18 onto the allowable?

19 A. I think whatever fit the picture. I think we'd
20 have enough flexibility that we could do either.

21 In this particular instance, let's say all six of
22 these wells were marginal to begin with. And how many
23 proration units do we have? Six wells, eight proration
24 units.

25 In the vertical concepts you'd have the six

1 wells, six 40-acre proration units, each developing on an
2 allowable.

3 Now, if we extended that project allowable
4 concept just to those vertical wells, and according to our
5 waterflood, if you want to take a look at it, then perhaps
6 you can take those two proration units that didn't have a
7 well -- I'm talking about the vertical concept here -- take
8 the allowable that would be attributed to those out,
9 because they're not attributing any production.

10 Q. Right.

11 A. Now, in this particular scenario, all eight
12 proration units would be brought into the picture, because
13 each of them are attributing production, either through the
14 vertical wells, like the one in the northeast and the
15 southeast corner, and then you've got two of the
16 nonproducing or previously nonproducing 40-acre tracts now
17 being criss-crossed by horizontal wells.

18 Now, to answer your question, as far as taking --
19 perhaps omitting the margin allowable of those two vertical
20 wells and then just going with the six proration units that
21 have horizontal wells, I think our -- or what I would
22 propose is that we would have enough flexibility within the
23 project allowable to have six of the 40-acre project
24 allowable proration units, and then those four wells in
25 this instance attributing production, and then take the two

1 40-acre tracts that's not "participating horizontals", put
2 those out on their own as minimum or marginal allowable.

3 But for ease of administration -- administrative
4 ease, I should say -- of assigning allowables in the
5 computer, if all the wells are allowable then let's go with
6 all six wells attributing to the eight proration units.

7 I hope that answers your question.

8 Q. So would you go with this case, 240 barrels a day
9 or --

10 A. I would, yeah.

11 Q. I mean, you take the six and not the eight?

12 A. No, I would take the eight.

13 Q. You would take the eight?

14 A. Uh-huh.

15 CHAIRMAN LEMAY: Commissioner Weiss, do you
16 have --

17 EXAMINATION

18 BY COMMISSIONER WEISS:

19 Q. Yeah, following up on that a little bit.

20 What if it was the project was the entire section
21 here? Then it would 16 times 40, would be the allowable?

22 A. Not necessarily, because that would be the
23 project. But I think -- When we get to a point where we
24 assign a project allowable of some kind, we would have to
25 have a scenario such as this, perhaps, through a large

1 portion of the lease.

2 Q. And then it gets complex again?

3 A. Oh, yeah, it gets complex again. But I think
4 that we have enough expertise in our district offices, and
5 hopefully in our new ONGARD system, to take care of it.

6 Q. The idea is to make it easy, maybe the wellbore
7 radius thing and the setback limit is -- maybe not two, but
8 one or half or something of that nature?

9 A. Wellbore radius.

10 Q. Meridian's idea of effective -- I think that's
11 what they said that I can't understand.

12 But the picture on page -- Exhibit Number 8 in
13 their book, where they discuss the -- They've got the
14 perpendicular lines to the lateral, and if a person -- and
15 those are supposed to be the setback distances.

16 If you just thought about that as the -- That
17 explains what the verbiage says over there a few page
18 earlier, quite well. Pictures are certainly worth a
19 thousand words here.

20 But if a person did go to school on that and used
21 the setback distance, some ratio of it, perhaps, as
22 effective wellbore radius, then you could say, well, it
23 contacts whatever and -- whatever proration units there
24 are.

25 A. Maybe, perhaps, to answer your questions, let's

1 say the project was the whole section, but you assign the
2 project allowable to only those 40-acre tracts that are
3 attributing production to the lease.

4 Q. Well, they all are maybe. And then you've got to
5 have a reservoir study or something. So that's what --

6 A. Okay, let me rephrase that. How about
7 effectively participating in the project?

8 Q. Yeah.

9 A. And effectively in this instance is that we have
10 a well touching the 40-acre tract.

11 Q. Well, that's what Marathon proposes, of course
12 But I can see the point of -- you know, your well
13 goes right by one of these units, and it's certainly
14 draining from it, so it should be included in the
15 allowable.

16 A. I think we could have enough flexibility,
17 especially if it's one lease.

18 Q. And then you could have it -- If you had it as a
19 function of the wellbore radius, and that is a function of
20 the setback limit, you could do that. It would catch them
21 all that are -- that you have in your project.

22 A. If the geology and the radius -- or, I'm sorry,
23 if the geology and the drainage qualified it as such.

24 Q. Maybe two is too much. Maybe a half or one or
25 something.

1 A. Just another way to calculate the project -- or
2 an allowable -- in a scenario such as this. It's just what
3 I'm offering at this point.

4 COMMISSIONER WEISS: I have no other questions.
5 Thanks.

6 CHAIRMAN LEMAY: Any other questions of the
7 witness?

8 If not, he may be excused.

9 I think what we'll do at this point is take the
10 statements that you all -- because I think we want to hear
11 how the rest of you feel about the testimony that's been
12 received to date.

13 And then I'd like to have a little bit of an
14 informal discussion. I know normally it's not been our
15 policy to take statements and subject to cross-examination.
16 Please don't interpret our questions as Commissioners to be
17 cross-examination. What we're trying to do is find a
18 consensus out there as to what may be the best draft order.
19 So we're going to vary procedure a little bit from norm and
20 follow that.

21 So with that, I think Mr. Hawkins, you want to
22 make a statement in regard to Amoco's position?

23 When you make your statements, it would be
24 helpful to us, too, to say, Hey, I support Meridian's, or I
25 support Meridian's with the variations that Marathon put on

1 it.

2 MR. HAWKINS: Okay, I'm Bill Hawkins with Amoco,
3 petroleum Engineer. I've testified before the Division on
4 a number of occasions, and in fact in horizontal well
5 applications for Amoco I've been here on eight horizontal
6 wells.

7 We've looked at the Application that Meridian has
8 put forth, and we've looked at the revisions that they've
9 presented today, and also those of Marathon.

10 And the first thing I want to say is, I want to
11 commend Marathon [*sic*] for putting forth all this effort to
12 gather the comments and bring this Application to the
13 Commission.

14 We're going to be planning to drill five
15 horizontal wells in 1995 and, if those are successful,
16 extend that program into 1996. So we hope to be able to
17 use the administrative process.

18 Amoco does support the recommendations that have
19 been made, in general, by Meridian, and also some of the
20 recommendations made by Marathon.

21 I think our concept here is to put some
22 administrative rules into place that would accommodate the
23 approval of, let's say, 80 percent or so of the horizontal
24 wells that you might see as an application in the State,
25 those that are normal, that stay within a -- you know,

1 basic setback requirements, that don't require -- don't ask
2 for any special exceptions for location or special complex
3 approval of allowable. We think those should certainly be
4 able to be approved administratively.

5 The -- I guess if we just go through the document
6 that Marathon -- or excuse me, that Meridian put forth, the
7 first question that we saw was the definitions for the
8 radius and how you categorize the type of horizontal well
9 that's to be drilled.

10 I guess the -- We don't have problem with
11 categorization of those type of wells. The concern we've
12 got is, what's the use for that? If we think the State
13 needs to develop some kind of statistics, then certainly
14 that categorization would be helpful.

15 Other than that, I think we wouldn't really need
16 the categorization, because we will be able to give the
17 details of each horizontal to you in the Application.
18 What's the rate of build, what's the radius of curvature,
19 and then what's the extent of the lateral?

20 So we could probably get by with the Marathon
21 proposal to eliminate that, unless the State feels like
22 there's a need to categorize and keep some kind of
23 statistics on it.

24 The other recommendations that I've seen are
25 generally to delete some of the requirements that were in

1 the first proposal that was submitted, and I think Amoco
2 would support that. We think that even as far as the
3 deletions that Marathon has commented on, that those would
4 be appropriate.

5 And specifically I think I'd like to point out
6 that under -- Let's see, which section this is. Under
7 Section C on -- to obtain administrative approval, items
8 (5), (6), (7), (8), (9) and (10) are all requested to be
9 deleted by Marathon, some of those also requested to be
10 deleted by Meridian.

11 Amoco would support the deletion of all five of
12 those, or -- I guess six of those -- those six items,
13 particularly for the administrative process. If we get
14 into a hearing and there's some protest involved or a
15 special, complex case, then maybe we need to draw that out
16 and obviously explain a little bit further what we're
17 trying to do.

18 But for a simple horizontal well all contained
19 within a single spacing unit or some simple -- a few 40s
20 that are joined together, I think we wouldn't need to
21 supply the type log and the information on how the well is
22 going to be drilled and completed and how -- why we, you
23 know, think we need to drill this horizontal well in this
24 area, what's the engineering and geologic purpose for that?

25 So I think the key is to try to develop some

1 administrative rules that are going to be simple for us to
2 follow and file a relatively simple amount of information
3 with the Division that can be approved.

4 The last thing that I guess I wanted to comment
5 on specifically was the -- on the allowable, I know in the
6 northwest pools, in the Blanco-Mesaverde Pool where we've
7 been doing a lot of our horizontal wells, there are already
8 existing wells in that pool. In some cases the horizontal
9 well may be the third well, or it may be the second well or
10 re-entry of a second well and extending that in a
11 horizontal fashion.

12 The allowables in those cases have typically been
13 set on a deliverability from two of the wells in that
14 spacing unit and been able to produce the calculated
15 allowable by all three of the wells, so long as we didn't
16 exceed that allowable. And Amoco would support the
17 continuation of that type of an allowable approach.

18 The last thing I guess I have to say is that we
19 support the recommendations that we notify the offset
20 operators and give them the opportunity to object to
21 horizontal wells.

22 We think that the original requirement to submit
23 an AFE and notify all the owners within the spacing unit
24 and, in some cases, even the royalty owners was not
25 necessarily appropriate. Most of that should be governed

1 under a contractual arrangement. It should be able to be
2 handled in that fashion. We think that the offset operator
3 is the primary person that needs notification of a project.

4 There's also an item here on item G that I'm not
5 real clear about and that is that, "In the event that there
6 are any existing wells within the project area then the
7 project well, if and when approved by the Division, shall
8 constitute a special exception to the then existing well
9 spacing pattern established by the Division for that pool."

10 I have a little bit of a problem with that
11 statement, because I don't think that that's necessarily
12 the case. In many cases you may find it's the first well
13 drilled into a spacing unit, it may all be contained within
14 the spacing unit itself. In fact, it may all be contained
15 within the setbacks for a Blanco Mesaverde or some 40-acre
16 oil pool. And in those cases it clearly wouldn't designate
17 a -- or shouldn't be designated as a special exception. I
18 guess I would view that as an inappropriate statement to
19 have in our administrative approval rules.

20 And I would suggest that we delete item G as
21 well.

22 And that concludes my comments.

23 CHAIRMAN LEMAY: Okay. Would you mind answering
24 a question if one of the --

25 MR. HAWKINS: Sure.

1 CHAIRMAN LEMAY: -- Commissioners had one?

2 MR. HAWKINS: Sure.

3 CHAIRMAN LEMAY: Do you have any questions on --

4 COMMISSIONER CARLSON: Yeah.

5 CHAIRMAN LEMAY: -- what Amoco's stating?

6 COMMISSIONER CARLSON: Mr. Hawkins, it just
7 occurred to me -- something you said about notification to
8 royalty owners. As you know, I represent a royalty owner
9 on this Commission.

10 What if a project area crosses a lease boundary?
11 How are -- If the royalty owner is not notified, how is
12 that production allocated between leases?

13 MR. HAWKINS: Most of the time -- and I might
14 want to defer to a land negotiator on this, but I think
15 most of the time the leases are joined either by force-
16 pooling or by voluntary pooling into a spacing unit.

17 COMMISSIONER CARLSON: So it would be a
18 communitized area before this would ever occur? I'm not --

19 MR. HAWKINS: That's correct, that would be my
20 understanding, is that would be joined on an acreage basis,
21 generally.

22 COMMISSIONER CARLSON: Generally. There wouldn't
23 be any --

24 MR. HAWKINS: Well, I suppose you could pool --
25 you could voluntarily join it in some other fashion, but

1 it's --

2 COMMISSIONER CARLSON: Yeah --

3 MR. HAWKINS: -- generally done on an acreage
4 basis.

5 COMMISSIONER CARLSON: Sure. Okay, that's all I
6 have.

7 CHAIRMAN LEMAY: Okay. Bill?

8 COMMISSIONER WEISS: Yeah. On allowables up in
9 the northeast, I didn't quite follow you there. You say
10 the --

11 MR. HAWKINS: Northwest.

12 COMMISSIONER WEISS: Northwest, right, I'm sorry.
13 The current practice is to -- It's based on the
14 number of wells, not the number of proration units?

15 MR. HAWKINS: Well, for the most part in the
16 Blanco-Mesaverde, the spacing units are 320 acres --

17 COMMISSIONER WEISS: Okay.

18 MR. HAWKINS: -- already.

19 COMMISSIONER WEISS: And you have one well, and
20 the allowable is what?

21 MR. HAWKINS: It's based on that one well.

22 COMMISSIONER WEISS: Okay. Now, you get two
23 wells. Then what happens?

24 MR. HAWKINS: And it's based on the two wells,
25 one well in each --

1 COMMISSIONER WEISS: Is it twice the first?

2 MR. HAWKINS -- quarter section.

3 No, it's a combination of an acreage contribution
4 and a deliverability contribution --

5 COMMISSIONER WEISS: Okay.

6 MR. HAWKINS: -- so it takes into account how
7 well the wells produce.

8 COMMISSIONER WEISS: Yeah, okay. So then three
9 wells again, the horizontal well producing --

10 MR. HAWKINS: Yeah.

11 COMMISSIONER WEISS: -- much more, it would --

12 MR. HAWKINS: And the way that that's been
13 handled up there is that when you get the third well in,
14 the allowable is based on only two of the deliverabilities.

15 In fact, that was one of the first cases that
16 came up in the northwest, was, how do you handle the
17 allowable?

18 And the decision out of the Commission was to
19 take two of the wells, calculate the allowable for that
20 spacing unit, and then allow the three wells to produce.

21 COMMISSIONER WEISS: And your suggestion is, use
22 all three wells?

23 MR. HAWKINS: Just continue to produce all three
24 wells, but limit the allowable to two -- to the
25 deliverability from two of the wells.

1 COMMISSIONER WEISS: Okay, thank you.

2 MR. HAWKINS: I'm really not suggesting anything
3 different than what's being done today, a continuation of
4 that practice.

5 CHAIRMAN LEMAY: Just one comment, Mr. Hawkins.

6 How do you view this idea of taking the setback
7 distance times two and drawing in those proration units
8 into the allowable? Have you -- Do you have a comment on
9 that one?

10 MR. HAWKINS: Well, I haven't really thought
11 about that. It's the first time I saw it today.

12 I guess I can understand if you've got a
13 horizontal lateral that comes right up next to the edge of
14 a spacing unit and it's pretty clear that that other
15 spacing unit is going to be drained, that maybe you had
16 better include that into the allowable and into the
17 project.

18 You certainly wouldn't want to exclude it and
19 have them be not participating in the well and not, you
20 know, sharing in the production.

21 So I think that's probably a reasonable way to
22 handle it.

23 CHAIRMAN LEMAY: Anything else?

24 Thank you very much, appreciate that.

25 Mr. Kendrick, do you want to give us some

1 comments here --

2 MR. KENDRICK: Yes.

3 CHAIRMAN LEMAY: -- the way Mobil feels about all
4 this?

5 MR. KENDRICK: I have a letter to include in the
6 record.

7 Mobil Exploration and Producing US, Inc., just
8 has a couple of comments.

9 Basically, Mobil supports Meridian's approach.
10 And as between Meridian and Marathon, I think -- believe
11 simpler is better. So to the extent that Marathon is
12 requiring less information to be put into an application,
13 generally Mobil supports that, though I think I personally
14 like the idea of categorizing the horizontal wells and
15 defining them more precisely. That sounds like it's not
16 too burdensome, and it produces some good information.

17 So that the other two specific points are that
18 Mobil would like to make sure that injection wells are
19 covered in the definition of directional-drilled wells.

20 I think that could be accomplished either by
21 including the word "wellbore" in the definition of
22 "directional drilled well", because "wellbore" includes the
23 word "injection" in the definition. So in the definition
24 of "directional drilled well", if we could say "directional
25 drilled well" means a wellbore which is intentionally

1 deviated, et cetera, and that would include the idea of
2 injection well, as well as production well, or we could say
3 means a production or injection well which is intentionally
4 deviated.

5 Either way, Mobil would like to get across the
6 concept clearly that an injection well is covered by this
7 rule.

8 And the other point Mobil would like to advance
9 is that a special test allowable be included in this rule.

10 I've had some experience with this where a
11 special test allowable was granted for a three-month
12 period. 200 percent of production -- 200 percent of the
13 normal allowable was allowed for three months.

14 And here we're kind of stepping -- We're not
15 addressing the more complicated issue that we've been
16 discussing this morning about how you determine the
17 allowable in an area where you have vertical and horizontal
18 wells, but just for the purpose of gathering valuable data
19 to allow the administrative approval of a special test
20 allowable, and in this case that I cited in my letter, it
21 was for 200 percent of the allowable for three months, with
22 a make-up period of one year, at the end of the test
23 period, starting at the end of the test period.

24 So this isn't a bonus allowable; it's something
25 that would be made up, but just a way to, I guess, produce

1 more, to acquire more information during a test period.

2 I think I heard Mr. Stogner say that he would
3 recommend that this kind of special test allowable be
4 approved administratively.

5 So really that's the -- that concludes my
6 comments.

7 CHAIRMAN LEMAY: Bill?

8 COMMISSIONER WEISS: No, I don't have any
9 questions.

10 CHAIRMAN LEMAY: Okay, I don't either then.
11 Thank you very much, appreciate it.

12 Larry Sanders, do you want to tell us what -- Are
13 you representing Phillips or the Permian Basin Petroleum
14 Association or both?

15 MR. SANDERS: I have two hats on today --

16 CHAIRMAN LEMAY: Okay.

17 MR. SANDERS: -- but I'm just going to wear one
18 of them.

19 CHAIRMAN LEMAY: Okay.

20 MR. SANDERS: I'm going to appear as a
21 representative for the Permian Basin Petroleum Association.

22 My name is Larry Sanders, and I'm currently
23 employed by Phillips Petroleum Company as a regulation
24 specialist. And as I said before, I'm here today
25 representing the Permian Basin Petroleum Association.

1 I've just been recently appointed as Chairman of
2 the PBPA Regulatory Affairs Committee, appointed by
3 Executive Vice President Bob Kiker. The PBPA does thank
4 the Commission for allowing us to present our comments and
5 concerns.

6 Some clarification from our draft letter here.
7 We have been working off of the draft that we received at
8 the February hearing, so we're very pleased with the
9 changes that have been made here by Meridian, Marathon and
10 some of the other recommendations. So our comments are
11 more directed at the previous draft that we did have.

12 Some of the things that we did concern was the
13 vast amount of information that was being required for an
14 administrative approval process. We felt like that
15 administrative approval process should be simpler for both
16 the industry and the Commission to process.

17 There's a lot of required data there that was
18 basically the same information that was required for a
19 hearing.

20 A cost reduction -- a large portion of the cost
21 of coming to the hearing is preparing for the hearing, not
22 necessarily coming to the hearing. We look at it as coming
23 to the hearing is part of the benefit too, to get a trip to
24 Santa Fe. I always enjoy those.

25 We commend the Commission for taking the

1 initiative to allow this hearing, and we commend the people
2 that started the process for an administrative approval
3 process. We just felt like it was far too detailed for an
4 administrative approval procedure.

5 Our subcommittee, in looking at this procedure
6 felt like that we could get together, or a small working
7 task force could get together and hash this thing out in a
8 day to a good, workable draft that would be acceptable to
9 both the industry and the Commission.

10 In looking at the changes that have been offered
11 here today, we feel like it could probably be hashed out in
12 a half a day, and we would like to support and provide our
13 assistance in helping the OCD draft that.

14 I know that you all are time-constrained on a lot
15 of these things. We have the ability and the time, and
16 some people that could come in from various backgrounds,
17 both engineering, geological and regulatory, that we could
18 assist -- not necessarily having the PBPA do it, but ask
19 one of the applicants themselves, maybe a five-, six-member
20 task force could work this thing out very, very quickly,
21 have someone from the OCD on there.

22 And I'll be more than happy to answer any
23 questions.

24 CHAIRMAN LEMAY: Commissioner Carlson or
25 Commissioner Weiss?

1 COMMISSIONER WEISS: I don't have any questions.

2 CHAIRMAN LEMAY: I've got one, Larry.

3 MR. SANDERS: Yes, sir.

4 CHAIRMAN LEMAY: I notice you did recommend a
5 task force. We've talked about that.

6 MR. SANDERS: Yes, sir.

7 CHAIRMAN LEMAY: We're forming so many task
8 forces, we felt this could be a slam-dunk or kind of a
9 quick kill, so to speak.

10 But as an alternative to a task force, could you
11 get together with your group and submit a draft, a draft
12 order?

13 MR. SANDERS: I think we could, yes, sir.

14 CHAIRMAN LEMAY: I think that could be the same
15 thing in essence --

16 MR. SANDERS: Yeah.

17 CHAIRMAN LEMAY: -- and then indicate on that
18 draft order those parties that participated in it --

19 MR. SANDERS: Yes, sir.

20 CHAIRMAN LEMAY: -- because I think that's what
21 I'd like to do, is ask those of you that haven't had input
22 comment, to leave the record open to submit a draft order,
23 and indicate on that draft order those companies that
24 participated in the draft order, in support, which you're
25 submitting to the Commission.

1 Because we're close -- I mean, I think us hearing
2 here today are awfully close to coming up with an order.
3 And rather than -- We've got these committees all over the
4 place. Rather than --

5 MR. SANDERS: Well, again --

6 CHAIRMAN LEMAY: -- form another one, I'd rather
7 try and do it --

8 MR. SANDERS: Yeah. Again, when you're talking
9 about a work committee, you have something there to whittle
10 out.

11 The testimony that's being provided here today,
12 you can lay it out on the table, and that working task
13 force can hash that out.

14 It's not like we're going to start on House Bill
15 65 where we start from a blank sheet of paper and there's
16 going to be a lot of input and a lot of data that needs to
17 be gathered.

18 I think we have the data, we have the expertise.
19 And when I say now that this can be hashed out in a half a
20 day by some of the participants here, to hand you a final
21 working draft is what I was referring to.

22 CHAIRMAN LEMAY: The problem with that --

23 MR. SANDERS: Again, I --

24 CHAIRMAN LEMAY: -- we did this before, is, the
25 draft order, then -- those that weren't included in the

1 committee will say, I never had a chance to comment on the
2 draft order.

3 MR. SANDERS: Yeah.

4 CHAIRMAN LEMAY: Why didn't it was sent -- Why
5 wasn't that sent out --

6 MR. SANDERS: Yeah.

7 CHAIRMAN LEMAY: -- to everyone? Why wasn't
8 testimony presented on the draft order for cross-
9 examination?

10 I mean, that's the process, and --

11 MR. SANDERS: Yes, sir.

12 CHAIRMAN LEMAY: -- and what we've done is used
13 committees in that light.

14 With this particular deal, we had a kind of a
15 straw man out there that people take shots at, and then
16 we're coming up, I think, as a Commission with a consensus.

17 And what can help in that, of course, is a draft
18 order --

19 MR. SANDERS: Yes, sir.

20 CHAIRMAN LEMAY: -- by any committee that you can
21 put together. And we'll certainly weigh that heavily.

22 MR. SANDERS: Okay, I'll go back to the PBPA and
23 given them that information --

24 CHAIRMAN LEMAY: Okay, Bill, maybe you have a
25 comment?

1 COMMISSIONER WEISS: I have a comment.

2 I wonder if a telephone wouldn't work here?

3 MR. SANDERS: It could do it, yes, sir.

4 Conference calls are becoming the very thing. I know our
5 company, our --

6 COMMISSIONER WEISS: And probably draft orders
7 came in the same.

8 MR. SANDERS: Yes, sir.

9 FROM THE FLOOR: If they all came in the same, we
10 wouldn't need the phone call.

11 CHAIRMAN LEMAY: We're not doing a political
12 survey where we weigh how many of them come in.

13 MR. SANDERS: Yeah, I think there's just -- And
14 like I say, in sitting back and listening to the testimony
15 today, I agree with you that we are very, very close.

16 There's a couple items that hadn't been brought
17 up that we will address as the PBPA, but we'll send those
18 in to you, and the reasons behind those comments.

19 We feel like if there's going to be a lot of
20 activities within the boundaries of the unit itself, the
21 proration unit, the producing interval or something like
22 that, a lot of our members aren't too concerned as far as
23 notification to offsets.

24 It's when you get within the -- very near the
25 lease lines, the exceptions to the rules are multiple

1 allowables over what's assigned, that we're concerned with
2 there, so -- the protection, so -- We heard comments both
3 in favor of it against that.

4 But yes, sir, we'll be more than happy to --

5 CHAIRMAN LEMAY: Appreciate it.

6 MR. SANDERS: We're going to need a little time.
7 We're small, and we're just forming. I don't know what
8 kind of time limit you were concerned with.

9 CHAIRMAN LEMAY: Two weeks give you enough time?

10 MR. SANDERS: Three would be great.

11 CHAIRMAN LEMAY: I was going to say one.

12 MR. SANDERS: My company's going through
13 reorganization too at the time so -- Yes, sir, we'll see
14 what we can do for you.

15 CHAIRMAN LEMAY: Thank you very much.

16 Is there anyone else that's here, would like
17 to -- Ruth?

18 MS. ANDREWS: I would like to submit the written
19 comments of Arco and Texaco. Some of their concerns have
20 been addressed.

21 CHAIRMAN LEMAY: Okay.

22 MS. ANDREWS: I would also like to make a
23 suggestion that NMOGA would be happy to facilitate
24 consensus of the people who have commented, and probably
25 could do that within the week --

1 CHAIRMAN LEMAY: Well, thank you.

2 MS. ANDREWS: -- working with our Regulatory
3 Practices Chairman, Tom Kellahin.

4 CHAIRMAN LEMAY: Wonderful. Can you wear two
5 hats, Mr. Kellahin, one representing Meridian and the other
6 criticizing --

7 MS. ANDREWS: I think we all are -- I think we're
8 very close here today.

9 CHAIRMAN LEMAY: I think so.
10 Can I ask one quick one on this, Ruth?

11 MS. ANDREWS: Yes.

12 CHAIRMAN LEMAY: In summarizing this, is Arco
13 saying simpler is better?

14 MS. ANDREWS: Yes --

15 CHAIRMAN LEMAY: I think so.

16 MS. ANDREWS: -- and I believe Texaco is saying
17 the same.

18 CHAIRMAN LEMAY: And Texaco is saying the same.

19 MS. ANDREWS: They are both standing in support
20 of the effort.

21 CHAIRMAN LEMAY: Okay. Is there anyone else that
22 has some comments to make here?

23 Mr. Kellahin, could I just ask you, because we've
24 all kind of taken pot shots at Meridian's Application, to
25 give you the last shot at it and summarize and kind of

1 express Meridian's feelings on this?

2 MR. KELLAHIN: Well, thank you, Mr. Chairman.

3 I think the process that we have engaged on has
4 been successful. We've had a lot of prior response from a
5 number of companies that we've not shared with you.

6 This is no longer a technical activity. We are
7 ready to have you gentlemen make some decisions about
8 giving us some directions so that we finish the clerical
9 part of the presentation.

10 One issue remaining is what to do about
11 definitions. You've heard that discussed, pro and con. You
12 need to give us some guidance on what to do with
13 definitions.

14 When you go to the components of the application
15 itself the issue is, simpler is better, and you need to
16 balance that with Mr. Carlson's concern about having
17 adequate notice in the public-hearing process so that
18 people can make informed decisions. Accordingly, we need
19 your guidance on a couple of the items.

20 One of the items is the type log. It's number
21 (5) on the checklist. We recommend to you that a type log
22 with regards to the portion of the pool to be accessed be
23 included in information. It's incredibly important for our
24 geologist to know what their geologist thinks is the
25 formation they're going to access. It's often in dispute.

1 It's important and easy to do, to tell us with a portion of
2 the type log, where they're going to be. That is an area
3 where you need to decide.

4 (6) is a written summary of stimulation programs,
5 casing. We've -- Everybody's said, take that out. You can
6 decide, but the consensus is take (6) out.

7 The consensus is, take number (7) out. It dealt
8 with a written summary of abandonment procedures.

9 There is an issue about number (8). Amoco has
10 suggested taking number (8) out, which was a disclosure by
11 the applicant about what the proposed allowable for the
12 project would be. I think that's useful information.

13 If I'm offset, I would like to know what the
14 applicant proposes for an allowable. As you can see, if
15 it's a Mobil application, Mobil is probably going to ask
16 for some kind of special test production rate so they can
17 do some science. I think I ought to know that.

18 Amoco has suggested take it out. We argued,
19 leave it in. It's easy to say it's inherently part of the
20 Application, you ought to tell us as an offset what you're
21 asking for.

22 Number (9). Number (9) is an issue of policy you
23 need to give us guidance on. Number (9) deals with the
24 concept of explaining why you're doing the horizontal
25 technology within a spacing unit that has an existing

1 wellbore. It goes to a regulatory issue.

2 The regulatory issue is, vertical wells or
3 horizontal wells have a certain spacing pattern to them.
4 If that spacing pattern already has a vertical well, you're
5 being asked as a regulator to make a decision on infill
6 drilling. It constitutes a special exception. People
7 ought to know, and you as regulators ought to know what the
8 application is seeking for increased density.

9 You can decide how much he submits, I guess, and
10 you could tone down the content, but there ought to be some
11 disclosure of what he's trying to achieve with the
12 horizontal well. If you disagree, then strike (9).

13 (10), I think everybody agrees that the cost of
14 that project is a matter of the interest owners. You could
15 probably delete (10). Everybody agrees to take (10) out.

16 (11) has an issue in it that you need to
17 consider. The issue is, how much of a regulatory concern
18 should you have for the interest owners and their
19 correlative rights within the spacing unit? And there's a
20 whole complex series of equities involved.

21 The Land Office has some. If they're
22 contributing an acreage to a project area, they may want
23 some notification, they may want consent, they may want to
24 know what's happening.

25 You may decide it's not important, that you don't

1 want to be involved internally to the spacing unit, but
2 there are some incredible contractual and regulatory wars
3 among interest owners in terms of how many of these
4 horizontal wells are drilled in a current vertical project.
5 If you choose not to have that as a matter of policy in
6 this kind of case, you need to strike (11).

7 (12) deals with offset. Commissioner Carlson's
8 point is well taken. There's a drafting error here,
9 because it should be the obligation of the Applicant to
10 tell that offset how many days he's got in which to file
11 his objection, and we can take care of that issue.

12 The question about how to handle an allowable,
13 you could take out the whole allowable concept, I guess,
14 you could use something that we have suggested with
15 Meridian, you can do whatever you want to do.

16 But I think we need some guidance on a minimum
17 fallback default allowable. There ought to be some basic
18 threshold allowable where if you file a plain-Jane
19 application the whole world is going to know how to
20 calculate that allowable.

21 And for example, if you decide to take every 40-
22 acre tract in the spacing unit, and if it's Commissioner
23 Weiss's 16 spacing units, that may give too big an
24 allowable to be produced out of a single well. And if
25 that's to happen, the offsets ought to at least be told, so

1 that they can trigger a hearing and we'll go fight that
2 issue.

3 Mr. Hawkins suggests on page 7 that you take G
4 out. It's a policy decision for you. I, as a draftsman,
5 put it in because I was thinking that these horizontal
6 wells constitute special exceptions, because invariably
7 they are project areas of multiple spacing units.

8 And inherently, by approving these, you are also
9 approving a nonstandard proration unit, and almost always
10 you're changing the density for the pool.

11 And I wanted it clear as a regulatory lawyer that
12 once I got a horizontal approval administratively, that
13 that gave me specific approval from the regulators to
14 change the density in the pool, and I wouldn't have anybody
15 complain.

16 Again, it's a policy decision, it's a drafting
17 question. If you want it out, it's easy to take it out. I
18 recommend you keep it in.

19 At this point, we would recommend, Mr. Chairman,
20 gentlemen of the Commission, that with some guidance and
21 direction from you, and with the opportunity for people to
22 provide additional drafts or comments, if you desire, that
23 you ought to delegate this to Mr. Stogner, who's had a
24 wealth of experience. Many of the things we've drafted for
25 you came out of hearings before him, and he is your best

1 resource to give us clear guidance on how to complete the
2 process.

3 Thank you.

4 CHAIRMAN LEMAY: Thank you, Mr. Kellahin. And
5 thanks to all of you.

6 We've tried something a little different here.
7 We've taken an application, rather than create a committee,
8 and put it out there, and we've had some modifications to
9 that, and there will still be the opportunity to comment.
10 We'll leave the record open for three weeks.

11 What I'd appreciate your doing in your comments,
12 would be most helpful to us, is take one of the two draft
13 orders that you've seen here today, either the Meridian
14 order or the modified Marathon order, and mark it up as to
15 your comments so that we don't have a lot of new things
16 coming in that we have to deal with. To be honest with
17 you, if there hadn't been comment on some new concept,
18 there would be very little chance of it being incorporated
19 into a draft order.

20 So to be helpful to us and to be constructive,
21 we'd like to have the comments revolve around changing the
22 two draft orders that you have out there and then
23 submitting those to us with the people behind that draft
24 submittal that would agree with it.

25 Permian Basin, of course, is one. If NMOGA

1 wanted to do that, they could -- they've got, certainly,
2 Texaco's comments in there and Arco's. So you know, with
3 that, that may be enough.

4 But we shall leave the record open three weeks
5 for additional comments, and at that time we'll take the
6 case under advisement.

7 Again, thank you very much for your
8 participation.

9 (Thereupon, these proceedings were concluded at
10 12:30 p.m.)

11 * * *

12

13

14

15

16

17

18

19

20

21

22

23

24

25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) SS.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Commission was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL May 10th, 1995.


 STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 1998