


STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY )  
THE OIL CONSERVATION DIVISION FOR THE )  
PURPOSE OF CONSIDERING: )  
APPLICATION OF SHELL WESTERN E&P, INC., )  
TO AMEND DIVISION ADMINISTRATIVE ORDER )  
DHC-1149, LEA COUNTY, NEW MEXICO )

CASE NO. 11,435



REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

February 8th, 1996

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MICHAEL E. STOGNER, Hearing Examiner, on Thursday, February 8th, 1996, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

## I N D E X

February 8th, 1996  
 Examiner Hearing  
 CASE NO. 11,435

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>DAVID NELSON</u> (Engineer)	
Direct Examination by Mr. Bruce	4
Examination by Examiner Stogner	15
REPORTER'S CERTIFICATE	21

\* \* \*

## E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	5	14
Exhibit 2	6	14
Exhibit 3	7	14
Exhibit 4	7	14
Exhibit 5	7	14
Exhibit 6	8	14
Exhibit 7	8	14
Exhibit 8	11	14
Exhibit 9	12	14
Exhibit 10	14	14

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

RAND L. CARROLL  
Attorney at Law  
Legal Counsel to the Division  
2040 South Pacheco  
Santa Fe, New Mexico 87505

## FOR THE APPLICANT:

HINKLE, COX, EATON, COFFIELD & HENSLEY  
218 Montezuma  
P.O. Box 2068  
Santa Fe, New Mexico 87504-2068  
By: JAMES G. BRUCE

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2 10:30 a.m.:

3           EXAMINER STOGNER: At this time I'll call Case  
4 Number 11,435.

5           MR. CARROLL: Application of Shell Western E&P,  
6 Inc., to amend Division Administrative Order DHC-1149, Lea  
7 County, New Mexico.

8           EXAMINER STOGNER: Call for appearances.

9           MR. BRUCE: Mr. Examiner, Jim Bruce from the  
10 Hinkle law firm in Santa Fe, representing the Applicant.

11           I have one witness to be sworn.

12           EXAMINER STOGNER: Are there any other  
13 appearances?

14           Will the witness please stand to be sworn?

15                               DAVID NELSON,

16 the witness herein, after having been first duly sworn upon  
17 his oath, was examined and testified as follows:

18                               DIRECT EXAMINATION

19 BY MR. BRUCE:

20           Q.    Would you please state your name and city of  
21 residence for the record?

22           A.    My name is David Nelson. I reside in Hobbs, New  
23 Mexico.

24           Q.    And what is your occupation and who is your  
25 employer?

1           A.    My occupation is field and production engineer  
2 for Shell Western E&P in Hobbs, covering that area of  
3 production.

4           Q.    Have you previously testified before the Division  
5 as a production engineer?

6           A.    No, I have not.

7           Q.    Would you briefly describe your educational and  
8 employment background?

9           A.    I have completed a bachelor of science degree in  
10 engineering technology from New Mexico State University and  
11 have 15 years of experience in production and facility  
12 assignments for Shell Western.

13          Q.    And does your area of responsibility cover  
14 southeast New Mexico?

15          A.    Yes, it does.

16          Q.    And are you familiar with the engineering matters  
17 pertaining to this case?

18          A.    Yes, I am.

19               MR. BRUCE:  Mr. Examiner, I would tender Mr.  
20 Nelson as an expert production engineer.

21               EXAMINER STOGNER:  Mr. Nelson is so qualified.

22          Q.    (By Mr. Bruce)  Mr. Nelson, referring to Exhibit  
23 1, what is the well involved in this Application?

24          A.    This is a land plat identifying the subject well  
25 and offset operators.  The subject well is located on the

1 State "A" lease, Well Number 10 in Unit A of Section 31,  
2 Township 17 South, Range 35 East.

3 We obtained an administrative order on this  
4 subject well, Number 1149, downhole commingling order,  
5 authorizing the downhole commingling of the Wolfcamp in the  
6 middle Penn, and under that order our production was  
7 limited to 80 barrels of oil and 160 barrels of water per  
8 day.

9 Q. What does Shell seek in this case?

10 A. We seek to amend Downhole Commingling Order 1149  
11 to permit commingled production of 300 barrels a day oil  
12 and 300 barrels a day of water.

13 Q. Okay, let's discuss the reasons for your request.  
14 Referring to Exhibit 2, would you discuss the history of  
15 this well?

16 A. As indicated on Exhibit 2, we spudded the well in  
17 February of 1995 and completed several zone tests during  
18 the time period between when the well was TD'd and our  
19 final completion in May.

20 Our final initial completion was a dual  
21 completion of the middle Penn zone and the Wolfcamp. And  
22 through decline in both zones we approached -- or applied  
23 for a downhole commingling agreement of the two zones and  
24 were so granted on September 25th, 1995, a downhole  
25 commingling of the middle Penn and Wolfcamp zones.

1 Q. Okay.

2 A. We then commingled the two zones downhole.

3 Q. What is Exhibit 3?

4 A. Exhibit 3 is an example or a schematic showing  
5 how the dual completion was done.

6 Q. Back in May?

7 A. That's correct. Two tubing strings with a packer  
8 isolating the Wolfcamp and the Penn. The Wolfcamp perms,  
9 as you'll notice, are from 9711 foot to 10,126 foot, and  
10 our middle Penn perms are from 10,524 to 10,600.

11 Q. Now, after the dual completion, what were the  
12 producing rates from these two zones? And I'd refer you to  
13 your Exhibits 4 and 5.

14 A. Exhibits 4 and 5 show production history of the  
15 two zones while separated.

16 Exhibit 4 is the middle Penn zone. The data  
17 points on this curve are -- as you can see on the X axis,  
18 are test dates and not a chronological time line of the  
19 history of the well.

20 That format is consistent on Exhibit 5, which is  
21 our Wolfcamp production history.

22 Q. And at the time, up until about the time the well  
23 was commingled, the production rates in the Wolfcamp were  
24 about what? Twenty, 25 barrels a day?

25 A. Yes, by late August the Wolfcamp had declined to

1 around 20 to 25 barrels, and the Penn completion or Penn  
2 zone had declined to around 40 barrels.

3 Q. Now, after the rates declined, at that time you  
4 applied for the downhole commingling?

5 A. Yes, that's correct, and we --

6 Q. And that was in early September?

7 A. Right, we applied in early September and were  
8 granted by Order 1149 on September 25th.

9 Q. What is Exhibit 6?

10 A. Exhibit 6 is the schematic of the well that was  
11 originally completed as a single completion after the order  
12 was granted. This was a rod pump configuration with our  
13 pump located below the middle Penn perms, and we were  
14 attempting to artificially lift the combined production  
15 with the rod lift system.

16 Q. Okay. After you instituted the downhole  
17 commingling, what happened to production? And I refer you  
18 to your Exhibit 7.

19 A. Exhibit 7 is a production history of the combined  
20 zones, since downhole commingling, in September of 1995.

21 I might walk you through the format of this  
22 exhibit a little bit.

23 Again on our X axis, we are indicating test dates  
24 and not a time line in chronological order.

25 Our Y axis on the left-hand side are oil and

1 water in barrels per day and gas in MCF per day.

2 The X axis on the right-hand side is fluid above  
3 pump in feet.

4 The legend at the bottom, we used different  
5 symbols to indicate each data stream as you walk through  
6 the plot.

7 Early October, the well performance was within  
8 the limits of our current downhole commingling order. As  
9 we proceeded to produce the well, our indication on our  
10 surface monitoring equipment was that we had more fluid  
11 available. So we began to -- we made a lift system change  
12 and extended our stroke length to try to increase our  
13 capacity on a rod lift system.

14 At that point, our well began to produce over the  
15 limit of the current order of 80 barrels. We were  
16 averaging around 100 barrels a day of oil.

17 We recognized that we were going to have fluid  
18 available to consistently overproduce at this point, and we  
19 applied for an amended downhole commingling allowable, and  
20 this was in October, and that request was to increase the  
21 allowable to 250 barrels a day, oil.

22 Q. Did you discuss this well with Jerry Sexton in  
23 the Hobbs Division Office?

24 A. Yes, in -- I might back up a little bit. As we  
25 got through October and into November, we made another

1 change mechanically and increased our capacity, because we  
2 were having indications of additional fluid. We made a  
3 pump change, size change in early November, and our well --  
4 and continued to pump the well.

5 In November, our well unloaded and we were going  
6 to begin -- be in an overproduced position for the month of  
7 November, and we approached Jerry Sexton at that time and  
8 indicated to him that we were in an overproduced condition,  
9 or would soon be there, and requested a temporary relief of  
10 that allowable while we tested the well and gained data for  
11 the hearing.

12 Q. Before you shut the well down, how was it  
13 producing?

14 A. In mid- to late November, the well was producing  
15 around 200 barrels a day, all production coming up the  
16 tubing string with a rod lift system.

17 At that point, the well -- the fluid level was  
18 lowered to a point where it unloaded its fluids or went on  
19 a kick-type production where we were actually producing  
20 fluids both up the annulus and up the tubing string with  
21 the rod system. That's when we shut the well down and  
22 contacted Jerry.

23 Q. What did you do next?

24 A. Jerry gave us a temporary allowance for the  
25 allowable, and we returned the well to production.

1           We went through a series of additional lift  
2 capacity changes, trying to continue to reduce the fluid  
3 level in the well.

4           As you can see on Exhibit 7, we indicate an  
5 estimated fluid level in our solid circles, and obviously  
6 it was -- we were maintaining a high fluid level, so we  
7 continued to make lift changes to try to pump the well off.

8           Q.    At what point did you then install -- I think you  
9 installed the submersible pump?

10          A.    Right.  By early January of 1996, we recognized  
11 that our current lift system was inadequate to pump the  
12 well off.  So in January of this year, we ran a submersible  
13 pump to double our lift capacity and try to expedite our  
14 pump-off condition in our well.

15                Along with the submersible pump we ran a  
16 bottomhole pressure sensing device to help us better  
17 monitor the downhole conditions so that we could gain data  
18 for the hearing.

19                Exhibit 8 indicates the well schematic, which is  
20 its current state, and it shows that our -- we have the  
21 submersible -- the intake of the submersible actually  
22 between the Wolfcamp and the Penn production, or  
23 perforation, excuse me.

24                And our bottomhole sensor is actually at the  
25 bottom of that assembly, or around 10,500 foot.

1 Q. And with this configuration you finally succeeded  
2 in pumping off the well?

3 A. Yes. If you refer to Exhibit 9, we have a --  
4 some recent bottomhole pressure data that was gathered by  
5 our device that we ran with the submersible pump. The  
6 initial pressure listed on that exhibit is a static  
7 pressure that was in the well, that we developed as we made  
8 a mechanical change, which -- over the period of a day, day  
9 and a half. So the well was basically in a static  
10 condition at that point.

11 As you can see, as we go down the list through  
12 time, currently we're at approximately 340 pounds  
13 bottomhole pressure with the well, submersible pump  
14 running. Our production rate is somewhere around 220  
15 barrels of oil, 220 barrels of water, and 550 MCF gas.

16 Q. Based on these pressures, would you anticipate  
17 any crossflow or damage to either reservoir by allowing the  
18 continued downhole commingling?

19 A. No, our estimated bottomhole pressure on our  
20 Wolfcamp when we had the original order put together was  
21 somewhere around 1150 p.s.i.g. level. And as you can see,  
22 this 340 is significantly below that pressure.

23 Q. Now, if this Application was denied and you go to  
24 a single middle Penn completion, could there be an adverse  
25 effect on recovery from the Wolfcamp?

1           A.    Yes, as indicated on Exhibit 4, I believe it is,  
2   the production history of the Wolfcamp --

3           Q.    Five.

4           A.    Excuse me, 5, Exhibit 5.  Our Wolfcamp production  
5   was around the 20- to 25-barrel range.  And because of the  
6   depth of this well, 20 to 25 barrels would be marginally,  
7   at best, economics, from an economic standpoint to produce  
8   from artificial lift as a single completion.

9                    So because of that fact, we -- it would be  
10   difficult for us to justify a single Wolfcamp completion by  
11   itself.

12          Q.    Now, you asked for 300 barrels of oil per day as  
13   an allowable.  How did you pick that number?

14          A.    At the time when we had initially readvertised  
15   our request for the 300, the well was producing at close to  
16   that level.  The 300 also is below the prorated allowable  
17   for the Penn zone by itself, which is 320, and it -- the  
18   well was indicating at that point that it had the  
19   capability of producing at 300 barrels a day.

20          Q.    What is the current allocation of production  
21   between zones, or what -- What is it currently producing,  
22   to the best of your knowledge between zones?

23          A.    I believe the current Order of 1149 indicates  
24   that our production will be split on a 35 oil to the  
25   Wolfcamp and 65 oil to the Penn.

1           And the gas is, I believe, 37 to the Wolfcamp and  
2 the balance to the Penn.

3           Q.    And what do you think is a more proper allocation  
4 at this point?

5           A.    Based on our history of our Wolfcamp while it was  
6 isolated, we feel that probably a 90 percent Penn and 10  
7 percent Wolfcamp, both on the oil and gas, is more  
8 appropriate at this time.

9           Q.    Okay.  Were all offset operators notified of this  
10 Application?

11          A.    Yes.

12          Q.    And is Exhibit 10 my affidavit of notice to the  
13 offset operators?

14          A.    Yes.

15          Q.    And were Exhibits 1 through 9 prepared by you or  
16 under your direction?

17          A.    Yes.

18          Q.    And in your opinion, is the granting of this  
19 Application in the interests of conservation and the  
20 prevention of waste?

21          A.    Yes.

22                MR. BRUCE:  Mr. Examiner, at this point I would  
23 move the admission of Shell's Exhibits 1 through 10.

24                EXAMINER STOGNER:  Exhibits 1 through 10 will be  
25 admitted into evidence.

## EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY EXAMINER STOGNER:

Q. Mr. Nelson, I don't have a copy of DHC Order 1149. What is the current oil allowable from that order?

A. I believe it's 80 barrels of oil and 160 barrels of water.

Q. How about gas?

A. I don't have it in front of me.

MR. BRUCE: Yeah, Mr. Examiner, I did attach the DHC-1149 to the Application. Yeah, the gas allowable is 2000 times the -- it says times the top unit allowable for the Vacuum-Middle Penn Pool. And the allowable for that pool is 320 barrels per day, so it would be 640 MCF.

Q. (By Examiner Stogner) Okay. What is the current spacing for the Vacuum-Wolfcamp Pool, Mr. Nelson?

A. 80 acre.

Q. 80 acres.

A. And it's 40 on the Penn.

Q. And it's 40 on the Penn. And in the Vacuum-Wolfcamp Pool there's 80 acres. Is this the only well on that proration unit?

A. Yes, that's right.

Q. Okay. And what is the current stand-alone allowable for the Vacuum-Wolfcamp Pool?

A. 355, I believe, on the oil.

1 Q. 355. And do you know what the GOR on that pool  
2 is?

3 A. No, sir, I don't.

4 Q. Okay. And the Vacuum-Middle Penn Pool, that's  
5 40-acre spacing?

6 A. Yes, sir, that's right.

7 Q. Is this the only well in that proration unit at  
8 this time?

9 A. Yes, that's right.

10 Q. And what is the allowable for that pool?

11 A. 320 oil.

12 Q. 320 oil. And what's the GOR?

13 A. 2000 for the Penn.

14 MR. BRUCE: Mr. Examiner, for your information,  
15 the Wolfcamp unit is a laydown comprised of the north half,  
16 northeast quarter. All of the acreage is state acreage.  
17 And if you look at Exhibit 1, the entire northeast quarter  
18 is a single state lease owned solely by Shell and with the  
19 state the only royalty owner.

20 Q. (By Examiner Stogner) When I compare your  
21 Exhibits 4 and 5 again, and once you started commingling,  
22 what caused the production to shoot up?

23 A. Our configuration in a dual completion was, we  
24 had 2 1/16 tubing on the Penn side and 2 3/8 tubing on the  
25 Wolfcamp side. The Wolfcamp was rod-pumped and was pumping

1 off.

2 Our Penn production, we believe now, was being  
3 curtailed by our mechanical system in the hole, and that we  
4 were not -- If you'll look at the Penn historical plot, our  
5 water production was less than ten barrels.

6 It appears that we were probably not producing  
7 the available water in a flowing or a natural production  
8 type setup. And that led us to believe that there as more  
9 fluid there possibly available, or that we were not  
10 producing -- the well would not continue to flow, naturally  
11 flow. It was in a slug-flow-type status when we downhole  
12 commingled.

13 Q. And you're proposing a 90-percent -- a 10-percent  
14 allocation, 90 for Penn and 10 for Wolfcamp?

15 A. Right.

16 Q. And what is that based on?

17 A. Because our Wolfcamp was already artificial lift  
18 prior to the downhole commingling and was in a pumped off  
19 condition, we feel like the Wolfcamp was probably at  
20 maximum production.

21 And based on the rate at that time of 20 to 25  
22 barrels versus our total rate of 250 to 300 barrels, we  
23 think a 90 to 10 is a little more realistic.

24 Q. Neither one of these zones is being waterflooded,  
25 is it?

1 A. That's correct, both are primary.

2 Q. When I look at your Exhibit Number 1, is this an  
3 accurate indication of how many wells are out there in that  
4 quarter section? Just two of them?

5 A. No, sir, there's a shallower waterflood currently  
6 active in that area. These are the deep penetrations below  
7 that waterflood.

8 Q. The Number 9 well, what's its status?

9 A. It's a Drinkard completion, and its perforations  
10 are in the 7500 range.

11 Q. In this quarter section, has there been any  
12 Pennsylvanian and/or Wolfcamp production before?

13 A. No.

14 Q. This well isn't by chance a discovery well for  
15 either zone, is it?

16 A. I don't believe it is, no, sir.

17 Q. You have 7-inch casing in this well, correct?

18 A. That's correct. That gave us the ability to dual  
19 complete.

20 Q. Did you dual complete again and do something  
21 different again in that one zone that was being curtailed  
22 or mechanically curtailed?

23 A. The -- It would get back to an economic issue as  
24 far as whether we would continue to produce the Wolfcamp or  
25 not.

1           By a single completion or commingling the  
2 production, we feel like probably the opportunity to  
3 produce the Wolfcamp reserves -- yes, the Wolfcamp reserves  
4 is better justified if it could be combined with the Penn  
5 production.

6           It's marginally economic to produce the Wolfcamp  
7 by itself.

8           Q.   And this is a single state lease, correct?

9           A.   Yes, that's right.

10          Q.   And the difference between the 40-acre proration  
11 unit and the 80-acre proration unit, as far as interest  
12 goes, is that different?

13          A.   No difference there.

14          Q.   Pardon?

15          A.   No difference.

16          Q.   No difference, it's identical?

17          A.   Correct. We own 100 percent of the working  
18 interest, and the state is the royalty owner.

19               EXAMINER STOGNER: Any other questions of this  
20 witness?

21               MR. BRUCE: No, sir.

22               EXAMINER STOGNER: You may be excused, Mr.  
23 Nelson.

24               Anything further, Mr. Bruce?

25               MR. BRUCE: No, Mr. Examiner.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

EXAMINER STOGNER: Does anybody else have anything further in Case Number 11,435?

Then this case will be taken under advisement.

(Thereupon, these proceedings were concluded at 10:58 a.m.)

\* \* \*

**I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 11435, heard by me on 8 February 1996.**

*[Signature]*  
Examiner  
Oil Conservation Division

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO )  
 ) ss.  
COUNTY OF SANTA FE )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL February 16th, 1996.



STEVEN T. BRENNER  
CCR No. 7

My commission expires: October 14, 1998