


STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
 THE OIL CONSERVATION DIVISION FOR THE)
 PURPOSE OF CONSIDERING:) CASE NOS. 11,280
) (Reopened)
 IN THE MATTER OF CASE NO. 11,280 BEING) and 11,447
 REOPENED PURSUANT TO THE PROVISIONS OF) (Consolidated)
 DIVISION ORDER NO. R-10,389, WHICH ORDER)
 CREATED THE SOUTH BLACK RIVER-DELAWARE)
 POOL IN EDDY COUNTY, NEW MEXICO, AND)
 PROMULGATED TEMPORARY SPECIAL RULES)
 THEREFOR)
)
 APPLICATION OF ENSERCH EXPLORATION,)
 INC., TO AMEND SPECIAL POOL RULES FOR)
 THE SOUTH BLACK RIVER-DELAWARE POOL,)
 EDDY COUNTY, NEW MEXICO)

ORIGINAL



REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

January 11th, 1996

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MICHAEL E. STOGNER, Hearing Examiner, on Thursday, January 11th, 1996, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

January 11th, 1996
 Examiner Hearing
 CASE NOS. 11,280 (Reopened) and 11,447 (Consolidated)

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESSES:	
<u>JERRY R. ANDERSON</u> (Landman)	
Direct Examination by Mr. Carr	6
Examination by Examiner Stogner	12
<u>RALPH NELSON</u> (Geologist)	
Direct Examination by Mr. Hall	12
Examination by Examiner Stogner	19
<u>GREG STRICKLAND</u> (Engineer)	
Direct Examination by Mr. Hall	20
Examination by Examiner Stogner	36
STATEMENT ON BEHALF OF CHEVRON USA PRODUCTION COMPANY:	
By Mr. Carr	43
REPORTER'S CERTIFICATE	45

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	8	11
Exhibit 2	13	19
Exhibit 3	14	19
Exhibit 4	16	19
Exhibit 5	21	35
Exhibit 6	24	35
Exhibit 7	29	35
Exhibit 8	29	35
Exhibit 9	-	-
Exhibit 10	-	-
Exhibit 11	-	-
Exhibit 12	42	-

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

MILLER, STRATVERT, TORGERSON & SCHLENKER, P.A.
125 Lincoln Avenue
Suite 303
Santa Fe, New Mexico 87501
By: J. SCOTT HALL

FOR CHEVRON USA PRODUCTION COMPANY:

CAMPBELL, CARR & BERGE, P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

* * *

1 WHEREUPON, the following proceedings were had at
2 9:05 a.m.:

3 EXAMINER STOGNER: At this time I will call
4 Reopened Case 11,280.

5 MR. CARROLL: In the matter of Case Number 11,280
6 being reopened pursuant to the provisions of Division Order
7 Number R-10,389, which order created the South Black River-
8 Delaware Pool in Eddy County, New Mexico, and promulgated
9 temporary special pool rules therefor.

10 EXAMINER STOGNER: At this time I'll call for
11 appearances.

12 MR. HALL: Mr. Examiner, Scott Hall of the
13 Santa Fe office of the Miller, Stratvert, Torgerson and
14 Schlenker law firm.

15 I have three witnesses this morning.

16 We would also ask that this matter be
17 consolidated with Case Number 11,447 for purposes of
18 testimony.

19 EXAMINER STOGNER: Are there any other
20 appearances in Case 11,280?

21 MR. CARR: May it please the Examiner, my name is
22 William F. Carr with the Santa Fe law firm Campbell, Carr
23 and Berge. I would like to enter our appearance in this
24 case and in the subsequent case for Chevron USA Production
25 Company.

1 We do not intend to call a witness. I have a
2 statement to read on behalf of Chevron at the conclusion of
3 the case in support of the Application of Enserch.

4 EXAMINER STOGNER: If there's no objection, then
5 at this time Case Number 11,447.

6 MR. CARROLL: Application of Enserch Exploration,
7 Inc., to amend special pool rules for the South Black
8 River-Delaware Pool, Eddy County, New Mexico.

9 EXAMINER STOGNER: Other than Mr. Hall or Mr.
10 Carr, are there any appearances in this matter?

11 Mr. Hall, I assume the three witnesses are also
12 going to appear in this matter?

13 MR. HALL: Yes, sir.

14 EXAMINER STOGNER: Okay. Would the witnesses
15 please stand to be sworn?

16 (Thereupon, the witnesses were sworn.)

17 MR. HALL: We would call Jerry Anderson.

18 JERRY R. ANDERSON,

19 the witness herein, after having been first duly sworn upon
20 his oath, was examined and testified as follows:

21 DIRECT EXAMINATION

22 BY MR. HALL:

23 Q. For the record, please state your name and your
24 place of residence.

25 A. My name is Jerry R. Anderson. I reside at 4325

1 Las Robles in Plano, Texas.

2 Q. And by whom are you employed and in what
3 capacity?

4 A. I'm employed with Enserch Exploration as a
5 regional landman.

6 Q. And Mr. Anderson, have you previously testified
7 before the Division and one of its Examiners and had your
8 credentials accepted and made a matter of record?

9 A. Yes, I have.

10 Q. And are you familiar with the Applications in
11 these matters and the subject lands?

12 A. Yes, I am.

13 MR. HALL: Mr. Examiner, are the witnesses
14 credentials acceptable?

15 EXAMINER STOGNER: They are.

16 Q. (By Mr. Hall) Mr. Anderson, if you would,
17 briefly state what it is Enserch is asking by its
18 Application.

19 A. We're seeking an order to provide for a
20 20,000-to-1 GOR, gas-oil ratio, in preparation for the
21 recompletion of the Murchison State "2" Number 1 well, to
22 be completed in the upper level of the Brushy Canyon
23 Delaware, and that's located at approximately 4800 feet.
24 And we also propose to present evidence relative to the
25 establishment of permanent pool rules for the South Black

1 River-Delaware Pool.

2 Q. Is Enserch recommending further development on
3 40-acre spacing for the pool?

4 A. Yes.

5 Q. If you would, please, sir, refer to Exhibit 1 and
6 identify that and review it for the Examiner.

7 A. Exhibit 1 is a map showing the offset operators
8 within two-mile radius. It also shows the -- has the well
9 spotted and the Delaware pools that are inside that area.

10 Q. Is the Enserch acreage highlighted in red?

11 A. Yes, it is.

12 Q. Are you the individual who's responsible for
13 identifying the operators of all wells and owners of
14 unleased mineral interests within a mile of the subject
15 lands?

16 A. Yes, I am.

17 Q. In conjunction with that, did you direct a search
18 be conducted of public records in Eddy County and at the
19 BLM to determine that ownership?

20 A. Yes, we checked federal, state and county records
21 to determine the ownership.

22 Q. And Exhibit 1, was it prepared at your direction
23 and control?

24 A. Yes, it was.

25 MR. HALL: Nothing further of this witness, Mr.

1 Examiner.

2 We would move the admission of Exhibit 1.

3 And by way of explanation, you'll note that the
4 title block shows reference to the P-J Delaware field.
5 Apparently the District Office had recently issued a letter
6 indicating that the nomenclature of this pool now is the
7 P-J Delaware, so that's made it onto the exhibits here
8 today.

9 I don't know if the District Office letter is
10 correct or not. Make sure we're singing from the same hymn
11 book.

12 EXAMINER STOGNER: You threw me for a loop on
13 that one. Okay now, you said that's the P-J Delaware, and
14 that's what the nomenclature is known?

15 MR. HALL: The Order establishes this as the
16 South Black River-Delaware, and that's the nomenclature on
17 the Order.

18 Apparently the District Office recently issued a
19 letter saying this is the nomenclature for this pool. Now,
20 I have not seen that letter, but it went out to industry,
21 and that's why the exhibits refer to P-J Delaware. I just
22 wanted to point that out for the record. We're talking
23 about the same acreage described in the Order as the South
24 Black River-Delaware.

25 EXAMINER STOGNER: You wouldn't happen to have a

1 copy of that letter, would you?

2 MR. HALL: I have not seen it.

3 THE WITNESS: No, we don't, not with us.

4 RALPH NELSON: We do not have it.

5 EXAMINER STOGNER: Okay. Subsequent to that
6 hearing, I'll have to see what's going on on that.

7 However, I am going to refer at this time to
8 Order Number R-10,389, which declaratory paragraph number 2
9 essentially contracted and deleted certain acreage in the
10 P-J Delaware Pool for the creation of this particular pool.

11 Now, that was done under an application brought
12 on by Dalen Resources Oil and Gas Company in May of 1995

13 It's possible that the District Office wasn't
14 aware of this, because it went outside of the regular
15 nomenclature proceedings. I'm just speculating at this
16 point, of course, but I know we do have a new personnel
17 down there, a geologic, that may not be aware of it.

18 However, that should not change the scope of
19 today's case, because we are talking about the South Black
20 River-Delaware Pool, which had special pool rules and a
21 special allowable; is that correct? Under authority of
22 this order?

23 MR. HALL: That's correct, and you should know
24 that Enserch acquired Dalen Resources Oil and Gas effective
25 January of this year, and they are the successor operator

1 to the subject well in this particular acreage.

2 That earlier application was for the
3 establishment of rules for new discovery pool, and those
4 lands were contracted out of the P-J Delaware Pool, that is
5 right.

6 Note also that the Byram Service describes the
7 South Black River-Delaware Pool incorrectly. I think they
8 picked up the description for the contracted-out acreage.
9 So we're all wrong.

10 EXAMINER STOGNER: All righty. So Byram's has it
11 described wrong. Thank you for bringing that to my
12 attention. I'll try to get everybody's nomenclature
13 brought into line.

14 MR. HALL: Thank you. That concludes our direct
15 of Mr. Anderson.

16 We would move the admission of Exhibit 1.

17 EXAMINER STOGNER: Exhibit Number 1 will be
18 admitted into evidence at this time.

19 I assume, Mr. Hall, that your affidavit of
20 mailing will be presented at a later time?

21 MR. HALL: We'll present that today.

22 EXAMINER STOGNER: But at a later time in today's
23 case?

24 MR. HALL: Yes, sir.

25 EXAMINER STOGNER: Okay, let's discuss that at

1 this point. I'm assuming that the people that you have
2 shown in your one-mile radius of this pool boundary is also
3 represented with these affidavits.

4 MR. HALL: That's correct.

5 EXAMINATION

6 BY EXAMINER STOGNER:

7 Q. Mr. Anderson, what does the red mark indicate on
8 your Exhibit Number 1?

9 A. That outlines the acreage that Enserch has an
10 interest in.

11 Q. Okay. Now, what is your understanding of the
12 pool boundary of the South Black River-Delaware Pool at
13 this time?

14 A. The 40 acres surrounding the Murchison State "2"
15 Number 1 well, the southeast quarter of the northeast
16 quarter.

17 EXAMINER STOGNER: I have no other questions of
18 this witness. You may be excused.

19 MR. HALL: Call Ralph Nelson at this time.

20 RALPH NELSON,

21 the witness herein, after having been first duly sworn upon
22 his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. HALL:

25 Q. Mr. Nelson, for the record, state your name and

1 place of residence.

2 A. I'm Ralph Nelson. I'm at 5501 Oak Hills Drive,
3 Colleyville, Texas.

4 Q. And for whom do you work and in what capacity?

5 A. Enserch Exploration as a staff geologist.

6 Q. And have you previously testified before the
7 Division, one of its Examiners, and had your credentials
8 made a matter of record?

9 A. Yes, sir, I have.

10 Q. And are you familiar with the lands that are the
11 subject of these combined Applications and the subject
12 well?

13 A. Yes.

14 MR. HALL: Mr. Examiner, are the witness's
15 credentials acceptable?

16 EXAMINER STOGNER: They are.

17 Q. (By Mr. Hall) Mr. Nelson, if you would, provide
18 Mr. Stogner with an overview of the geology of this
19 particular reservoir.

20 A. Well, on Exhibit 2, this map will show the -- a
21 Brushy Canyon sand at the 4800-foot level. This sand is
22 representative of the Brushy Canyon sands in this area.

23 The general trends are from the northwest to the
24 southeast. These are deep-water fan channel sands whose
25 source is to the northwest, approximately 15 miles.

1 Generally in this area, these sands will tend to
2 stack, these channels will tend to stack, and I believe
3 we'll show that in a later exhibit.

4 Q. All right. If you'd like to refer to Exhibit 3,
5 that's your cross-section.

6 A. Exhibit 3 is a cross-section that runs between
7 the Enserch Murchison State "2" and the Chevron Number 7
8 Marquardt Federal. Half of this cross-section was
9 previously submitted in the earlier hearing, that being the
10 Murchison State 2, both the density neutron log and the mud
11 gas log sections that you see.

12 The pay in the Murchison State Number 1 is in the
13 basal Brushy Canyon interval. We have identified sands A,
14 B and C.

15 Also colored there in A and B is green on the
16 porosity side. We believe those sands to be oil
17 productive. We are not sure, we believe there's a
18 possibility that the C sand is gas-bearing because of the
19 three to three and a half times increase in the mud gas log
20 and the density neutron separation.

21 Also on these wells, this cross-section, you'll
22 see the 4800-foot sand. Chevron attempted a completion in
23 the basal Brushy Canyon sand and was unsuccessful and has
24 moved up to the 4800-foot sand. They have frac'd it and
25 had a flow test of 60 to 100 barrels a day and 800 to 900

1 MCF and 800 barrels of water. It's not officially been
2 potentialized, but it is currently shut in, waiting on a
3 disposal well.

4 We have a similar interval in the 4800-foot sand
5 in the Murchison State Number 2 [sic]. Perhaps -- It is a
6 little thicker, and it has better porosity development. It
7 also has a good mud gas show.

8 Q. All right. With respect to the other well, the
9 Chevron Marquardt well, does it appear that the C sand you
10 described is also present in the Marquardt well?

11 A. It appears that there is perhaps an equivalent
12 interval in the C sand. However, the C sand in that well
13 is very much lower porosity, with the exception of one
14 little two-foot stringer at the base, and that two-foot
15 stringer corresponds and correlates to a high gas kick on
16 the mud gas log in the Chevron well also.

17 Q. All right. The fact that the C is not as
18 prevalent in the Marquardt well, does that indicate to you
19 that that particular sand is more of a discontinuous
20 nature?

21 A. Very much so. We see that in other wells that
22 have been drilled in this immediate area. C sand is not
23 present in these other wells in a similar way as it is
24 here.

25 Q. All right. These C sands, are they lenticular in

1 nature?

2 A. Very much so.

3 Q. All right.

4 A. Very discontinuous.

5 Q. With respect to the 4800-foot sand in the
6 Murchison State well and then over on the Marquardt 7 well
7 for Chevron, what does that tell you? The fact that it
8 shows up in both logs prevalently, does it indicate that
9 there is homogeneity in the reservoir for that section?

10 A. It appears that this is a much more continuous
11 sand. It's a much more massive sand, it's more widespread
12 across the area. It is potentially the better pay in the
13 area.

14 Q. All right. Anything further with respect to
15 Exhibit 3?

16 A. No.

17 Q. Let's refer to Exhibit 4, if you would explain
18 that to the Hearing Examiner.

19 A. Exhibit 4 is a structure map from the top of the
20 base of the Brushy Canyon sand with an isopach overlay, net
21 porosity isopach greater than 12 percent overlay, and the
22 Murchison State Number 2 shown there is the thickest net
23 porosity well in the area, as we have seen.

24 The Chevron Marquardt well is approximately a
25 third as thick, and note there are no other wells nearly as

1 thick, perhaps, except for one down in the southeast of the
2 southwest of 1.

3 Q. All right. Do Exhibits 2 and 4 show the known
4 extent of the limits of both the upper and lower sands?

5 A. Yes, they do. And they also both show how these
6 sands tend to stack as the isopach for both sands appears
7 to be in approximately the same positions.

8 Q. Would you explain why Enserch is seeking an
9 increase in the GOR limitation to 20,000 to 1?

10 A. Well, in the production of the Number 1 Murchison
11 State "2", which Mr. Strickland will discuss in detail
12 later, the GOR has increased in producing in the range of
13 13,000 to 19,000 GOR.

14 The Marquardt well also tested in a range that
15 was in the 9000 to 15,000 range. We feel like that is the
16 nature of these reservoirs.

17 Q. All right. With respect to the 4800-foot sand,
18 is there any likelihood of drainage across Enserch's lease
19 line from the Chevron well?

20 A. The Chevron well is drilled 330 feet off the line
21 from our leases. Our side wall core porosities in the
22 4800-foot sand, as well as their side wall core porosities,
23 indicate that is the most permeable sand between the two
24 sand intervals.

25 Since we have not perforated the well and

1 production-tested the well, we don't have, really, any
2 information to say that it is or it isn't.

3 Q. You cannot preclude that there will be drainage,
4 then?

5 A. That's correct. It is a porous and permeable
6 sand.

7 Q. Does your data continue to confirm that reserves
8 can be most efficiently and economically drained on 40-acre
9 spacing?

10 A. Yes, especially in the basal Brushy Canyon sand,
11 because of the discontinuous nature of these sands. And
12 also producing these two sands together would be more
13 economical, rather than separate completions.

14 Q. All right. And separate allowables -- Would it
15 make sense to be producing these through separate
16 allowables, separate wells, separate tubings?

17 A. No. No, it would make more sense to produce them
18 economically, as in one completion.

19 Q. All right. In your opinion, will the
20 establishment of permanent pool rules with an allowable set
21 at 250 barrels of oil per day and at 20,000-to-1 GOR
22 limitation be in the interest of conservation, the
23 prevention of waste and the protection of correlative
24 rights?

25 A. Yes, it would.

1 Q. And were Exhibits 2 through 4 prepared by you or
2 at your direction?

3 A. Yes, they were.

4 MR. HALL: That concludes our direct of Mr.
5 Nelson.

6 We would move the admission of Exhibits 2 through
7 4.

8 EXAMINER STOGNER: Exhibits 2 through 4 will be
9 admitted into evidence.

10 Mr. Carr, your witness.

11 MR. CARR: I have no questions, Mr. Examiner.

12 EXAMINATION

13 BY EXAMINER STOGNER:

14 Q. Mr. Nelson, as far as the production off that
15 Chevron well, adjacent -- that's the Number 7 Marquardt
16 Federal well -- are those perforations blocked off at
17 present, as shown on your Exhibit Number 3, or are they
18 producing simultaneously, that upper and lower interval?

19 A. No, there's a cast iron bridge plug set at 4900
20 feet, so they have shut off those perforations, the lower
21 perforations.

22 Q. Lower perforations. And the -- Only the upper
23 perforations --

24 A. Yes.

25 EXAMINER STOGNER: Mr. Hall, I have no other

1 questions of Mr. Nelson at this time.

2 MR. HALL: All right. At this time we would call
3 Greg Strickland.

4 GREG STRICKLAND,

5 the witness herein, after having been first duly sworn upon
6 his oath, was examined and testified as follows:

7 DIRECT EXAMINATION

8 BY MR. HALL:

9 Q. Mr. Strickland, for the record would you state
10 your name and place of residence, please, sir?

11 A. Greg Strickland. I live in Dallas, Texas.

12 Q. And by whom are you employed and in what
13 capacity?

14 A. I'm employed by Enserch Exploration in the
15 capacity of petroleum engineer.

16 Q. All right. Have you previously testified before
17 the New Mexico Oil Conservation Division?

18 A. No, I have not.

19 Q. If you would, please, sir, give the Hearing
20 Examiner a brief summary of your educational background and
21 work experience.

22 A. I graduated from Texas A&M University with a
23 bachelor of science in petroleum engineering in 1980. I
24 became employed for Enserch Exploration in 1981 as a
25 petroleum engineer and have worked there continuously for

1 the past 15 years.

2 And I'm also a registered professional engineer
3 in the State of Texas, in the specialty of petroleum
4 engineering.

5 Q. Have you testified before the Texas Railroad
6 Commission?

7 A. Yes, sir, I have.

8 Q. Are you familiar with the Application Enserch has
9 filed in this case and the subject pool in the Murchison
10 State 2?

11 A. Yes, I am.

12 MR. HALL: Mr. Examiner, we would offer Mr.
13 Strickland as an expert petroleum engineer.

14 EXAMINER STOGNER: Mr. Strickland is so
15 qualified.

16 Q. (By Mr. Hall) Mr. Strickland, if you would,
17 please, refer to Exhibit 5 and explain what this is
18 intended to reflect to the Hearing Examiner.

19 A. Exhibit Number 5 is an exhibit initially
20 submitted in the past proceeding. It is a PVT analysis
21 performed by Core Laboratories. The sample was taken from
22 our discovery well, the Murchison State "2" Number 1, after
23 about ten days of stabilized flow.

24 The significant things to note on that exhibit
25 are the relative oil volume or formation volume factor of

1 1.5, the solution gas-oil ratio of 1051 toward the bottom
2 of the page, and the API gravity of the oil of 45.5 degrees
3 API. This is indicative of a black oil reservoir.

4 Q. Does it also tell you whether or not this is a
5 solution gas drive reservoir?

6 A. Yes, this would be a typical oil sample for a
7 solution gas drive mechanism.

8 Q. All right. And what was the GOR at discovery?

9 A. The GOR at discovery was 1051. From the sample,
10 we initially began producing at a GOR of around 8000 to 1.

11 Q. Is the producing GOR higher now?

12 A. Yes, the producing GOR has been much higher. In
13 fact, the producing GOR has ranged over the last several
14 months from 4700 as the low, up to a high of 19,200.

15 Q. All right. And does this tend to confirm the
16 existence of a solution gas drive?

17 A. Well, it confirms the existence of a combination
18 drive, a solution gas drive, depletion gas drive, and water
19 encroachment.

20 Q. All right. If you would refer to page 2 of
21 Exhibit 5. And I'll note to the Examiner, the bottom of
22 page 2 is marked page 5; I'll ask you to ignore that.

23 But the second page of Exhibit 5 is the
24 "Composition of Primary Stage Separator Gas". What is that
25 intended to reflect?

1 A. What we're trying to identify here, this is the
2 sample of the separator gas taken at the same time the oil
3 sample was taken under the same conditions, and this is the
4 sample of separator gas showing a plant product yield of
5 5.432 gallons per MCF. We're showing a gross heating value
6 of 1208 and a specific gravity of .73. This would appear
7 to be a gas-reservoir gas sample.

8 Q. And what is the primary source for this gas?
9 Which interval?

10 A. We believe that this gas sample is dominated by
11 the presence of the gas seen in the C sand, which was
12 described by Mr. Nelson to be the primary gas-bearing sand
13 in the completed interval.

14 Q. All right. If you would refer to page 3 of
15 Exhibit 5 and explain what this is intended to demonstrate.

16 A. Page 3 is a comparison of gas samples taken from
17 four wells in southern Eddy County, in Brushy Canyon
18 completions, similar to our discovery Murchison State "2"
19 Number 1, and the White City field.

20 The two columns on the right are from the La
21 Huerta and East Loving fields, and they show heating values
22 ranging from 1400 to 1500 BTUs, and they show plant product
23 yields ranging from 11 to 13 gallons per MCF. Those are
24 more typical of black oil systems, solution gas drive
25 mechanisms dominating the oil production.

1 Contrast that with the two columns to the left,
2 which are taken from the East Herradura Bend field and the
3 White City field, or what we're calling White City on the
4 exhibit. The heating values there are from 1170 to 1200
5 BTUs. The plant product yield, respectively, is 5.4 and
6 5.0. That's showing a leaner mixture with the dominance
7 that we mentioned earlier of the gas presence.

8 And in fact, we realize that in the Santa Fe
9 Federal lease of East Herradura, a situation similar to
10 ours occurred wherein Ray Westall completed two zones of
11 porosity by perforating directly, which he thought to be
12 oil zones, did not perforate a presumed gas zone, and
13 fractured into a gas zone. Hence, the presence of the high
14 gas composition, similar to our situation.

15 Q. All right. Let's refer to Exhibit -- now, if you
16 would, please, sir, and explain what this exhibit is
17 intended to demonstrate.

18 A. Okay.

19 Q. Exhibit 6.

20 A. Okay, Exhibit 6? On Exhibit 6 we're showing the
21 production from our particular well, the Murchison State 2
22 Number 1, since it began producing in April through
23 November of 1995. We have a graphical presentation on the
24 first page, followed by a tabular description of the
25 production on the second page.

1 On the graphical presentation, the top line, the
2 black line, is the gas-oil ratio. The red line is the gas
3 produced, green is oil and blue is water.

4 As you notice, on the black line we started out
5 producing at a GOR of around 8000 to 1 and rapidly
6 increased up to a GOR from 17,000, 19,000 to 1, and then
7 decreased down to 10,000 and 4000 to 1, respectively.

8 You can also see, similarly, that the gas
9 production reached a peak and then began a decline.

10 So we have a range of GOR production exhibited on
11 the graph.

12 Q. All right. Is the current gas producing rate an
13 accurate indication of the actual gas-oil ratio of the
14 hydrocarbons at reservoir conditions?

15 A. Yes, we believe that it is.

16 Q. Do you have any plans for putting the Murchison
17 State 2 on pump?

18 A. Yes, as you can see, that the rapid decline in
19 production, we believe, is due to fluid loading. And in
20 fact, if you look at the June-through-August period, it was
21 producing on a daily basis -- in June it only produced 23
22 days, but during June it was producing about 148 barrels of
23 oil, 1.4 million cubic feet of gas, and about 257 barrels
24 of water per day.

25 In August it was producing on a daily basis at

1 868 MCF and about 50 barrels of oil per day and 220 barrels
2 of water.

3 After that time, September, October and November,
4 the oil production fell off dramatically. The gas
5 production also demonstrated a sharp decline as the water
6 production fluctuated.

7 We believe that the sharp decline in the gas rate
8 is not providing enough velocity to continuously unload the
9 high volume of fluids present in the well from both water
10 and oil.

11 We hope that when we put the well on pump --
12 which we are in progress of placing the well on pump, and
13 today is probably the first full day of pumping activity on
14 the well -- we hope to get the production rate back up to
15 50 to 100 barrels of oil per day.

16 Q. All right. What would you anticipate the
17 production to be at the 20,000-to-1 GOR limitation?

18 A. We think that the production rate will be between
19 50 and 100 barrels a day.

20 Q. All right. Do you believe the production at the
21 20,000-to-1 limitation to be the ultimate appropriate GOR
22 at which this well should be produced?

23 A. Yes, I do.

24 Q. And why do you need that higher limitation?

25 A. We need that high limitation in order to

1 efficiently and economically extract the hydrocarbons from
2 the well.

3 Q. All right. Will production at the higher rate
4 deplete reservoir energy excessively or prematurely?

5 A. No, we do not believe that it will.

6 Q. Mr. Strickland, is there any way to complete
7 these wells in the lower section to avoid frac'ing through
8 to the C sand so you can avoid a high-GOR situation to
9 begin with?

10 A. No, there are not. The Brushy Canyon, as has
11 been demonstrated numerous times in this agency as well as
12 through the literature, has minimal barriers that would
13 impede frac growth. You have seven-, eight-foot shale
14 stringers isolating these sands. And in fact, looking at
15 the cross-section Mr. Nelson showed, there was excessive
16 frac growth in the Chevron well.

17 We feel that you cannot isolate the perforation
18 placement and stay out of adjacent sands that might contain
19 different hydrocarbon constituents, as was demonstrated in
20 the Herradura case, and as we have in fact experienced in
21 the Murchison State "2" Number 1.

22 Q. All right. If you would refer back to Exhibit 5,
23 beginning with page 4 of Exhibit 5, it's labeled "Santa Fe
24 Federal Lease - 8 Wells"?

25 A. Yes.

1 Q. If you would review that for the Hearing Examiner
2 and explain what that evidence demonstrates.

3 A. We feel that the Herradura Bend-East Brushy
4 Canyon field is the analog for our situation, and this is a
5 plot of gas-oil ratio versus cumulative oil production for
6 an eight-well lease, the Santa Fe Federal lease.

7 You can see that the GOR reached a peak of 25,000
8 to 1, which is atypical of a solution-gas-drive-dominated
9 production scenario. It began a decline down to a 5000-to-
10 1 level after production of about 153,000 barrels of oil.

11 We feel that the gas sand depleted rapidly, but
12 however, as the gas zone was present, it did dominate the
13 GOR, opposed to a typical solution GOR where the gas-oil
14 ratio increases over the life of production.

15 Q. All right, let's refer to the next page, page 5
16 of Exhibit 5. If you would explain that page?

17 A. On this page, in Exhibit 5, this is a production
18 plot of the same eight wells on the Santa Fe Federal lease.
19 The top curve is the gas curve, the solid line is the oil
20 curve, the light dashed curve is the water curve.

21 And it just goes on to show that as the gas
22 production reached a high of 250 million cubic feet per
23 month in late 1992, oil production was at 10,000 per month,
24 the oil production and gas production were both declining
25 somewhat, you experienced a slight flattening through

1 midway of 1993 as the oil also began to decline. It just
2 goes ahead and confirms the GOR presentation on the
3 previous page.

4 Q. By the way, these plots are for the entire field,
5 are they not? They are not limited to a single well?

6 A. They're limited -- This plot is limited to eight
7 wells on the Santa Fe Federal lease.

8 Q. All right. And you have some updated plots now?

9 A. Yes, I do, I have some updated plots.

10 Q. All right. Let's refer to Exhibit 7, please.

11 A. Exhibit 7 is a continuation of the Herradura
12 Bend-East Delaware field, and it encompasses all wells in
13 the field which were completed, presumably in similar
14 manners. There again, we're going with the same color
15 scheme, red being gas, black being GOR, oil being the green
16 curve and blue being the water curve.

17 And this goes on to show the gas domination of a
18 nontypical solution gas drive system where the GOR on the
19 field basis reached a maximum of 17,000 to 1 and then began
20 to decline over time, and has -- is presently at about 4000
21 to 1. And that's through August of 1995.

22 Q. All right, let's refer to Exhibit 8, if you would
23 explain that exhibit.

24 A. Exhibit 8 is a contrasting exhibit.

25 As you recall from our gas analysis comparison,

1 we said that the Loving, Loving East fields were more
2 typical black oil systems, solution gas oil systems. And
3 there you see, on this decline curve, using the same color
4 scheme, an increasing GOR over the life of the field. You
5 see it beginning at a low point of 2000 to 1, increasing up
6 to 10,000 to 1 over the life of the production.

7 We do not think this is the system we had in
8 place, but we think this is the model of a typical solution
9 gas oil drive system.

10 Q. All right. Now, with respect to the Murchison
11 State "2" well, do you anticipate it will be necessary to
12 fracture-stimulate the 4800-foot oil sand?

13 A. Yes, we do believe we'll have to fracture-
14 stimulate the 4800 sand, as we did the basal Brushy Canyon,
15 in order to achieve commercial production rates.

16 Q. And when you include production from the 4800-
17 foot oil sand, what do you expect the maximum reasonable
18 oil rate to be?

19 A. We expect that based on the greater porosity
20 present in our well, where we had 47 feet of net pay
21 compared to the Chevron well having 32 feet, and with the
22 better permeability present in our well, that we could have
23 rates approaching 150 to 200 barrels of oil per day.

24 Q. And is that porosity demonstrated in Exhibit 3?

25 A. Yes, it was. It's demonstrated on both the

1 cross-section and on the isopach map presented by Mr.
2 Nelson previously.

3 Q. Is there any new evidence that you've seen to
4 suggest that a single gas cap is present in this reservoir?

5 A. No, there is not.

6 Q. All right, if you would refer back once again to
7 Exhibit 5 and page 11 of that. It's the initial production
8 data information. What is this intended to demonstrate?

9 A. This is a spreadsheet of the first month and a
10 half of production from the Murchison "2" Number 1. In the
11 left column you have oil, water, gas, GOR and flowing
12 pressure.

13 We produced the well initially at a -- several
14 different flow rates and a few choke configurations.

15 One thing that's interesting to note, though, is,
16 production at the state-regulated oil system -- or the
17 state-regulated GOR of 2000 to 1 is shown on April 26th and
18 April 27th.

19 There we choked back the well to a 2000 to 1 at a
20 depth bracket allowable of 107 barrels of oil per day,
21 would give us a gas production of roughly 200 MCF per day.

22 When we put the well on an 8/64 choke and
23 produced 203 MCF, we produced six barrels of water and six
24 barrels of oil.

25 The next day we increased the choke slightly to a

1 9/64. We experienced 213 MCF. However, we produced no
2 fluid whatsoever.

3 The point here is that the well will not lift any
4 fluid at the 200-MCF-per-day rate and the state GOR
5 limitations of 2000 to 1.

6 Q. All right. Let's refer to the next page of
7 Exhibit 5, and explain that, please, sir.

8 A. In Exhibit 5, the last page of this package is a
9 summation of the economic analysis that was previously
10 performed for the Murchison State "2" Number 1. There, we
11 compared the impact of producing the well at 107 barrels of
12 oil per day, a 2000-to-1 GOR, we compared it to producing
13 case 2, 107 barrels a day at 10,000 to 1, and case 3 is 250
14 barrels a day from both the basal Brushy Canyon and the
15 4800 sand at a 10,000 to 1.

16 The important thing to note is, cases 1 and 2
17 are just the basal Brushy Canyon. If we produced at the
18 2000-to-1 GOR we would have a well payout of 64 months, to
19 recover 80,000 barrels, which is a poor economic venture.

20 Conversely, if we produced the well at the 117
21 barrels of oil per day at the 10,000-to-1 GOR, we had a
22 payout of nine months.

23 And at 250 barrels a day, as you would expect,
24 the payout decreased down to six months.

25 And the reserve values were obtained by using

1 volumetric calculations for a 40-acre area of reservoir
2 rock at the prescribed porosities, water saturations and
3 thicknesses.

4 Q. All right. Are you able to project the economic
5 scenario using the 20,000-to-1 GOR limitation?

6 A. No, that work has not been done.

7 Q. All right. Again, for purposes of explanation,
8 the exhibit refers to the White City Brushy Canyon field.
9 In fact, we're referring to the South Black River-Delaware
10 field. Is this the same -- ?

11 A. Yes, this exhibit refers to the same area and
12 refers more specifically to the Murchison State "2" Number
13 1 well in that field, whatever the name might be.

14 Q. Mr. Strickland, in your opinion, are the 250
15 barrels of oil per day allowable and the 20,000-to-1 GOR
16 limitation reasonable and necessary to efficiently and
17 economically develop this field?

18 A. Yes, they are.

19 Q. In your opinion, if the wells in this pool are
20 produced under the 10,000-to-1 GOR limitation, is there a
21 likelihood that the liquids cannot be economically produced
22 and ultimate recoverability of liquids will be impeded?

23 A. Yes.

24 Q. Likewise, if the wells are produced under the
25 statewide rules, 2000 to 1, with the standard depth bracket

1 allowable, the 107 barrels of oil, will recoverability be
2 substantially reduced?

3 A. Yes, we believe this to be the case.

4 Q. Will the continued operation at the lower GOR
5 limitation result in any cross-communication in the oil
6 zone?

7 A. No, we do not believe that any cross-
8 communication in the oil zone will occur by producing in
9 the manner that we are prescribing.

10 Q. That's at the higher GOR?

11 A. At the higher GOR limitation.

12 Q. All right. Do you expect that there will be gas
13 migration among the zones in any event?

14 A. The only event that there might be gas migration
15 would be in the shut-in state.

16 But as long as we continuously produce the well
17 at the higher GORs and at the expected allowables, we do
18 not anticipate any cross-feeding of gas or oil.

19 Q. Is development on 40 acres appropriate for this
20 pool?

21 A. Yes, the 40-acres development is appropriate
22 primarily because of the heterogeneity of the sands, the
23 sand absence in the Chevron well and the sand presence in
24 our well.

25 Q. All right. In your opinion, will granting

1 Enserch Exploration's Application be in the best interests
2 of conservation, the prevention of waste and the protection
3 of correlative rights?

4 A. Yes, I believe it is.

5 Q. And are you recommending that the temporary pool
6 rules for the pool with a 20,000-to-1 GOR limitation be
7 made permanent?

8 A. Yes, I am.

9 Q. Were Exhibits 6 through 8 prepared by you or at
10 your direction?

11 A. Yes, they were.

12 Q. And you've reviewed Exhibit 5 for the Examiner,
13 and we understand this was an exhibit presented in the
14 earlier case.

15 Have you reviewed the information in that exhibit
16 and believe it to be accurate?

17 A. Yes, I have.

18 MR. HALL: All right. We would tender Exhibits 5
19 through 8.

20 And that concludes our direct examination of Mr.
21 Strickland.

22 EXAMINER STOGNER: Exhibits 5 through 8 will be
23 admitted into evidence at this time.

24 Mr. Carr?

25 MR. CARR: No questions of Mr. Strickland.

EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY EXAMINER STOGNER:

Q. Mr. Strickland, in referring to your Exhibit Number 6 --

A. Yes, sir.

Q. -- this is a historical backdrop of the Murchison "2" State Well Number 1 production. Was that production curtailed any during the past -- what? -- year and half of production, because of overproduction of gas allowable?

A. No, sir, it was not curtailed, and it's about nine months of production. There was no curtailment. The well was flowing at choked rates through October, at which point we removed any chokes. But we're just basically flowing the well in a prudent manner.

After the Commission granted the allowables and the provisions for the temporary field rules, there was no restricted flow that I'm aware of.

Q. Would this well, if it had continued with the statewide 2000-to-1 gas-oil-ratio, would it have been curtailed with that GOR?

A. At 2000, the well would lift -- it would be curtailed significantly, and we would be able to lift minimal fluid. And in fact, that the 2000 to 1 -- If you go back to the exhibit, the tabular sheet that has the daily production rates --

1 Q. That's your Exhibit Number 5?

2 A. Yes, page -- It's the second to the last page.

3 Q. Second to the last page.

4 A. The 2000-to-1 rate would be 2000 times 107 depth
5 bracket. But as you notice, we were producing 200 MCF
6 per day and six barrels of oil, which calculated to a
7 34,000-to-1 GOR.

8 So we were unable to lift -- We were highly gas
9 dominated at the 2000-to-1 GOR rate, and we needed to
10 increase the gas flow to reduce the GOR, if that addresses
11 your question.

12 Q. Yes, it does. But still, at the same time, if
13 your production wasn't curtailed, why are you still seeking
14 the 20,000-to-1 GOR?

15 A. Well, as you can see from July to October on the
16 exhibit showing the tabular production of the "2"-1 and the
17 graph, we were producing at 17,500 and at 19,200 in
18 September. At that point in time -- which is higher than
19 the 10,000 to 1 that we were asking for earlier.

20 And what we're seeking is no curtailment or no
21 reduction in the productive capacity of the well. As was
22 mentioned, in Herradura it reached a 25,000 to 1 and then
23 began to decline.

24 We don't expect it to stay at 25,000 to 1,
25 although we're not sure. We feel like that the gas will

1 decline as we deplete that gas sand, and that gas and oil
2 rates will decline over a period of time.

3 But if we produce it at 10,000 to 1, where it was
4 in October, we feel that that GOR was impacted by fluid
5 loading. And as you can see by the production of over 100
6 barrels per day of water, we are experiencing a significant
7 amount of fluid loading.

8 And as we put the well on pump and continue to
9 pump the well, we hope that we'll obtain the 50 to 100
10 barrels a day. If we pump it slowly, perhaps the gas rate
11 could reach the 1.2 million or higher gas rates. It will
12 be a semi-flowing pumping situation.

13 In order to continuously remove fluids, though,
14 we need to have a pump or some form of artificial lift on
15 the well.

16 And we don't want to restrict the productive
17 capability by enforcing the 10,000-to-1 temporary GOR or
18 reverting back to the 2000 to 1, which we think will be
19 detrimental to recoveries and detrimental to the economic
20 recovery of the hydrocarbons.

21 And we feel that in the near term, after we get
22 stabilized performance from the basal Brushy Canyon zone,
23 it may be appropriate at that time to perforate and
24 stimulate the 4800 zone, which we think will have a lower
25 GOR but could have substantial oil production, based on the

1 good porosity development and permeability in the 4800
2 zone.

3 So we're seeking a cushion up to the 250
4 allowable, and we're seeking removal of any barriers to
5 full production capacity from the well, from the 4800 zone
6 at some point in time in the future, and the existing basal
7 Brushy Canyon zone that we currently have open to
8 production, however it's impeded by fluid loading.

9 Q. Is it also your contention on Exhibit Number 6 --
10 well, okay, I'm referring to Exhibit Number 6 and Exhibit
11 Number 8 in this question -- that continued production of
12 this well could see a flattening out and also an increase
13 of the GOR like you have in Exhibit Number 8, which
14 represents the Loving and Loving East Pool production?

15 A. It could. It's possible that as the gas sand is
16 depleted, we might see a rise in the GOR at that point in
17 time. And it could reach the 10,000 level or higher.

18 And there again, the 20,000-to-1 GOR, we do not
19 think, causes any waste. It damages no one, it's the --
20 It's not causing any reservoir energy premature
21 dissipation.

22 It's primarily allowing the gas zone to produce
23 unimpeded, and the GOR could increase to 10,000 to 1, or it
24 may increase to a higher level. We're trying to remove any
25 roadblocks to production.

1 Q. As far as the Exhibit Number 8, that represents
2 -- Is that a solution gas drive, or a depletion gas drive,
3 or is it a combination of all three?

4 A. Well, Exhibit Number 8, we think, is dominated by
5 a solution gas drive. It's got the increasing GOR as you
6 produce the well, the oil production is declining. You can
7 see a fairly flat decline on the green line, following
8 1990, late 1990, early 1991, it's declining at an
9 exponential decline rate of about 15 percent, and the gas
10 is relatively flat.

11 And that decreasing oil and flat gas production
12 causes that increased GOR, and that is typical of most
13 solution gas drive systems.

14 Q. And that's your contention, that this pool
15 mirrors that particular production type or production
16 reservoir as you are exhibiting in Exhibit 8?

17 A. Well we actually feel that Exhibit 7 is more
18 analogous to our situation in the Murchison State, and
19 Exhibit 7 was the Herradura Bend East field, which I
20 believe in 1990, Case 10,541, was -- 10,541, I think, was
21 the case number.

22 But there they testified that they had two oil
23 zones sandwiching a gas sand. They perforated directly the
24 oil sands, frac'd into the gas zone. They had a higher GOR
25 initially, and it was -- It was a departure or deviation

1 from the norm.

2 And we feel like that's probably what we have
3 here. We had the C gas zone that we frac'd into, we have a
4 higher GOR quite early in the well life.

5 In the Loving East, they were down to 2000 to 1
6 and gradually increased up to 10,000 to 1.

7 Here we started off at 8000 to 1 and jumped up to
8 19,000 to 1 quite rapidly.

9 So we feel like -- we may have -- We may have a
10 gradual jump up to this 17,000, 19,000 level, and we may
11 decline back downward. However, we also have the change
12 that as we complete the 4800 sand, which we expect to have
13 a lower GOR, we could have a combination effect.

14 Q. What's the status of the other three wells down
15 in the southeast quarter of Section 2? I mean, you have
16 the State Number 2 drilled; is that correct? Are you
17 drilling it at this time?

18 A. We have a State Number 4 drilled and we have a
19 State Number 3 drilled. The State Number 2 --

20 MR. NELSON: State Number 2 drilled.

21 THE WITNESS: State Number 2 drilled? Okay, not
22 the Number 3. Yeah, that's right, we have the State "2"-2
23 and the State "2"-4 drilled.

24 The State "2"-4 is shut in, and we are
25 presently -- we tested the basal Brushy Canyon in the State

1 Number "2"-4; it was marginally productive. We are in
2 present operations of attempting to examine the well for
3 conversion to a saltwater disposal well to handle the water
4 produced from the State "2" Number 1.

5 And then we would also take the production from
6 the State "2" Number 2. The State "2" Number 2 is a basal
7 Brushy Canyon completion. It's producing about 20 barrels
8 a day on pump and about 100 MCF of gas and about 150
9 barrels of water. They are poorer producing wells than the
10 Murchison State "2" Number 1.

11 Q. In those areas where the Brushy Canyon is not
12 present, but should the 20,000 to 1 be approved, in those
13 areas, where the 4800-foot sand is produced and somebody
14 comes in and is capable of an increased gas-oil ratio
15 because that would also follow through in those areas,
16 would there be any detriment or potential detriment to that
17 production, higher GOR?

18 A. No, we do not feel that that would be the case.

19 EXAMINER STOGNER: Any other questions of this
20 witness?

21 MR. HALL: No, sir.

22 EXAMINER STOGNER: You may be excused.

23 Mr. Hall, do you have anything else further?

24 MR. HALL: Mr. Examiner, we'd also offer our
25 Exhibit 12, which is our affidavit showing notice of this

1 hearing to interest owners and operators.

2 And we'd also ask the Examiner to take
3 administrative notice of the previous testimony offered in
4 Case 11,280.

5 And also, I would note that Unit Production
6 Company is an interest owner in Section 36. They have
7 authorized me to state that they support Enserch's
8 Application here today.

9 And that concludes our case.

10 EXAMINER STOGNER: Okay, with -- I'll take
11 administrative notice of the previous case in this matter.

12 And also in reviewing the docket, I see that Case
13 11,401, which was a nomenclature case, extended the P-J
14 Delaware pool in Eddy County, New Mexico, to include the
15 southeast quarter section too. I'll also take
16 administrative notice on that and make any necessary -- or
17 propose any necessary changes in this order, should it be
18 approved, to straighten up the nomenclature.

19 Mr. Carr?

20 MR. CARR: Mr. Stogner, I have a statement I've
21 been asked to present to the Division for Chevron USA
22 Production Company.

23 It reads:

24

25 As an offset leasehold owner, Chevron USA, Inc.,

1 supports the Application of Enserch Exploration to
 2 amend the special pool rules for the South Black
 3 River-Delaware Pool to increase the GOR to 20,000 to
 4 1. A 20,000-to-1 GOR more accurately represents the
 5 current producing GOR of the field and allows for
 6 economic development of the Delaware formation.
 7 Establishment of a 20,000-to-1 GOR will support the
 8 economic viability of Chevron's workover program in
 9 the South Black River field planned for 1996.

10
 11 The statement is signed by Dave Rittersbacher,
 12 senior geologist for the New Mexico area.

13 EXAMINER STOGNER: Thank you, Mr. Carr.

14 Anything further?

15 Mr. Hall, I'm going to ask that you submit me a
 16 rough draft.

17 MR. HALL: Will do.

18 EXAMINER STOGNER: With that, if there's nothing
 19 further in either Case 11,447 or the reopened portion of
 20 11,280, this case will be taken under advisement.

21 (Thereupon, these proceedings were concluded at
 22 10:06 a.m.)

23 * * * I do hereby certify that the foregoing is
 a complete record of the proceedings in
 the Examiner hearing of Case Nos 11,280 and
 heard by me on 19/1/447

24 _____, Examiner
 25 Oil Conservation Division


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL January 13th, 1996.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 1998