


STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY )  
THE OIL CONSERVATION DIVISION FOR THE )  
PURPOSE OF CONSIDERING: )  
APPLICATION OF OXY USA, INC., FOR AN )  
UNORTHODOX GAS WELL LOCATION AND )  
SIMULTANEOUS DEDICATION, EDDY COUNTY, )  
NEW MEXICO )

CASE NO. 11,455

**ORIGINAL**



REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

January 25th, 1996

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, January 25th, 1996, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

## I N D E X

January 25th, 1996  
 Examiner Hearing  
 CASE NO. 11,455

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESSES:	
<u>BOB DOTY</u> (Geologist)	
Direct Examination by Mr. Kellahin	6
Examination by Examiner Catanach	44
<u>MICHAEL KOVARIK</u> (Engineer)	
Direct Examination by Mr. Kellahin	55
Examination by Examiner Catanach	68
<u>KENT WOOLLEY</u> (Landman)	
Direct Examination by Mr. Kellahin	69
Examination by Examiner Catanach	75
REPORTER'S CERTIFICATE	80

\* \* \*

## E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	44
Exhibit 2	9	44
Exhibit 3	11, 12	44
Exhibit 4	16	44
Exhibit 5	19	44
Exhibit 6	20	44
Exhibit 7	23	44
Exhibit 8	24	44
Exhibit 9	31	44
Exhibit 10	33	44
Exhibit 11	35	44
Exhibit 12	37	44
Exhibit 13	42	44
Exhibit 14	55	68
Exhibit 15	58	68
Exhibit 16	59	68
Exhibit 17	60	68
Exhibit 18	61	68
Exhibit 19	63	68
Exhibit 20	64	68
Exhibit 21	67	68
Exhibit 22	67	68
Exhibit 23	71	75
Exhibit 24	74	75
Exhibit 25		

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

RAND L. CARROLL  
Attorney at Law  
Legal Counsel to the Division  
2040 South Pacheco  
Santa Fe, New Mexico 87505

## FOR THE APPLICANT:

KELLAHIN & KELLAHIN  
117 N. Guadalupe  
P.O. Box 2265  
Santa Fe, New Mexico 87504-2265  
By: W. THOMAS KELLAHIN

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2   9:55 a.m.:

3  
4  
5           EXAMINER CATANACH: Let me call the hearing back  
6 to order, and at this time we'll call Case 11,455.

7           MR. CARROLL: Application of Oxy USA, INC., for  
8 an unorthodox gas well location and simultaneous  
9 dedication, Eddy County, New Mexico.

10          EXAMINER CATANACH: Are there appearances in this  
11 case?

12          MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of  
13 the Santa Fe law firm of Kellahin and Kellahin, appearing  
14 on behalf of the Applicant, and I have three witnesses.  
15 Two of the witnesses have been previously sworn and  
16 qualified as experts, and I have an additional witness to  
17 be sworn.

18          EXAMINER CATANACH: Okay, can we swear in the  
19 additional witness at this time?

20                 (Thereupon, the witness was sworn.)

21          MR. KELLAHIN: Mr. Examiner, with your  
22 permission, I would request that Mr. Doty, who qualified as  
23 a geologic expert in the prior case, continue as a sworn  
24 expert with his qualifications accepted.

25          EXAMINER CATANACH: Yes, sir, that would be fine.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BOB DOTY,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q. Mr. Doty, let's turn to your exhibits, sir, and look at what we've marked as Oxy Exhibit Number 1.

A. Yes, sir, if I may refer to Exhibit 1, this is a map that shows the zones of production surrounding what we are calling our NBFD equity unit, NBFD being North Burton Flat drilling unit.

While we're here, in 1994 we acquired a 3-D seismic survey over this area, and we identified an untested anticline. Its location, the high point of the anticline, occurs at the crosshairs of Sections 10, 11, 14 and 15 on Exhibit 1. We felt like the best way to test that structure was with an equity unit whereby all the working interest was shared and the benefit of that structure, and we have formed that.

Also, the reason why we are here, we are requesting an unorthodox location for all zones, Wolfcamp and deeper. We feel like we have objectives that include Wolfcamp, Strawn, Atoka, Morrow and Devonian.

And we are also requesting approval to produce a second well in the Wolfcamp and the Morrow on the west-half

1 320-acre spacing unit in the west half of Section 11.

2 Currently within the Nbfd unit there are five  
3 active wells, four of which produce from the Wolfcamp, and  
4 one of which produces from the Morrow.

5 Q. All right, let's take a moment and specify what  
6 we're asking the Examiner to address within the context of  
7 this hearing.

8 A. Yes, sir. You'll notice the location for the  
9 Nbfd Number 1.

10 Q. Yes, sir, it's in the west half of 11?

11 A. Yes, sir, and it's unorthodox for a gas 320-acre  
12 spacing unit, and that is the only way we can test the  
13 structure. We cannot test the structure with an orthodox  
14 location.

15 We also feel like there are unique reserves in  
16 the Morrow and Wolfcamp, necessitating us to have approval  
17 to produce a second well from either of those zones at that  
18 location, to produce reserves that cannot be produced from  
19 any of the existing wells.

20 Q. Let's make sure we all have the same  
21 understanding as to the applicable OCD rules with regards  
22 to this location. The west-half dedication is a standard  
23 320-acre spacing unit for all deep gas reservoirs below the  
24 top of the Wolfcamp?

25 A. Yes, sir.

1 Q. There are no special or unusual circumstances  
2 here with regards to a spacing unit size for those gas  
3 formations?

4 A. No, sir.

5 Q. With regards to well locations, for all those  
6 formations, a standard location, as recently amended, then,  
7 by the Commission, as of the order the other day, would be  
8 660 from the side boundary and 1650 from the end line, so  
9 you're not within that target, are you?

10 A. No, sir.

11 Q. The white target you've outlined in your spacing  
12 unit would be the former standard window of 1980 by 660?

13 A. Yes, sir.

14 Q. All right. So we need a wellbore exception  
15 location as to all the deep gas reservoirs.

16 And then with regards to the existing wells, the  
17 well in the north portion of the spacing unit is your  
18 Government "AB" Number 5, and that's currently a Morrow  
19 producer?

20 A. Yes, sir.

21 Q. This is a Morrow reservoir that is a nonprorated  
22 gas pool?

23 A. Right.

24 Q. So this would potentially be a second Morrow well  
25 in the spacing unit?

1           A.    Yes, sir.

2           Q.    And then finally the Wolfcamp well, which is the  
3 one in the northeast of the southeast of this -- of -- I'm  
4 in the wrong half section. It would be the northeast of  
5 the southwest of Section 11. The Government "AB" 1 is  
6 currently a Wolfcamp well in the North Burton Flat-Wolfcamp  
7 Gas Pool?

8           A.    Yes, sir.

9           Q.    All right. So you would need simultaneous  
10 dedication of the proposed well with that Wolfcamp well in  
11 order to produce them concurrently?

12          A.    Yes, sir.

13          Q.    And as to the Wolfcamp, that also is not a  
14 prorated gas pool?

15          A.    Right.

16          Q.    All right. Within the equity area, which is the  
17 four 320-acre spacing units outlined by the black dashed  
18 line, you've identified the other wells, and those are  
19 Wolfcamp wells?

20          A.    Yes, they're all active Wolfcamp wells.

21          Q.    All right. You've set the context of what you're  
22 seeking. Let's look at the geologic data that's driven you  
23 to that conclusion, and let's start with the Devonian.

24                If you'll look at Exhibit Number 2, then,  
25 identify what we're looking at, give us the major geologic

1 points of why this is important, and then we'll talk about  
2 the details.

3 A. Yes, sir. This is a Devonian structure map,  
4 based on a 3-D seismic data which we acquired in this area.  
5 There are no Devonian penetrations in the map area. It's  
6 truly a wildcat zone. And none of the wells, none of the  
7 existing wells, have penetrated this structure.

8 We're calling it the Nbfd anticline. It appears  
9 that it's faulted on the eastern side, there's about 200  
10 feet of structural relief on the structure at the Devonian  
11 level, and it covers around 250 or so acres. It's a truly  
12 unique feature in this area. It's the most pronounced  
13 feature on the seismic data set that we acquired.

14 You'll notice south of the Nbfd structure, Nbfd  
15 anticline on Exhibit 2, there's a structural nose which  
16 continues to the south. I am calling this the Carlsbad  
17 anticline. It's a major structural trend that's clearly  
18 evident on the Morrow "A" Structure mapping horizon that  
19 extends for tens of miles south of the City of Carlsbad.

20 So from a geologic standpoint, this makes perfect  
21 sense that that would be localized, pronounced, unique  
22 features along that structural trend. You just have to  
23 find it, and this is one of them that we've encountered  
24 with the 3-D.

25 Q. Seismic line 130 is shown on the exhibit display,

1 Exhibit 2, in what fashion?

2 A. Yes, sir, seismic line 130 is from the 3-D data  
3 set, and it is included as Exhibit Number 3.

4 Q. All right. When we look at this 3-D area, would  
5 the 3-D area of investigation by the seismic study include  
6 a sufficient area that you have mapped, Sections 10, 11, 14  
7 and 15?

8 A. Yes, sir.

9 Q. Are you and the geophysicist employed to analyze  
10 the seismic data satisfied that appropriate means of data  
11 gathering were executed?

12 A. Yes, sir.

13 Q. And was, in your opinion, that data properly  
14 analyzed and compiled?

15 A. Yes, sir.

16 Q. Were the appropriate parameters and values by  
17 which you judge this material utilized?

18 A. Yes, sir.

19 Q. And as a result of all this processing, do you  
20 now have a conclusion with regards to the position of this  
21 Devonian structural feature as you've interpreted it?

22 A. Yes, sir.

23 Q. And is that interpretation displayed for us on  
24 Exhibit Number 2?

25 A. Yes, sir, it is.

1 Q. Let me ask you some questions first, before we  
2 look at the actual seismic data.

3 Are there any existing wells in any of the  
4 reservoirs that penetrate and produce out of this  
5 structural feature?

6 A. No, sir.

7 Q. So when the Examiner looks at a Devonian,  
8 Wolfcamp or anything else, we're going to find the existing  
9 wellbores have never had the opportunity to access what  
10 you're targeting here?

11 A. That is correct.

12 Q. Okay. Let's look now at Exhibit Number 3, and  
13 help us understand what you have concluded.

14 A. Yes, sir. Exhibit Number 3 is a line from the  
15 3-D seismic data set. Marked on this exhibit is the  
16 location for the Government Nbfd Number 1, which will be  
17 our test well.

18 Also marked is the Devonian horizon in green at  
19 the base of the section. You'll notice there's a question  
20 mark there. That's simply because we have no penetrations  
21 of Devonian that's included on the data set, so that's our  
22 best estimate of where the Devonian probably is.

23 The Morrow "A" mapping horizon is in yellow.  
24 That has been our main mapping horizon for this area, just  
25 because we have the well control also to give us more

1 confidence in the velocities and so forth. Also included  
2 in blue is the Canyon mapping horizon.

3 You'll notice that the Wolfcamp also has a  
4 question mark. The data quality was pretty good throughout  
5 this entire area, certainly sufficient for a structural  
6 mapping to determine the geometry of the structures.  
7 However, it really wasn't good enough for any  
8 stratigraphic-type work, and that's due to the near-surface  
9 cave and karst problems in this area.

10 So the Wolfcamp zone we weren't able to identify,  
11 but it's close enough to the Canyon that we feel like the  
12 structure derived from the Canyon is a very good estimate  
13 for the geometry of the Wolfcamp surface.

14 Q. When you look at this geometry and map it on  
15 Exhibit Number 2, describe for us why you've chosen this  
16 proposed unorthodox location, as opposed to some other  
17 location within this structural feature.

18 A. Yes, sir. We feel like in order to maximize  
19 recoveries, we would need to be at the highest point in the  
20 Devonian. Also, we have some evidence, which I'll get to  
21 in a minute, which seems to indicate the likelihood of an  
22 aquifer in the Devonian that would require us to maximize  
23 recoveries by achieving the highest structural position  
24 possible.

25 I have included an estimated productive limit for

1 the Devonian, which is simply the closing contour for that  
2 structure, which is a reasonable estimate in the absence of  
3 any other data.

4 Q. As you map these various reservoirs, describe for  
5 us which reservoirs you are packaging with regards to this  
6 opportunity within the structural feature.

7 A. Yes, sir. We feel like we have sufficient risk  
8 in this project that requires us to economically justify  
9 the project to include value and reserve potential from the  
10 Devonian, which is an absolute wildcat without any  
11 penetrations in the entire map area, the Morrow, which we  
12 believe has unique reserves associated with this location  
13 that cannot be recovered from any other orthodox location  
14 or existing wells, and the Wolfcamp, which again we believe  
15 have unique reserves that cannot be recovered from any of  
16 the existing wells or at an orthodox location.

17 There is also the potential for Strawn, Atoka,  
18 Upper Pennsylvanian, which would be Canyon, depending upon  
19 your terminology. However, the producing characteristics  
20 of those zones isn't really sufficient to map a precise  
21 opportunity for those zones. So -- There is a likelihood  
22 that those zones could be productive. We are talking about  
23 a very unique feature, and there's a long history of  
24 fantastic oil and gas recovery from localized pronounced  
25 structural features.

1 Q. As we look at this structural feature, which has  
2 been identified in the Devonian, you've mapped the top of  
3 the Devonian or identified it on Exhibit Number 3. Are the  
4 relationships of each of these other reservoirs going to be  
5 identical in terms of structural position as you move  
6 towards the surface?

7 A. In general, the structure will be broader as you  
8 move upsection. The greatest relief will be on the deepest  
9 horizons. In fact, the Devonian is probably faulted, and  
10 that fault probably dies out into a fold as you move  
11 upstructure.

12 For the most part, the high appears to occur at  
13 the same location, very close to the crosshairs of the  
14 meeting of the four sections there.

15 Q. Why have you chosen not to put the well at the  
16 intersection of these four section boundaries?

17 A. Well, we felt logistically from a standpoint of  
18 surface damages and keeping the pad all on the same surface  
19 lease, and also just to ensure that we're not going to  
20 cross the lease boundary, et cetera, that this was a  
21 reasonable compromise to achieve the maximum structural  
22 position at a location that's most convenient for the  
23 operations of the lease.

24 Q. When we deal with these four 320-acre spacing  
25 units within the equity area, are we dealing with federal

1 leases in all instances?

2 A. Yes, sir, they're all federal leases. And the  
3 equity unit involves all new wells produced from Wolfcamp  
4 on down.

5 Q. All right. Let's turn to Exhibit Number 4 and  
6 have you give us a better understanding of this geologic  
7 feature.

8 A. Yes, sir. Mr. Examiner, the purpose of this  
9 exhibit is just to display the remarkable nature of this  
10 feature. This is a 3-D net diagram which is derived from  
11 the Devonian structure map. It's a view looking from the  
12 southwest to the northeast. So if you're orienting Exhibit  
13 2, which is the Devonian structure map, and look from the  
14 southwest to the northeast, this is the 3-D view that you  
15 would see, and this is --

16 Q. Let's take a moment --

17 A. Yes, sir.

18 Q. -- and make sure we're all with you now.

19 Our point of view on Exhibit Number 4, if you'll  
20 find the box, if we find the south orientation, we're  
21 standing on this south line at the bottom of the display?

22 A. We're standing on the southwest corner of the  
23 map, of Exhibit 2 --

24 Q. All right.

25 A. -- the Devonian structure map.

1 Q. And we're looking towards the northeast?

2 A. Looking towards the northeast, yes, sir.

3 Q. And as we do so, you've identified for us on this  
4 illustration the Carlsbad anticline?

5 A. Yes, sir, this is that long, pervasive structural  
6 feature that goes for miles down south of the City of  
7 Carlsbad. And you can see that gentle fold and then the  
8 Nbfd anticline, which is clearly the northern terminus of  
9 this entire structural feature.

10 And on the entire data set this is the most  
11 pronounced -- actually, it was the only anticline that  
12 appeared on this data set.

13 But the quality of the data is very good for this  
14 kind of mapping. We have a high degree of confidence that  
15 this seismic response is reflecting true geometry and an  
16 untested anticline.

17 Q. Describe for us how this display is generated.

18 A. This is a computer-generated display that is able  
19 to take the structure map in digital form and form a view  
20 from any sort of direction that can give you a visual  
21 impact of the feature, relative to the surrounding  
22 structures.

23 Q. All right. What data went into generating the  
24 display?

25 A. This data was specifically generated from Exhibit

1 2 structure, so it's that map turned into a relief diagram.

2 Q. What's the significance of the color code?

3 A. The color code reflects structural elevations. I  
4 don't know specifically -- I don't have that printed out on  
5 the map. But for example, the change from blue to purple  
6 is a structural elevation. Probably from blue to purple is  
7 around 8950. That appears to be the closing contour.

8 Also, you can see the wells spotted on the map,  
9 on the 3-D diagram, and none of the wells penetrate this  
10 feature.

11 Q. I know we're going to come to it in a minute with  
12 more detail, but give us a general understanding of how  
13 this structural feature is formed in terms of geologic  
14 time.

15 A. Well, it's at a unique position at the northern  
16 end of the Carlsbad anticline. The Carlsbad anticline is a  
17 long structural trend.

18 Generally, long structural trends like this have  
19 some element of sideways or strike-slip motion, and these  
20 features are formed from response of continental collision,  
21 closing of the Gulf of Mexico in Permian time. And that  
22 creates space problems that -- The crust has to react, and  
23 it reacts along these deep-seated, long, linear features.

24 And this is one of those features, that when you  
25 get slight bends in these long, linear faults and you move

1 them sideways a little bit, you have sudden pop-ups.

2 They're called flower structures. This is probably a  
3 flower structure, and the very deep seismic quality doesn't  
4 really allow us to identify that kind of resolution. It  
5 would result from just having too much rock material in a  
6 squeezed space, which causes it all to move vertically.  
7 It's a pretty well understood model.

8 Q. Let's focus again on the Devonian. Can you take  
9 us back and demonstrate to us any comparisons or analogies  
10 with other Devonian reservoirs?

11 A. Yes, sir, I would like to refer to the next  
12 exhibit, if I may, Exhibit 5.

13 Q. Exhibit 5.

14 A. Yes, sir. This is Exhibit 5, which is a locator  
15 map of some key Devonian wells in the area.

16 You'll notice in red the Oxy Number 1 NBFD, our  
17 proposed location.

18 Also about four miles to the northeast of that is  
19 the nearest Devonian penetration, the Sun State "Q" Number  
20 1. That's marked in blue on Exhibit 5.

21 This is a very old well; it was drilled in the  
22 Fifties. And it did penetrate the Devonian, it drill stem  
23 tested the top of the Devonian and recovered around 350 MCF  
24 on a DST.

25 They then drilled deeper into the Devonian and

1 DST'd again and recovered a full string of water. This is  
2 a -- And then they set pipe and attempted a completion and  
3 flowed gas at a rate of 1.2 million a day.

4 This is very significant to us. It tells us  
5 several things. First of all, it tells us we have gas in  
6 the reservoir. We have a sufficient a wildcat aspect to  
7 this, and that's an important thing to have some confidence  
8 in.

9 Also, it tells us that we probably have excellent  
10 reservoir development. The logs that were run on this well  
11 are old induction logs. There's virtually nothing you can  
12 do with them from a reservoir description standpoint. But  
13 the test is very indicative that to recover a full string  
14 of water is an excellent sign that there's reservoir  
15 development in the Devonian.

16 Also, it tells us that there's quite a good  
17 chance that there's an active aquifer, which leads us to  
18 our conclusion that we must be at the highest point on the  
19 Nbfd anticline in order to maximize the recovery.

20 Q. Let's look at Exhibit 6 and have you continue  
21 with your comparison.

22 A. Yes, sir, Exhibit 6 is a structure map of the  
23 Shugart-Devonian field. It's located -- I'm sorry, I'm  
24 moving back and forth. If you move back to Exhibit 5,  
25 you'll notice marked about 20 miles to the north and east

1 of the Nbfd the Greenwood Number 1 and the Greenwood Number  
2 3. They produce from the Shugart-Devonian field, which is  
3 the nearest production analog for us. That's virtually a  
4 one-well field from the Greenwood Number 1. And Exhibit  
5 Number 6 is a structure map on that Devonian surface.

6 And you'll note that the structure looks very  
7 similar to the Nbfd anticline. It is a bit bigger, it has  
8 maybe 300 to 400 feet of relief, as opposed to our 200 feet  
9 of relief. Also, there's larger areal extent. It might be  
10 around 600 acres, thereabouts, as opposed to our 250 acres.  
11 But it does look very similar to our feature.

12 That one well, which is marked in red on Exhibit  
13 Number 6, drained the entire structure, and it produced  
14 greater than 18 billion cubic feet of gas and over a  
15 million barrels of condensate.

16 We feel like this is a viable production analogy,  
17 from which we can include -- that our Nbfd structure has  
18 comparable-type reserve potential, possibly scaled down  
19 somewhat to account for the lower structural relief and  
20 lower areal extent.

21 Also, it seems to indicate the potential for our  
22 well draining the entire structure with one well, which  
23 again was our reasoning in forming the equity unit.

24 Q. Before we leave the Devonian topic and move to  
25 the Morrow, summarize for us your conclusions about the

1 Devonian with regards to why it's necessary to locate it as  
2 you've proposed.

3 A. Yes, sir. We feel as if we've identified a very  
4 unique untested anticline within existing pools. We feel  
5 like there's a significant potential for substantial  
6 Devonian reserves in this structure.

7 We feel like it can only be tested at an  
8 unorthodox location due to the likelihood of an active  
9 aquifer, and also the chance of being downdip on this  
10 structure. We feel like it's most important to be at the  
11 very highest point, and we also feel like that we're  
12 looking at a wildcat situation with the Devonian reservoir  
13 that requires backup from shallower zones to economically  
14 justify the project.

15 Therefore, the Devonian potential can only be  
16 tested, and those reserves recovered, from the unorthodox  
17 location, and they cannot be recovered from any existing  
18 well.

19 Q. As you move towards the surface, the next  
20 reservoir that you have considered is the Morrow?

21 A. Yes, sir.

22 Q. When we look at the Morrow, generally the  
23 regulators consider the Morrow as a single pool, but we all  
24 know it has multiple subdivisions. With regards to your  
25 study, which of the portions of the Morrow pool did you

1 analyze and determine had some prospective opportunity?

2 A. I've analyzed a particular sand in the lower  
3 Morrow "A" as a sand which would have substantial reserve  
4 potential on the structure, which cannot be recovered from  
5 any of the existing wells or from any well drilled on an  
6 orthodox location.

7 Q. Let's turn to Exhibit 7. This is your Morrow  
8 structure map?

9 A. Yes, sir. This is a Morrow "A" structure map,  
10 again based on the 3-D seismic data. The Nbfd anticline is  
11 clearly visible in the same location with the high point at  
12 the crosshairs of the four sections within the equity unit.  
13 Also --

14 Q. Why are you considering structural information  
15 with regards to the Morrow reservoir?

16 A. Yes, sir, the particular sand that I'm  
17 identifying as having excellent potential for substantial  
18 reserves on the structure is the Morrow "A" sand, which is  
19 commonly wet throughout this entire area. It is the best  
20 reservoir development that you can encounter, but it's --  
21 For the most part, it is wet.

22 Q. Help us understand the deposition here. We often  
23 have cases before the Division that deal with more typical  
24 Morrow channel sand development that does not have a  
25 structural component to it.

1           A.    Yes, sir, if I might also ask that you refer to  
2 Exhibit 8, which is Cross-Section A-A', as marked on  
3 Exhibit 7, that might facilitate discussion here.

4           I have marked on -- This is a structural cross-  
5 section, by the way, that's hung on a structural datum, and  
6 you'll notice a number of sands that are discontinuous,  
7 that are colored in yellow, and they occur within the  
8 Morrow "C", Morrow "B" and upper part of the Morrow "A" on  
9 this cross-section. Those are the common stratigraphic  
10 traps throughout this area.

11           Well performance from the Morrow, within and  
12 around the Nbfd equity unit has been very poor, and  
13 probably the existence of the structure wouldn't really  
14 benefit these stratigraphic reservoirs very much. They  
15 are, for the most part, poor permeability reservoirs.

16           The reservoir that I'd like to really draw your  
17 attention to, however, is the lower Morrow "A", and it's  
18 marked as "Morrow 'A' Sand" on cross-section A-A', on the  
19 well to the left. It's that very big, thick sand that's  
20 colored in blue as being water bearing. That's our  
21 Government "AC" Number 1 on Exhibit 7 in Section 15.

22           That is a sand that I've tried to depict the  
23 overall geometry of that sand in the brown shading. The  
24 brown shading indicates areas where that particular sand is  
25 greater than 20 feet thick. The high -- The thickest on

1 this map is 80 feet thick in Section 9 to the northwest. I  
2 felt like the well density really didn't allow me to  
3 further detail how thick that sand would be, other than to  
4 say that if I'm within the brown, chances are that it's  
5 certainly greater than 20 feet thick and could be as high  
6 as 80.

7           You'll note that that sand is also present as  
8 we -- Well, let me see. As we go to the eastern side of  
9 this cross-section at location A', the Government "AB" 5,  
10 the sand is absent at that location.

11           The next well to the left on the cross-section is  
12 the Government "AB" 1. This is an important well. It's  
13 located in the Nbfd unit, in the west half of Section 11,  
14 and that's no longer active in the Morrow, by the way. The  
15 Government "AB" 5 in the Section 11 is the active Morrow  
16 well in the Nbfd unit. This other well is currently active  
17 in the Wolfcamp. And it had that sand present, it had 28  
18 feet of that sand present, and it had a gas-water contact  
19 present based on electric log calculations. That well  
20 performed very poorly, made 158 million cubic feet from the  
21 total Morrow, which included several of the stratigraphic  
22 traps up above it.

23           But it's very indicative, which says that  
24 probably that sand does cover over the -- is present over  
25 the Nbfd structure. In general, the source direction for

1 the sands is from the west or north. And having a sand out  
2 there at that location is, to me, highly indicative that  
3 probably the sand channel flowed over the structure to that  
4 well, which the conclusion is, the structure was probably  
5 not present at the time of Morrow deposition and is a later  
6 feature, and that ties in with the overall plate-tectonics  
7 setting of a Permian-age movement on a structure.

8           Therefore, in this particular sand I've also  
9 colored on Exhibit Number 7, the map -- The wells that  
10 produce from this sand are in red. And the wells that are  
11 wet in this sand, either from actual tests or from log  
12 analysis calculation, are in blue.

13           There are a few producing wells from this sand  
14 which are difficult to explain. It appears that when you  
15 get closer to the edge of this sand, in the 20-foot range,  
16 there are localized stratigraphic traps that can trap gas  
17 downdip to water.

18           But for the most part, our objective is this very  
19 thick, very porous sand, which only produces -- it produces  
20 way to the south, farther south on the Carlsbad anticline,  
21 and it's a superb producer in that area.

22           So for us to have the opportunity to actually get  
23 this fantastic reservoir out of the water and to have it  
24 gas saturated offers a great opportunity for substantially  
25 recovery, which can only be recovered at the unorthodox

1 location, it cannot be recovered by any of the existing  
2 wells.

3 Q. Let me ask you why the well in Section 14, the  
4 Oxy Government "T" 1 --

5 A. Yes, sir.

6 Q. -- you've got 12 feet.

7 A. Yes, sir.

8 Q. I'm sorry, what's the -- What's the number?  
9 That's the thickness?

10 A. That's 12 feet of thickness of that sand.

11 Q. Of this particular sand. Why can't that wellbore  
12 recover the gas within this feature that you're trying to  
13 target?

14 A. That well perforated this particular sand, which  
15 was very thin at that location, in one of the localized  
16 stratigraphic traps, along with several other of the yellow  
17 sands, of the stratigraphic traps and the Morrow up the  
18 hole, recovered very little sand. It really wasn't in the  
19 great, porous, thick Morrow "A" sand that we're after. It  
20 would --

21 Q. All right. So in the north half of 14, that well  
22 at that location has no opportunity to produce the Morrow  
23 within this structural feature?

24 A. None whatsoever. This -- we are after -- When  
25 you look at the sands, particularly on cross-section A-A',

1 at the "AC" 1 location, that left-hand well, that's the  
2 kind of sand we're after. Those are the sands that occur  
3 all in that major brown band, and also occur at the "AB" 1  
4 in Section 11.

5 That's an entirely different kind of a potential  
6 than the thin little stratigraphic fingers in the "T"  
7 Number 1, which, by the way, is no longer active in the  
8 Morrow; it's a Wolfcamp well also.

9 Q. Let's go to the gas spacing unit in the Morrow  
10 for which you're seeking the proposed location.

11 A. Yes, sir.

12 Q. If you start on A' on the cross-section, Exhibit  
13 8, that well, as you've identified it, simply has no  
14 opportunity in this Morrow A at that location?

15 A. No, there's a remnant of that sand present, and  
16 we did perforate it, we fired a shot right in that sand.  
17 It's a tight little stringer that again is out of the major  
18 thick sand, with the aquifer associated with it. So it has  
19 no chance at all of recovering those reserves.

20 Q. As we move down the cross-section to the next  
21 wellbore after A', it's going to be the Government "AB" 1,  
22 which is the second Morrow penetration in this spacing  
23 unit, and when you look at the cross-section, you find  
24 better sand thickness in that existing well, but it appears  
25 to be wet?

1           A.    Yes, sir, and that's based on clear log  
2 calculations. We did perforate the very top of that sand,  
3 along with several of the yellow sands above, and it was a  
4 very poor performer, 158 million. We did not perforate the  
5 best part of the sand, the best porosity, because it is  
6 wet.

7           Q.    So in your opinion, is there any opportunity that  
8 the Government "AB" 1 well could drain this Morrow gas out  
9 of this feature within this spacing unit?

10          A.    I don't think any of the recovery came from that  
11 lower Morrow "A" sand. So -- I don't think it drained any  
12 of the Morrow "A" sand, even though there is some  
13 perforations. That's just a value judgment, based on the  
14 quality of the pay that's been hit in the wellbore.

15          Q.    All right. Now, remember the Devonian 3-D  
16 discussion. Tie the Morrow structure and your  
17 interpretation back to your Devonian 3-D.

18          A.    Yes, the proposed location, the unorthodox  
19 location, is in an excellent position to recover the lower  
20 Morrow "A" sands that can only be recovered on that  
21 structure, and it also is at an excellent location for the  
22 Devonian structure also.

23                   We do feel like that the risks associated with  
24 these different reservoirs require us to stack the  
25 potential in order to achieve an economically viable

1 project.

2 Q. When you go back to Exhibit 3, the 3-D seismic  
3 data, you can actually see the Morrow structure feature,  
4 can you not?

5 A. You can see the geometry of the structural  
6 feature, but you can't detect the presence or absence of  
7 sand. The quality of the data doesn't allow that.

8 So based on this interpretation, we are going to  
9 be high and out of the water.

10 Q. If the Division approves your unorthodox location  
11 as to the Devonian, will that same location give you an  
12 equivalent position in the Morrow that is the best position  
13 in the Morrow for this well?

14 A. Yes, sir, within the already stated confines of  
15 operational ease of drilling and so forth. The absolute  
16 crosshair is the absolute high, but we feel like we're --  
17 we just prefer just to be stepped back a little bit. We're  
18 still very high on the structure.

19 Q. Summarize, then, for us your conclusions with  
20 regards to the Morrow "A" opportunity for this well  
21 location, and then we'll go into the Wolfcamp.

22 A. Yes, sir. We feel like the Morrow "A" production  
23 in the area has been from the discontinuous stratigraphic  
24 traps in the "C", "B" and upper "A" portions of the  
25 reservoir, and that we have a unique opportunity for the

1 best reservoir development to finally be out of the water  
2 at the Nbfd anticline, and substantial reserves that can be  
3 recovered from that unorthodox location that cannot be  
4 recovered from any other well or any other orthodox  
5 location.

6 Q. All right, let's go to the Wolfcamp. If you'll  
7 turn to Exhibit 9 and give us a moment to organize our  
8 displays and unfold Exhibit 9, we'll talk about the  
9 Wolfcamp.

10 A. Yes, sir. Exhibit 9, it's a structure map of the  
11 lower Wolfcamp carbonate, and this is actually based on the  
12 Canyon 3-D seismic horizon, because the geometry of the  
13 Morrow really wasn't possible from the data, but the Canyon  
14 was close enough. And so it's a reasonable and common  
15 practice to extrapolate from your nearest good seismic  
16 horizon.

17 The data on this map, the red numbers are clean  
18 carbonate thickness, and of course the black numbers are  
19 structural position. Also marked is cross-section B-B'.

20 We're in the North Burton Flat-Wolfcamp here,  
21 which is an excellent Wolfcamp field.

22 Q. All right, let's take a moment now before we  
23 discuss the details, and let's find all of our current  
24 wellbores within the equity area that are in the Wolfcamp.

25 A. Yes, sir. We'll start in Section 11, the

1 Government "AB" Number 1.

2 Q. That's a former Morrow well; it's now a Wolfcamp  
3 well?

4 A. It's now a Wolfcamp well, yes, sir. The "AB" 5  
5 is not a Wolfcamp well; that's a Morrow well. So that's  
6 the only well in the equity unit in Section 11.

7 Adjacent, in Section 10, the Government "AB" 2 is  
8 also a Wolfcamp completion.

9 To the south in Section 15, the Government "T"  
10 Number 2 is a Wolfcamp completion.

11 And likewise, and to the east in Section 14, the  
12 Government "T" Number 1 is a Wolfcamp completion.

13 And you'll note that none of these penetrations  
14 have penetrated the Nbfd anticline.

15 Q. In your opinion, have you located a Wolfcamp  
16 reservoir, at least some portion of a Wolfcamp reservoir,  
17 that represents unique reserves?

18 A. Yes, sir.

19 Q. Now, let's talk about the Wolfcamp.

20 A. Okay.

21 Q. When we're talking about the Wolfcamp, we are  
22 talking about multiple layered reservoirs, each one  
23 independent of the other?

24 A. Yes, sir.

25 Q. There is no communication in a vertical sense

1 with these reservoirs, except through existing reservoirs  
2 that may have penetrated those zones?

3 A. Yes, sir, that's my opinion, based on log  
4 character, where we do have vertical barriers present on  
5 logs that separate individual porosity zones.

6 Q. All right, let's come to that in a minute. Have  
7 you help us understand now this structural anticline which  
8 you've identified and described for the Devonian and how it  
9 fits together with the Wolfcamp. And if you'll do that by  
10 turning to Exhibit 10, I think it will help illustrate what  
11 you've concluded about the Wolfcamp.

12 A. Yes, sir, there's a wealth of information on  
13 Exhibit 10 that I need to explain.

14 First of all, the areas in blue are -- what this  
15 map is showing is the Wolfcamp production over a regional  
16 area, so all the wells that are colored in blue are  
17 Wolfcamp completions.

18 Also posted on the map are cumulative production  
19 from these Wolfcamp zones, with gas being in red and oil or  
20 condensate being in green.

21 I've outlined the area of the North Burton Flat  
22 Wolfcamp as that blue pod in the center of the map in  
23 Township 20-28, where the best Wolfcamp production occurs.  
24 There really isn't much comparable. Wolfcamp for the most  
25 part is localized in small carbonate buildups with the

1 exception of North Burton Flat Wolfcamp. It is unique in  
2 its extent and its production characteristics throughout  
3 this subregional area.

4 I've also identified in red the Carlsbad  
5 anticlinal trend. That is a clear series of structural  
6 highs and noses, extending south from the City of Carlsbad,  
7 several miles north, and terminating abruptly right at the  
8 Nbfd anticline. I have excellent well control to show that  
9 that entire trend does terminate there, and also the  
10 seismic control indicates the same thing.

11 Q. Let's talk about how this anticline was formed  
12 within the Wolfcamp time interval. The Wolfcamp reservoir  
13 that contains the hydrocarbons is a carbonate reservoir, is  
14 it not?

15 A. Yes, sir, it's a limestone, and it's deposited as  
16 carbonate buildups, probably algal material, maybe several  
17 other different kinds of organism.

18 Q. Each of these Wolfcamp carbonate reservoirs will  
19 have the storage capacity for the hydrocarbons. In this  
20 instance, we're dealing with gas. As we move up to the  
21 next hydrocarbon reservoir, carbonate reservoir of  
22 Wolfcamp, what separates the reservoir?

23 A. It's separated probably by a shaly carbonate,  
24 which is a drowning sequence. It's a series of sea-level  
25 changes that are resulting in stacked reservoir

1 development.

2 Q. All right. Am I correct in understanding that  
3 deposition is such that those reservoirs, the carbonate  
4 Wolfcamp reservoirs, are stacked vertically, and then the  
5 anticline is created and it wraps those reservoirs,  
6 layers -- it drapes them over a feature?

7 A. Yes, actually, the anticline is probably active  
8 while the Wolfcamp is being deposited, and that's creating  
9 a bathymetry or a shallower sea-level position, which is  
10 the maximum area for the organisms to grow.

11 Q. All right, let's leave Exhibit 10 for a moment.  
12 We'll come back to that. Let's go to the illustration,  
13 Exhibit 11, so that we can make sure this depositional  
14 illustration is clear.

15 A. Yes, sir, this is the depositional model that  
16 I've developed that explains the production and the  
17 reservoir development for North Burton Flat Wolfcamp.

18 If you'll notice at the very bottom of this  
19 exhibit, marked Time Number 1, this display shows the  
20 Carlsbad/North Burton Flat deep anticline, creating a  
21 subtle bathymetry on the sea floor, and that's the  
22 controlling factor for carbonate development. That's where  
23 the algal plates develop and where the associated organisms  
24 in symbiotic relationship with the algae grow. And that's  
25 a very common, well documented geologic process that on

1 subtle bathymetric highs, that's where the reefs grow.

2 A very slight sea level drop will result in  
3 freshwater leaching of that carbonate buildup, which is  
4 illustrated by the red zone in the Time 1 diagram, and  
5 that's creating exceptional porosity, which North Burton  
6 Flat has.

7 Several of the other Wolfcamp fields out here  
8 have very scattered porosity, similar to the material to  
9 the north. But North Burton flat has exceptional porosity  
10 development, which is probably cavernous-type porosity  
11 developed from freshwater leaching of the carbonate mound.

12 In Time 2, which is the next diagram up, there's  
13 a sudden sea-level rise which drowns the carbonate buildup,  
14 covers it with thin shaly carbonate. This creates a  
15 vertical barrier to flow from the exceptional porosity  
16 beneath it.

17 In Time 3, the clean carbonate development is re-  
18 established again on the bathymetric high, and the process  
19 begins all over again. Any minor sea-level drop will again  
20 leach the limestone, resulting in exceptional cavernous  
21 porosity.

22 Then finally the upper section, this cycle  
23 repeats several times with maximum reservoir development  
24 occurring over the NBFD anticline, and that remains  
25 untested.

1           I've tried to demonstrate the probable extent of  
2 the North Burton Flat Wolfcamp development as on the flanks  
3 of Nbfd anticlinal structure, where we have one of these  
4 exceptional porosity zones developed. The model predicts  
5 that the maximum bathymetry which occurs on the Nbfd  
6 anticline -- that many more of these carbonate developments  
7 should occur and should contain unique reserves within  
8 them.

9           Q. Let's take this illustration and make it site-  
10 specific now with your Wolfcamp cross-section. Let's turn  
11 to Exhibit 12 and have you show me why each of these  
12 existing Wolfcamp wells in the equity area are not going to  
13 be able to get all the gas that is stored within this  
14 unique structural feature.

15           A. Yes, sir, this is structural cross-section B-B',  
16 which is marked on the Exhibit 9 Wolfcamp structure map,  
17 going from west to east, and this is in a bit more complex  
18 manner showing how this model was developed and showing the  
19 evidence for this model.

20           If you'll notice, on the eastern side of the  
21 cross-section, at the Government "AC" Number 2 location, at  
22 the B' portion of the cross-section, most of the Wolfcamp  
23 in that log is very shaly, with the exception of one  
24 specific carbonate mound that's colored blue on the cross-  
25 section.

1           As you go to the west, towards the Carlsbad  
2 anticline --

3           Q.   Now, I'm following the horizontal red shading  
4 that leads me through to a caption that says "North Burton  
5 Flat WC Pay".

6           A.   Yes, sir.

7           Q.   All right. I'm looking at the first well that's  
8 been fully perforated in the Government "AB" 3. As I move  
9 to the next well, the "AB" 2, what's happened?

10          A.   Okay, I can start from that direction. Okay,  
11 from the "AB" Number 3, you'll notice -- This is actually  
12 still within the field. You'll notice the exceptional  
13 porosity that occurs in what's labeled the North Burton  
14 Flat Wolfcamp pay.

15                   Underneath that exceptional porosity, you'll  
16 notice very shaly material. That's the material colored in  
17 gray, at around a depth of 9200 above and below that, and  
18 then another mound beneath that of tight limestone shaded  
19 blue, starting at around 9220, and then several cycles of  
20 the shaly carbonate and the clean carbonate.

21                   As you go to the east, to the Government "AB"  
22 Number 2, you'll notice that the shaly material around 9200  
23 feet has indeed become clean carbonate, and that's the  
24 whole basis of the model. As we move towards the Carlsbad  
25 anticline, we are in the area that was the shallowest water

1 for the longest period of time and was within the area of  
2 clean carbonate generation for the longest period of time,  
3 and also the exceptional porosity continues to exist in the  
4 North Burton Flat Wolfcamp pay.

5 Q. All right, now as you move across -- go  
6 upstructure, you follow the North Burton Flat "WC" pay  
7 across the proposed location of the crest of this feature.

8 A. Yes.

9 Q. You come down the crest on the other side, on the  
10 east side of this feature, you're moving down to the  
11 Government "T" 1?

12 A. Yes, sir. And you can see that the buildup that  
13 contains the North Burton Flat Wolfcamp pay is still  
14 present, and that porosity is still exceptional in that  
15 well.

16 If I could ask you to look above that, you'll see  
17 a thin blue clean carbonate that's tight at around 9190.

18 And then above that is a very shaly section.  
19 That shaly section from around 9160 down to the blue,  
20 that's equivalent to the section in the Government "AB"  
21 Number 2 on the other side of the proposed well that occurs  
22 at around 9070 or so.

23 You'll notice that in the Government "AB" 2, that  
24 all consists of clean carbonate. The time-equivalent rock  
25 that was deposited at the same time of that clean

1 carbonate, the time-equivalent rock in the "T" Number 1 was  
2 all shaly carbonate. And that's what happens when you move  
3 off the Carlsbad anticline; you get into deeper water,  
4 shalier material, and you're just basically off the reef.

5 Q. When you look at this North Burton Flat WC pay,  
6 this is the conventional Wolfcamp gas pay that's being  
7 produced by the gas wells within the equity area that  
8 produce out of the Wolfcamp?

9 A. Yes, sir, that's -- Yes, sir.

10 Q. What are you attempting to achieve with the  
11 proposed unorthodox well location that you can't obtain  
12 with these existing wells?

13 A. We're trying to achieve new pay, and that's  
14 illustrated on the Nbfd Unit Number 1 Well on the Cross-  
15 section.

16 Q. And how is that shown?

17 A. That's shown as new Wolfcamp pay in red in at  
18 least three different carbonate mounds. This is something  
19 that's predicted by the model. The model makes perfect  
20 sense, that we understand the controls for carbonate  
21 development and we understand the controls for porosity  
22 development. And the controls are simply to be at the  
23 landward extent of the Carlsbad anticline.

24 And the reason for that -- If I can refer back to  
25 Exhibit 10, which is the exhibit that has all the Wolfcamp

1 production of the subregional area, there's -- on the  
2 northern part of that map I've illustrated the Permian  
3 depositional strike. That's showing the trend of the  
4 shoreline.

5 I don't know where the shoreline really was. It  
6 was moving back and forth in Wolfcamp time. This was  
7 tectonically a very active time, when sea-level rise and  
8 sea-level fall was quite active. I do know, however, that  
9 landward direction was to the northwest and seaward  
10 direction was to the southeast.

11 So the controlling factor for North Burton Flat  
12 Wolfcamp is the landward extent of the Carlsbad anticlinal  
13 trend. That's where the shallowest water would have been,  
14 and that's where the maximum generation for carbonate  
15 development and porosity creation would have been. That's  
16 a clear observation from the data that I have both in a  
17 regional sense and in a local sense, across cross-section  
18 B-B'.

19 The logical prediction that the model allows is,  
20 the absolute maximum carbonate development should occur at  
21 the absolute maximum landward extent and absolute maximum  
22 structural elevation of the Carlsbad anticline, which is  
23 the Nbfd anticline, and it's untested.

24 Q. Having described the structure of the feature,  
25 have you also given us a map to show us its thickness?

1           A.   Yes, sir, this is the conclusion of the  
2 prediction, based on the model. It is Exhibit Number 13,  
3 and it shows the lower Wolfcamp clean carbonate isopach.

4           You'll notice the Carlsbad anticline that's been  
5 mapped up from the south, and it's pretty clear from the  
6 data that that is the controlling factor for the position  
7 of the carbonate mound.

8           And what I have predicted, based on the presence  
9 of the Nbfd anticline as the northern extent of that  
10 Carlsbad feature, is that we will encounter new reservoir  
11 rock on the Nbfd feature, new clean carbonate, that many of  
12 the shaly carbonates that occur on the flanks will be  
13 cleaner at that anticlinal feature and will be porous.

14           And the blue outline is just an estimate based on  
15 the model of where we may encounter new reservoir rock.

16           Q.   When you define this dashed blue line --

17           A.   Yes, sir.

18           Q.   -- that's an indication that none of the existing  
19 wellbores are positioned such that they could access the  
20 reservoir above that line?

21           A.   That's correct.

22           Q.   And so you'll need a new well within the blue  
23 dashed line in order to have a chance for these unique  
24 Wolfcamp reserves?

25           A.   Yes, sir.

1           Q.    Within that feature, then, as identified by the  
2 dashed blue line, why have you chosen this particular  
3 location?

4           A.    This location is chosen, really, in order to  
5 stack the Devonian and Morrow objectives in a position  
6 where we can test all three of the objectives as one  
7 location.  Again, we feel like the risk is sufficient that  
8 we need to economically justify the well with reserves from  
9 all three objectives.

10          Q.    Give us your summary conclusion with regards to  
11 the geology, Mr. Doty.

12          A.    Okay.  In regards to the Wolfcamp, here's what I  
13 know.  I know that the Wolfcamp buildup was controlled by  
14 the Carlsbad anticline.  I also know that the Wolfcamp  
15 reservoir development is maximized at the landward extent  
16 of the Carlsbad anticline.  Further, I know that the Nbfd  
17 anticline is the landward extent of the Carlsbad anticline.

18                Based on those three observations, I can predict  
19 that the Wolfcamp reservoir development is maximized at the  
20 Nbfd anticline.  This anticline is untested for these new  
21 reserves, these reserves cannot be produced from any of the  
22 existing wells nor at any orthodox location.

23                Therefore, we feel like we have identified a very  
24 unique structural feature that has an excellent production  
25 analog at Shugart, that has the potential for unique

1 reserves in the Devonian, Morrow and Wolfcamp, that cannot  
2 be recovered from any existing well, must be at the  
3 unorthodox location, and has sufficient risk for us to  
4 require to have the potential to produce from all those  
5 zones in order to economically justify the attempt at  
6 recovering those reserves.

7 MR. KELLAHIN: That concludes my examination of  
8 Mr. Doty.

9 We move the introduction of his Exhibits 1  
10 through 13.

11 EXAMINER CATANACH: Exhibits 1 through 13 will be  
12 admitted as evidence.

13 EXAMINATION

14 BY EXAMINER CATANACH:

15 Q. Mr. Doty, is it your testimony, in your opinion,  
16 that this structure is virtually continuous in all three of  
17 these formations?

18 A. Yes, sir.

19 Q. When did this structure develop, in your opinion?

20 A. I know it was active during Wolfcamp time, but I  
21 know because of the association of the -- its effect on the  
22 deposition, so that tells me that there was some element of  
23 -- It was active during Wolfcamp time.

24 I also know that it was active after Bone Spring  
25 time, because it does deform the Bone Spring surface.

1 Commonly, these structures are active episodically  
2 throughout geologic time, because they are located on very  
3 old, deep-seated structures that any sort of a space  
4 problem is solved by movement on an old feature, rather  
5 than creating a new feature.

6 So what I can tell you is, I know it was active  
7 during the Wolfcamp because it controlled Wolfcamp  
8 deposition, and I know it was also active after the Bone  
9 Spring because it deforms the Bone Spring.

10 Commonly in the Permian Basin, the major tectonic  
11 episodes are considered to have been started in the  
12 Mississippian and continued on through -- with a maximum at  
13 the Wolfcamp and continued on somewhat into the Permian, of  
14 the Permian.

15 I don't think it was active during the Morrow  
16 time, though. Otherwise, the sand wouldn't have been  
17 deposited across. It's unlikely the sand would have been  
18 deposited across.

19 Q. On your Exhibit Number 2, you show seismic line  
20 130.

21 A. Yes, sir.

22 Q. How many more seismic lines were run in that  
23 area?

24 A. It's a volume of data, sir. It covers this  
25 entire map area with a data point every 330 feet. So you

1 can -- with 3-D data, you can make a seismic line just go  
2 anywhere.

3 I picked -- I chose one that went through the  
4 location. But throughout the data volume you can see that  
5 structure line to the north and south. So the way the data  
6 is shot, you can pick an orientation and generate a line  
7 from it.

8 Q. Are you satisfied that -- the minus-8750 contour  
9 line, is that the -- that you've got it mapped -- the  
10 northern limit of that contour, that you've got it  
11 correctly mapped? Are you satisfied to that?

12 A. It's a question of velocity control. We know in  
13 time what that high point will be, and we take our best  
14 estimates of the velocities of the rocks above, and  
15 probably within a 50-foot margin of error, probably less  
16 than a 50-foot margin of error, we're correct.

17 At the Devonian level we have no penetrations  
18 whatsoever, so this is based on the Morrow "A" mapping  
19 surface.

20 What I can conclude is probably for the Morrow  
21 "A" structure surface, which is Exhibit 7, that minus-7700-  
22 foot contour is probably correct within 20-some-odd feet.

23 The Devonian, again I have no penetrations, I  
24 have no data to estimate the velocities, so we're assuming  
25 that the velocities don't change from the Morrow to the

1 Devonian. So I have no data to give you an estimate on my  
2 confidence in that.

3 I do know, though, that if the Morrow "A" was  
4 deformed into an anticline, that the Devonian must be also.  
5 It's mechanically not feasible for an upper zone to be  
6 deformed and the lower zone not to be deformed.

7 Q. But you're satisfied that the proposed well  
8 location represents in the general vicinity of the top of  
9 that structure?

10 A. Yes, sir, that's an excellent conclusion right  
11 there, yes, sir.

12 Q. The Devonian structure you identified four miles  
13 to the northeast --

14 A. Yes, sir.

15 Q. -- that's a separate structure?

16 A. That -- I don't know if that's on a structure or  
17 not. All I have is that one well location. That well --  
18 The field was never developed, that gas was never produced,  
19 there was no Devonian completion.

20 I have a well that, on the Morrow "A" mapping  
21 horizon, appears to be on regional dip, that did encounter  
22 gas. So there's probably some very small structure there,  
23 but it was never produced and never developed.

24 Q. Well, is it your belief that that's not in any  
25 form in communication with this structure? Can you make

1 that --

2 A. I have no earthly idea. I can't imagine how it  
3 could be.

4 Q. How can you determine from that well that, first  
5 of all, that your structure is going to have gas and water?

6 A. All I can conclude from that well is, that well  
7 had an active aquifer in it, and it also had hydrocarbons  
8 in the reservoir.

9 For a wildcat zone like this, some of the things  
10 you worry about is, is there any source rock where the  
11 maturation -- timing all correct and so forth? Is it CO<sub>2</sub>?

12 I was encouraged that they drill stem tested it  
13 and then set pipe. I don't have any gas analysis. But  
14 since they drill stem tested it in the Fifties, they  
15 probably didn't set pipe for CO<sub>2</sub>; they probably set pipe  
16 for burnable gas. I'm very encouraged by that.

17 And I'm encouraged by the water recovery that  
18 says this is not tight-as-a-drum-type rock. I'm inferring  
19 the possible presence of an aquifer, because that well  
20 appeared to have a strong aquifer with gas on top.

21 For a wildcat zone, I really can't do much else.  
22 Actually, this is -- oh, probably pretty strong, and for  
23 instance, that's a lot better than most other wildcats you  
24 drill as far as what might be down there.

25 Q. Is it your opinion that this one well will drain

1 this entire Devonian structure?

2 A. That's based on the analogy with the Shugart  
3 field, and that's without any reservoir properties on this  
4 feature, et cetera. That's our first stab, yes, sir.  
5 Because a similar-looking structure appeared to be drained  
6 by one well, 20 miles away.

7 Q. Are you satisfied that your structure -- that the  
8 limits of the reservoir are correctly mapped on your -- are  
9 on your map?

10 A. In the absence of any other data, I'm forced to  
11 conclude that the entire structure will be filled to spill  
12 point. So I've identified spill point.

13 It's possible that the trapping -- the seal is  
14 insufficient, that, you know, you could have less of a gas  
15 column. I -- Again, that's something we'll just have to  
16 find out when we drill it, but...

17 There is a Woodford shale above the Devonian,  
18 which normally, in a regional sense, allows sufficient seal  
19 to allow for a reservoir to be filled to spill point. I  
20 think it's a good first guess, yes, sir.

21 Q. Okay. The faults you have mapped, that's a  
22 sealing fault; there shouldn't be any production on the  
23 downthrown side of that fault?

24 A. Downthrown-side production in the Permian Basin  
25 is really rare. I don't know of any in the Devonian.

1 Maybe -- I think down in the very -- in the Valverde Basin  
2 there's a little bit. But I would be greatly surprised if  
3 there would be any downthrown production.

4 Of course, it's commonly not tested too, so...

5 Q. Let's see, the Government "AB" 5, that's the  
6 current Morrow producer, right?

7 A. Yes, sir.

8 Q. That is not producing from what you targeted as  
9 being the Morrow "A" sandstone?

10 A. It is perforated. There is maybe, I don't know,  
11 half a foot or so. If I can refer to Exhibit Number 8, the  
12 cross-section, that well is on the cross-section. You'll  
13 note the --

14 Q. Just a second.

15 A. Yes, sir, it's on the right side of the cross-  
16 section at the A' location. You'll notice the perforations  
17 are marked in black on the gamma-ray side of the track, the  
18 log track, and they start at around 11,150, thereabouts,  
19 the top perforation. There's six sands in yellow that are  
20 perforated.

21 Down at the lower Morrow "A" sand, that sand is  
22 just about gone. We have a perforation in that sand. I  
23 don't think the sand is there. I think the gas is  
24 recovered from the yellow sand. But indeed, there is one  
25 shot fired in a stray remnant of what might be the very

1 edge of that sand.

2           The absence of that sand is kind of unusual in  
3 that little area right there. You'll notice "AB" 5 and on  
4 down, there's a funny withdrawal point there, but there's  
5 no sand.

6           I've mapped the sand as a zero on that location.

7           Q.   What do you guys intend to perforate in the  
8 Morrow?

9           A.   Our intention is to produce the Devonian, if we  
10 get an excellent Devonian well. If we don't, how does the  
11 Morrow look? If we don't, how does the Wolfcamp look? And  
12 so forth.

13           Our main objective in the Morrow is that lower  
14 Morrow "A" sand. We're not that excited about the  
15 producing characteristics of the stratigraphic sands in  
16 this immediate area. They just haven't performed. We're  
17 talking about, you know, 150 million, half a B, that kind  
18 of potential, in this immediate area.

19           And we're excited about possibly getting that  
20 big, fat sand out of the water. That could be big.  
21 There's wells in the south Carlsbad field that are along  
22 this southern extent of the Carlsbad anticline that produce  
23 from this sand and are big wells. But that's just never  
24 been able to be achieved up in the northern part, and the  
25 Morrow cums reflect that in this immediate area.

1 Q. Mr. Doty, are you saying that the upper sands  
2 will not be perforated or produced in this well?

3 A. If that's all we're stuck with, then we're  
4 desperately trying to pay out the well, pay out our  
5 investment. That's our ultimate -- Next to a dry hole,  
6 we're going to do our best to pay out our investment.  
7 That's not our objective, though.

8 Q. Okay, and the Wolfcamp -- I guess what you're  
9 saying is, there's going to be some zones on that structure  
10 that are not present in the main portion of that Wolfcamp  
11 pool?

12 A. Yes, sir, that's what the model predicts, that's  
13 what I'm predicting.

14 Q. Is that -- Is the main producing interval in the  
15 Burton Flat Wolfcamp, is that easily correlatable across  
16 the field?

17 A. Throughout the northern part of the field, within  
18 the area of the Nbfd unit, it is.

19 And there are some stringers below, which I  
20 haven't really emphasized. The "T" Number 1, for example,  
21 has some of those minor porosity zones, which I predict  
22 will correlate into an exceptional porosity zone on the  
23 structure.

24 I haven't emphasized those minor porosity zones  
25 because that's really not our objective. We're really

1 trying to encounter some new exceptional porosity zones.

2 Q. In between the pay zones, you've got -- is it  
3 shale that's the barrier to flow between those?

4 A. I'm saying it's shaly carbonate. That's what it  
5 appears to be on the logs and on mud logs. When you log  
6 through this on mud logs, it's a black, limy shale or a  
7 shaly lime, whatever you want to call it.

8 But it's the deeper-water equivalent to the  
9 buildup rocks.

10 Q. What is Oxy's intent with respect to producing  
11 the Wolfcamp interval?

12 A. Again, it just depends on what we encounter. Our  
13 primary objective is the Devonian. That's what we want to  
14 do.

15 But if we fail, we're going to desperately try  
16 and pay out our investment for ourselves and our working  
17 interest owners. If we're at that point, we're in trouble.

18 Q. Okay. That would include perforating the main  
19 interval that's being produced in the Burton Flat field?

20 A. It may include that, if that's -- if the worst  
21 case happens, yes, sir.

22 Q. In the Morrow "A" and in the new Wolfcamp  
23 interval, pay intervals, that you hope to encounter, would  
24 the well at your proposed location, do you feel,  
25 effectively drain that entire structure?

1           A.    I think the Morrow well will, because I know --  
2   Well, I know I have a water leg in that sand.  I really  
3   don't know on the Wolfcamp.

4           Q.    Is your equity unit as to all three zones, or is  
5   it -- It's just to the Devonian?

6           A.    No, sir, it's from -- everything from the  
7   Wolfcamp on down.

8                   All new wells in that entire unit, 1280 -- Well,  
9   let's see.  I don't know what it is, equity unit.  Any new  
10  well produced from the Wolfcamp on down, which would  
11  include Devonian.

12          Q.    And that would include, like I say, the main  
13  producing interval in the Wolfcamp --

14          A.    Yes, sir.

15          Q.    -- Burton Flat-Wolfcamp?

16          A.    Yes sir, it would.  But it doesn't affect the  
17  existing wells.

18          Q.    I see.

19          A.    So for example, in Sections 10 and 11, it's 100  
20  percent Oxy.

21                   Any new well from any of those zones will be  
22  shared equally by the owners of the equity unit.

23                   EXAMINER CATANACH:  Okay.  I think that's all I  
24  have, Mr. Kellahin.

25                   MR. KELLAHIN:  Okay, thank you.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MICHAEL KOVARIK,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q. Mr. Kovarik, did you conduct an engineering analysis and an economic study with regards to the well we're discussing in this case?

A. Yes, I did.

Q. Is your methodology similar to that for which you testified in the prior case, 11,453?

A. Yes, it is similar to that.

Q. Let's go through the process, then. If you'll start with Exhibit 14, identify for us on the data sheet what we're seeing.

A. Exhibit 14 is an informational reservoir data sheet that shows, if we can start from the top, the pool name of the pools involved in and around the North Burton Flat Deep unit. We have the North Burton Flat-Wolfcamp, Burton Flat-Morrow and Burton Flat-Devonian, if you will, which really doesn't exist yet.

We have approximate depths for each of the zones we expect to encounter in the Nbfd Number 1, date of first production in those pools, cumulative gas and oil production, number of active wells, current gas rates and

1 drive mechanisms from those reservoirs.

2 One point I'd like to note. For the production  
3 numbers for the North Burton Flat-Wolfcamp, the production  
4 numbers reflect the entire pool, also the active wells.  
5 However, in the Burton Flat-Morrow, the production figures  
6 and number of wells reflect just those wells in the  
7 vicinity of the Nbfd Number 1.

8 Q. These are the three targeted reservoirs that Mr.  
9 Doty has identified in his testimony?

10 A. Yes, they are.

11 Q. When we look at these three reservoirs, the  
12 primary historically produced reservoir is the Wolfcamp in  
13 this immediate area?

14 A. Can you repeat your question?

15 Q. Yeah, in the Wolfcamp --

16 A. Yes.

17 Q. -- that's the primary reservoir. We don't have a  
18 Devonian production in the unit --

19 A. Exactly --

20 Q. -- equity unit?

21 A. -- right, yes.

22 Q. We have had some Morrow production in here, but  
23 the primary producing reservoir has been the Wolfcamp?

24 A. Yes, that's true.

25 Q. That's been identified as the North Burton Flat-

1 Wolfcamp Gas Pool?

2 A. That's right.

3 Q. Give us a quick historical summary with regards  
4 to what's happened in that pool.

5 A. The North Burton Flat-Wolfcamp pool was  
6 discovered in approximately 1974. It's a retrograde  
7 condensate pool. Field rules were set in 1975, I believe,  
8 320-acre well spacing and 1.5 MMCF per day allowables per  
9 well. The --

10 Q. What was the basis for doing that?

11 A. The basis for doing that was to keep control of  
12 reservoir pressure, such that -- Cities, at the time, who  
13 was the operator, was looking at the possibility of gas  
14 injection to recover higher volumes of liquids from the  
15 reservoir.

16 Q. We were at a point in time in the life of the  
17 reservoir where you were able to conclude that your  
18 pressure was above the dew point?

19 A. The pressure they -- Cities Service concluded  
20 that the original reservoir pressure was above the dew  
21 point early on in the life of the field, and they were  
22 studying the possibility of doing a gas injection project  
23 to recover additional liquids.

24 Q. Did that ever come about?

25 A. It never came about. They determined it was

1 uneconomical to do that.

2 Q. And once the pressure was reduced below the dew  
3 point, then, it's been acting and operating like it was  
4 simply a depletion-drive reservoir?

5 A. It is a depletion-drive reservoir. It's on  
6 primary production and has been ever since it was  
7 discovered.

8 Q. All right. Let's go to Exhibit 15 and set up the  
9 parameters for your volumetrics, beginning here with the  
10 Morrow.

11 A. Exhibit 15 is a table which shows the reservoir  
12 rock and fluid properties that went into the volumetric  
13 calculation for Morrow reserves.

14 I'd like to point out that these calculations  
15 would be for the Morrow "A", based on offsetting wells from  
16 the Nbfd Number 1.

17 Q. Are you satisfied you used reasonable reservoir  
18 parameters and values for your volumetrics in the Morrow  
19 "A"?

20 A. Yes, based on the offsetting wells, I believe  
21 we've used reasonable estimates for the rock and fluid  
22 properties.

23 Q. All right, you've also considered Morrow  
24 production histories?

25 A. Yes.

1           Q.    Let's look at Exhibit 16 and have you identify  
2 what you have compiled and submitted as a multiple-page  
3 Exhibit 16.

4           A.    Exhibit 16, the first page is -- are two summary  
5 tables of producing well production in and around the Nbfd  
6 Number 1.

7                    The first table you see is the Morrow production  
8 in the Nbfd area.  There are ten wells which are in the  
9 immediate vicinity of the equity area and inside the equity  
10 area.

11                   The first column shows the well names, then to  
12 the right their cumulative production, and ultimate  
13 recovery following that, and their status as either active  
14 or inactive.

15           Q.    If they're still active, have you forecast an  
16 ultimate recovery?

17           A.    Yes, I have.

18           Q.    And what method did you use?

19           A.    I used decline curve analysis.  Those results are  
20 attached to the first page of Exhibit 16.

21           Q.    When we move down to the Wolfcamp, have you gone  
22 about that in a similar way?

23           A.    Yes, in the exact similar way.

24           Q.    All right.  What then did you do?

25           A.    Well, I've got total production, total ultimate

1 recovery for ten wells surrounding the Nbfd Number 1.

2 Q. Okay, and you've got those numbers, you've got  
3 your volumetric parameters.

4 Did you look for analogs that might be useful to  
5 helping you analyze reserve potential for your economics  
6 for the Devonian?

7 A. I did look for analogs for the Devonian, yes.

8 Q. And what did you decide to use?

9 A. I decided to use the Shugart analogy that Mr.  
10 Doty spoke of, which is 20 miles to the north, northeast --  
11 or northeast of our location.

12 Q. All right. Let's turn now to Exhibit 17 and look  
13 at your reserve calculation summary page.

14 A. The reserves calculations by analogy summary  
15 page, the first part of that shows how I went about using  
16 the Devonian Shugart as an analogy to our Nbfd area.

17 The Devonian Shugart, the Greenwood unit,  
18 produced almost 19 Bcf and over a million barrels of  
19 condensate. The Shugart producing area is approximately  
20 800 acres. The Nbfd approximate producing area, based off  
21 of our mapping, is approximately 250 acres or approximately  
22 31 percent of that of Shugart. The analogy -- The analog  
23 reserves, then, that I used for Nbfd is simply a ratio of  
24 producing area of Nbfd to the Shugart area, such that if I  
25 take 31 percent times 18.7 Bcf, the possible Nbfd Devonian

1 analogous reserves would be 5.8 BCF and 318,000 barrels of  
2 condensate or oil.

3 In the Morrow, similarly, we have wells  
4 offsetting the Nbfd Number 1, a total of ten of them. 14.5  
5 BCF ultimate recovery. Divide that number by 10. An  
6 average well would make 1.4 BCF.

7 And similarly for the Wolfcamp, there are four  
8 wells directly offsetting the Nbfd location. Their  
9 ultimate recovery, 14.8 BCF, divided by 4, is 3.7 BCF.

10 Q. Let's turn to Exhibit 18 and have you show us the  
11 reserves that you assigned to these various reservoirs and  
12 used in your economic summary.

13 A. Okay. I have two estimates of reserves. Each  
14 have their merits and their pitfalls.

15 In the Devonian, I had to come up with the  
16 reserve estimate using either volumetrics or analogy. We  
17 didn't have any measurements in the Devonian to calculate  
18 volumetrics. We don't know exactly how many net feet of  
19 pay we're going to get, because we don't have any control  
20 out there in the Devonian. So I felt that a volumetric  
21 estimate would be of no use, and I therefore used just the  
22 analogous well, my analog well, as the target reserves for  
23 the Devonian, target unrisks reserves for the Devonian.

24 In the Morrow, on the other hand, most of the  
25 production surrounding our Nbfd, as Mr. Doty noted, is in

1 the Morrow "B". It's not in that clean, fat Morrow "A"  
2 section that we're going for in the very unique structure  
3 that the model shows there's a likelihood to be.  
4 Therefore, analogy for the Morrow didn't seem to be  
5 appropriate to use. I therefore used a volumetric  
6 estimate, that's marked as Exhibit 15, of 4.6 BCF, as the  
7 target reserves for that fat Morrow "A" sand.

8 In the Wolfcamp, we have a study ongoing right  
9 now, which concerns Wolfcamp volumetrics. It's not  
10 completed right now. I didn't want to use incomplete  
11 information, which can lead to erroneous results. And  
12 besides, the Wolfcamp zone that we're targeting -- or  
13 zones, would have different rock properties than the zones  
14 which are currently producing. Therefore, I felt that  
15 using rock and fluid properties from currently producing  
16 Wolfcamp wasn't applicable.

17 I therefore said that a well drilled on  
18 structure, on the structure we expect to see, would behave  
19 similarly to one of the wells currently producing. I  
20 therefore used analogy for the Wolfcamp target base case  
21 reserve estimate.

22 Q. Once you have selected and satisfied yourself  
23 about the ultimate gas recovery per reservoir, what then  
24 did you do?

25 A. I used those reserve estimates to perform

1 economic analyses --

2 Q. At this point --

3 A. -- on each of the zones.

4 Q. At this point, then, you're starting with an  
5 ultimate recovery that's a gross number for which no risk  
6 has been assigned?

7 A. That's exactly right.

8 Q. No one drills under that situation, do they?

9 A. I certainly would not be able to recommend  
10 investing capital on an unrisksed basis for a rank wildcat  
11 well, no.

12 Q. What method did you utilize, then, to assign  
13 categories of risk to the reservoirs?

14 A. I categorized the different zones. If we can  
15 look at Exhibit 19, across from "Devonian", on top of  
16 Exhibit 19, the reserve category is possible undeveloped.  
17 Morrow is probable undeveloped; it has, I feel, a little  
18 bit less risk than the Devonian, because there is Morrow  
19 "A" in the area. There isn't as much reservoir risk as  
20 there is in the Devonian. The Devonian is strictly -- not  
21 strictly, but for the most part, 3-D seismic, which lends  
22 itself into its own risk. The Morrow is less risky, I  
23 felt.

24 The Wolfcamp is possible undeveloped, which is --  
25 I felt was very risky.

1 Q. Let's leave 19 for a moment and have you turn to  
2 Exhibit 20, to show the evaluation criteria for the risk  
3 adjustment. If you'll look at the bottom of that summary  
4 sheet and identify for the Examiner the source of this  
5 criteria.

6 A. The source of this criteria is from an SPEE --  
7 Society of Petroleum Evaluation Engineers -- survey of  
8 bankers, consultants and oil producers from July of 1995.

9 Q. The complete text of that survey was submitted in  
10 the prior case, 11,453?

11 A. Yes, it was.

12 Q. And this is simply the summary page out of that  
13 same exhibit?

14 A. This is page 1 out of that exhibit, yeah.

15 Q. All right. And without reading them, you can see  
16 at the bottom of the display, if you're looking at risk  
17 adjustments, the probability of success with the greatest  
18 risk is possible undeveloped?

19 A. Yes, it is.

20 Q. At the bottom?

21 A. Yes, it is.

22 Q. And so it receives the smallest percentage?

23 A. It receives the highest risk, yes.

24 Q. Highest risk, lowest percentage. And when you do  
25 the math, then, it will subtract greater volumes of target

1 gas out of the analysis?

2 A. Yes, it will.

3 Q. All right, let's go back to the analysis and  
4 complete your discussion on Exhibit 19.

5 A. Okay.

6 Q. You've got the Devonian, you've given us the  
7 target reserves, you have assigned a category of risk to  
8 those reserves, you've got the numerical equivalent of that  
9 risk, you then finish the calculation and you get a net  
10 present value column. What does that show you?

11 A. That net present value at 15 percent, for the  
12 Devonian, for example, I assumed drilling a Devonian well  
13 on a stand-alone case. Using those risk reserves,  
14 multiplying the risk factor times the reserves, I get a  
15 risk production stream. Using \$720,000 Devonian completion  
16 cost, the net present value of that project is a minus  
17 \$456,000, giving you a negative rate of return.

18 Similarly for the Morrow, if you assume drilling  
19 a Morrow well using probable undeveloped risk factor of  
20 almost 20 percent and \$655,000 capital cost, the net  
21 present value of that project at 15 percent is minus  
22 \$151,000, a negative rate of return.

23 And similar numbers for the Wolfcamp on the same  
24 basis.

25 Q. When you put a negative present value for each of

1 these reservoirs, in each instance, that causes you to  
2 conclude that you could not recommend to your management  
3 the drilling of a Devonian as a stand-alone well?

4 A. That's correct.

5 Q. And you could also not recommend drilling the  
6 Morrow as a stand-alone well?

7 A. That's correct.

8 Q. And in fact, you could not combine those two and  
9 do it?

10 A. That's correct.

11 Q. You need all three of those to justify it?

12 A. You need all three of the zones to justify  
13 drilling this well in this location.

14 Q. And so when you get down to the shaded line here,  
15 where it says "Expected Value Risked Case", what are you  
16 communicating to us?

17 A. What the "Expected Value Risked Case" portion  
18 shows is that if you add the values, the risked values,  
19 from each of the three zones together, and if Oxy is able  
20 to realize those values, using capital cost for drilling  
21 the deepest zone that we're going for, then we do have  
22 economic justification for doing this project, such that we  
23 have a 27.6-percent rate of return and a positive net  
24 present value at 15 percent of \$223,000.

25 Q. All right, sir, let's turn to Exhibit Number 21

1 and have you identify that for the record.

2 A. Exhibit 21 is a plat showing the field limits of  
3 North Burton Flat-Wolfcamp Gas Pool.

4 Q. When we look at the stippled or the shaded area,  
5 that corresponds to what the Division shows as the current  
6 pool boundary for the North Burton Flat-Wolfcamp Gas Pool?

7 A. Yes, sir, that's my understanding, yes.

8 Q. And the wells as shown here represent what?

9 A. The wells shown here are the active Wolfcamp  
10 North Burton Flat wells.

11 Q. When we look at Exhibit Number 22, what are you  
12 showing here?

13 A. Exhibit 22 is a production -- historical  
14 production curve for the total North Burton Flat-Wolfcamp  
15 Pool. Oil is the green dashed line, gas production is  
16 annotated by the red solid line, and water production by  
17 the blue dotted line on the bottom of the plot.

18 Q. Do you concur as an engineer with Mr. Doty's  
19 conclusion that this is the best opportunity for the  
20 interest owners within the equity area to have a chance to  
21 produce reserves out of the Devonian, the Morrow and the  
22 Wolfcamp?

23 A. Yes, I do, absolutely.

24 Q. In your opinion, would those reserves be unique  
25 as to that wellbore?



1 Q. Okay. Does your Morrow estimate -- what -- Does  
2 that include only the "A" sand?

3 A. That would include only the "A" sand, yes.

4 Q. Okay. And the Wolfcamp estimate would include  
5 only what you consider to be new pay in the Wolfcamp?

6 A. Yes.

7 EXAMINER CATANACH: Okay. I think that's it, Mr.  
8 Kellahin.

9 MR. KELLAHIN: Call at this time Mr. Kent  
10 Woolley. Mr. Woolley spells his last name W-o-o-l-l-e-y.

11 KENT WOOLLEY,

12 the witness herein, after having been first duly sworn upon  
13 his oath, was examined and testified as follows:

14 DIRECT EXAMINATION

15 BY MR. KELLAHIN:

16 Q. Mr. Woolley, for the record would you please  
17 state your name and occupation?

18 A. Full name is Thomas Kent Woolley. I'm a landman  
19 employed by Oxy USA, Inc.

20 Q. Mr. Woolley, on prior occasions have you  
21 qualified as an expert in the field of petroleum land  
22 matters before the Division?

23 A. No, I have not.

24 Q. Summarize for us your education, employment and  
25 experience that qualifies you on that topic.

1           A.    I have a bachelor's of business administration  
2 with Western State College in Colorado.  I've got 18 years  
3 of experience as a landman, working for Oxy, other  
4 companies including Texas Petroleum, and I've also worked  
5 as an independent landman.

6           Q.    Are you familiar with and knowledgeable about  
7 federal oil and gas leases?

8           A.    Yes, I am.

9           Q.    And those are the oil and gas leases that affect  
10 the land transactions with regards to this equity  
11 agreement, does it not?

12          A.    That is correct.

13          Q.    And you're familiar with the joint operating  
14 agreements that are utilized in this particular area as  
15 well as within the industry?

16          A.    I am.

17          Q.    Are you familiar with the federal communitization  
18 and unitization agreements and procedures?

19          A.    I am.

20          Q.    We tender Mr. -- Are you also knowledgeable about  
21 the ownership within the equity area?

22          A.    Yes, I am.

23          Q.    As well as the offsetting operators to the equity  
24 area?

25          A.    That's correct.

1 MR. KELLAHIN: We tender Mr. Woolley as an expert  
2 landman.

3 EXAMINER CATANACH: He is so qualified.

4 Q. (By Mr. Kellahin) Let's start with Exhibit  
5 Number 23, Mr. Woolley. Describe for us what you've shown  
6 on this exhibit.

7 A. Exhibit 23 is a plat that shows the working  
8 interest owners in the west half of Section 11, east half  
9 of Section 10 and the north half of Sections 14 and 15,  
10 Township 20 South, Range 28 East.

11 Q. Let's start with Section 11. Let's look at the  
12 spacing unit in the west half of 11. There are existing  
13 wells in that spacing unit. Who is the operator?

14 A. Oxy USA is the operator of the wells.

15 Q. The working interest ownership is held 100  
16 percent by Oxy?

17 A. A hundred percent by Oxy.

18 Q. As we move over into the next spacing unit to the  
19 west, the east half of 10, again, that's another federal  
20 property, oil and gas lease?

21 A. That's correct.

22 Q. And the operator of that existing well is what  
23 company?

24 A. That's Oxy USA, 100 percent.

25 Q. And the caption shows that the working interest

1 owner is also Oxy?

2 A. That's correct.

3 Q. All right. Move down into the north half of 15  
4 and describe for us who's the operator of that spacing  
5 unit.

6 A. The north half of 15 is also Oxy USA. Other  
7 parties in the north half of 15 are described.

8 I might make note of the fact that Pennzoil has  
9 recently sold their interest to UMC.

10 Q. Okay. As we move over on into the north half of  
11 14 --

12 A. Oxy.

13 Q. -- Oxy, again, is the operator. And the working  
14 interest ownership is divided as you've shown in your  
15 information?

16 A. That is correct, with Pennzoil also now having  
17 sold to UMC.

18 Q. All right. This is a unique circumstance for you  
19 as a landman, I would expect, Mr. Woolley?

20 A. Yes, it is. Because of the location of the  
21 proposed well and its proximity to the section lines of 10,  
22 14 and 15, we had a concern over the correlative rights of  
23 the offsetting parties, and we therefore proposed an equity  
24 agreement in the form of an operating agreement covering  
25 the east half of 10, west half of 11, and the north half of

1 Sections 14 and 15, from the top of the Wolfcamp to the  
2 base of the Devonian.

3 Q. One option would have been to simply drill this  
4 well as an additional well in its own spacing unit, subject  
5 to the normal conventional solutions of having that well in  
6 that spacing unit?

7 A. That's correct.

8 Q. And not to have shared either the cost or the  
9 proceeds with anyone else, other than the owners of that  
10 spacing unit?

11 A. Yes, sir.

12 Q. Your technical people were concerned that that  
13 might lead to drilling of unnecessary wells offsetting that  
14 well; was that not one of their concerns?

15 A. That is correct.

16 Q. In order to solve that, what have you done, then,  
17 with regards to this equity agreement?

18 A. We've proposed the equity agreement with the  
19 working interest owners in the other sections. And I think  
20 our Exhibit --

21 Q. -- 24 --

22 A. -- 24 includes our proposal letters and also  
23 responses from all of the parties.

24 All of the parties involved have agreed to  
25 participate, with the exception of Kerr-McGee, and they

1 have agreed to make an assignment and sell their interest  
2 to Oxy.

3 Q. So the end result of that transaction is that all  
4 interest owners have voluntarily committed in some fashion  
5 to the equity agreement?

6 A. That is correct.

7 Q. The mechanics of the equity agreement are to be  
8 governed by an operating agreement?

9 A. That is correct.

10 Q. And that operating agreement will not cover  
11 existing wells that are currently within the equity  
12 agreement area?

13 A. That is right.

14 Q. All right. Have you obtained the consent of the  
15 Bureau of Land Management to approve this project under  
16 this concept?

17 A. We have.

18 Q. In your opinion, Mr. Woolley, would approval of  
19 this Application be in the best interests of conservation,  
20 the prevention of waste and the protection of correlative  
21 rights?

22 A. Yes, sir.

23 Q. And does your Exhibit 24 show the joinder of all  
24 the interest owners affected?

25 A. It does.

1 MR. KELLAHIN: That concludes my examination of  
2 Mr. Woolley.

3 We move the introduction of his Exhibits 23 and  
4 24.

5 EXAMINER CATANACH: Exhibits 23 and 24 will be  
6 admitted as evidence.

7 EXAMINATION

8 BY EXAMINER CATANACH:

9 Q. Mr. Woolley, within the equity unit, do you have  
10 the breakdown of what the interest would be after combining  
11 all these?

12 A. Yes, it's shown in -- It's shown on the second  
13 page of Exhibit 23 -- excuse me, Exhibit 24.

14 Q. Okay. It's my understanding that these are --  
15 Are they four separate federal leases?

16 A. They are four separate federal leases, yes, sir.

17 Q. Do you have anything in writing from the BLM?

18 MR. KELLAHIN: I might address that for you, Mr.  
19 Examiner. I believe Mr. Woolley, as well as Mr. Foppiano,  
20 have had verbal communications with Armando Lopez. I have  
21 attempted to confirm that in writing. I have faxed him all  
22 the details about this request and have asked for written  
23 confirmation.

24 I believe that the federal hiatus on budgeting  
25 has caused a delay in getting a written confirmation from

1 Mr. Lopez. But we have made that request, and I have a  
2 copy of the letter.

3 Also, for your information, Mr. Examiner, we have  
4 been in contact with the Tax and Revenue technical people  
5 in their audit and compliance section with regards to how  
6 to code this well on the ONGARD system so that there will  
7 be no misunderstanding of how this is to be done.

8 We're waiting for Mr. Valdean to confirm our  
9 understanding and believe that this can be accommodated by  
10 ONGARD. And if you care to hear the details, I'd be happy  
11 to tell you.

12 EXAMINER CATANACH: I'm curious to know, did you  
13 talk to anybody with the OCD in terms of --

14 MR. KELLAHIN: Yes --

15 EXAMINER CATANACH: -- ONGARD?

16 MR. KELLAHIN: -- we talked to Ed Martin at some  
17 length. It was his opinion that this -- that was an  
18 acceptable method of coding this well. We have confirmed  
19 that with Kurt McFall of Tax and Rev, and he was going to  
20 get written confirmation from Mr. Valdean.

21 As you know, Mr. Examiner, ONGARD would presume  
22 that this new well would have a property code in such a way  
23 that it would presume that production and taxes were being  
24 distributed and paid as if this was in the west half of 11.  
25 And because that's not happening, there's a way, without

1 changing the suffixes under the PUN identification system,  
2 to put a note on their computer screen that will log this  
3 as an exception and cause them to go to some other source  
4 to determine that in fact production taxes and revenues are  
5 being shared under the 1280 equity area. Everybody  
6 believes that that can be done.

7 EXAMINER CATANACH: Within the ONGARD system  
8 you'll still enter the dedicated acreage as being the west  
9 half --

10 MR. KELLAHIN: Yes, sir, with a footnote as to  
11 this well showing that there's a special exception dealing  
12 with the well.

13 EXAMINER CATANACH: Mr. Kellahin, is it your  
14 opinion that we need not address any of those issues in any  
15 order the Division enters?

16 MR. KELLAHIN: That is my opinion and belief, Mr.  
17 Examiner.

18 EXAMINER CATANACH: Okay.

19 Q. (By Examiner Catanach) Just one more question,  
20 Mr. Woolley. Do you believe that this equity agreement  
21 protects all the interest owners within that area?

22 A. Yes, I do.

23 EXAMINER CATANACH: Okay, I have nothing further  
24 of the witness.

25 MR. KELLAHIN: That concludes our presentation,

1 Mr. Examiner.

2 EXAMINER CATANACH: Mr. Kellahin, just a second.  
3 I guess we didn't get into the offset operator  
4 notification. Was that an issue in this case?

5 MR. KELLAHIN: It wasn't an issue in this case.  
6 If I may take a moment and find the certificate, I believe  
7 it's submitted to you and in front of you. I'm looking for  
8 my copy.

9 I believe that Mr. Foppiano and I made the  
10 judgment that there was no need to notify any operators  
11 surrounding the outer boundary of the equity area. What we  
12 were asking you was for a wellbore location exception and  
13 the simultaneous dedication.

14 All the parties within the equity agreement, the  
15 working interest owners, are on this list, and so we've  
16 notified, pursuant to your notice rule, the offset, which  
17 was Oxy, and we went ahead and notified the other working  
18 interest owners that would have the right to drill, and we  
19 have their unanimous consent.

20 EXAMINER CATANACH: Oxy is the operator in  
21 Section 14 and 15, right?

22 MR. KELLAHIN: Yes, sir.

23 EXAMINER CATANACH: Is that correct?

24 Okay. That's all I have. The witness may be  
25 excused.

1 Anything further?

2 MR. KELLAHIN: No, sir. Thank you.

3 EXAMINER CATANACH: There being nothing further  
4 in this case, Case 11,455 will be taken under advisement.

5 (Thereupon, these proceedings were concluded at  
6 11:40 a.m.)

7 \* \* \*

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 11455,  
heard by me on August 25 1996.  
David R. Catnach, Examiner  
Oil Conservation Division

## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO    )  
   )    ss.  
 COUNTY OF SANTA FE    )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL January 31st, 1996.

  
 \_\_\_\_\_  
 STEVEN T. BRENNER  
 CCR No. 7

My commission expires: October 14, 1998