


STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES
OIL CONSERVATION DIVISION



IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)
APPLICATION OF MEWBOURNE OIL COMPANY TO)
INCREASE INJECTION PRESSURE, LEA COUNTY,)
NEW MEXICO)

CASE NO. 11,520

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

May 2nd, 1996

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MICHAEL E. STOGNER, Hearing Examiner, on Thursday, May 2nd, 1996, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

May 2nd, 1996
Examiner Hearing
CASE NO. 11,520

	PAGE
EXHIBITS	3
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>KEVIN MAYES</u> (Engineer)	
Direct Examination by Mr. Bruce	4
Examination by Examiner Stogner	10
REPORTER'S CERTIFICATE	17

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	5	10
Exhibit 2	6	10
Exhibit 3	8	10
Exhibit 4	9	10
Exhibit 5	14	15

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

HINKLE, COX, EATON, COFFIELD & HENSLEY
218 Montezuma
P.O. Box 2068
Santa Fe, New Mexico 87504-2068
By: JAMES G. BRUCE

* * *

1 WHEREUPON, the following proceedings were had at

2 8:23 a.m.:

3 EXAMINER STOGNER: At this time I'll call Case
4 Number 11,520.

5 MR. CARROLL: Application of Mewbourne Oil
6 Company to increase injection pressure, Lea County, New
7 Mexico.

8 EXAMINER STOGNER: At this time I'll call for
9 appearances.

10 MR. BRUCE: Mr. Examiner, Jim Bruce from the
11 Hinkle law firm in Santa Fe, representing the Applicant.

12 I have one witness to be sworn.

13 EXAMINER STOGNER: Any other appearances in this
14 matter?

15 Will the witness please stand to be sworn at this
16 time?

17 (Thereupon, the witness was sworn.)

18 KEVIN MAYES,

19 the witness herein, after having been first duly sworn upon
20 his oath, was examined and testified as follows:

21 DIRECT EXAMINATION

22 BY MR. BRUCE:

23 Q. Would you please state your name for the record?

24 A. My name is Kevin Mayes.

25 Q. And where do you reside?

1 A. I reside in Tyler, Texas.

2 Q. Who do you work for and in what capacity?

3 A. I work for Mewbourne Oil Company in the capacity
4 of EOR project engineer.

5 Q. Have you previously testified before the
6 Division?

7 A. Yes, I have.

8 Q. And were your credentials as an expert petroleum
9 engineer accepted as a matter of record?

10 A. Yes, they were.

11 Q. And are you familiar with the engineering matters
12 pertaining to this Application?

13 A. Yes, I am.

14 MR. BRUCE: Mr. Examiner, I tender Mr. Mayes as
15 an expert petroleum engineer.

16 EXAMINER STOGNER: Mr. Mayes is so qualified.

17 Q. (By Mr. Bruce) Briefly, what is it that
18 Mewbourne seeks in this case?

19 A. Mewbourne Oil Company seeks to increase the
20 injection pressure at our Querecho Plains-Bone Spring Sand
21 waterflood project from 2000 p.s.i. to 2320 p.s.i.

22 Q. Now, referring to Exhibit 1, would you identify
23 that for the Examiner and give a short history of the
24 Querecho Plains-Bone Spring unit?

25 A. Exhibit 1 is a land plat which outlines the

1 Querecho Plains-Bone Spring unit and identifies the
2 injection and producing wellbores. The unit covers 2400
3 acres of federal -- all federal lands in Lea County.

4 The triangles colored in red represent five
5 recently conducted step-rate tests, the blue triangles
6 represent injectors associated with a thief zone, and the
7 green is a dual completion between the Bone Spring and the
8 Queen formation.

9 In 1992, Mewbourne received permission to conduct
10 injectivity tests in two wells in the unit to determine the
11 feasibility of a waterflood. This permission was granted
12 by Order R-9737.

13 The injectivity tests were favorable, and
14 Mewbourne unitized the Querecho Plains-Upper Bone Spring
15 Pool by Order R-9985.

16 The unit became effective November of 1993, and
17 waterflood authority was granted by Order R-9737-A. This
18 allowed for injection into 15 wells with a surface
19 injection pressure of 2000 p.s.i.

20 Q. Would you discuss how you arrived at the 2000
21 p.s.i. injection figure and why 2320 p.s.i. is appropriate
22 at this time? And I would refer you to your Exhibit 2.

23 A. The top half of Exhibit 2 -- i.e., items 1
24 through 5 -- was our original Exhibit 26, used in testimony
25 at our original waterflood hearing, and that supported

1 granting the 2000 p.s.i. at that time, even though this was
2 well below parting pressure, according to ISIP data.

3 The data at the bottom of the exhibit -- i.e.,
4 items a, b and c -- summarize the basis for our 2320 p.s.i.
5 figure, and it's based on our step-rate testing.

6 And the Examiner can go through this, but I wish
7 to point out that the step-rate testing results generated a
8 fracture gradient of .73 p.s.i. per foot, and the ISIP data
9 reflected in item 3 resulted in a frac gradient of .74
10 p.s.i. per foot, a very good agreement between those two
11 numbers.

12 Q. Currently, how many wells are being used for
13 injection?

14 A. Currently, there's only 14 wells being used for
15 injection. One well was converted back to production after
16 being diagnosed as the main contributor to our thief-zone
17 problem.

18 Q. What are the current unit producing --

19 A. The unit currently produces 225 barrels of oil
20 per day, which is up from 100 barrels per day at the start
21 of the flood.

22 We're producing 275 barrels of water per day,
23 which is up from -- approximately 50 and is mostly due to
24 that thief-zone problem.

25 And it produces 325 MCF per day. That calculates

1 out a current GOR of 1400, which is down from the original
2 GOR of 7000.

3 Q. In your opinion, will the increased pressures
4 that you've requested be beneficial for the waterflood
5 operation?

6 A. Yes, I do, I think it will accelerate production
7 of the secondary oil reserves.

8 Q. Okay. Let's move on to your Exhibit 3. Would
9 you identify those plots for the Examiner and discuss the
10 results of the step-rate tests?

11 A. Exhibit 3 represents the individual plots of the
12 five step-rate tests that we recently conducted, and I'll
13 go through them one by one with you.

14 The first one, the title block reads, the "E-10
15 Step Rate Test". The E-10 represents the old well name,
16 and I corrected that the QPBSSU 7A-10, which is the new
17 name for that well. You can see that step-rate test broke
18 over at 2250 pounds.

19 The next test was the QPBSSU 12E-1, which broke
20 over at 2530 pounds.

21 The next one is the 12D-2, which broke over at
22 2250 pounds.

23 The next one is the E-11 -- or, I'm sorry, the
24 11-1, which broke over at 2240 pounds.

25 And the last one is the 12B-3, which broke over

1 at 2330 pounds.

2 Q. What is it specifically that you request in this
3 Application?

4 A. We would request that the injection pressures for
5 these five wells be approved at their breakover point, and
6 for the remaining injectors in the unit we request that an
7 injection pressure of 2320 pounds, which represents the
8 average of those five tests, be granted.

9 Q. Is there a potential for further injection
10 pressure increases?

11 A. Yes, as the pore pressure increases around the
12 injectors it's documented that the frac gradient can
13 increase, and further applications may be requested after
14 appropriate step-rate testing in the future.

15 Q. Does Mewbourne request that Order R-9737-A be
16 amended to allow any future pressure-increase requests to
17 be processed administratively?

18 A. Yes, we would.

19 Q. And did you give notice of the request for the
20 increase in injection pressure to the offset operators?

21 A. Yes, we did. I believe submitted as Exhibit 4 is
22 my affidavit of notice, with the notification letters and
23 return receipts attached.

24 Q. Okay. And it was not only to the offset
25 operators, but it was also to the BLM and mineral and

1 surface owner?

2 A. That's correct.

3 Q. Were Exhibits 1 through 4 prepared by you or
4 compiled from company business records?

5 A. Yes, they were.

6 Q. And in your opinion, is the granting of this
7 Application in the interests of conservation and the
8 prevention of waste?

9 A. Yes, I believe it is.

10 MR. BRUCE: Mr. Examiner, at this time we move
11 the admission of Exhibits 1 through 4.

12 EXAMINER STOGNER: Exhibits 1 through 4 will be
13 admitted into evidence.

14 EXAMINATION

15 BY EXAMINER STOGNER:

16 Q. Mr. Mayes, are you expecting to see any potential
17 increase of production whenever you increase the pressure
18 on injection wells, or do you just -- are you expecting
19 just to see the regular normal decline curve?

20 A. We're at a point, we still need one million
21 barrels of water injected to get to fill up and a peak
22 rate, and we can accelerate getting that volume into the
23 ground, we can accelerate the arrival of that peak rate,
24 move it forward in time.

25 So yes, we do expect to see faster response.

1 Q. In your engineering modeling of this project,
2 what do you feel will be the maximum pressure that this
3 reservoir is going to take?

4 A. The reservoir was at original pressure of 3400
5 pounds. It depleted down to 750 pounds before we started
6 the flood.

7 Our objective is to get it back up to 3400 pounds
8 and then to balance voidage at that time.

9 Q. What's your expected date that that would occur,
10 roughly?

11 A. Over what time --

12 Q. What year? I mean, how long -- how much more --
13 longer life do you expect this project to have?

14 A. Right now, with our current injection rates,
15 we're looking at a year and a half to get to our peak rate,
16 and then the life, remaining life of the whole flood from
17 this point is 18 years.

18 Q. And you said that there was 14 present injectors
19 in this reservoir, correct?

20 A. That's correct.

21 Q. And they are shown on Exhibit Number 1?

22 A. That's correct.

23 Q. Okay. Let's see, you have some color codes, blue
24 showing that there's a thief zone in the injector?

25 A. That's correct.

1 Q. And have you isolated that zone?

2 A. Yes, in and around those three injectors colored
3 in blue is the area of the thief zone.

4 Q. And then of course the red ones are the completed
5 step rates?

6 A. Yes, that's correct.

7 Q. And then the white ones are just your regular
8 injectors?

9 A. That's correct.

10 Q. And now this green one, that's a dual injector.
11 Bone Springs and then the Queen?

12 A. Yes, sir.

13 Q. What project is the Queen in?

14 A. Querecho Plains-Queen Associated waterflood.

15 Q. Does it cover the same area?

16 A. Essentially, yes, sir.

17 Q. Essentially. And that is a dual, not a
18 commingled injector? Two strings of tubing?

19 A. It's actually one string of tubing with three
20 packers stacked in the hole and a side-pocket mandrel with
21 a flow regulator for the Queen.

22 Q. So what's the increased pressure going to do in
23 that particular well?

24 A. Well, the flow regulator is truly a flow
25 regulator. You can set it -- We set it for 200 barrels a

1 day, and that -- whatever the delta P across that regulator
2 is, it's still going to only deliver 200 barrels per day to
3 the Queen formation. The increased pressure will just
4 increase the rate to the Bone Spring zone.

5 Q. How about the Queen interval?

6 A. The Queen interval will be fixed by the flow
7 regulator that we put in the side-pocket mandrel.

8 Q. Now, will that flow regulator into the Queen --
9 Will that regulate the pressure?

10 A. No.

11 Q. So essentially when we're increasing the pressure
12 in this one, we're increasing the pressure into the Queen
13 injector?

14 A. No.

15 Q. No?

16 A. No, the -- It's 200 barrels a day that's going to
17 go to the Queen, and then the pressure at the sand face of
18 the Queen will be dictated by the injectivity of the Queen
19 formation.

20 Q. Would you provide me a schematic of that
21 particular well --

22 A. Yes.

23 Q. -- subsequent to today's --

24 A. I sure can.

25 Q. -- hearing?

1 Now, the increased injection pressure, will that
2 also increase the volumes that are presently going in?

3 A. That's correct.

4 Q. By how much?

5 A. It was doing 40,000 barrels per month. We
6 estimate that we can get it up to 70,000 barrels per month.

7 Q. And the source of the water?

8 A. I have an exhibit for that, if you'd like to see
9 that.

10 EXAMINER STOGNER: Might as well.

11 THE WITNESS: Yeah. Do you have that handy, Jim?

12 MR. BRUCE: Just a minute, Mr. Examiner.

13 THE WITNESS: I submit it as an exhibit because
14 we have several sources that we're drawing from.

15 MR. BRUCE: Marked Exhibit 5, Mr. Examiner.

16 THE WITNESS: The sources are listed down at the
17 bottom of that exhibit.

18 Q. (By Examiner Stogner) And it looks like this is
19 all reinjection water?

20 A. No, sir, it's not. The Double Eagle, which is
21 the biggest portion of the water, is the City of Carlsbad
22 Double Eagle freshwater system.

23 And then really the next -- one, two, three --
24 four sources listed are outside-operated wells, providing
25 us with Delaware-produced water.

1 And then the bottom five are recycled Bone Spring
2 and Queen waters.

3 Q. When this Application was originally heard, was
4 this the source --

5 A. That's correct.

6 Q. -- presented at that time?

7 A. Yes, it was.

8 Q. So at this point, only the volume has increased,
9 not the location or where the water's coming from?

10 A. That's correct.

11 EXAMINER STOGNER: Okay. Exhibit Number 5 will
12 be admitted into evidence at this time.

13 And I have no other questions of Mr. Mayes.

14 MR. BRUCE: I have no further questions.

15 EXAMINER STOGNER: Okay, I'll leave the record
16 open subsequent to the delivery of that diagram on that
17 well in Section 26.

18 Q. (By Examiner Stogner) Just for the record, would
19 you identify that well, Mr. Mayes?

20 A. Yeah, that is the QPBSSU 11-2.

21 Q. 11-2. In Section 26?

22 A. That's correct.

23 EXAMINER STOGNER: Okay, thank you, sir. You may
24 be excused.

25 With that, I'll keep the record open, Mr. Bruce.

1 MR. BRUCE: Thank you, Mr. Examiner.

2 EXAMINER STOGNER: Could you also provide me a
3 rough draft --

4 MR. BRUCE: Sure.

5 EXAMINER STOGNER: -- order in this matter?

6 (Thereupon, these proceedings were concluded at
7 8:40 a.m.)

8 * * *

9

10

11

12

13

14

15

16

17

18

19

20


21

22

23

24

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 11520,
heard by me on 2 May 1966.
 , Examiner
Oil Conservation Division

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL May 3rd, 1996.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 1998