

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)
APPLICATION OF NEARBURG EXPLORATION)
COMPANY, L.L.C., FOR COMPULSORY POOLING,)
LEA COUNTY, NEW MEXICO)

CASE NO. 11,722

ORIGINAL


REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

March 20th, 1997

Santa Fe, New Mexico



This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, March 20th, 1997, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

March 20th, 1997
 Examiner Hearing
 CASE NO. 11,722

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESSES:	
<u>DUKE ROUSH</u> (Landman)	
Direct Examination by Mr. Kellahin	7
Examination by Examiner Catanach	27
Examination by Mr. Carroll	30
<u>TED GAWLOSKI</u> (Geologist)	
Direct Examination by Mr. Kellahin	32
<u>TIM McDONALD</u> (Engineer)	
Direct Examination by Mr. Kellahin	39
Examination by Examiner Catanach	44
Examination by Mr. Carroll	45
Further Examination by Examiner Catanach	46
Further Examination by Mr. Carroll	47
STATEMENT ON BEHALF OF PENWELL	
By Mr. Carr	48
REPORTER'S CERTIFICATE	49

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	8	24
Exhibit 2	8	24
Exhibit 3	14	24
Exhibit 4	14	24
Exhibit 5	16	24
Exhibit 6	22	24
Exhibit 7	22	24
Exhibit 8	23	24
Exhibit 9	33	39
Exhibit 10	34	39
Exhibit 11	36	39
Exhibit 12	37	39
Exhibit 13	37	39
Exhibit 14	38	39
Exhibit 15	38	39
Exhibit 16	40	43
Exhibit 17	24	24, 48

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

FOR PENWELL ENERGY, INC.:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

* * *

1 WHEREUPON, the following proceedings were had at
2 10:44 a.m.:

3
4
5 EXAMINER CATANACH: At this time we'll call Case
6 11,722.

7 MR. CARROLL: Application of Nearburg Exploration
8 Company, L.L.C., for compulsory pooling, Lea County, New
9 Mexico.

10 EXAMINER CATANACH: Call for appearances.

11 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
12 the Santa Fe law firm of Kellahin and Kellahin, appearing
13 on behalf of the Applicant, and I have three witnesses to
14 be sworn.

15 EXAMINER CATANACH: Additional appearances?

16 MR. CARR: May it please the Examiner, my name is
17 William F. Carr with the Santa Fe law firm Campbell, Carr,
18 Berge and Sheridan.

19 We enter our appearance in this case for Penwell
20 Energy, Inc. I have no witnesses.

21 EXAMINER CATANACH: Any additional appearances?
22 Will the witnesses please stand and be sworn in?
23 (Thereupon, the witnesses were sworn.)

24 MR. KELLAHIN: Mr. Examiner, by way of
25 introduction, if you'll look at Exhibit Number 1 that we

1 have sponsored, you'll note that the Application and some
2 of the earlier documents refer to this as the Tomahawk
3 well.

4 We've had to change the name to the Opal 28
5 Federal Com well. The name we were using conflicts with a
6 name used by Mitchell Energy in the west half of the
7 section, which is the Tomahawk Federal Com Number 1 well.

8 Mr. Carroll may remember the west half of this
9 spacing unit, because it involved the compulsory pooling of
10 the Strata interests and the issue of notifying and
11 obtaining pooling over various partners that are associated
12 with that interest. When we deal with the east half of the
13 section, you're going to find the same parties involved.

14 In addition, you'll find out that while this is a
15 federal section, we are in the oil-potash area, and so we
16 are continuing to pursue meeting the requirements of the
17 BLM for drilling in the potash area.

18 At this point we believe we are generally
19 successful in consolidating efforts, but there are
20 interests not yet committed, and while we have verbal
21 agreements with Mr. Murphy and the interest owners, all
22 those agreements are not fully executed, and therefore in
23 order to timely commence the drilling of this well, we're
24 asking that you issue a compulsory pooling order.

25 My first witness is Mr. Duke Roush.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DUKE ROUSH,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q. Mr. Roush, for the record, sir, would you please state your name and occupation?

A. Yes, my name is Duke Roush. I'm a land consultant, currently doing work for Nearburg Exploration Company.

Q. And has it been your responsibility on behalf of Nearburg Exploration Company to attempt to consolidate on a voluntary basis the interest owners involved in participating in a deep gas well in the east half of Section 23?

A. Yes, it is.

Q. I'm sorry, 28. I said 23. 28.

A. 28.

Q. Have you utilized the services of an attorney that's an expert in examining title and rendering opinions as to the status of ownership?

A. Yes, we have. We had a title opinion prepared by Woerndle, Patterson, Strain and Miller.

Q. To the best of your knowledge and belief, have you identified and attempted to negotiate in good faith a

1 voluntary agreement with all the proper interest owners?

2 A. Yes.

3 Q. Let's turn to Exhibit 1 and have you identify and
4 describe that display.

5 A. Exhibit 1 is an orientation map which shows the
6 proposed proration unit and the location, which is 660 from
7 the east line, 1980 from the south line.

8 Q. To the best of your knowledge, will this be a
9 standard well location for complying with the Division
10 requirements for well locations in this type of area?

11 A. Yes, it will.

12 Q. The Exhibit Number 2, would you identify and
13 describe that display?

14 A. Exhibit Number 2 is a breakdown by tract of the
15 individual owners in each portion of the proration unit,
16 showing the location.

17 Q. All right. We have four leases, if you will, or
18 parts of leases, that would be consolidated in the spacing
19 unit?

20 A. That's correct.

21 Q. What's the status of the commitment of the
22 Penwell interest?

23 A. Penwell has agreed to participate in the well.

24 Q. So there's a voluntary agreement with Penwell?

25 A. That's correct.

1 Q. There is a 160-acre portion, I guess, of the
2 spacing unit that starts off with the caption, Mitchell
3 Energy. Do you see that?

4 A. Yes.

5 Q. What's the status of the commitment of Mitchell
6 to the well?

7 A. Mitchell has given us a verbal approval to drill,
8 but we have yet to see any follow-up paperwork.

9 Q. So we'll still need a pooling order against
10 Mitchell's interest at this time?

11 A. That's correct.

12 Q. And how about the Santa Fe Energy interest?

13 A. Santa Fe Energy has not made an election.

14 Q. So we'll have to have a pooling order as to their
15 interest?

16 A. (Nods)

17 Q. Penwell and CoEnergy are associated together, if
18 my memory is correct?

19 A. That's correct.

20 Q. And is Penwell committed, as to this tract, to
21 the spacing unit?

22 A. Yes.

23 Q. And what about the interest of CoEnergy Central
24 Exploration?

25 A. They are also committed.

1 Q. When we go to the southern two 40-acre tracts,
2 the southeast of the southeast is a Nearburg tract. When
3 we deal with the southwest of the southeast, that's a 40-
4 acre tract that involves Mark Murphy and others; is that
5 not true?

6 A. That's correct.

7 Q. You've identified for purposes of this display
8 three companies, Murphy, Arrowhead and Branko?

9 A. Yes, sir.

10 Q. Why have you chosen to divide it in that fashion?

11 A. Murphy Petroleum acquired the interest of the
12 Strata, et al., group, for lack of better words, numerous
13 group of individuals. Branko did not sell to them, neither
14 did Arrowhead, so they still have a vested title interest,
15 which was shown to us in the title opinion which was
16 rendered.

17 Q. All right, let's deal with the Branko interest
18 first. What is the status of your efforts to obtain a
19 voluntary agreement from Branko?

20 A. I've spoken with him on numerous occasions. He
21 has elected to do whatever Mr. Murphy does.

22 Q. So we need a force pooling order against Branko
23 at this time?

24 A. That's correct.

25 A. How about Arrowhead Oil Corporation?

1 A. Arrowhead, we've negotiated a term assignment,
2 and we're in the process of executing that.

3 Q. So at least temporarily you expect that you'll
4 need an order against Arrowhead, but hopefully if the
5 documents are executed we can dismiss them from a pooling
6 order?

7 A. That's correct.

8 Q. Let's deal with the Murphy Petroleum Corporation
9 interest. Am I correct in understanding that Mark Wheeler
10 and you, Mr. Wheeler as a landman on behalf of Penwell and
11 you on behalf of Nearburg, have had extensive and repeated
12 contact with the interest owners involved in what we
13 characterize as the Murphy Petroleum Corporation interest?

14 A. That's correct.

15 Q. Explain to the Examiner in a summary fashion what
16 has happened when Mr. Murphy consolidated those interests
17 back into Murphy Petroleum Corporation in terms of
18 committing that interest to overriding royalty burdens.

19 A. When Mr. Murphy took the assignments from the
20 original owners, he allowed the original owners to
21 excessively burden the lease. There is approximately 34
22 percent override out of that group now attached to that
23 lease.

24 Q. Typically, when you look at a tract in a spacing
25 unit, you're accustomed to seeing a base royalty paid to

1 the State of New Mexico or the federal government; is that
2 not true?

3 A. That's correct.

4 Q. And that general base royalty is about 12.5
5 percent?

6 A. 12.5 on the federal.

7 Q. Yes.

8 A. Yes.

9 Q. When we get to dealing with overriding royalty
10 burdens on a federal lease, you will see ranges of
11 overriding royalty burdens from none up to maybe 12.5
12 percent; is that not true?

13 A. That's correct.

14 Q. When you add those two together, the common
15 practice in the industry, is it not, is to do your very
16 best to obtain a net revenue interest associated with that
17 lease, where the total royalty burdens do not exceed 25
18 percent?

19 A. That's correct.

20 Q. Is that a fair characterization?

21 A. Yes, yes.

22 Q. In this instance, the overriding royalty burdens,
23 in combination with the royalty, burden the lease by 50
24 percent?

25 A. That's correct.

1 Q. What have you done in -- Have any of these
2 parties recognized that additional overriding royalty
3 burden to be excessive?

4 A. Yes, they have. We've been in negotiations via
5 Mark Wheeler with Murphy Petroleum trying to acquire their
6 interest on a term assignment. We have gotten a verbal
7 agreement with the group that they will deliver us an 80-
8 percent net revenue for a fairly tidy little sum of money.

9 Q. In exchange for compensation paid by you and Mr.
10 Wheeler in terms of a bonus, the verbal agreement is that
11 they will reduce the excessive overriding royalty burdens
12 to the point where they can deliver you a net lease
13 interest of 80 percent?

14 A. That's correct.

15 Q. Has that agreement been fully executed by all the
16 parties and recorded?

17 A. No, it has not.

18 Q. At this point you're requesting the Examiner to
19 go ahead and issue a pooling order, and hopefully we can
20 dismiss them if all the verbal agreements materialize in
21 the form of enforceable written documents?

22 A. That's correct.

23 Q. In addition, you're asking the Examiner to use
24 his authority to reduce the excessive overriding royalty
25 burdens?

1 A. That is correct.

2 Q. All right. Let's look at the specifics of the
3 interest. If you'll turn to Exhibit 3, identify and
4 describe for me what I'm seeing when I look at Exhibit 3.

5 A. Exhibit 3 is just consolidated Exhibit 2 into a
6 320-acre spacing unit, prorationing everyone's working
7 interest to the spacing unit.

8 Q. Now, this tabulation simply shows a gross
9 percentage of working interest in the spacing unit?

10 A. That's correct.

11 Q. It does not show the net revenue interest
12 applicable here?

13 A. No, it does not.

14 Q. All right. Let's turn now to Exhibit Number 4
15 and have you identify and describe for us what Exhibit 4
16 is.

17 A. Exhibit 4 was the original proposal we mailed out
18 January 7th, attaching to it our AFE, sent out certified.
19 As you'll see in the distribution list on the second page,
20 at the time we sent this out, our title did not reflect
21 that the Strata group had assigned their interest into
22 Murphy Petroleum.

23 Q. All right, let's start with this so that it's
24 clear to the Examiner what you and I are characterizing as
25 the Murphy group.

1 A. Okay.

2 Q. It may be easier if we look at this list and
3 simply exclude those companies and individuals that are not
4 part of the Murphy group that we're discussing.

5 A. Okay.

6 Q. Delete those for me.

7 A. With the exception of the six -- first six
8 companies, which is Nearburg, Penwell, Mitchell, Santa Fe
9 and Arrowhead, the remaining balance of those owners have
10 now been consolidated into Murphy.

11 Q. All right. Let's take the balance of those
12 interests and describe for the Examiner how those interests
13 move from the sheet shown here into the Murphy Petroleum
14 Corporation interest.

15 A. It was done via an assignment.

16 Q. All right, each of these individuals and
17 companies, I think, with the exception of Branko -- Branko
18 did not?

19 A. Right, Branko did not, I'm sorry.

20 Q. Strata and the rest of these made assignments
21 into Murphy Petroleum Corporation?

22 A. That is correct.

23 Q. And in doing so retained overriding royalty
24 percentages?

25 A. Correct.

1 Q. The net effect of that is to collectively have an
2 overriding royalty burden of 38 percent, give or take?

3 A. Give or take, that's correct.

4 Q. The balance of that interest, then, Mr. Murphy
5 put into Murphy Petroleum Corporation?

6 A. That's correct.

7 Q. Okay. The first proposal was to all these
8 individuals and companies prior to knowledge about the
9 assignments into Murphy Petroleum Corporation?

10 A. That's correct.

11 Q. And you sent out all these notices and requests
12 for participation?

13 A. (Nods)

14 Q. All right.

15 A. Correct.

16 Q. When did you become aware that these Murphy
17 partners had made assignments into Murphy Petroleum
18 Corporation?

19 A. Actually, in following up with our proposal, we
20 were informed that -- from certain individuals that they
21 had, in fact, assigned their interest into Murphy.

22 And at that point in time, Mark Wheeler had had
23 prepared an assignment -- I mean a title opinion, which he
24 gave us a copy of, which we have provided as Exhibit 5.

25 Q. All right, Mr. Wheeler had Rudy Woerndle of

1 Woerndle, Patterson, Strain and Miller prepare a title
2 opinion?

3 A. That's correct.

4 Q. And that's what Exhibit 5 is; is that not true?

5 A. That's correct.

6 Q. Let's direct the Examiner and Mr. Carroll to the
7 portion of the title opinion that shows them the division
8 of interest among the Murphy partners. Where do we find
9 that?

10 A. On page 2, Oil and Gas Leasehold Estate, B,
11 southwest of the southeast.

12 Q. Halfway down the page it starts with sub B, it
13 shows the 40-acre tract, and then what does it show?

14 A. It shows the individual calculation of net
15 interest.

16 If you will turn to page 3 and look at the very
17 bottom, it shows -- At the very top, in bold letters, it
18 shows the total overriding royalty that's just been
19 retained being 34.6875.

20 Going below that is a calculation of the
21 operating rights, showing the breakdown between Murphy,
22 Arrowhead and Branko. It shows the working interest and
23 the associated net revenue interest with each tract.

24 As you can see, the total working interest on
25 this tract is 100 percent with a net revenue interest of

1 52.8125, which gives you a total burden of 47 and some
2 change.

3 Q. Describe for us why that burden, in your opinion,
4 is excessive and what your company does in situations
5 involving tracts and spacing units that have a burden to an
6 extent where they have to deliver you, or propose to
7 deliver, less than a 75-percent net revenue interest.

8 A. Generally, we do not drill any tracts that have a
9 net revenue interest less than 75.

10 Q. And why is that so?

11 A. We feel that is about the economic cutoff,
12 seeking the rate of return we'd like to see on our wells,
13 and when the burdens start getting below 75, the economics
14 of the project start hurting.

15 Q. Is that unique to Nearburg?

16 A. No, I don't believe so. I think if you would
17 look probably as an industry standard, about the lowest
18 leases that I've been farmed out to or assigned to, about
19 the lowest burden that you can stomach is about a 25-
20 percent burden.

21 Q. And this has to do with the deep-gas, high-risk
22 wells such as this?

23 A. That's correct.

24 Q. Okay. When we look at the -- that 40-acre tract,
25 it does not appear from Mr. Woerndle's title opinion that

1 the Branko interest bears an overriding royalty burden?

2 A. That's correct, that's -- Branko and Arrowhead,
3 neither one, have got the excessive burden.

4 Q. Okay, so the overriding royalty burden that you
5 consider to be excessive is unique to the Murphy -- It says
6 Murphy Production Company, I think I've also characterized
7 it as Murphy Petroleum Corporation.

8 A. It is Murphy Petroleum Corporation.

9 Q. That's the right name?

10 A. That's the right name. I've talked with Rudy
11 since, and they have amended their JOA -- I mean their
12 title opinion.

13 Q. All right, having been told by certain of the
14 Murphy partners that they either were or had made
15 assignments back to Murphy Petroleum Corporation, what then
16 did you do?

17 A. The first thing I did was immediately have our
18 title landman go back out and run the records. Discussing
19 this with Mark Wheeler, he informed me that they had
20 recently had a title opinion, so between the two we
21 compared our title checkout with their title opinion. And
22 at that point in time, we started conversations with
23 Murphy.

24 Q. All right. What were the summary of
25 conversations with Mr. Murphy, and where are we now today

1 with that interest?

2 A. First of all, we re-sent the proposal, since it
3 had not been sent to Murphy Petroleum. It had been sent to
4 Strata at the same address as Mr. Murphy, and Mr. Murphy
5 did accept it, but as a precaution we felt we needed to re-
6 propose it to Murphy Petroleum to see if they would like to
7 participate.

8 Q. Okay.

9 A. They indicated verbally that they did not want to
10 participate, that they would be willing to give us a term
11 assignment.

12 I discussed this with Mark. Mark had a better
13 relationship, for lack of better words, with Murphy
14 Petroleum, so he said he would take the negotiations.

15 We have currently had a situation where they are
16 circulating for assignment from the partners a reassignment
17 of the excessive burden back into Murphy so that Murphy
18 could deliver to us an 80-percent net revenue. We've been
19 told they're circulating -- we have no proof of that, other
20 than they've said they were circulating it -- and that
21 hopefully they would get it all tied up in the next three
22 or four weeks and we can proceed.

23 Q. Other than Mr. Wheeler and your conversations
24 with Mark Murphy, have either of you pursued direct
25 contacts with any of the parties who initially had the

1 working interest share, the Murphy partners, if you will?

2 A. Yes, I spoke with Branko -- I think his name is
3 actually Branko Jovanovitch or something, I've got it
4 written down and -- on two occasions, and on the last
5 occasion he did say that he would do whatever Murphy
6 Petroleum did. We confirmed that further with Murphy
7 Petroleum.

8 Q. How about Arrowhead?

9 A. Arrowhead has agreed and we have -- Like I say,
10 we have a formal document on my desk, which needs to be
11 amended a little bit, but I think it would be an acceptable
12 term assignment form, and I feel that we'll get that tied
13 up.

14 Q. What about the balance of the individuals and
15 entities that we've characterized as the Murphy partners?
16 Have you had direct contacts with any of those?

17 A. No.

18 Q. You've simply relied on Mark Murphy's
19 representation that he was acquiring those interests and
20 had -- and that those interests are now of record, are they
21 not?

22 A. That's -- well, they -- Yes, yes.

23 Q. So the assignments from these parties are of
24 record back to Murphy Petroleum Corporation?

25 A. That's correct.

1 Q. The problem with those assignments is, they carry
2 the excessive overriding royalty burdens?

3 A. That's correct.

4 Q. All right. And you're dealing with Mr. Murphy in
5 order to attempt to negotiate and pay for reduction of the
6 burden?

7 A. That's correct.

8 Q. And he says he's trying to get that done?

9 A. That's correct.

10 Q. All right. Let's turn to Exhibit 6 and have you
11 identify and describe what this is.

12 A. This is the documentation between Mark [sic] C.
13 Chase, who says that he is now the owner of Arrowhead --
14 when I say Arrowhead, we're dealing with Chase. They are
15 attempting as part of acquiring that interest to perfect
16 the title into Chase.

17 He informed me that Arrowhead was now a defunct
18 company, so we have some title curative here, and that's
19 part of the problems we have with the current form of term
20 assignment that I have on my desk.

21 Q. Okay.

22 A. But I'm working with him on that.

23 Q. And Exhibit 7?

24 A. Exhibit 7 is just confirmation of the trade
25 showing -- Again, he's saying that Arrowhead was absorbed

1 by Mark Chase and that he will remedy the situation and
2 prepare the assignment.

3 Q. Let's look at Exhibit 8 now.

4 A. Exhibit 8 was the reproposal to Mark Murphy of
5 the well when we discovered that they now had the interest.

6 Q. The second paragraph describes the concern over
7 the excessive royalty burdens?

8 A. That's correct.

9 Q. And part of that triggered, then, follow-up
10 verbal discussions with Mr. Murphy about what to do?

11 A. That's correct.

12 Q. Okay. Have any of the parties notified,
13 interjected any objection to the AFE you submitted to them?

14 A. No, they have not.

15 Q. The proposed overhead rates?

16 A. \$6000 and \$600.

17 Q. All right. Do you have a forecast or an estimate
18 of the time frame in which to commence the well?

19 A. The well, for the benefit of Nearburg, must be
20 spudded by July 1st, 1997.

21 Q. And why is that necessary?

22 A. Our interest was acquired from Pitch Energy
23 Company.

24 Q. Pitch?

25 A. Yes.

1 Q. Okay. And we have a term assignment which
2 expires -- originally expired 5-1-97. We have been
3 successful in acquiring a two-month extension and have been
4 told that that would be our last extension.

5 Q. Okay.

6 A. The company is called Pitch Energy Corporation.

7 Q. And July 1st is the end of that extension, and
8 you don't believe it's possible to get additional
9 extensions?

10 A. Not without paying a very exorbitant amount of
11 money, no.

12 MR. KELLAHIN: All right, sir.

13 Mr. Examiner, Exhibit 17 that's before you is my
14 certificate of mailing and notice of hearing. I have
15 attached a tabulation of the parties and individuals that
16 notice was sent to.

17 With your permission, we would move the
18 introduction of Mr. Roush's Exhibits 1 through 8 and
19 Exhibit 17.

20 EXAMINER CATANACH: Exhibits 1 through 8 and 17
21 will be admitted as evidence.

22 MR. KELLAHIN: That concludes my examination of
23 this witness.

24 EXAMINER CATANACH: I guess I'm a little unclear,
25 Mr. Kellahin, as what Nearburg is asking the Division to do

1 in this case. You're asking us to issue a pooling order.
2 Are you asking us to, within the pooling order, reduce the
3 overriding burden on this particular tract?

4 MR. KELLAHIN: Yes, sir, we've done that, not in
5 the recent past, but there are occasions where I have
6 requested and the Division has done that. If you like, I
7 can give you some examples.

8 In Order R-7998, from my Application on behalf of
9 Hawkins Oil Company, the Division entered an order that
10 reduced an excessive burden that Meridian Oil Company had
11 on the track at that time. And there's language contained
12 in that order that I may submit to you as a way to
13 accomplish that. That was in the Hawkins case.

14 It was also done in a Chandler case, Order
15 R-8047. That ultimately was a Commission hearing. There
16 was an excessive burden in that case, which was ultimately
17 reduced.

18 There is another example, Rio Pecos Corporation,
19 Order R-7335, in which Ralph Nicks had put a 50-percent
20 overriding royalty burden on one of his interests to his
21 son and daughter in an effort to avoid having a working
22 interest share committed to the costs of a well, and that
23 was ordered reduced by that order.

24 So in a quick check I found three examples in the
25 past where we had done that. So that's what I'm asking

1 you, is that as to the interests in that 40-acre tract,
2 which we think will, by negotiation and payment of
3 consideration, be voluntarily reduced, but in the event
4 that that somehow doesn't work, we would ask that you
5 reduce the overriding royalty burden so that it's a net
6 revenue interest of 75 percent as to that interest.

7 And if you look at the title opinion, you can see
8 which parties of the Murphy partnership were responsible
9 for achieving that level of percentage, and we'll simply
10 ask that it all be proportionately reduced.

11 That doesn't wipe out the entire overriding
12 royalty burden, you understand. That still allows about
13 12.5 percent to remain in effect. We're just going to
14 knock off about -- I don't know, 16, whatever the
15 percentage difference is.

16 EXAMINER CATANACH: Okay, you're asking us to
17 reduce that burden such that your net revenue interest on
18 that tract is 75 percent?

19 MR. KELLAHIN: Yes, sir.

20 EXAMINER CATANACH: Aren't you negotiating with
21 Murphy for an 80-percent figure?

22 MR. KELLAHIN: That's right, for consideration
23 he's going to give us the additional 5, but we're not going
24 to ask that that difference be considered. We're paying
25 considerable money for this, and if it doesn't work, we

1 want 75 percent.

2 EXAMINER CATANACH: If this is put within the
3 pooling order, doesn't that give you what you're asking
4 for, and you have no reason to continue negotiations with
5 Murphy at that point?

6 MR. KELLAHIN: We would not do that, Mr.
7 Examiner.

8 THE WITNESS: No, we will continue, we've made a
9 good-faith offer, and we're making a good-faith effort to
10 control this, and I would prefer to have the 80 percent,
11 even paying the bonus, versus the 75.

12 EXAMINER CATANACH: So you will continue to
13 negotiate with Murphy?

14 THE WITNESS: Oh, most definitely, yes.

15 MR. KELLAHIN: And that's their desire, and my
16 caution as the attorney for Mitchell in the adjoining
17 dispute was to make absolutely certain that all the
18 documents had been fully executed and recorded. Because
19 the time led line of spudding this well is close, we wanted
20 the action taken in the pooling order in the event that Mr.
21 Murphy changes his mind. The mind to be changed here would
22 not be ours, it would be his.

23 EXAMINATION

24 BY EXAMINER CATANACH:

25 Q. Well, in your opinion, Mr. Roush, what do you

1 think the chances are of executing this agreement with
2 Murphy?

3 A. I think they're very good, but I have no
4 guarantees that they'll perform.

5 Q. Does the -- Is this agreement with Murphy
6 contingent upon Murphy obtaining these assignments from
7 each of his interest owners?

8 A. That's correct.

9 Q. Each of these has to reduce theirs back to Murphy
10 in order for Murphy to make this deal with you?

11 A. That's correct, and that's my concern.

12 Q. If one or two of them do not do that, then he
13 can't make the deal; is that correct?

14 A. Well, the deal we've made has been on the full
15 92-percent working interest, and at this point in time he
16 has assured us that all the parties will reduce their
17 overriding royalty so that he can make the deal.

18 I'm sure that some of the consideration that
19 we're giving Mr. Murphy will probably flow through to his
20 partners. I don't know that, but I would assume.

21 Q. But again my question is, if one or two elect not
22 to do that, what happens then?

23 A. If one or two elected not to do it, and we could
24 see that of the 92 percent, that we had 88 percent of it,
25 we would proceed with the 88 and just have to deal with the

1 remaining 2, or however we want to do it. And we'd be
2 reasonable about it.

3 But on the other hand, if only half of them sign,
4 then you've still got half that interest out there with an
5 excessive burden, and that would be one that we would have
6 to sit back and probably scratch our head.

7 But from a practical standpoint, if we get to
8 within, you know, 90 percent of that group executing it,
9 we'll probably proceed. We have a term assignment here
10 that's expiring 7-1-97, so practicality will overcome, you
11 know, whatever you have down on paper.

12 Q. So if you can't reach an agreement with Murphy,
13 you've got this Division order to fall back on?

14 A. That's correct. And if we didn't have such a
15 tight time frame on our term assignment, I'd be much more
16 comfortable with letting this drag along a little bit
17 longer and trying to get it typed up. But I don't know
18 that, you know, this thing will be tied up in 30 or 60
19 days, and then we're in a world of hurt with our
20 assignment.

21 Q. Okay. You've got a drilling deadline. Is it
22 July 1st?

23 A. July 1st, our term assignment expires if we're
24 not drilling.

25 Q. Has Murphy expressed to you in what time frame he

1 might have this accomplished?

2 A. He's been dealing mainly with Mark, and Mark
3 indicated he hoped that they would have it done in the next
4 three weeks. But that's a lot of individuals to get a lot
5 of paper from and, if you'll notice, they're all over the
6 country. Mr. Branko is actually in Canada.

7 Q. Well, Branko's interest doesn't affect the deal
8 with Murphy?

9 A. No, but again, Branko would probably want to tie
10 all of it up. The majority of the interests, I believe
11 they're located in -- we've got some in Albuquerque, some
12 in Salt Lake City, some in Roswell. So quite a few places.
13 It's not that it can't be done; I just think it will take a
14 little time to circulate that much paper and get it
15 executed.

16 Q. Do you anticipate joinder by Santa Fe Energy?

17 A. Yes, I do. I don't know why they haven't
18 elected. I've talked to them on numerous occasions. I was
19 employed with Santa Fe for 15 years. I can't imagine them
20 not participating for 3 1/8. But I have not been able to
21 get them to give me an election.

22 EXAMINATION

23 BY MR. CARROLL:

24 Q. Mr. Roush, it appears that the assignments from
25 all these Strata partners to Murphy Petroleum were made in

1 June of last year?

2 A. Uh-huh.

3 Q. This was quite a few months before the well was
4 proposed?

5 A. Yes.

6 Q. I'm a little confused. It looks like Scott
7 Exploration, Inc., has two overrides?

8 A. George L. Scott and Scott Exploration.

9 Q. Scott Exploration, Inc., it's the second page of
10 the title opinion.

11 A. I see them once.

12 MR. KELLAHIN: Here it is.

13 THE WITNESS: Did I miss it?

14 MR. KELLAHIN: He's looking at this plus.

15 THE WITNESS: Oh, yeah, combined, I believe they
16 have a 9 1/2. It could have come from two separate --

17 Q. (By Mr. Carroll) I'll ask -- Scott, I think, was
18 a working interest owner?

19 A. Yeah, it could have been a previous override, and
20 then when they made the assignment in the Murphy attached
21 another override.

22 MR. CARROLL: Yeah. That's all I have.

23 EXAMINER CATANACH: I don't have anything further
24 of this witness.

25 MR. KELLAHIN: Mr. Examiner, my next witness is

1 Ted Gawloski. Mr. Gawloski is a petroleum geologist.

2 TED GAWLOSKI,

3 the witness herein, after having been first duly sworn upon
4 his oath, was examined and testified as follows:

5 DIRECT EXAMINATION

6 BY MR. KELLAHIN:

7 Q. For the record, sir, would you please state your
8 name and occupation?

9 A. I'm Ted Gawloski. I'm a petroleum geologist for
10 Nearburg Producing Company in Midland.

11 Q. On prior occasions, Mr. Gawloski, have you
12 testified and qualified as an expert petroleum geologist?

13 A. Yes, I have.

14 Q. Have you made a geologic examination of the
15 opportunity for a deep gas well in the east half of Section
16 28?

17 A. Yes, I have.

18 Q. As part of that study, do you now have an opinion
19 as to the appropriate risk factor penalty to be associated
20 with this project and to be attached to a compulsory
21 pooling order?

22 A. Yes.

23 Q. You're aware that the Commission is authorized to
24 impose a penalty of cost plus a maximum of 200 percent to
25 any party that has a working interest that elects not to

1 participate? Are you aware of that?

2 A. Yes, I am.

3 Q. What do you recommend as a geologist in terms of
4 that penalty percentage?

5 A. 200 percent.

6 Q. Let's talk about how you get to that conclusion.
7 If you'll start with Exhibit 9 --

8 A. Okay.

9 Q. -- give us the setting of what you're dealing
10 with.

11 A. Exhibit 9 is an Atoka/Morrow production map
12 covering portions of Township 20 South, 33 East, and the
13 proposed location and the proration unit shown there in the
14 green box.

15 There are essentially two fields in this area,
16 the Teas field up to the north, and the Salt Lake/Hat Mesa
17 complex down the south. Where we are drilling is in
18 between these two areas. There's -- The well in the west
19 half of 28 has made about 1.5 BCF of gas and 21,000 barrels
20 of condensate, and it's currently at a rate of about 400
21 MCF a day.

22 The well in 27 did not make a Morrow well after
23 some attempts to establish production, and they made an
24 Atoka well, made about half a BCF.

25 The other closest well is in Section 26. That

1 well has made about 200 million, and it's currently
2 producing at a pretty low rate.

3 Q. Why are you seeking a maximum 200 percent?

4 A. There is significant risk attached to the well in
5 here. Some that -- We can show you off the map, some that
6 deal with the actual reservoir rock itself.

7 Q. Well, let's start that process, let's look at
8 Exhibit 10. You have a three-well stratigraphic cross-
9 section. The line of that cross-section shown on 9. It's
10 also in the locator map at the bottom of 10.

11 A. That's correct.

12 Q. You're utilizing the closest available well
13 control you have to this location, I guess?

14 A. That's correct.

15 Q. And what do we see when we look at the cross-
16 section?

17 A. Well, this is a cross-section that goes from the
18 Strawn formation up on the top, down to the Barnett shale,
19 on the bottom of the cross-section.

20 Mainly -- Our main interest here is the sands
21 within the Morrow formation. We've split out the sands
22 here into the Morrow "A", which is the uppermost sand
23 complex; the Morrow "B", which we've split to an upper and
24 lower section here; and then the Morrow "C", which is the
25 lower sand package.

1 The well on the west end, the Mitchell Tomahawk
2 28 Federal, is the well we plan on offsetting. It is
3 currently producing out of a sand in the lower Morrow "B".
4 To the best of my knowledge, it has not been recompleted in
5 any of the other sands. The well was produced naturally
6 initially and then frac'd with an algal foam frac, and it
7 is now, I believe, on a compressor, producing now.

8 The well in Section 27 and the well in Section
9 26, you'll notice that there is quite a large amount of
10 sand in the Morrow "B" and "C" sections. These two wells
11 really are not going to be commercial wells. The well in
12 27 tested a whole bunch of these sands and never really had
13 any production established with them.

14 The well in 26 has actually good reservoir
15 parameters in here but was damaged, I believe, while it was
16 drilled and then frac'd and then shut in, and the well has
17 never produced at that high a rate. It makes about a
18 quarter of a million a day on a compressor.

19 One of the things that we noted in here is that
20 the sands have a high susceptibility to damage due to the
21 clays and stuff that are in the rock. So that adds an
22 inherent risk in this area here, that sometimes you cannot
23 see in the isopachs because they do show some pretty good
24 porosity, but they haven't performed up to what their
25 expectations were.

1 Q. Characterize for us the continuity of these sand
2 lenses in the Morrow as you move from well to well.

3 A. Well, the individual sands are quite erratic in
4 nature, but when we isopach them we take a group of sands
5 and try to develop them as a package, otherwise we wouldn't
6 have any continuity at all. So we map them and try to
7 break out blocks of sands and then map them in that manner,
8 and that's what I've done here.

9 Q. The isopach masks the difficulty of -- masks the
10 characteristic that these lenses really are discontinuous
11 and very heterogeneous?

12 A. That's correct.

13 Q. Let's look at those isopachs, if you'll start
14 with Exhibit 11.

15 A. Exhibit 11 is the isopach of the Morrow "C" sands
16 -- it should be the lowest member of the cross-section --
17 and essentially they are northwest-southeast-trending
18 channel sand complexes in here. We've projected a sand
19 thick through the east half of 28. Although there is some
20 development in the wells on either side of us, they have
21 not been productive in this section.

22 Q. It looks to be a pretty interpretive map, Mr.
23 Gawloski, when you look at the well control in relation to
24 identifying this channel and establishing a thickness to
25 it?

1 A. That is correct. The only producing well that we
2 see within that channel is down in Section 1, the township
3 to the south.

4 Q. Okay, Exhibit 12, identify and describe that
5 display.

6 A. Exhibit 12 is the isopach of the lower Morrow
7 "B", and it's a pretty thick sand package in here. The
8 Mitchell well in the west half of 28 is producing out of an
9 individual sand in the lower part of that section. This is
10 probably the main objective of what we're after in our east
11 half of 28.

12 This well also -- I had worked for Mitchell when
13 we drilled this well, and this well was cored and it had
14 lots of minerals and clays and stuff within the sands
15 themselves, and the well had to be stimulated in a fashion
16 that wouldn't damage it. And we know this about this area
17 here, and therefore the wells have to be treated when you
18 drill them with respect to not damaging the formation.

19 Q. Okay, let's turn your attention to Exhibit 13 and
20 have you identify and describe that display.

21 A. Exhibit 13 is the isopach of the upper Morrow "B"
22 sands. They are productive in the area, but only to the
23 southwest and to the northeast of the prospect.

24 The Mitchell well in the west half of 28 has some
25 thin sand lenses, but they have not been tested yet.

1 The well in Section 27 tested those sands, but
2 they were nonproductive.

3 The well in Section 26 has not tested that
4 interval yet.

5 So there is some productive in here. These
6 things are oriented in a strike fashion. There are more
7 marine bar complexes here.

8 Q. Still very speculative on the interpretation
9 here?

10 A. Right. As you can see on the cross-section,
11 especially on the Mitchell well, it is a bunch of thin sand
12 lenses, and so they're discontinuous by their nature.

13 Q. All right, Exhibit 14. Identify and describe
14 this one.

15 A. Exhibit 14 also is an isopach of a marine bar
16 complex, and you can see there's numerous individual pods
17 in here. There is a sand that's in the well in Section 28,
18 the west half. That sand has not been tested yet.

19 Q. Okay, and finally the structure map, Exhibit 15?

20 A. The structure map is a structure map on the top
21 of the Morrow, which is that blue line on the cross-
22 section. It shows the big structure associated with the
23 Salt Lake/Hat Mesa field complex to the south and the
24 faulted area to the north, and then a pronounced structural
25 low across Section 33. And our location would be on the

1 flank of that as -- coming up out of that low. And we'll
2 essentially be flat to the Mitchell well in Section -- west
3 half of 28.

4 Q. In summary, then, Mr. Gawloski, what's your
5 conclusion about the penalty and the geologic risk?

6 A. I believe the penalty of 200 percent is
7 warranted. There is inherent risk in here with the
8 individual lenticular nature of the sands and also the
9 clays that are within these sands.

10 MR. KELLAHIN: That concludes my examination of
11 Mr. Gawloski.

12 We move the introduction of his exhibits. They
13 are 9 through 15.

14 EXAMINER CATANACH: 9 through 15?

15 MR. KELLAHIN: Yes, sir.

16 EXAMINER CATANACH: Exhibits 9 through 15 will be
17 admitted as evidence.

18 I have no questions of Mr. Gawloski.

19 TIM McDONALD,

20 the witness herein, after having been first duly sworn upon
21 his oath, was examined and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. KELLAHIN:

24 Q. All right, sir, would you please state your name
25 and occupation?

1 A. My name is Tim McDonald. I'm a petroleum
2 engineer for Nearburg Producing Company in Dallas, Texas.

3 Q. Mr. McDonald, on prior occasions you've testified
4 as a petroleum engineer before the Division?

5 A. Yes, I have.

6 Q. At my request, Mr. McDonald, did you prepare an
7 analysis of the effect of what we characterize to be the
8 excessive overriding royalty burdens associated with the
9 tract that's involved in this spacing unit?

10 A. Yes, I have.

11 Q. And based upon that analysis, do you now have
12 conclusions and recommendations?

13 A. Yes, I do.

14 MR. KELLAHIN: We tender Mr. McDonald as an
15 expert petroleum engineer.

16 EXAMINER CATANACH: He is so qualified.

17 Q. (By Mr. Kellahin) Let's look at Exhibit Number
18 16, Mr. McDonald, and let's look at the parameters and let
19 me ask you some questions.

20 A. All right.

21 Q. Where did you get the parameters and what do they
22 mean?

23 A. The parameters are based on a study of the area
24 around this prospect, including both the Salt Lake South
25 field and the Hat Mesa field. There's -- I believe I

1 looked at about 50-some-odd wells and took production
2 curves and projected those to their economic limits and
3 came up with ultimate recoveries.

4 And based on those wells, I came up with an
5 average initial gas rate of about 2 million a day, a
6 condensate yield of .012 barrels of condensate per MCF,
7 ultimate reserves per well of 3.5 BCF, decline rate of
8 about 19 percent per year, and I used our average operating
9 costs in the area of about \$1200 a month, and I escalated
10 those at 3 percent a year.

11 I used a \$2-an-MCF gas price, escalated 2 percent
12 per year to a maximum of \$3.50 per MCF. I used a
13 condensate price of \$20 a barrel, escalated 2 percent to a
14 maximum of \$35.

15 I used a chance of success of 35 percent. And
16 basically the way I set the program to do that, it risks
17 the initial rate, the ultimate production and the
18 completion cost amounts by 65 percent.

19 The dryhole cost I used from the AFE of \$699,220,
20 the completed well cost of \$1,159,273. In both cases, I
21 used the Nearburg current working interest in the unit.

22 Q. The attachments to that are the spreadsheets that
23 you could analyze, or the Examiner could analyze, that will
24 show him how you got to the results?

25 A. Right, those show an economic forecast and also

1 the input data behind each case.

2 Q. All right. In your opinion, are the parameters
3 that you've selected to make this analysis fair and
4 reasonable?

5 A. I feel like they are, yes.

6 Q. What is the effect on the project in terms of the
7 return on investment or rate of return if you use the
8 current burdens that the Murphy interests have on their
9 lease?

10 A. The economics show an internal rate of return
11 projected with the current burdens of 20 percent and a
12 return on investment of 1.89.

13 Q. If those burdens are reduced -- and I'm not sure
14 if you reduced it to the 80 percent or the NRI of 75
15 percent. What did you use?

16 A. Seventy-five.

17 Q. You used 75 percent NRI, like we've asked the
18 Examiner to use?

19 A. That's right.

20 Q. When you reduce the burden to a net revenue
21 interest, setting aside the excessive burden, what happens?

22 A. I came up with an internal rate of return of
23 about 25 percent and a return on investment of a little
24 over 2, 2.11.

25 Q. Still a very risky, very marginal prospect, isn't

1 the input data behind each case.

2 Q. All right. In your opinion, are the parameters
3 that you've selected to make this analysis fair and
4 reasonable?

5 A. I feel like they are, yes.

6 Q. What is the effect on the project in terms of the
7 return on investment or rate of return if you use the
8 current burdens that the Murphy interests have on their
9 lease?

10 A. The economics show an internal rate of return
11 projected with the current burdens of 20 percent and a
12 return on investment of 1.89.

13 Q. If those burdens are reduced -- and I'm not sure
14 if you reduced it to the 80 percent or the NRI of 75
15 percent. What did you use?

16 A. Seventy-five.

17 Q. You used 75 percent NRI, like we've asked the
18 Examiner to use?

19 A. That's right.

20 Q. When you reduce the burden to a net revenue
21 interest, setting aside the excessive burden, what happens?

22 A. I came up with an internal rate of return of
23 about 25 percent and a return on investment of a little
24 over 2, 2.11.

25 Q. Still a very risky, very marginal prospect, isn't

1 it?

2 A. Yeah, we look at -- On a deep Morrow test like
3 with all the risks involved, a minimum of -- we try to
4 achieve a minimum of a risked rate of return of 25 percent,
5 an ROI of two or greater.

6 Q. Yeah, and this just barely does it, even if you
7 take the excessive burdens down?

8 A. That's correct.

9 Q. And if the burdens are left on, what happens to
10 the viability of the project economically?

11 A. It's really sub what we like to proceed with.
12 Its economics are substandard for our typical prospect of
13 this type.

14 Q. The ability to drill this well and the priority
15 in which it is rated among other prospects certainly
16 diminishes, does it not?

17 A. That's true.

18 Q. What is your recommendation to the Examiner with
19 regards to the excessive burdens?

20 A. I feel like we need to get to the 75 percent to
21 justify the prospect economically.

22 MR. KELLAHIN: That concludes my examination of
23 Mr. McDonald.

24 We move the introduction of his Exhibit 16.

25 EXAMINER CATANACH: Exhibit 16 will be admitted

1 as evidence.

2 EXAMINATION

3 BY EXAMINER CATANACH:

4 Q. Mr. McDonald, how did you use the chance of
5 success, the 35 percent? Where did that fall into your
6 equation there, your calculations?

7 A. Well, the -- First, the number came from our
8 experience in the area, basically, when you look at all the
9 wells that have been drilled, and what it means is the
10 chance of obtaining a well that ultimately cums 3.5 BCF and
11 will initially start off at a rate of 2 million a day.

12 And the way it worked in the calculations where
13 the program actually takes one minus the risk factor, so it
14 takes the 2 million a day initial rate and takes -- risks
15 it by 65 percent, so it takes 65 percent of the 2 million.
16 It takes 65 percent of the 3.5-BCF ultimate, and it takes
17 65 percent of the completion costs and runs the economics
18 based on that case. And that just -- it allows us -- We
19 use that as a way of rating our prospects against one
20 another to decide which ones need to be drilled and in
21 which order we ought to drill them for the best economic
22 success.

23 And that's shown on the detail, if you look on
24 a -- you'll see the ultimate gas is like 1.2 BCF on the
25 overrun, on the economic run. And what that is, that's 65

1 percent of the 3.5.

2 Q. So what you're saying is, you have about a one-
3 in-three chance of obtaining a well that has these --

4 A. That's correct.

5 Q. Okay. Well, doesn't that -- I mean, you're
6 significantly reducing the -- I guess I'm just not clear on
7 how you do that or why do you do that.

8 A. It's fairly typical. Most economics programs are
9 set up that way. It's a way of rating prospects, more or
10 less.

11 If you assign a risk factor to them, it allows
12 you to take a prospect, you know, with varying -- It allows
13 you to equate everything on an internal-rate-of-return
14 basis, different-size prospects, different types of
15 prospects.

16 EXAMINATION

17 BY MR. CARROLL:

18 Q. Is this a commercially available --

19 A. Sure, this is --

20 Q. -- program?

21 A. This is OGRE, yeah, this is -- There's two
22 industry standards. This is one of the two that people
23 generally use. It's called OGRE.

24 Q. OGRE?

25 A. OGRE, it's been around for years. David P. Cook.

1 And that's the way that they've built their program, to --
2 you can -- to risk prospects like this.

3 FURTHER EXAMINATION

4 BY EXAMINER CATANACH:

5 Q. So let me ask you this: If you take your
6 numbers, your 2000 MCF per day and your 3.5-BCF ultimate
7 recovery, and you use that in your equations, isn't that
8 going to significantly increase your rate of return?

9 A. Yes, it will, because you'll have a higher
10 initial. Certainly you'll get your money back faster, but
11 you'll also spend a little more because you'll also have
12 your full completion costs, whereas I only used 40 percent
13 of my completion costs or 45 -- 35.

14 And if we're successful, it also makes the dollar
15 value of the 5 percent greater than what's shown on these
16 runs.

17 Q. If you were to obtain a well that produced this
18 much and had that much ultimate reserves, wouldn't that
19 still be very economic, even with the excessive burdens on
20 the lease?

21 A. No, we really shoot for a minimum of 25 percent
22 on this type of well.

23 Q. But if you use the calculations, if you use the
24 figures of 2000 MCF per day and 3.5 BCF, I mean, wouldn't
25 that increase that rate of return?

1 A. That would increase that.

2 Q. To where it was economic?

3 A. It probably would be.

4 Q. But you're saying that you only have a one-in-
5 three chance --

6 A. Right.

7 Q. -- of getting a well like this?

8 A. Right, and I have to have some way to risk the
9 prospect.

10 Q. Is this -- I mean, you do this typically with
11 other prospects?

12 A. We do it with all of our prospects, yes, sir.

13 EXAMINER CATANACH: Okay, I have nothing further
14 of the witness.

15 MR. CARROLL: I have one more question.

16 FURTHER EXAMINATION

17 BY MR. CARROLL:

18 Q. Your actual operating costs are \$1200 a month in
19 this area?

20 A. Yes, on a pulling gas well, without a compressor.

21 MR. CARROLL: That's all I have.

22 EXAMINER CATANACH: Anything further?

23 MR. KELLAHIN: Mr. Examiner, if I have not
24 already done so, Exhibit 17 is my certificate of mailing of
25 notice to all the interest owners. The parties that