

NEW MEXICO OIL CONSERVATION DIVISION

Examiner Hearing
 Santa Fe, New Mexico
 September 16, 1999 -- 8:15 A.M.

Name	Representing	Location
Tommy Folsom	Marrett + Barber	Carlsbad, NM
KEITH LOGAN	MIDWEST OIL	MIDLAND TX
SCOTT HALL	MIDWEST OIL	SF
PAUL HADEN	MIDWEST OIL	MIDLAND TX
PAUL OWEN	SHELL OIL COMPANY	SANTA FE
FRANK [unclear]	[unclear]	SF
BARNEY KAHN	ENERGEN RESOURCES	PILAR, NM
[unclear]	[unclear]	[unclear]
James F. [unclear]	[unclear]	SF
Lour Nazario	AMERICAN OIL	ABQ
Mark Warberg	AMERICAN OIL	[unclear]
[unclear]	[unclear]	[unclear]
Philip [unclear]	[unclear]	[unclear]
Gee M. Phillips	SHELL OIL COMPANY	[unclear]
Clara Phillips Luda	Miquel mineral lease	Greenington NM

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)
)
IN THE MATTER OF CASE NO. 11,773 BEING)
REOPENED PURSUANT TO THE PROVISIONS OF)
DIVISION ORDER NO. R-10,854, WHICH ORDER)
PROMULGATED TEMPORARY SPECIAL RULES AND)
REGULATIONS FOR THE WEST MALJAMAR-)
DEVONIAN POOL IN LEA COUNTY, NEW MEXICO,)
INCLUDING A PROVISION FOR 160-ACRE)
SPACING)
)

CASE NO. 11,773

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

September 16th, 1999

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, September 16th, 1999, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

OIL CONSERVATION DIV
99 SEP 21 AM 11:34

I N D E X

September 16th, 1999
 Examiner Hearing
 CASE NO. 11,773

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>PAUL SCHULZ</u> (Engineer)	
Direct Examination by Mr. Kellahin	6
Examination by Examiner Catanach	17
REPORTER'S CERTIFICATE	22

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	17
Exhibit 2	7	17
Exhibit 3	8	17
Exhibit 4	8	17
Exhibit 5	10	17
Exhibit 6	11	17
Exhibit 7	13	17
Exhibit 8	15	17

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR CONOCO, INC.:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

* * *

1 WHEREUPON, the following proceedings were had at
2 8:20 a.m.:

3

4

5

6 EXAMINER CATANACH: Call the hearing to order
7 this morning for Docket Number 28-99. I will call the
8 dismissals and continuances first.

9 (Off the record)

10 EXAMINER CATANACH: At this time we'll call Case
11 Number 11,773.

12 MR. CARROLL: In the matter of Case Number 11,773
13 being reopened pursuant to the provisions of Division Order
14 Number R-10,854, which order promulgated temporary special
15 rules and regulations for the West Maljamar-Devonian Pool
16 in Lea County, New Mexico.

17 EXAMINER CATANACH: Call for appearances in this
18 case.

19 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
20 the Santa Fe law firm of Kellahin and Kellahin, appearing
21 on behalf of Conoco, Inc. We have one witness.

22 EXAMINER CATANACH: Call for additional
23 appearances?

24 Okay, will the witness please stand to be sworn
25 in?

1 (Thereupon, the witness was sworn.)

2 MR. KELLAHIN: Mr. Examiner, on a hearing on
3 March 1st, 1997, Conoco presented a request for special
4 pool rules for the West Maljamar-Devonian Pool.

5 As a result of that presentation, the Commission
6 adopted special rules for the pool. This is an oil pool,
7 and it provides now for 160-acre oil spacing for one well
8 per 160 acres. It has some footage exceptions, and it has
9 a special oil rate, a daily oil rate, of 900 barrels a day.

10 Our engineering witness back in May of 1997 was
11 Mr. Paul Schulz. Mr. Schulz is back today to provide you
12 the engineering data in support of his recommendation today
13 that you continue the special rules for a temporary period
14 of two years.

15 He will demonstrate to you that the discovery
16 well has demonstrated the capabilities of draining 160
17 acres.

18 There has been some mechanical problems with that
19 well. It currently is not capable of producing the 900
20 barrels a day, but they would like to have that opportunity
21 to continue the rules so that when remedial action is taken
22 on this discovery well it will afford the opportunity to
23 produce at the levels currently approved.

24 With that opening statement, then, we would like
25 to present Mr. Paul Schulz.

1 PAUL SCHULZ,

2 the witness herein, after having been first duly sworn upon
3 his oath, was examined and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. KELLAHIN:

6 Q. Mr. Schulz, for the record, sir, would you please
7 state your name and occupation?

8 A. My name is Paul Schulz, S-c-h-u-l-z. I'm
9 employed by Conoco, Inc., as a staff reservoir engineer in
10 its Midland, Texas, office.

11 Q. You testified at the original hearing of this
12 special pool rule case back in 1997?

13 A. Yes, I did.

14 Q. And you've continued to be responsible for the
15 engineering data and conclusions concerning this well and
16 this pool?

17 A. Yes.

18 Q. Let's turn to Exhibit 1. Would you take a moment
19 and simply identify what we're looking at on Exhibit 1?

20 A. Okay, Exhibit 1 is a land plat of the area around
21 the West Maljamar field. Shown on the plat are the two
22 Devonian penetrations that Conoco has, the Elvis Number 1
23 well located in the northwest quarter of Section 20 and the
24 Elvis Number 2 well, which is located in the southeast
25 quarter of Section 17.

1 Q. Which is the discovery well?

2 A. The Elvis Number 1 is the discovery well.

3 Q. At the time of the original hearing in this case,
4 what was the status of the Number 2 well?

5 A. The Number 2 well was drilling at that time.

6 Q. And what's occurred since then?

7 A. The Number 2 well was placed on production. We
8 produced all the oil we could out of the well. The well is
9 now currently on temporary shut-in status. We're using it
10 as a pressure-observation well to monitor the Devonian
11 reservoir pressure.

12 Q. Let's turn to Exhibit Number 2. Is this a
13 summary of the well data for the Elvis Number 2 well?

14 A. Yes, it is.

15 Q. What conclusions can you reach concerning the
16 pool rules we now have in place, based upon the data you
17 received from the Elvis Number 2 well?

18 A. That the Elvis Number 1 well is probably
19 effectively draining at least 160 acres. At that point,
20 that's about all I can say regarding the Elvis Number 1
21 well from the Elvis Number 2.

22 Just looking at it, the Elvis Number 2 well is
23 located about 2700 feet northeast of the Elvis Number 1
24 well. When it penetrated the Devonian, it penetrated the
25 Devonian reservoir about 62 feet lower. Based on the

1 production results and some log-interpretation work, we've
2 concluded that that location represents probably the oil-
3 water contact for the pool.

4 Q. What type of drive mechanism do we have in this
5 reservoir, Mr. Schulz?

6 A. It's a water drive.

7 Q. Did you see any pressure depletion between the
8 Number 1 and Number 2 well?

9 A. Yes, we did, in the sense that when we put the
10 Number 2 well on production, the pressure we noted was
11 equal to the pressure we were seeing in the Number 1 well.

12 Q. Let me have you turn to Exhibit 3. Identify what
13 we're seeing here.

14 A. Okay, Exhibit Number 3 is a production plot of
15 the Elvis Number 2 well history. It just shows basically
16 the well coming on in mid-summer of 1997, experiencing a
17 very severe decline and being shut in in March of 1998.

18 Q. All right, let's turn to the discovery well data.
19 If you'll turn to Exhibit 4, what is summarized here?

20 A. This is a summary of sort of the basic data about
21 the Elvis Number 1 well. It indicates the current
22 perforated interval for the well is 13,771 to 13,781. The
23 well is being produced by a submersible pump at this time,
24 with the pump set at a depth of 7994 feet, and the Devonian
25 reservoir pressure as of the first of this month,

1 September, 1999, is about 4200 pounds.

2 It also has a table which contains a monthly
3 production summary from initial completion, December, 1996,
4 to July, 1999, which is the most recent date we keep in our
5 database.

6 And finally, a little table at the bottom giving
7 the cumulative production history of the well to date,
8 showing that the well has produced about 498,000 barrels of
9 oil, 1.2 million barrels of water and about 915,000 MCF of
10 gas.

11 Q. In the absence of the special oil allowable, a
12 well on 160 oil spacing, using the standard depth bracket
13 allowable would provide a daily oil rate of what, sir?

14 A. I believe 695 barrels of oil a day.

15 Q. Has this well demonstrated the capacity in the
16 past to produce in excess of the 695?

17 A. Yes, it has. If you'll look, for example, at the
18 date 5-97, it had a monthly production average of 736. In
19 September and October of 1997 it also averaged about 750
20 barrels a day in that period.

21 On daily production rates, which are not
22 reflected in this monthly production total, we have seen
23 individual rates as high as 990 barrels a day.

24 Q. Did the well demonstrate that capacity without
25 having an adverse consequence on the reservoir or on its

1 producing capabilities?

2 A. Yes.

3 Q. Let's turn to Exhibit Number 5.

4 A. Okay, Exhibit Number 5 is a production plot of
5 the Elvis Number 1 well history. There are a couple of
6 points that need to be brought to the Commission's
7 attention.

8 The first is, if you'll look at the date around
9 July, 1997, you see a rather steep production drop at that
10 point. That was Conoco's first attempt to enhance the
11 productivity of the well.

12 The original testimony we gave back in May of
13 1997 indicated this well had a very high skin factor due to
14 the limited completion. At that time we only had three
15 feet of perforations open.

16 This was our attempt to add additional
17 perforations. We went into the well in an underbalanced
18 state, added an additional seven feet of perforations and
19 the well died, which was not very pleasing to Conoco
20 management.

21 So we went in and did a minor acid stimulation,
22 managed to restore well productivity. And at that point,
23 although it is not shown on the monthly rates, the daily
24 well rates for that period, for about a two-week period of
25 time, did exceed 900 barrels a day.

1 The well was produced with these ten feet of
2 perfs at that rate till about January of 1998. In January
3 of 1998 we were preparing to complete the additional 25 to
4 30 feet of interval. However, prior to that completion,
5 the decision was made to attempt another small acid job on
6 the well in order to possibly clean out any paraffin
7 buildup.

8 So Conoco went into the well with the same
9 procedure that we used to restore production six months
10 prior. And at that point the cement behind the casing
11 broke down. We opened up a water channel to the underlying
12 aquifer, and the well watered out at that point. So the
13 well was no longer capable of flowing under natural
14 conditions, so we put the well back on a submersible pump
15 and we returned production to about 700 barrels a day, and
16 that's the condition the well is at at this time.

17 Q. Were you able to obtain sufficient reservoir and
18 engineering data from which to determine the effective
19 drainage area for the discovery well?

20 A. Yes, we were.

21 Q. As part of that effort, were you able to
22 accurately estimate the ultimate recovery from this well?

23 A. Yes, we were. That's -- A couple of techniques
24 of estimating the ultimate recovery, the EUR for this well,
25 are shown on Exhibit 6.

1 The first one would be a standard decline
2 analysis using exponential decline. You see a straight --
3 If you look at the item number I which says "Decline Curve
4 Analysis", you see that a straight line is indicated by
5 that trend. On that basis, taking the well down to an
6 economic limit of about 20 barrels a day, which is the
7 level we feel we can run the sub pump at, you'd have an
8 estimated ultimate recovery for the well of about 605,000
9 barrels.

10 Below it is an alternate ultimate recovery
11 estimation technique that they call "Water Cut
12 Extrapolation". What you do on this technique is simply
13 plot the cumulative oil production versus either the
14 cartesian instantaneous oil cut or the log instantaneous
15 oil cut. It really doesn't matter, as long as a straight-
16 line trend is observed.

17 And if you'll notice that once again, a straight-
18 line trend is observed from our current location, taking
19 the well down to a water cut of about five percent. And
20 that methodology indicates that we should expect estimated
21 ultimate recovery of about 600,000 barrels.

22 So if you summarize it either by exponential
23 decline or water-cut extrapolation, we're looking at the
24 EUR for this well to be about 600,000.

25 Q. Were you able to calculate what, in your opinion,

1 is the effective drainage area for the well?

2 A. Yes, we did, and that would be on Exhibit 7.

3 Q. All right, let's turn to that and have you
4 summarize your analysis.

5 A. Yes, Exhibit 7 shows how you might calculate the
6 drainage area for this well. The first part would be trying
7 to determine the original oil in place for various-size
8 spacing units, using a basic volumetric equation.

9 The input values, there are a few differences
10 between the reservoir thickness and porosity as were
11 presented to the OCD back in May of 1997, what our current
12 thinking is.

13 As you see, originally we estimated that the
14 reservoir thickness was about 50 feet and the average
15 porosity was about 12 percent. Currently our thoughts are
16 that the reservoir thickness is about 45 feet and the
17 average porosity is only 8 percent.

18 Plugging in the standard volumetric equation with
19 the other variables, you get original-oil-in-place
20 estimates anywhere from, say, 328,000 barrels under the
21 current values for a 40-acre spacing unit, up to about 1.3
22 million barrels, using our current assumptions, for a 160-
23 acre spacing unit.

24 Q. In order to complete your analysis, did you make
25 any assessments or judgments about the recovery rates --

1 A. Yes.

2 Q. -- that you could expect?

3 A. Yes, we did. You can do a recovery efficiency
4 simply by dividing the estimated ultimate recovery of the
5 well by the original oil in place. A literature search
6 revealed that for carbonate drive reservoirs, your
7 theoretical recovery efficiency might be in the 44-percent
8 range. That would be recovering 44 percent of the original
9 oil in place.

10 Using the Czaze and Buckley correlation, which is
11 a method of trying to predict residual oil saturations in
12 water-drive systems, you get about 43 percent of original
13 oil in place. So that would seem to be what we should be
14 expecting for the well.

15 And then if you compare what our EUR is, over
16 what the original-oil-in-place estimate might be for
17 various spacing units, and that would be in that lower
18 table, you can see that for a 40-acre spacing unit we've
19 already produced 183 percent of it. So it's probably
20 draining more than that.

21 And 80-acre, we're producing 91 percent, which
22 doesn't seem to make sense from a theoretical standpoint.

23 And finally, if you look at what the oil
24 contained in a 160-acre spacing unit is, we'd be looking at
25 about a 46-percent recovery, which is in line with what we

1 should be getting from a theoretical basis.

2 Q. Using all available data in your calculations,
3 then, you come to the conclusion that 160 acres is the
4 appropriate spacing?

5 A. Yes.

6 Q. Let's turn back to what are the options for the
7 discovery well at this point, considering its current
8 status. If you'll turn to page 8, let's go through the
9 summary of your options.

10 A. Okay. At this point in time, first off, we did a
11 little brief of what the current allowables might be.
12 There's a depth bracket allowable for a 160-acre, would be
13 695 barrels of oil a day, and the order that's currently in
14 place in there would give us 900 barrels a day.

15 As we've said, the well is currently not capable
16 of producing that. Its rate as of July of this year was
17 about 280 barrels of oil a day and 2000 barrels of water a
18 day.

19 The options that Conoco has at this point in time
20 to enhance production, the first one would be simply to
21 lower the sub pump. The sub pump is now about 5700 feet
22 above the perms. If we lowered it an additional 2000 feet,
23 it's been estimated we could pick up an additional 120, 130
24 barrels a day, which would bring the production rate back
25 up to about 400 barrels a day.

1 The second option is, we could isolate the water
2 channel. If we isolated the water channel, it's been
3 estimated that the producing oil cut in this well would go
4 from the current 12 percent back up to about 36 percent.
5 That would increase the oil production rate up to
6 approximately 830 barrels a day.

7 The final option would be to perforate the
8 additional interval to eliminate the convergence flow skin
9 factor that we're suffering right now. And if we did that,
10 opened up the additional 35 feet or so of pay, it's been
11 estimated that the oil rate could actually go up as high as
12 1650 barrels a day.

13 Q. Your recommendation to the Examiner is to extend
14 the temporary rules for an additional two-year period?

15 A. Yes, it is. Conoco does plan on attempting some
16 form of remedial action on this well in the near future.
17 The reason the action hasn't been taken to date is that the
18 sub pump is still operational.

19 The original estimate was that the sub pump would
20 only operate for about a year before it needed replacement.
21 It's been operating for about 18 months now, and there's
22 some reluctance to go in and work on the well until we
23 actually have to, based on its colorful production history
24 in the past and the luck we've had on the remedial jobs.

25 So basically we're waiting until the sub pump

1 fails to go in and attempt these remedial procedures.

2 Q. Mr. Schulz, are you aware of any adverse data or
3 adverse consequences that would occur if the Division
4 extended the current rules for an additional two-year
5 period?

6 A. No, I'm not.

7 MR. KELLAHIN: That concludes our examination of
8 Mr. Schultz. We move the introduction of his Exhibits 1
9 through 8.

10 EXAMINER CATANACH: Exhibits 1 through 8 will be
11 admitted as evidence.

12 EXAMINATION

13 BY EXAMINER CATANACH:

14 Q. Mr. Schultz, do you know what Conoco plans to do
15 when they go back in?

16 A. Our hope is that we're going to isolate the water
17 channel and, rather than by cementing off the zone, our
18 plans are, we're just going to set, essentially retainer
19 across the interval and perforate the upper zone and then
20 lower the sub pump. So essentially, we're going to try all
21 three.

22 The difference is, the -- isolate the water
23 channel, what we originally considered was cementing off
24 the water channel, but there are some concerns about
25 whether that will be successful or not, so we're going to

1 kind of avoid the issue.

2 Q. You mentioned something earlier about that this
3 well has produced 900 barrels a day?

4 A. Yes, on a daily rate for a two-week period, but
5 it's not reflected in the monthly rates.

6 Q. Okay. And you also mentioned that you didn't
7 think that rate was detrimental to the well at all?

8 A. No.

9 Q. And what is that based on?

10 A. Based on the fact that we weren't seeing any
11 significant pressure depletion. We weren't experiencing
12 any water-coning in the well. The high water production
13 you see in the well now is due to the channel, and not from
14 water coning. And that would have been the only other
15 detrimental effect we could have observed at that time.

16 Q. Is this basically a one-well deal?

17 A. Unfortunately, yes. With the Elvis Number 2
18 well, it was -- the one in Section 17, we said it was
19 located at the oil-water contact. There was some thought
20 by the geologists at the time that it may have actually
21 been slightly below the oil-water contact, and the oil
22 production, when we were observing the well, we were
23 actually coning the oil down through the water.

24 So this doesn't show it, but there is a fault
25 about 500 feet to the west of the Elvis Number 1 that

1 isolates it in that direction. There is a second closure
2 of the reservoir to the south of the Elvis Number 1 well,
3 which would cut off any southern extension.

4 So at this point in time that's all the reservoir
5 requires to produce it, is a single well.

6 Q. Was the reservoir actually extended to include
7 the Number 2 well?

8 A. In, I guess, what sense?

9 Q. Well, I mean, did the Division extend the pool
10 to --

11 A. No, they didn't, I don't believe so. And also
12 because the well had such a limited production life, we
13 never had an opportunity to come up and discuss that
14 extension. It essentially died out before we would have
15 needed to have brought that to the Commission's attention.

16 Q. And on your page 7, your reservoir thickness
17 value and your porosity value changed from the original
18 hearing that we had in this case, and that in turn changed
19 your oil-in-place calculation. And can you explain to me
20 why those numbers were changed?

21 A. We did some additional analysis of the logs, and
22 also we had the logs available from the Elvis Number 2
23 well, which gave us an indication that as the reservoir
24 went to the north, that there was a thinning of the -- the
25 porosity interval actually thinned, and the average

1 porosity decreased.

2 The porosity -- At this point in time when we
3 were seeing that porosity in the zone, that was simply on
4 the log point we had in the Elvis Number 1 well. If we
5 looked at the porosity in the Elvis Number 2 well and took
6 that as the sort of northernmost extension, the average
7 porosity values in the Elvis Number 2 well were probably
8 closer to five percent.

9 So that's just an averaging between the two data
10 points we have.

11 Q. And you feel that that's more accurate than your
12 original...

13 A. Yes, I do.

14 Q. In terms of producing your estimated ultimate
15 recovery, how long is that time period, do you think?

16 A. At current rates, about probably two years.

17 Q. And does Conoco -- Are there going to be any more
18 wells drilled to this Devonian structure?

19 A. No, this is the only well that will be drilled to
20 this structure. The only way that we would have any
21 additional drilling is if this well failed and we were
22 forced to redrill it to capture the incremental reserves
23 that we think might be in place.

24 Q. Okay. This looks like a federal lease; is that
25 correct?

1 A. Yes, it is.

2 EXAMINER CATANACH: Okay. I have nothing further
3 of this witness, Mr. Kellahin.

4 Anything further in this case?

5 MR. KELLAHIN: No, sir.

6 EXAMINER CATANACH: If not, Case 11,773 will be
7 taken under advisement.

8 (Thereupon, these proceedings were concluded at
9 8:45 a.m.)

10 * * *

11
12
13
14
15 I do hereby certify that the foregoing is a
16 correct copy of the transcript of the hearing
17 held by me on September 16 1999.
18 David M. Catnach Recorder
19 Conservation Division

20
21
22
23
24
25

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL September 18th, 1999.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 2002