

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY )  
 THE OIL CONSERVATION DIVISION FOR THE )  
 PURPOSE OF CONSIDERING: )  
 )  
 APPLICATION OF STEVENS & TULL, INC., )  
 FOR SALTWATER DISPOSAL, LEA COUNTY, )  
 NEW MEXICO )

CASE NO. 11,807

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

September 4th, 1997

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, September 4th, 1997, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

I N D E X

September 4th, 1997  
Examiner Hearing  
CASE NO. 11,807

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>JERRY L. WEANT</u> (Landman)	
Direct Examination by Mr. Kellahin	5
Examination by Examiner Catanach	14
<u>GEORGE J. ULMO</u> (Geologist)	
Direct Examination by Mr. Kellahin	17
Examination by Examiner Catanach	30
<u>JESSE K. LAWSON</u> (Engineer)	
Direct Examination by Mr. Kellahin	37
Examination by Examiner Catanach	47
REPORTER'S CERTIFICATE	52

\* \* \*

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	7	47

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

RAND L. CARROLL  
Attorney at Law  
Legal Counsel to the Division  
2040 South Pacheco  
Santa Fe, New Mexico 87505

## FOR THE APPLICANT:

KELLAHIN & KELLAHIN  
117 N. Guadalupe  
P.O. Box 2265  
Santa Fe, New Mexico 87504-2265  
By: W. THOMAS KELLAHIN

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2 9:55 a.m.:

3           EXAMINER CATANACH: And at this time we'll call  
4 Case 11,807.

5           MR. CARROLL: Application of Stevens and Tull,  
6 Inc., for saltwater disposal, Lea County, New Mexico.

7           EXAMINER CATANACH: Call for appearances in this  
8 case.

9           MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of  
10 the Santa Fe law firm of Kellahin and Kellahin, appearing  
11 on behalf of the Applicant, and I have three witnesses to  
12 be sworn.

13           EXAMINER CATANACH: Call for additional  
14 appearances.

15           Will the three witnesses please stand to be sworn  
16 in?

17           (Thereupon, the witnesses were sworn.)

18           MR. KELLAHIN: Mr. Examiner, I have three  
19 witnesses to present to you.

20           The purpose of this Application is to seek a  
21 replacement disposal well. Stevens and Tull has utilized  
22 previously other disposal wells in this immediate vicinity.  
23 We'll describe those for you. And the purpose today, then,  
24 is to ask you to approve the utilization of the State "BF"  
25 Well Number 4 as a disposal well.

1           This case has been continued and readvertised  
2 because the selection of the first replacement well was in  
3 close proximity to an oil well operated by Mr. Shackelford  
4 for which he had an objection.

5           We have now found another wellbore which is  
6 removed from the area of his concern. It is at a low  
7 structural position in the reservoir, and Mr. Shackelford  
8 has concurred that this wellbore poses no risk to him.

9           We are discussing reinjection of produced water  
10 that is produced from what is identified as the West Teas-  
11 Yates Seven Rivers Pool. This is an area where oil is  
12 produced in association with volumes of water.

13           There is, offsetting us to the east, a pressure-  
14 maintenance project in this same reservoir interval, and  
15 they reinject water plus make-up water for a pressure-  
16 maintenance project.

17           My three witnesses are a landman, a geologist and  
18 an engineer. We will first call the landman, Mr. Jerry  
19 Weant.

20                               JERRY L. WEANT,  
21 the witness herein, after having been first duly sworn upon  
22 his oath, was examined and testified as follows:

23                               DIRECT EXAMINATION

24 BY MR. KELLAHIN:

25           Q.   Mr. Weant, for the record, sir, would you please

1 state your name and occupation?

2 A. Yes, my name is Jerry Weant and I am the landman  
3 for Stevens and Tull, Inc.

4 Q. Mr. Weant spells his last name W-e-a-n-t.

5 On prior occasions, Mr. Weant, have you testified  
6 before the Division?

7 A. Yes, I have.

8 Q. Pursuant to your employment in the capacity as  
9 land manager for your company, have you made a search of  
10 all the offset operators, the owner of the surface for the  
11 disposal well location and any surface lessee for that  
12 property?

13 A. Yes, I have.

14 Q. In addition, have you been involved in behalf of  
15 your company with the documentation of not only this  
16 wellbore but the other wellbores that were utilized for  
17 saltwater disposal by your company in this area?

18 A. Yes.

19 Q. As part of your work, have you been in contact  
20 with the Oil Conservation Division, have searched their  
21 records for various past orders and approvals that are  
22 relevant to this case?

23 A. Yes, I have.

24 MR. KELLAHIN: We tender Mr. Weant as an expert  
25 petroleum landman.

1 EXAMINER CATANACH: He is so qualified.

2 MR. KELLAHIN: Mr. Examiner, the exhibit book is  
3 marked as Applicant Exhibit 1. Within the book there are  
4 tabs that are subdivided in such a way that there's a  
5 portion of the book that deals with land matters, the next  
6 part deals with the geologic issues, and then finally the  
7 engineering topics.

8 Q. (By Mr. Kellahin) Mr. Weant, if you'll turn with  
9 me, sir, let's look at the Application very quickly. This  
10 is the replacement Application, if you will, and is the  
11 wellbore that your company proposes to utilize for  
12 saltwater disposal?

13 A. That is correct.

14 Q. The original application had requested an  
15 exception from the standard guidelines for surface pressure  
16 limitation. If you use the standard guidelines of .2  
17 p.s.i. per foot of depth, at this location the wellbore  
18 would be limited to 700 pounds, and you have requested  
19 initially authority to inject up to 1000 pounds?

20 A. That is correct.

21 Q. What is your position as of today?

22 A. We believe that we would not need any more than  
23 the 700 pounds per square inch.

24 Q. All right. The Division customarily approves in  
25 this type of arrangement the opportunity for you as an

1 Applicant to submit step-rate tests subsequent to the entry  
2 of an order to have the pressure limitation adjusted with  
3 the Division's approval. Are you aware of that?

4 A. Yes, sir.

5 Q. Would that process be acceptable to you?

6 A. Yes, sir, it would.

7 Q. The interval for use for injection is to be the  
8 Yates-Seven Rivers formation of the pool?

9 A. That is correct.

10 Q. And do you have a particular footage to identify  
11 for the Examiner as to the total gross interval that you're  
12 seeking approval for injection?

13 A. Yes, sir, that is on the third page of the  
14 Application, there's a schematic of the wellbore, and at  
15 the bottom it lists the injection interval from 3160 feet  
16 down to a depth of 3418 feet.

17 Q. All right, let's make sure everybody's got that  
18 page. When we look at the wellbore diagram following the  
19 Form C-108 -- we're still behind the Application part --

20 A. Yes.

21 Q. -- we're looking at the bottom of the first  
22 portion of the injection well diagram, and at the very  
23 bottom it indicates the interval for which you're seeking  
24 approval?

25 A. That is correct.

1           Q.    All right.  Let's turn beyond that now and have  
2 you identify for us the general area in which this property  
3 is located.  The first display behind the tab that says  
4 "land" is a plat that shows us what, sir?

5           A.    That shows our acreage position in Sections 9 and  
6 Section 16, which would be our leasehold, which would be  
7 directly affected by this injection well.

8           Q.    Okay.  Let's turn past this, and there's an  
9 enlarged portion of it, so that we can more quickly  
10 identify the offsetting operators and the location of the  
11 various wells.

12                   Is this again a plat that you prepared?

13           A.    Yes, it is.

14           Q.    What's the significance of the color code?

15           A.    The color code reflects the various offset  
16 operators to our leasehold, which is shaded in yellow, that  
17 would be affected or are within -- that touch our leasehold  
18 in this area.

19           Q.    When we look at the center of the half-mile  
20 radius circle, there's the Number 4.  Does that approximate  
21 the location of the proposed disposal well?

22           A.    That is correct.  That wellbore is located 330  
23 feet from the north line and 330 feet of the east line of  
24 Section 16, of Township 20 South, Range 33 East.

25           Q.    I'm going to ask you to skip over to another

1 plat, which I think is easier for the Examiner to read.

2 A. Okay.

3 Q. If you'll turn to the engineering tab at the very  
4 back part of the book, look past the engineering tab, and  
5 turn four pages back, following the red insert, there will  
6 be a locator map that also demonstrates the half-mile-  
7 radius circle. Do you have that, sir?

8 A. Yes, sir.

9 Q. Again, you're showing the Well Number 4 as the  
10 proposed disposal well. Show the Examiner on this display  
11 what was the original disposal well that you had utilized  
12 in the past.

13 A. In the past, we had used the well which is the  
14 "BF" State Number 2 well, which is located directly below  
15 the number 16, the section. It has the number 2 listed on  
16 it. It's outside the circle. It's located in the -- it  
17 would be Unit K of Section 16.

18 Q. And below it, it shows the number 3225?

19 A. Correct.

20 Q. All right. Why have you ceased utilizing that  
21 wellbore?

22 A. That well was approved for injection into the  
23 basic same formation.

24 We had been disposing of water in that for  
25 approximately six months when the casing collapsed, and at

1 the request of the NMOCD we plugged and abandoned that  
2 wellbore.

3 Q. All right. You had previously applied for a  
4 wellbore as a replacement well for disposal purposes other  
5 than the currently proposed Number 4 well; is that not  
6 true?

7 A. That is correct.

8 Q. Now, where was that well located?

9 A. Okay, that well would be located -- That's the  
10 "BF" State Number 1 well. It's located in Unit G. It's  
11 designated with a 1, and below it are the -- 3278.

12 Q. On this plat it --

13 A. -- it's highlighted in yellow also.

14 Q. And there's two wells in close proximity to each  
15 other?

16 A. Correct, the other well, being showed as a  
17 dryhole marker, is the Anasazi State 16 Number 1 well.

18 Q. All right. It was that wellbore that Mr.  
19 Shackelford expressed some concerns to you; is that not so?

20 A. That is correct.

21 Q. And his production is located where in  
22 relationship to that well?

23 A. Due west.

24 Q. As a result of discussions and meetings with Mr.  
25 Shackelford, have you determined, then, that -- with your

1 technical people, that the Number 4 well is the most  
2 probable successor as a disposal well?

3 A. Yes.

4 Q. Okay. All right, let's go back to the land  
5 testimony now. We were looking at the colored plat that  
6 was the locator map.

7 As a result of the new notifications for the  
8 Number 4 well as your replacement well, did you cause all  
9 these companies within the half-mile radius to be sent  
10 notice of this hearing as well as a copy of the  
11 Application?

12 A. Yes.

13 Q. To the best of your knowledge, have you received  
14 any objections or complaints from any of the parties to  
15 whom you've sent notice?

16 A. We've received no objections.

17 Q. Following that plat there is another plat.  
18 Identify and describe that plat for us. It's a foldout,  
19 Mr. Weant.

20 A. Okay. This is just a larger, blown-up section of  
21 the map, which uses the same color code as the previous  
22 map, and it identifies Stevens and Tull's leasehold in the  
23 immediate vicinity, as well as the offset operators.

24 MR. KELLAHIN: Following that display, Mr.  
25 Examiner, is my certificate of notification of hearing in

1 which we have notified the offset operators.

2 In addition, we have notified the Commissioner of  
3 Public Lands plus the lessee of the surface of where the  
4 disposal well is located.

5 Q. (By Mr. Kellahin) Following the certificate and  
6 the notices, there is an administrative order in the book,  
7 Mr. Weant?

8 A. That is correct.

9 Q. It's Administrative Order SWD-631. What is this?

10 A. That was the administrative approval for the "BF"  
11 State Well Number 2. That was the well we had discussed  
12 earlier that has been plugged and abandoned.

13 Q. All right, this is the well that had the casing  
14 collapse?

15 A. That is correct.

16 Q. All right. Following that administrative order,  
17 what is next in the exhibit book?

18 A. That is an administrative approval for the  
19 disposal of water in the Anasazi 16 State Well Number 1,  
20 which is located due north of the "BF" State Number 1 well  
21 on our map, which was indicated by a dryhole marker. We  
22 are currently disposing of a small volume of water in the  
23 Bone Spring formation in that well.

24 Q. Why is this wellbore not suitable for disposal of  
25 water produced out of the Yates-Seven Rivers?



1           A.    Yes, sir.  There is 280 acres in Section 16 and  
2 280 acres in Section 9.

3           Q.    And how many producing wells do you have on this  
4 acreage?

5           A.    In Section 9 we have seven, in Section 16 we have  
6 three.

7           Q.    Are these all Yates-Seven Rivers producing wells?

8           A.    Yes, sir.

9           Q.    And that's the water that's going to be utilized  
10 for disposal, that produced water from these wells?

11          A.    That is correct.

12          Q.    Did you actually met with Mr. Shackelford about  
13 this new proposal?

14          A.    Yes, sir.

15          Q.    And he has no objections, as far as you know?

16          A.    That is correct.

17          Q.    Okay.

18          A.    He feels that based upon the geology, which will  
19 be further discussed by Mr. Ulmo, our geologist, that this  
20 will have no effect on his wellbore whatsoever.

21          Q.    Let me verify, the proposed injection interval is  
22 3160 to 3418; is that correct?

23          A.    Yes, sir.

24                EXAMINER CATANACH:  Okay, that interval is not  
25 correctly stated in the advertisement for this case, Mr.

1 Kellahin.

2 MR. KELLAHIN: I think you're correct, Mr.  
3 Examiner.

4 Although it was correctly notified to all the  
5 offsets and the surface owner, it is shown differently on  
6 the advertisement.

7 EXAMINER CATANACH: Yeah. I think probably you  
8 might have to readvertise to correct that.

9 MR. KELLAHIN: All right, sir.

10 Q. (By Examiner Catanach) Have you received  
11 anything from the State Land Office concerning using this  
12 well for disposal?

13 A. As --

14 Q. You've notified them.

15 A. Yes.

16 Q. Have they sent you anything, any kind of response  
17 to your request, or did you just notify them?

18 A. They've been notified. We've not received any  
19 kind of objection or anything from them.

20 EXAMINER CATANACH: Okay. I have nothing  
21 further.

22 Mr. Kellahin?

23 MR. KELLAHIN: No, Mr. Examiner.

24 THE WITNESS: Thank you.

25 EXAMINER CATANACH: Thank you.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

GEORGE J. ULMO,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q. Mr. Ulmo, for the record, sir, would you please state your name and occupation?

A. My name is George Ulmo. I'm a consulting geologist, and I'm on a full-time retainer with Stevens and Tull.

Q. Pronounce your last name again.

A. It's Ulmo. It's U-l-m-o.

Q. On prior occasions, Mr. Ulmo, have you testified before the Division?

A. No, I have not.

Q. And you reside in Midland, Texas, do you not?

A. Yes, I do.

Q. Summarize for us your education and your employment experience.

A. I received a bachelor of science degree in geology at University of New Orleans, 1976; a master's degree in geology at the University of Missouri in Columbia in 1979; and I've been working in Midland as a petroleum geologist ever since then.

I worked for three years for Exxon, and I worked

1 about six years for Depco, Inc. That's D-e-p-c-o. And in  
2 1988 I went independent, and I've been independent and  
3 working as a consultant for various companies for the last  
4 nine years.

5 Q. As part of your responsibilities to Stevens and  
6 Tull, have you made a geologic investigation concerning  
7 this proposed disposal well?

8 A. Yes, I have. I started working for Stevens and  
9 Tull in May of this year, and in approximately mid-June  
10 they asked me to investigate this field for them.

11 And so I gathered all the wells in the area,  
12 within a three-mile radius of our field, and all the scout  
13 tickets, well logs and information, and --

14 Q. In addition, have you met with Mr. Paul Kautz of  
15 the Division's District Office that is responsible for  
16 supervising this area?

17 A. Yes, I have. Last week I called him and verified  
18 that the Yates top that I was using was the same as his  
19 top. And I asked him about the Capitan Reef and where he  
20 felt the top of the reef was on logs.

21 And so using his information, I -- my cross-  
22 sections I prepared would pretty much substantiate what he  
23 has told.

24 Q. All right. As a result of your study, have you  
25 satisfied yourself that you have sufficient information

1 about which to make geologic conclusions concerning the  
2 suitability of this wellbore for disposal purposes into the  
3 Yates-Seven Rivers formation?

4 A. Yes, I have.

5 Q. As a result of that study, do you now have  
6 conclusions about the suitability of this wellbore?

7 A. Yes, I do.

8 Q. Is it suitable for disposal purposes?

9 A. Yes, I believe it is.

10 Q. As a result of utilization of this wellbore for  
11 disposal purposes, do you see any opportunity for the  
12 contamination of any freshwater sources?

13 A. No, I do not.

14 Q. If this wellbore is approved for use, do you see  
15 that it would adversely affect any future recovery of  
16 hydrocarbons?

17 A. No, I do not.

18 Q. Let's talk generally about what you have  
19 concluded. Is this wellbore physically penetrating into  
20 the Capitan Reef?

21 A. No, it does not. TD in the well is approximately  
22 30 feet above where we believe the Capitan Reef would be.

23 Q. Your proposed disposal interval is in which  
24 physical relationship to the Capitan Reef?

25 A. The lowermost perforation would be about 60 feet

1 above the top of the Capitan Reef.

2 Q. In terms of the relationship of the disposal  
3 interval to the intervals being produced of oil, where are  
4 you?

5 A. Most of the perforations -- Well, all the  
6 perforations are in known oil-productive zones. There are  
7 some zones below where we're perforating that also produce  
8 oil, but we are not going to attempt to inject into those.

9 Q. Where are you structurally, in relation to the  
10 established within the reservoir that is contributing  
11 hydrocarbons?

12 A. We're very far downdip. In this first file  
13 folder there's a structure map. I think -- Refer to that  
14 quickly.

15 Q. Let's do that. Let's explain to the Examiner how  
16 you've organized your presentation there. Behind the tab  
17 that says "geology" there's a short summary in which you  
18 have summarized the geology for the Examiner.

19 A. Yeah, that's --

20 Q. Then beyond that is a topographic locator map.

21 A. That's correct. And on that map the Laguna  
22 Gatuna lake is just about a mile or two west of our field.  
23 Our subject well is located in Section 16, in the Unit A  
24 location. And our field is -- picks up most of Section 9  
25 and 16 on that top map.

1 Q. Okay, let's take a moment and unfold the cross-  
2 section.

3 A. In the first folder there are three items. The  
4 first is the structure map. Then there's two cross-  
5 sections, A-A' and B-B'.

6 The map, the structure map on top of the Yates  
7 formation --

8 Q. Hang on, before you talk about these. Let's  
9 unfold all three. I think it'll work better.

10 A. Okay.

11 Q. All right. Your structure map is contoured on  
12 the top of what datum point?

13 A. Top of the Yates formation, and the contour  
14 interval is 20 feet. Scale of the map is one inch equals  
15 2000 feet.

16 Q. Find for us the subject well on the structure  
17 map.

18 A. Okay, the subject well is in Section 16, Township  
19 20 South, 33 East. Visible on the map are several yellow  
20 areas, colored in yellow. Those represent Yates-Seven  
21 Rivers fields in the area.

22 To the west there's a small field called Salt  
23 Lake field. Then the West Teas field is in the center of  
24 the map. Just east of there about a mile is a yellow area  
25 which has a green outline, which traces the unit outline of

1 that Yates-Seven Rivers Unit operated by Titan.

2 Q. What's happening in this unit? What are they  
3 producing?

4 A. They are producing oil and gas from the Yates-  
5 Seven Rivers formation, and they are injecting water into  
6 the Yates formation for pressure maintenance.

7 Q. How are the injection wells identified on this  
8 display.

9 A. Okay, on this map any water disposal or injection  
10 wells are colored blue. All the Yates-producing wells are  
11 colored in yellow and have a circle drawn around the normal  
12 well symbol.

13 Q. All right, let's go back to your portion of the  
14 reservoir. What is the trapping mechanism for the  
15 hydrocarbons?

16 A. It's a structural trap, and the Yates appears to  
17 be draped over the underlying Capitan Reef topography.

18 Q. Show us the structural relationship now for the  
19 disposal well in relation to the known oil production.

20 A. Okay, the disposal well -- I have written on  
21 there the word "subject well" with the arrow pointing to  
22 that well in the Unit A location, Section 16, and it is at  
23 an elevation -- the Yates there is at an elevation of a  
24 plus 410 feet. And that's one of the lowest wells that we  
25 operate in the field. And it is approximately 180 feet low

1 to the Shackelford well in that same section.

2 Q. Let's use this as a locator now. Set it aside,  
3 and let's turn to your A-A' cross-section that cuts east to  
4 west across your portion of the reservoir. Let us start by  
5 finding the proposed disposal well and then developing your  
6 conclusions in relation in that well.

7 A. Okay.

8 Q. If you're looking at structural cross-section  
9 A-A', where do we find the disposal well on the cross-  
10 section?

11 A. Okay, our disposal well is well number 12 on that  
12 cross-section. The -- Have numbers written above the log  
13 headers on those for easy identification, and I've written  
14 the word "subject well" above that wellbore.

15 Q. There's a color code on the cross-section that  
16 cuts through the subject well. There is a yellow line  
17 above and below. What does that represent?

18 A. Okay, the top yellow line is the top of the Yates  
19 formation, and the lower yellow line is the top of the  
20 Capitan Reef, and the interval between the two is  
21 approximately 300 feet in thickness. It varies slightly  
22 over the field.

23 Q. Your structure map, then, is prepared using the  
24 data that's demonstrated on the Yates datum point?

25 A. Yes, and this is a structural cross-section, and

1 my datum for a structural cross-section is plus 500 feet.

2 Q. Let's move to the east, now, and have you show us  
3 where you and other operators have been able to produce oil  
4 out of the Yates.

5 A. On this cross-section?

6 Q. Yeah, going to the west.

7 A. Going to the west, okay. All the producing  
8 intervals I colored in red, the perforations were colored  
9 in red. And I made some correlations through the Yates,  
10 just some correlation points that I carry through, and this  
11 divides the Yates into basically four intervals.

12 Based on what Paul Kautz told me last week on the  
13 phone, he feels there is no Seven Rivers formation present  
14 out here. And the lowermost interval of the Yates is what  
15 most operators do call the Seven Rivers formation.

16 So those black correlation lines that run through  
17 the cross-section in the Yates, the lowermost black line  
18 would be what most operators call the Seven Rivers out  
19 here. Typically, the lower part of the Yates, the unit  
20 right above that, produced the most oil.

21 Basically, all the sands in this entire Yates  
22 produce, and some of the dolomites produce too. And we're  
23 going throughout the field, just -- It varies from well to  
24 well where you find porosity. It seems like most of the  
25 lower Yates -- the third and fourth zones in the Yates have

1 the greater permeability and the most oil recoveries.

2 Q. There are two wells I want to draw your attention  
3 to on the cross-section. There is the Shackelford well  
4 that he was concerned about, and the offsetting well that  
5 you had proposed as a disposal well, that you've since  
6 abandoned. Where are those two wellbores?

7 A. Okay, Shackelford well is well number 8 on this  
8 cross-section, and the State "BF" Number 1 was the -- the  
9 one that we had proposed as an injection well, is well  
10 number 9.

11 Q. Okay, let's look at the well number 8, the  
12 Shackelford well. Give us a short history on how Mr.  
13 Shackelford has produced oil.

14 A. Okay, that wellbore originally produced from  
15 about four different intervals in the Yates, and it made  
16 over 200,000 barrels of oil, I believe.

17 And the well was ready to be abandoned, and  
18 Shackelford came in and squeezed all the old perms with  
19 cement and he reperforated a six-foot interval, and he's  
20 currently producing from that six-foot interval.

21 Q. That interval is the third one down from the top  
22 of the series of four perforated intervals in that well?

23 A. Yes, that's correct.

24 Q. And so he was able, despite producing substantial  
25 oil from different portions, to come back lower than some

1 of that oil production and currently produce more oil?

2 A. Yes, that's true.

3 Q. Now, where are these in relationship to the  
4 Number 9 well, which was the well you originally proposed  
5 as a disposal well?

6 A. The "BF" 1 well?

7 Q. Yes, sir.

8 A. You have the right number?

9 They are just a few feet high, approximately 20  
10 feet high to our well, and...

11 Q. He was concerned you were too close?

12 A. Right, we were one location away from him,  
13 approximately 1320 feet from his wellbore, and he was  
14 afraid that the water we -- would invade in his reservoir.

15 Q. Now, the source of the water to be injected back  
16 into the reservoir, in fact, is produced Yates-Seven Rivers  
17 water?

18 A. That's true.

19 Q. And it comes from wells that you're operating?

20 A. Yes.

21 Q. The relationship now between the Shackelford well  
22 and your currently -- the subject well, well log 12, is  
23 such that you are able to conclude there should be no  
24 adverse effect on Mr. Shackelford or even you?

25 A. That's true. We're more than a half a mile away,

1 and we're 180 feet low to his well.

2 Q. Let's look at the cross-section that takes us  
3 vertically north to south through this area and picks up  
4 your original disposal well.

5 A. Okay, that's cross-section B-B' on the structure  
6 map. And I'd like to point out, on the structure map I  
7 also wrote in red a small number that corresponds to the  
8 number on the cross-section, to help you locate the wells  
9 more easily.

10 Q. When we look at the B-B' cross-section, how do we  
11 find the wellbore that was your original disposal well?

12 A. That is well number 2 on that cross-section.

13 Q. Okay. And how was it being utilized?

14 A. Currently or --

15 Q. When it was used as a disposal well, how was it  
16 utilized?

17 A. Okay, all the old perforations -- It had been  
18 perforated in the entire upper, middle and lower Yates  
19 intervals, and those perforations were turned into water  
20 injection -- water disposal perforations.

21 Q. All right, and this is the wellbore that had  
22 collapsed casing?

23 A. Yes.

24 Q. Okay. That wellbore situation was examined by  
25 you and the Oil Conservation Division, and the collective

1 choice was a plugged and abandoned well?

2 A. Yeah, that occurred before my employment with  
3 Stevens and Tull, but that's my understanding.

4 Q. All right. Other representatives of your  
5 company --

6 A. Yes.

7 Q. -- were engaged in that?

8 All right. When we look at the reservoir from  
9 north-south, what are we seeing here on the cross-section?

10 A. Fairly consistent reservoir. It only thickens  
11 slightly towards the north. And on this cross-section Well  
12 Number 7, which is located in Section 9 in -- Let's see,  
13 that would be unit position 0 -- that was an old water-  
14 disposal and water-injection well that is currently plugged  
15 and abandoned.

16 And that well had been disposing water into the  
17 middle and lower portions of the -- the second -- the third  
18 -- I'm sorry, the second and third portions of the Yates.

19 Q. Based upon your geologic study, do you see any  
20 hydrologic connection between the disposal interval and any  
21 other interval that might potentially contain fresh water?

22 A. Not to my knowledge, no.

23 Q. No open faulting or other kind of connections?

24 A. No, no, this -- No, sir.

25 Q. All right. I know you have included in the

1 exhibit book two other cross-sections. Let's look just at  
2 one more. It's the other A-A' -- It's A'-A''.

3 A. Yeah, the continuation of this cross-section I  
4 just term A'-A''. It's been included for your reference.  
5 It's a couple of cross-sections through the Teas-Yates  
6 Unit.

7 Q. Well, let's show the comparison between the  
8 portion of the reservoir you're producing from ad what's  
9 occurring east of you in the old Anadarko waterflood  
10 pressure maintenance project.

11 A. Okay. Well Number 13 on A'-A'' is the same as  
12 Well Number 13 on A-A', so there's a slight overlap of the  
13 two cross-sections. And in that field, which is wells 14  
14 through 23 on this cross-section -- that's the Teas field,  
15 which is currently the Teas-Yates-Seven Rivers Unit -- most  
16 of those wells produce from the first, second and third  
17 intervals of the Yates. A lot of them are open hole  
18 completions. Some of them have been deepened subsequent to  
19 their initial drilling.

20 And the -- a couple of water injection wells  
21 appear on the cross-section as Wells Number 17 and 22. And  
22 it seems that Titan is injecting water into the uppermost  
23 portion of the Yates, doing pressure maintenance on the  
24 uppermost sands.

25 The lower sands in both fields seem to produce

1 more volumes of oil and water than the upper sands do, and  
2 don't require -- don't seem to require the pressure  
3 maintenance as the upper sands.

4 Q. Summarize for us, then, your conclusions.

5 A. Okay. I conclude that these two fields are quite  
6 similar to each other, and what -- the lower part of the  
7 Yates, the third and fourth zones, seem to have a greater  
8 permeability than the upper sands do, and we feel that they  
9 will take the water without much effort on our part as far  
10 as pressure, and that the water that we're injecting back  
11 into the formation is the same water we've produced, so it  
12 should be compatible. And we're going to be putting it  
13 into very low well -- low on the structure. It shouldn't  
14 have any problem with any encroachment on any producing  
15 wells.

16 MR. KELLAHIN: Thank you. Mr. Examiner, that  
17 concludes my direct examination of Mr. Ulmo.

18 EXAMINATION

19 BY EXAMINER CATANACH:

20 Q. Mr. Ulmo, was the -- The Number 4, was that  
21 previously a producing well at this point?

22 A. Yes, it's producing at a very low rate. I think  
23 it was potentialized for six barrels of oil and I'm not sure  
24 how much water. Six barrels of oil and 60 barrels of water  
25 in December of 1995. And currently it's producing only a

1 couple of barrels, two or three barrels of oil a day.

2 Q. Now, is that producing from the same perforations  
3 that you plan to utilize for injection?

4 A. Part of the perforations that we utilize are  
5 those perforations. About the upper half of the interval  
6 that we're going to use are existing perforations, yes.

7 Q. And you're going to perforate the lower section  
8 in that well?

9 A. Right.

10 Q. That has not produced in that well?

11 A. No, and I don't think we -- I think we may have  
12 perforated an interval in there. I don't have a record of  
13 that, but I think they did try to perforate it and it was  
14 wet.

15 Q. Is that lower section being produced in some of  
16 the offset wells?

17 A. The nearest on this A-A' cross-section is Well  
18 Number 9, which is our "BF" 1 well. That's the nearest one  
19 that I know of.

20 I think north of that point we have in Section 9  
21 our Federal "9" Number 8 well, I believe, is producing from  
22 below that point in the lowermost portion of the Yates-  
23 Seven Rivers. That well is about -- Let's see. That well  
24 is about 80 feet high structurally to the well that we're  
25 going to use.

1           Q.    Are these individual sands that are being  
2 produced in the Yates, are they separated and not in  
3 communication with one another?

4           A.    It seems that there are some permeability  
5 barriers within the reservoir.  About in the middle of the  
6 Yates, the first and second black lines that I've drawn  
7 through there are the top and bottom of two dolomite beds  
8 that run through the field, through the whole area, and  
9 it's my belief that those do represent a vertical  
10 permeability within the reservoir.

11                   Also, the sands themselves are not continuous  
12 over a large area.  They pinch out going updip and  
13 laterally.  And so no particular sand covers a very large  
14 area.  Although they may correlate with one another on the  
15 logs, they don't really connect, you know, over a very  
16 large area.  It's possible that a well half a mile away  
17 might even -- might not even be in communication.

18           Q.    Okay.  I believe you testified that your lowest  
19 perforation in your injection well is 60 feet above the top  
20 of the Capitan Reef?

21           A.    Yes, that's true, where I believe Capitan Reef  
22 would be if we drilled deeper.  And that's based on  
23 correlation with all the offset logs, and our well appears  
24 to have reached total depth approximately 30 feet above the  
25 Capitan Reef, and our bottommost perforation is about 30

1 feet above the TD of that well.

2 Q. Have you seen evidence in your well, or in other  
3 wells in this field, of a barrier between the Yates and  
4 Seven Rivers and the top of the reef?

5 A. There's about a ten-foot shale that's present  
6 right above the -- 10- or 15-foot-thick shale that's  
7 present above the Capitan Reef correlation point. That may  
8 represent a permeability barrier. I don't have any  
9 information that I can base anything else on.

10 And we don't have any knowledge of the quality of  
11 the water in the Capitan, whether it's fresh or salty or  
12 brackish.

13 Q. Well, do you have any evidence that shows that  
14 the Capitan Reef is not in communication with the Yates or  
15 Seven Rivers formation?

16 A. No, other than the presence of that shale, I have  
17 no other evidence. And, you know, Paul Kautz didn't have  
18 any strong feeling about that either when I talked to him.

19 Q. But you conveyed to Paul that you, in fact, were  
20 going to inject into that lower Yates interval?

21 A. Yes.

22 Q. Okay, and he didn't seem to have any concern  
23 about it?

24 A. No. And in fact, at first we thought inject into  
25 what we call the Seven Rivers Reef, which is -- people call

1 that. And after talking with him we determined that's  
2 probably the Capitan, so we decided to stay as far away  
3 from that point as possible.

4 Now, Paul didn't have an actual top of the  
5 Capitan in this area. He didn't have any deep wells that  
6 went into it. And based on my conversation with him, I  
7 picked that top of the reef as high as I possibly could, on  
8 the first mass of limestone that appears on the logs. And  
9 that would be -- Some operators would pick it a lot lower  
10 than I have, but I picked it as high as I could in an  
11 effort to try to keep as far away from that Capitan as  
12 possible.

13 Q. So what is your opinion as to the likelihood of  
14 injected fluid getting into the Reef from your operation?

15 A. Well, the reservoir pressure in the Capitan is  
16 probably higher than what we're going to be putting in.  
17 We're going to put in as little pressure as we can to get  
18 it to take water. And based on the way these wells have  
19 produced from this lower interval in the Yates, they don't  
20 have any problem conducting large volumes of fluid. We  
21 have a couple wells that are making 800 barrels of water a  
22 day.

23 So we think that some of this -- the permeability  
24 is good enough that we'll be able to put the water away  
25 without any problem, really. And we're -- we believe that

1 the lower part of our perforations in this third Yates  
2 interval are in the very permeable sands and that it's in  
3 the water leg of the same reservoir that we are producing  
4 from, and we don't feel that there's going to be any --  
5 really any chance that we'll be invading the Capitan,  
6 because Capitan reservoir pressure is greater than what  
7 we're going to be putting into the wellbore.

8 Q. Where did you determine that?

9 A. Just from hydrostatic -- You know, just on a  
10 normal pressure gradient. You know, we're not going to  
11 really be pressuring up on it very high.

12 Q. The volume of water that you're talking about is  
13 3000 barrels a day? Is that --

14 A. I'm not sure, I think for this wellbore I think  
15 we're only planning on around 1000 or 1100 to 1200,  
16 something like that. If we produced 3000 barrels of water,  
17 we'd need to look into another disposal well later on down  
18 the line, more than likely, to take care of the other part  
19 of our water.

20 Q. With regards to affecting any offset production  
21 in that lower Yates interval, do you have any opinion as to  
22 what that might be, if any?

23 A. Right now, we're undecided whether the drive  
24 mechanism is water drive or a solution gas drive. This  
25 field has produced more than a million and a half barrels

1 of oil, and if we were going to see any response to this,  
2 you know, we'd have to put in a lot of water to even begin  
3 to see a response.

4 We don't think that we're going to be putting in  
5 enough volume to make up the volume of oil and the volume  
6 of water that's been produced from this field just for this  
7 one disposal well. And if we were to see any kind of a  
8 response, it may be beneficial in that we may be sweeping  
9 some oil in a localized area towards some of the other  
10 wells. But we don't really think that's going to occur.

11 Q. The well that you were previously using, the  
12 Number 2 well --

13 A. Uh-huh.

14 Q. -- was that injecting in the upper -- upper  
15 Yates?

16 A. Let's see, that's on cross-section B. It was  
17 injecting into the -- There was two sets of perforations in  
18 the upper, and there was one in the middle part, and there  
19 was some in the third interval, and also in the -- what we  
20 previously thought was the Seven Rivers intervals. They  
21 were injecting everything over there.

22 Q. So they were injecting into the same interval  
23 that you plan to inject in, in this well?

24 A. Yes, uh-huh. And even lower.

25 Q. Was that well structurally higher, though?

1           A.    Yes, that's one of the higher wells in the field.  
2    And I don't know of any response that was -- Well, we only  
3    used it for six months, so I don't think there has been a  
4    noted response in any of the offset wells for water  
5    breakthrough or increased oil production or anything.

6                   EXAMINER CATANACH:   Okay.  That's all I have of  
7    this witness, Mr. Kellahin.

8                   MR. KELLAHIN:   Okay.  Mr. Examiner, my last  
9    witness is Mr. Jesse Lawson.  Mr. Lawson is a petroleum  
10   engineer.

11                                   JESSE K. LAWSON,  
12    the witness herein, after having been first duly sworn upon  
13    his oath, was examined and testified as follows:

14   DIRECT EXAMINATION

15    BY MR. KELLAHIN:

16           Q.    Mr. Lawson, for the record, sir, please state  
17    your name and occupation.

18           A.    Jesse Lawson, petroleum engineer.

19           Q.    Where do you reside, sir?

20           A.    Midland, Texas.

21           Q.    And on prior occasions, have you testified before  
22    the Division?

23           A.    No, I have not.

24           Q.    Summarize for us your education and employment.

25           A.    I'm a petroleum engineer.  I have a bachelor of

1 science degree in petroleum engineering from New Mexico  
2 Tech in Socorro, New Mexico. I worked, upon graduation,  
3 for Unocal, Union Oil Company of California. After that I  
4 was with Williamson Petroleum Consultants in Midland,  
5 Texas, as an evaluation engineer and then went to work for  
6 Stevens and Tull, Inc.

7 Q. In what year did you obtain your degree?

8 A. 1991.

9 Q. As part of your duties, have you studied the  
10 information required by the Oil Conservation Division for  
11 submitting Applications on what they identify as their Form  
12 C-108?

13 A. Yes, sir, I have.

14 Q. In addition, have you studied the reservoir  
15 engineering aspects of disposing of produced water at this  
16 location in the reservoir?

17 A. Yes, sir.

18 Q. Have you examined that in relationship to any  
19 potential adverse consequences to the Capitan Reef?

20 A. Yes, sir, I have.

21 Q. And in relation to any adverse consequences on  
22 potential oil production?

23 A. Yes, sir.

24 Q. Have you been able to conclude and satisfy  
25 yourself that all the wellbores within the area of review

1 are configured in such a way that there is no risk of  
2 migration of produced fluids or injected fluids into other  
3 formations, or into freshwater zones?

4 A. Yes, sir, that's correct.

5 Q. Describe for us, before we look at some of your  
6 work, how you visualize the use of this wellbore and how  
7 you support your conclusions that there should be no  
8 adverse consequence either to the Reef or to oil  
9 production.

10 A. This particular wellbore and the perforations  
11 are, as Mr. Ulmo stated previously, structurally around 180  
12 feet low. It's on the flank of the reservoir. Our  
13 bottommost perforation is 60 feet above Capitan Reef.

14 We will be -- We're still in a pressure-  
15 completion situation out there as we inject fluid into this  
16 produced water that's going back into the same formation  
17 that it came out of, so the waters will be compatible.

18 We'll still be in a pressure-depletion mode.  
19 There will not be any make-up water going into it, so there  
20 is no way that we could be polluting -- or not so much  
21 polluting but invading any type of fresh water of the  
22 Capitan Reef. We're too far away from it, and we do not  
23 have the pressure -- there would not be the pressure there  
24 necessary to be able to push water into the Capitan Reef if  
25 there was -- you know, if --

1 Q. Let's go to the form itself, which is behind the  
2 Application tab, and there's a wellbore schematic.

3 A. Yes, sir.

4 Q. Show us very quickly how you propose to utilize  
5 the wellbore for injection.

6 A. We will set an injection packer with 2 7/8  
7 injection tubing. The packer will be set at 3100 feet, and  
8 we'll start injecting down it. We'll be monitoring any  
9 type of pressure in the annuluses through a pressure gauge  
10 on the Bradenhead flange and on the intermediate string  
11 flange, and also taking pressure readings, surface  
12 injection pressure readings, right off the tubing. We'll  
13 be injecting into perforations of from 3160 to 3418.

14 Q. All right. Let's turn now to the engineering  
15 tab. The first display behind that tab is a written  
16 summary of your proposed recompletion procedures?

17 A. Yes, sir.

18 Q. Following that summary is a red divider sheet,  
19 and then we have a list of wellbores. What does this mean?

20 A. This is a list of wellbores that are within one  
21 half-mile radius of the subject well. There are --  
22 Actually, several of the wells are immediately outside that  
23 one-half-mile circle, but we included them into it since  
24 they were in close proximity to that circle, so we wanted  
25 to include those also.

1 Q. All right. Then behind that summary sheet is the  
2 locator plat?

3 A. Yes, sir.

4 Q. What's the significance of the yellow dots?

5 A. The yellow dots on this locator map indicate all  
6 wells that are within one-half mile or -- within one-half  
7 mile of our subject well, and also includes four wells that  
8 are immediately outside that radius that we included in our  
9 tabulations and in our analysis.

10 Q. Is there a summary sheet showing us how you've  
11 analyzed these wellbores?

12 A. Yes, sir, there's a tabulated summary sheet  
13 that's directly behind the locator map.

14 Q. What is the source of the data that you used to  
15 make this study?

16 A. Wellbore records, file records, state completion  
17 and federal completion records.

18 Q. For example, when we look at the spreadsheet, if  
19 you look at the far right and read the second column back  
20 from the right that says "reasons" --

21 A. Yes, sir.

22 Q. -- there's some codes here. Describe what you're  
23 abbreviating.

24 A. The code "DR" stands for drilling report. The  
25 information that I used to determine the top of cement for

1 the production string came right off a drilling report.

2 Also, further down, there is a calculation that  
3 says "calculation" with a "\*". That is a calculation that  
4 I made when there was no other data that would actually  
5 identify the top of the cement. I made these calculations  
6 using 1.32 cubic foot yield per sack of cement and a 50-  
7 percent safety factor.

8 Further down, there are some other codes that  
9 says "OMB-#1004-0137". That is an Office of Management and  
10 Budget federal form that contained top-of-cement data that  
11 I used.

12 In the very bottom down there, there's a third  
13 number of "BB-#42-R355.5". That is a -- I believe a  
14 revised Bureau of Budget form. It's another federal form.  
15 I think it's pretty much identical to the OMB; they just  
16 over the years changed those forms. It also identifies the  
17 top of cement for the production casing.

18 Q. Let's turn behind the summary sheet. There's a  
19 divider tab, red divider tab. Within this next section,  
20 between the red and the green inserts --

21 A. Yes, sir.

22 Q. -- you have a series of calculations and hand-  
23 drawn schematics. What do these represent?

24 A. These represent the top-of-cement calculations  
25 that I made using the previously mentioned conditions to

1 determine where the top of cement was that had not been  
2 reported.

3 Q. So if the Examiner wants to check your summary  
4 sheet, here's your work product and he can go through each  
5 of the schematics if he chooses to do so and see how you  
6 derived your calculation?

7 A. Yes, sir.

8 Q. And in all these situations you have presumed the  
9 50-percent safety factor --

10 A. Yes, sir.

11 Q. -- recognizing that in many of these wellbores,  
12 that is more than aggressive, if you will, in terms of the  
13 safety factor?

14 A. Yes, sir.

15 Q. There will be some of these calculations where  
16 it's obvious that the cement was circulated either to the  
17 surface or between casing points, but with the utilization  
18 of the 50-percent factor, it might appear that the cement  
19 column did not rise as high as that you know it did?

20 A. That's correct.

21 Q. All right. Behind those worksheets there is a  
22 green divider tab, and we start into another set of  
23 schematics. What are we looking at here?

24 A. Those are -- You'll find a set of six schematics.  
25 Those are all of the P-and-A'd or D-and-A'd wellbores that

1 are within that half-mile radius of our subject well, and  
2 also one or two of them fall immediately outside that half-  
3 mile radius but I included them in this for safety  
4 purposes.

5 Q. Have you satisfied yourself that in your opinion,  
6 the all of the P-and-A'd wellbores have been adequately  
7 plugged and abandoned?

8 A. Yes sir. There are two, though, that are in the  
9 very back that I had looked at very closely. They're the  
10 last two in it, the Tenneco Federal Number 1 and the Snyder  
11 State Number 1.

12 Q. All right, let's look at those, the Tenneco  
13 Federal 1 first.

14 A. Yes, sir. The Tenneco Federal 1 of Fina Oil and  
15 Chemical Company is located in the center of the southeast  
16 quarter of the northwest quarter of Section 15, Township 20  
17 South, Range 33 East in Lea County.

18 This is the only wellbore in the six wells where  
19 they actually recovered casing out of the wellbore, so I  
20 paid particular attention to it and how it had been plugged  
21 and abandoned.

22 Q. And you're satisfied that it is properly plugged  
23 and abandoned?

24 A. Yes, sir, they have a cement plug from the TD at  
25 3418 to a height of 1200 feet. They have heavy mud fill

1 from 1200 feet to 20 feet with a surface cement plug of 20  
2 feet on top of it.

3 The next one is the Snyder State --

4 Q. This is just before we get into the last green  
5 tab section?

6 A. Right. Yes, sir --

7 Q. All right.

8 A. -- it's the very last one, Olsen Energy, Inc.

9 MR. KELLAHIN: It's the other way, Mr. Examiner.  
10 You need to turn back the other way.

11 THE WITNESS: Your -- Sir, the green tab on  
12 your --

13 MR. KELLAHIN: Your other left.

14 EXAMINER CATANACH: The page after the green tab?

15 MR. KELLAHIN: No, before the green tab.

16 EXAMINER CATANACH: Got it.

17 MR. KELLAHIN: There we go.

18 Q. (By Mr. Kellahin) You're looking at the Snyder  
19 State 1?

20 A. Yes, sir.

21 Q. All right, describe why you examined this and  
22 what conclusion you made.

23 A. The Snyder State Number 1 was a D-and-A'd. They  
24 drilled the well. There is only one section of casing in  
25 this well. They drilled down to a depth of 3429 and it was

1 a dry hole, so they did not run any type of intermediate or  
2 production-string casing in this well. They just plugged  
3 back to a height of 801 feet.

4 And then there is a gap in there. There is  
5 nothing in the report that tells me what type of fluid or  
6 what is between 801 feet and the surface. They put a 10-  
7 sack cement plug on top of the -- at the surface down.

8 There is -- That's all the information that has  
9 been reported that I could determine, as far as the  
10 plugging on it.

11 Q. Okay. Then the supporting information behind the  
12 last green divider represents what?

13 A. That represents the data in which I was able to  
14 make both the top-of-cement calculations and the P-and-A  
15 plugging schematics. They include a Form C-105, and the  
16 two Office -- or the Office of Management and Budget and  
17 the Bureau of Budget documentation.

18 Q. Summarize for us your conclusions.

19 A. I'm of the opinion that injecting into the State  
20 "BF" Number 4 will not endanger any freshwater zones,  
21 particularly the Capitan Reef. Our bottom perf is 60 feet  
22 above the top of the Capitan Reef.

23 We will be reinjecting produced water coming  
24 right out of the Yates-Seven Rivers in the West Teas field,  
25 back into that same formation, so there will not be any

1 water-compatibility problems.

2 We will be reinjecting only the produced water;  
3 there will not be any make-up water. So we'll be still in  
4 a pressure-depletion mode. There will not be any type of -  
5 - If we have any type of water influx, we will be getting  
6 water coming in to us because of the reduced pressure.

7 Our injection-withdrawal ratios, I do not have  
8 any firm numbers on it, but we will not be injecting --  
9 would probably less than one, just from the simple fact  
10 that we will not be having any type of make-up water going  
11 back into this area.

12 MR. KELLAHIN: Mr. Examiner, that concludes our  
13 presentation.

14 We move the introduction of Stevens and Tull's  
15 Exhibit Number 1.

16 EXAMINER CATANACH: Exhibit Number 1 will be  
17 admitted as evidence.

18 EXAMINATION

19 BY EXAMINER CATANACH:

20 Q. Mr. Lawson, you don't plan to utilize lined  
21 tubing in this well; is that correct?

22 A. That's correct, sir.

23 Q. What's the reason for that?

24 A. We have plans to chemically treat the water on  
25 the surface. We had noticed in the State "BF" Number 2

1 before the casing collapsed on it that it had a tendency to  
2 develop some iron sulfite, and we'd have to go in there  
3 periodically and acidize it. And after we'd acidized that  
4 State "BF" 2 it would go on a vacuum, and then -- till it  
5 started this process of, you know, scaling up again.

6 And I'm of the opinion that it would be more  
7 economical to treat the problem of the iron sulfite through  
8 settling tanks, that type of thing, to prevent or  
9 economically keep our cost of operations to a minimum out  
10 there.

11 Q. Do you guys have a water analysis of that  
12 produced?

13 A. No, sir, at this time we do not.

14 Q. Do you know what kind of chlorides it contains?

15 A. No, sir, I do not.

16 Q. The lined tubing is pretty much a standard  
17 deal --

18 A. Yes, sir.

19 Q. -- so that may be a requirement in the final  
20 order.

21 A. Okay.

22 Q. On the -- I was looking at some of your offset  
23 wells. The Anasazi 16.

24 A. Yes, sir.

25 Q. It appears that the injection interval in that --

1 Well, there's -- That injection interval in that well is  
2 not covered by cement. Is that what you've seen with  
3 regards to that well?

4 A. Are you looking at the top-of-cement calculation?

5 Q. Yes, I am.

6 A. The injection interval on that, from my  
7 calculation using a 50-percent safety factor, doesn't  
8 appear to be. But with a 50-percent -- If you drop that  
9 50-percent safety factor down to, say, 25 percent, then it  
10 does more than cover that injection interval.

11 When you're using that 50-percent safety factor,  
12 you look at the amount of cement that was used, 1150 sacks  
13 of cement in a 12-1/4-inch hole with an 8 5/8 casing,  
14 you're going to have a very large annulus, and you're  
15 actually cutting in half that volume that you're using for  
16 that.

17 So that's a very aggressive safety factor. And I  
18 understand that -- The reason I used that was that I wanted  
19 to see what a worst-case scenario -- where that would be  
20 at.

21 Q. So if you use something greater than that, do you  
22 think that whole interval up to the next casing string is  
23 covered?

24 A. Oh, yes, sir, I do. The yields -- the top of  
25 cement and yields of 1.32, I do not go in there and do a

1 really in-depth yield analysis based on all the particular  
2 additives and such that was present in that cement. A lot  
3 of times those are not really reported very accurately.

4 But the 50-percent safety factor would represent  
5 a worst-case scenario.

6 Q. You don't have any actual data to support or to  
7 indicate that that cement top is above where you have it,  
8 though?

9 A. No, sir, I don't. There was no documentation in  
10 the drilling report, C-108, C-105 or any other form that  
11 would actually tell us exactly where that top of cement  
12 was, and examination of the well file did not indicate any  
13 type of temperature survey or CBL or anything of this  
14 nature.

15 EXAMINER CATANACH: Will that water analysis be  
16 provided, Mr. Kellahin?

17 MR. KELLAHIN: Yes, sir, if you desire one, we'll  
18 get one.

19 EXAMINER CATANACH: It's required.

20 MR. KELLAHIN: Yeah.

21 EXAMINER CATANACH: I believe that's all I have  
22 of this witness. You may be excused.

23 Is there anything further that you --

24 MR. KELLAHIN: No, sir.

25 EXAMINER CATANACH: I guess what we need to do is

1 readvertise this to reflect the correct interval that  
2 you're going to be injecting into.

3 Now, you've stated that your notification was  
4 correct?

5 MR. KELLAHIN: Yes, sir.

6 EXAMINER CATANACH: Okay. So all we have to do  
7 is renotify and republish it -- I mean readvertise and  
8 republish it, and that will be done for the -- well, four  
9 weeks from now.

10 MR. KELLAHIN: Yes, sir.

11 EXAMINER CATANACH: So we'll continue it until  
12 that hearing and take it under advisement at that time.

13 MR. KELLAHIN: Thank you.

14 (Thereupon, these proceedings were concluded at  
15 11:00 a.m.)

16 \* \* \*

17  
18 I do hereby certify that the foregoing is  
19 a complete record of the proceedings in  
20 the Examiner hearing of Case No. 11807,  
heard by me on September 4 1997.

21 David R. Catanch, Examiner  
22 Oil Conservation Division  
23  
24  
25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO )  
 ) ss.  
COUNTY OF SANTA FE )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL September 6th, 1997.



STEVEN T. BRENNER  
CCR No. 7

My commission expires: October 14, 1998