

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
 THE OIL CONSERVATION DIVISION FOR THE)
 PURPOSE OF CONSIDERING:)
)
 APPLICATION OF DEVON ENERGY CORPORATION)
 (NEVADA) FOR POOL ABOLISHMENT AND POOL)
 EXPANSION, EDDY COUNTY, NEW MEXICO)
)

CASE NO. 12,121

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

February 4th, 1999

Santa Fe, New Mexico

99 FEB 18 AM 7:56
 OIL CONSERVATION DIV

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, February 4th, 1999, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

February 4th, 1999
 Examiner Hearing
 CASE NO. 12,121

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>JASON HAMILTON</u> (Geologist)	
Direct Examination by Mr. Bruce	4
Examination by Examiner Catanach	11
<u>WALTER FRANK</u> (Engineer)	
Direct Examination by Mr. Bruce	17
Examination by Examiner Catanach	21
REPORTER'S CERTIFICATE	25

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	11
Exhibit 2	8	11
Exhibit 3	9	11
Exhibit 4	10	11

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

JAMES G. BRUCE, Attorney at Law
612 Old Santa Fe Trail, Suite B
Santa Fe, New Mexico 87501
P.O. Box 1056
Santa Fe, New Mexico 87504

* * *

1 WHEREUPON, the following proceedings were had at
2 8:20 a.m.:

3 EXAMINER CATANACH: At this time we'll call first
4 case, 12,121.

5 MR. CARROLL: Application of Devon Energy
6 Corporation (Nevada) for pool abolishment and pool
7 expansion, Eddy County, New Mexico.

8 EXAMINER CATANACH: Call for appearances in this
9 case.

10 MR. BRUCE: Mr. Examiner, Jim Bruce representing
11 the Applicant. I have two witnesses to be sworn.

12 EXAMINER CATANACH: Call for additional
13 appearances.

14 Will the two witnesses please stand and be sworn
15 in?

16 (Thereupon, the witnesses were sworn.)

17 JASON HAMILTON,
18 the witness herein, after having been first duly sworn upon
19 his oath, was examined and testified as follows:

20 DIRECT EXAMINATION

21 BY MR. BRUCE:

22 Q. Would you please state your name for the record?

23 A. Jason Hamilton.

24 Q. Where do you reside?

25 A. Oklahoma City, Oklahoma.

1 Q. Who do you work for and in what capacity?

2 A. Devon Energy Corporation. I'm a district
3 geologist.

4 Q. Have you previously testified before the Division
5 as a geologist?

6 A. No.

7 Q. Could you please state for the Examiner your
8 educational and employment history?

9 A. I have a bachelor's of science degree from
10 Oklahoma State University in geology, I have a master's of
11 science degree in geology also from Oklahoma State
12 University.

13 I've worked for 14 years in the oil and gas
14 industry as an independent, and also for several major oil
15 companies, including Conoco, Exxon, Union Texas and several
16 large independents. I've worked for Devon Energy since
17 1995 in the Delaware Basin.

18 Q. Okay. And your area of responsibility includes
19 Eddy County?

20 A. Yes.

21 Q. Mr. Examiner -- And, excuse me, Mr. Hamilton, are
22 you familiar with the geologic matters involved in this
23 Application?

24 A. Yes.

25 MR. BRUCE: Mr. Examiner, I tender Mr. Hamilton

1 as an expert petroleum geologist.

2 EXAMINER CATANACH: Mr. Hamilton is so qualified.

3 Q. (By Mr. Bruce) Mr. Hamilton, briefly, what does
4 Devon seek in this case?

5 A. We seek to abolish the Sand Dunes-Cherry Canyon
6 Pool and then also to expand the Ingle Wells-Delaware Pool
7 to include that zone in that area.

8 Q. Okay. What is the reason for this request?

9 A. The Cherry Canyon does extend across -- outside
10 of the Cherry Canyon Pool area, into the Ingle Wells-
11 Delaware Pool, so it's continuous across both pools.

12 There are also extra operational costs that
13 result from having two separate pools.

14 And then also, inasmuch as a large part of this
15 area is in the potash-restricted area, it's very difficult
16 to get locations, and so it would help us to be able to
17 drill just one well, get one location rather than two for
18 these zones.

19 Q. Okay. Let's move on to your exhibits. Could you
20 identify Exhibit 1 for the Examiner and fill him in on the
21 color coding and the wells, et cetera?

22 A. Exhibit 1 there is a Sand Dunes Cherry Canyon
23 isopach. It's an isopach of the producing interval. The
24 pink dots there are the wells that produce from that zone.

25 You can see the pink outline in the middle, and

1 it's noted there on the map as the outline of the Sand
2 Dunes-Cherry Canyon Pool.

3 And then the green rectangular outline is the
4 outline of the Ingle Wells-Delaware Pool.

5 The yellow and blue lines was my attempt to kind
6 of draw -- The yellow are kind of the thick axes of the
7 channels, and then the blues are kind of the thins in
8 between, and it just kind of helps you follow the flow of
9 the map.

10 Then you can see right in the middle of the map,
11 there's a little red line that denotes the line of cross-
12 section that I'm going to show you.

13 Q. The red-shaded acreage, is that Devon-operated
14 acreage?

15 A. Yes.

16 Q. There's also a couple other thin red dotted lines
17 on this map, if you look at, say, the northwest corner of
18 this map. What do those, the straight line and the wavy
19 line, indicate?

20 A. The curved line is the area designated as the
21 potash reserves area --

22 Q. The measured potash?

23 A. Yeah, measured potash. And then the straight
24 line around it, I guess, is the enclave that kind of rims
25 the measured area.

1 Q. Okay.

2 A. So all that area there in 14, 15 and 22 where
3 there are no wells is within the potash restricted area.

4 Q. Okay. Before we leave this map, most of the
5 Cherry Canyon wells you have on here are in the Sand Dunes-
6 Cherry Canyon Pool; is that correct?

7 A. Yes.

8 Q. But there are a couple that extend out to the
9 north?

10 A. Yeah, you can see there's that one there in
11 Section 13 and another up in Section 12 that produce from
12 that same zone. One is in the Ingle Wells-Delaware field,
13 and one is beyond that.

14 Q. Would you move on to your next exhibit, the
15 cross-section --

16 A. Okay.

17 Q. -- and tell the Examiner what that shows?

18 A. Okay, it has three wells. The one in the middle
19 there with the pink dot at the top is in the Cherry Canyon
20 Pool, and then wells on either side that are outside the
21 outline of the Cherry Canyon Pool and within the Ingle
22 Wells-Delaware Pool.

23 And you can see in the middle well the
24 perforations were -- it shows, you know, what actually
25 produces in the Cherry Canyon interval. And then that same

1 zone extend into the Ingle Wells-Delaware Pool area.

2 Q. Okay. So the same -- In many instances, the same
3 Cherry Canyon zones are productive, not only in the Sand
4 Dunes-Cherry Canyon Pool but also in the Ingle Wells-
5 Delaware Pool?

6 A. Yes.

7 Q. Geologically, do you see a need for these pools
8 to be separate and distinct?

9 A. No.

10 I might also mention that there's -- You'll
11 notice at the top of your cross-section there at about 5850
12 feet or so, there's -- that first sand there, there's a
13 little line drawn on each log. That sand also produces,
14 which, you know, is above the Sand Dunes-Cherry Canyon
15 interval. That also produces in the Ingle Wells-Delaware
16 field, I can show you on the next map.

17 Q. Okay. Why don't you move on to your Exhibit 3
18 and identify that for the Examiner?

19 A. This is an Ingle Wells-Delaware isopach, and the
20 green dots are wells that produce from the Ingle Wells-
21 Delaware. There are four dots, you'll notice, up in the --
22 like in the southeast of Section 12, there's one green dot
23 that has a little blue dot in the center with a blue ring.
24 Then also in the southwest quarter of Section 25 there's
25 another one.

1 And then down in Sections 1 and 2 of 24 South
2 you'll see there's two more, and those produce from a sand
3 that's actually shallower than the Sand Dunes-Cherry Canyon
4 interval, that produce within the Ingle Wells-Delaware
5 field.

6 But as you can see, the Delaware production
7 extends, you know, in and across both pools.

8 Q. Okay. The -- Looking at this map, there are
9 virtually no wells on the west and north side of this map.
10 What is the reason for that?

11 A. That's because they're in the potash.

12 Q. And the operators are having a difficult time
13 getting well locations approved?

14 A. Yes, very difficult.

15 Q. Okay. Besides Devon, who is the other operator
16 in the Sand Dunes-Cherry Canyon Pool?

17 A. Pogo.

18 Q. Pogo Producing Company?

19 And they were notified of this hearing?

20 A. Yes.

21 MR. BRUCE: Mr. Examiner, Exhibit 4 is my
22 affidavit of notice to Pogo. They are the only other
23 operator, and I have spoken with Pogo myself, and they have
24 no objection to the abolishing the Sand Dunes-Cherry Canyon
25 Pool.

1 Q. (By Mr. Bruce) Mr. Hamilton, in your opinion is
2 the granting of this Application in the interests of
3 conservation and the prevention of waste?

4 A. Yes.

5 Q. And were Exhibits 1 through 3 prepared by you or
6 under your direction?

7 A. Yes.

8 MR. BRUCE: Mr. Examiner, I tender Exhibits 1
9 through 4 into the record.

10 EXAMINER CATANACH: Exhibits 1 through 4 will be
11 admitted as evidence.

12 EXAMINATION

13 BY EXAMINER CATANACH:

14 Q. Mr. Hamilton, in the Ingle Wells-Delaware Pool,
15 is that predominantly the Brushy Canyon that's being
16 produced in that pool?

17 A. Yes, but it produces all the way up, you know,
18 through that sand above the Cherry Canyon, and there is
19 other Cherry Canyon production below the Ingle Wells -- or
20 the Cherry -- the Sand Dunes/Cherry Canyon, that's also
21 productive.

22 Q. So within the Ingle Wells-Delaware there is
23 Cherry Canyon that's being --

24 A. Yes.

25 Q. -- produced in those wellbores?

1 The wells in the Sand Dunes-Cherry Canyon, are
2 some of those wells dually completed or otherwise -- are
3 some of those wells completed in the Brush Canyon?

4 A. Well, the pink dots, you'll notice, are all twins
5 to Brushy Canyon wells.

6 Q. Sorry, the pink dots?

7 MR. BRUCE: On Exhibit 1.

8 THE WITNESS: Yeah, if you look at Exhibit 1.

9 Q. (By Examiner Catanach) Exhibit 1, okay.

10 A. You'll notice, if you look at the total depths
11 posted next to them, all the pink dots are shallow wells,
12 and then right next to them there's a deeper Brushy Canyon
13 well, and if you look at Exhibit 3 you'll see that the
14 green dot's on the deep wells, the pink dot's on the
15 shallow wells. So because of the way the pools are now,
16 you actually have to drill two wells, a shallow well to the
17 Cherry Canyon and a deep well to the Brushy Canyon.

18 Q. Has Devon done most of that drilling?

19 A. In -- Of course, 24 was operated by Pogo, but
20 yes, in 23, 26 -- 23 and 26 we did, and 13.

21 Some of it was actually done by Texas American,
22 who we acquired. So we own those -- we operate those
23 wells. They were actually -- some were drilled earlier by
24 the previous owner.

25 Q. Well, is the Brushy Canyon considerably deeper

1 than the Cherry Canyon?

2 A. Well, you know, the bottom of the Brushy Canyon
3 is at about 8100 feet, but then the production extends all
4 the way up to within just a couple hundred feet below the
5 Sand Dunes-Cherry Canyon, starting just the next few sands
6 down -- On this cross-section, if you just went another
7 hundred or so feet down, you would have wells in the lower
8 Cherry Canyon all the way down to the bottom of the Brushy
9 Canyon that produce.

10 Really, the uppermost productive sand is that
11 5900-foot sand. The next one is the Sand Dunes-Cherry
12 Canyon. Then you skip down a couple sands and then you
13 start what we call the lower Cherry Canyon, and pretty much
14 every sand from there down produces somewhere in the field,
15 all the way to the base of the Brushy Canyon.

16 Q. Are those wells that were drilled to the Brushy
17 Canyon -- they're drilled down to 8000 feet; is that what
18 you're saying?

19 A. We drill to about 8500 or 8600 to go through the
20 Bone Spring lime and sometimes into the Avalon sand. But
21 the base of the production is about 8100, 8200 feet.

22 Q. Do you have any idea why the Delaware was
23 developed like this in this area?

24 A. The Delaware?

25 Q. I mean, do you know why there was two pools?

1 A. I suspect what happened was, the Cherry Canyon
2 pool was discovered way back in the late Sixties, early
3 Seventies. And you know, you there's three old wells there
4 in 24, and then also in 23, and then the Ingle Wells -- the
5 Brushy Canyon discovery was made years later by Devon, and
6 that Cherry Canyon Pool had already been established, and
7 probably what happened was, we made a discovery outside the
8 field, and because it was Brushy Canyon, they gave it a
9 different pool name, and then it just extended across the
10 area.

11 So it's just that for a long time there were no
12 deep wells out there, there was no deep Brushy Canyon
13 production; it was all from that Cherry Canyon.

14 Q. Who else operates in the Ingle Wells Pool? Do
15 you know?

16 A. Pogo. Down there in Section 2, we don't operate
17 that section; that's operated by Sonat. We have an
18 interest in that.

19 Q. I'm sorry, Sonat?

20 A. Yes.

21 Q. Is that the only other operator, Sonat and Pogo?

22 A. I think so. I'm not certain, but I'm pretty sure
23 it's just us, Pogo and Sonat.

24 I don't really know who operates in 35, in the
25 sections where we don't have acreage.

1 Q. Is there any potential for secondary recovery in
2 either of these zones, Mr. Hamilton?

3 A. Yes.

4 Q. In both zones?

5 A. Most likely in the Sand Dunes-Cherry Canyon.

6 Q. And what effect is that going to have, if any, on
7 the pool consolidation?

8 A. I mean, operationally, apparently none. I'm not
9 an operations engineer, and I've been told statutorily,
10 that we could still waterflood the Sand Dunes-Cherry
11 Canyon, even if it were, you know, part of the Ingle Wells-
12 Delaware field. I mean, geologically, there's not a reason
13 that it would affect secondary-recovery efforts.

14 Q. There's not really much potential in the Brushy
15 Canyon?

16 A. Those rocks are tighter and somewhat more
17 laminated, and not as massive as these, so it would be
18 substantially less, or potential -- of anything out there,
19 this would be the most likely candidate for that.

20 Q. These are both 40-acre spacing; is that right?

21 A. Yes.

22 Q. And it is your opinion that there is Cherry
23 Canyon potential outside the current boundary of that
24 Cherry Canyon Pool?

25 A. Yes. Yeah, I think the cross-section shows that

1 pretty well with, you know, the sands on either side of it
2 there are just as well developed and structurally in a good
3 position and -- you know, certainly you have potential
4 production.

5 Q. Is that pretty much throughout the entire Ingle
6 Wells Pool?

7 A. Yeah. I mean, you can see the -- you know, on
8 the Sand Dunes isopach that you have -- you know, you have
9 a thin on part of it, but then the channel extends,
10 certainly, beyond the Cherry Canyon Pool area, into parts
11 of the Ingle Wells-Delaware area.

12 Q. Did you testify that a lot of the wells in the
13 Ingle Wells Pool are currently producing from the Cherry
14 Canyon?

15 A. Well, not from this zone. But from -- You know,
16 this is what we call the Sand Dunes-Cherry Canyon, which is
17 a couple of zones within the Cherry Canyon, you know,
18 formation.

19 Q. Uh-huh.

20 A. There are probably 20 sands in what we call the
21 Cherry Canyon, and there are other Cherry Canyon sands that
22 produce, other than these two, elsewhere in the field.

23 Q. Well, are those two sands potentially productive
24 outside the boundary of the pool?

25 A. Yes.

1 Q. They're just not -- They haven't been produced?

2 A. No, I think probably because of the difference in
3 the pools, I would have assumed we would have had to drill
4 another well or commingle it or something like that, and we
5 have not been able to get permission to do that.

6 EXAMINER CATANACH: I have no further questions
7 of this witness.

8 Mr. Bruce?

9 MR. BRUCE: Call Mr. Frank to the stand.

10 WALTER FRANK,

11 the witness herein, after having been first duly sworn upon
12 his oath, was examined and testified as follows:

13 DIRECT EXAMINATION

14 BY MR. BRUCE:

15 Q. Would you please state your name and city of
16 residence for the record?

17 A. Walter Frank. Norman, Oklahoma.

18 Q. And who do you work for?

19 A. I work for Devon Energy Corporation as a district
20 engineer.

21 Q. Are you in operations?

22 A. Yes, sir.

23 Q. Have you previously testified before the
24 Division?

25 A. Yes, sir.

1 Q. And at that time were your credentials as an
2 engineer accepted as a matter of record?

3 A. Yes, they were.

4 Q. And are you familiar with the operations involved
5 in this area of Eddy County?

6 A. Yes, I am.

7 MR. BRUCE: Mr. Examiner, I tender Mr. Frank as
8 an expert engineer.

9 EXAMINER CATANACH: Mr. Frank is so qualified.

10 Q. (By Mr. Bruce) Mr. Frank, let's get to a
11 question that the Examiner asked Mr. Hamilton on these --
12 Within the Sand Dunes-Cherry Canyon Pool, are any of these
13 Cherry Canyon wells downhole commingled?

14 A. No, sir.

15 Q. They're all just second wells drilled on a
16 proration unit?

17 A. That's correct.

18 Q. Okay. What are the costs of the wells, the
19 Cherry Canyon and a typical Brushy Canyon well?

20 A. A typical Cherry Canyon well today would cost
21 approximately \$580,000 to drill and complete. A typical
22 Brushy Canyon well would cost approximately \$740,000 to
23 drill and complete.

24 Q. Okay. You know, as an alternative, if it's
25 feasible under the Rules, there's dual completion. What

1 would that cost, if Cherry Canyon and Brushy Canyon wells,
2 or zones, were dually completed?

3 A. Well, initially the drill-and-complete costs, I
4 believe, would be \$120,000 more than just drilling a single
5 Brushy Canyon well.

6 Q. Okay, or just a single Delaware well?

7 A. Single Delaware well.

8 Q. So obviously if you can just drill that one well,
9 there are substantial cost savings?

10 A. Yes, not only in the drilling and completion, but
11 operationally it would be much more difficult, with the
12 amount of fluid that these wells produce, to produce dual
13 wells via rod pump.

14 Q. And currently, because of the amount of fluids,
15 you would be limited as to downhole commingling, certainly?

16 A. That's correct, we've already applied for that
17 and been turned down.

18 Q. Okay. What are typical reserves for these zones?

19 A. Cherry Canyon EURs are approximately 85,000 to
20 90,000 BOE. Brushy Canyon EURs, approximately 100,000 to
21 120,000 BOE.

22 Q. So looked at -- I mean, these are pretty good
23 wells?

24 A. Yeah. Of course, they've been taxed at the
25 current oil price, but yes.

1 Q. Yeah, so the current oil prices make the wells
2 less economic to drill?

3 A. That's -- Yeah, we probably wouldn't want to
4 drill too many of these today.

5 Q. Okay. Now, Mr. Hamilton mentioned problems
6 getting well locations because of the potash. You're aware
7 of that, aren't you?

8 A. Yes, sir.

9 Q. As a result, from an operational standpoint, or
10 just from getting wells drilled and recovering the
11 reserves, is it better to have fewer well locations?

12 A. Yes, sir.

13 Q. They're tough enough to get from the BLM already,
14 are they not?

15 A. That's correct, not only in the potash enclave
16 itself, but also you have to stay a minimum -- the buffer
17 zone around it, you have to stay out of it also.

18 Q. Okay, then one final thing. The Examiner asked
19 Mr. Hamilton about waterflooding. There is that potential
20 out here, isn't there?

21 A. Yes, there is.

22 Q. Once again, the price of oil has an effect on
23 that?

24 A. Yes, sir.

25 Q. And do you agree with Mr. Hamilton that the

1 Cherry Canyon would probably be more floodable than the
2 Brushy Canyon?

3 A. Yes, sir, it would be more contiguous zones, so
4 therefore it would be much easier and much more successful
5 to waterflood.

6 Q. Okay. Based on your testimony, is it your
7 opinion that the granting of this Application is in the
8 interests of conservation and the prevention of waste?

9 A. Yes, absolutely.

10 MR. BRUCE: That's all the questioning I have,
11 Mr. Examiner.

12 EXAMINATION

13 BY EXAMINER CATANACH:

14 Q. Mr. Frank, if you were to drill a well and
15 complete in the Cherry and the Brushy Canyon, do you see
16 any problems operationally with that? Are the pressures
17 significantly different or --

18 A. No, sir, I don't see any operational problems at
19 all. The pressures are very similar, especially when you
20 get out away from the developed areas. I don't believe
21 there would be any problems at all with doing that.

22 Q. You said you were turned down for downhole
23 commingling?

24 A. Yes, sir.

25 Q. And that was for a well that you were going to

1 commingle in the Cherry and the Brushy Canyon?

2 A. Yes, sir, I believe so.

3 Q. Do you know why that was turned down, Mr. Frank?

4 A. The fluid volumes, basically the water volumes,
5 there's an equation that they use that will give you the
6 maximum amount of oil and water you can produce, and these
7 are very high water-producing wells, and that equation was
8 denied or -- the Application was denied because of the
9 water volumes.

10 Q. Okay, both of these zones are high-producing --
11 high water producers?

12 A. Initially, yes.

13 Q. And that comes down?

14 A. Yes, typically it does. Some of the more
15 easterly wells in the field, the water levels have remained
16 quite high.

17 Q. What are we talking about here? What kind of
18 volumes?

19 A. Some of these wells will make 400 barrels of
20 water a day, from the current Ingle Wells-Brushy Canyon.

21 Q. From the Brushy Canyon?

22 A. Yes, sir.

23 Q. How about the Cherry Canyon?

24 A. The well that I have here as a go-by was making
25 about 300 barrels of water a day.

1 Q. And you can adequately move that amount of water
2 in a well completed in both zones?

3 A. Yes, sir.

4 Q. It's not going to be -- It's not going to harm
5 either formation?

6 A. I don't believe it will, no. We're successfully
7 keeping them pumped down significantly. We significantly
8 were -- There is no crossflow, we don't believe there's any
9 crossflow.

10 Q. Where would you guys drill some of these wells,
11 if this were approved?

12 A. Well, we -- just to develop a possible Cherry
13 Canyon flood we have, I believe, six wells, two development
14 wells in 26, one in 23, one in 24 and one in 13, I believe.
15 The reservoir engineering department handles that,
16 typically, but to the best of my knowledge that's correct.

17 And -- But if we were granted this pooling, we
18 may not have to drill but two or three of those to develop
19 the waterflood. And all of the rest of the development we
20 could do with the existing wells.

21 Q. Do you currently have any dual completions out
22 there?

23 A. No, sir.

24 Q. But those are -- In your opinion, those would be
25 kind of hard to accomplish operationally?

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL February 6th, 1999.


 STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 2002