

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY	)	
THE OIL CONSERVATION DIVISION FOR THE	)	
PURPOSE OF CONSIDERING:	)	
	)	
APPLICATION OF CHI ENERGY, INC.,	)	CASE NOS. 12,157
FOR COMPULSORY POOLING, LEA COUNTY,	)	
NEW MEXICO	)	
	)	
APPLICATION OF CHI ENERGY, INC., FOR AN	)	and 12,158
UNORTHODOX GAS WELL LOCATION OR, IN THE	)	
ALTERNATIVE, FOR NONSTANDARD SUBSURFACE	)	
GAS WELL LOCATION/PRODUCING AREA, LEA	)	
COUNTY, NEW MEXICO	)	
	)	(Consolidated)

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

April 15, 1999

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MICHAEL E. STOGNER, Hearing Examiner, on Thursday, April 15th, 1999, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

STEVEN T. BRENNER, CCR  
(505) 989-9317

OIL CONSERVATION DIV.  
99 APR 29 AM 8:37

## I N D E X

April 15th, 1999  
 Examiner Hearing  
 CASE NOS. 12,157 and 12,158 (Consolidated)

	PAGE
EXHIBITS	3
APPEARANCES	4
OPENING STATEMENT: By Mr. Kellahin	7
APPLICANT'S WITNESSES:	
<u>JOHN W. QUALLS</u> (Landman)	
Direct Examination by Mr. Carr	9
Examination by Examiner Stogner	18
Cross-Examination by Mr. Kellahin	19
Examination by Examiner Stogner	25
<u>CURTIS A. ANDERSON</u> (Geologist)	
Direct Examination by Mr. Carr	27
Cross-Examination by Mr. Kellahin	34
Examination by Examiner Stogner	52
<u>JAY GABBARD</u> (Engineer)	
Direct Examination by Mr. Carr	56
Cross-Examination by Mr. Kellahin	67
Examination by Examiner Stogner	87
SANTA FE ENERGY RESOURCES, INC., WITNESSES:	
<u>THOMAS J. TINNEY, III</u> (Geologist)	
Direct Examination by Mr. Kellahin	94
Cross-Examination by Mr. Carr	108
Examination by Examiner Stogner	111
<u>ROD ADAMS</u> (Engineer)	
Direct Examination by Mr. Kellahin	113
Cross-Examination by Mr. Carr	135
Examination by Examiner Stogner	145
Further Examination by Mr. Kellahin	148

(Continued...)

## CLOSING STATEMENTS:

By Mr. Kellahin	149
By Mr. Carr	153

REPORTER'S CERTIFICATE	157
------------------------	-----

\* \* \*

## E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	11	18
Exhibit 2	12	18
Exhibit 3	13	18
Exhibit 4	14	18
Exhibit 5	15	18
Exhibit 6	17	18
Exhibit 7	17	18
Exhibit 8	29	34
Exhibit 9	30	34
Exhibit 10	32	34
Exhibit 11	65	66

\* \* \*

Santa Fe Energy Resources	Identified	Admitted
Exhibit 1	50	50
Exhibit 2	97	108
Exhibit 3	101	108
Exhibit 4	103	108
Exhibit 5	104	108
Exhibit 6	115	134
Exhibit 7	116	134
Exhibit 8	117	134
Exhibit 9	121	134
Exhibit 10	121	134
Exhibit 11	122	134
Exhibit 12	124	134

(Continued...)

## E X H I B I T S (Continued)

Santa Fe Energy Resources	Identified	Admitted
Exhibit 13	125	134
Exhibit 14	126	134
Exhibit 15	127	134
Exhibit 16	129	134
Exhibit 17	129, 130	134
Exhibit 18	129	134
Exhibit 19	131	134

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

RAND L. CARROLL  
 Attorney at Law  
 Legal Counsel to the Division  
 2040 South Pacheco  
 Santa Fe, New Mexico 87505

## FOR THE APPLICANT:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.  
 Suite 1 - 110 N. Guadalupe  
 P.O. Box 2208  
 Santa Fe, New Mexico 87504-2208  
 By: WILLIAM F. CARR

## FOR SANTA FE ENERGY RESOURCES, INC.:

KELLAHIN & KELLAHIN  
 117 N. Guadalupe  
 P.O. Box 2265  
 Santa Fe, New Mexico 87504-2265  
 By: W. THOMAS KELLAHIN

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2   12:35 p.m.:

3           EXAMINER STOGNER: Hearing will come to order.  
4   Call Case Number 12,157, which is the Application of Chi  
5   Energy, Inc., for compulsory pooling, Lea County, New  
6   Mexico.

7           Call for appearances.

8           MR. CARR: May it please the Examiner, my name is  
9   William F. Carr with the Santa Fe law firm Campbell, Carr,  
10   Berge and Sheridan. I represent Chi Energy, Inc., in this  
11   matter.

12           I would request, Mr. Examiner, that you also at  
13   this time call Case Number 12,158, which is an Application  
14   of Chi Energy, Inc., for an unorthodox gas well location.  
15   This is the well on the spacing unit that is the subject of  
16   the pooling case. Consolidation of the cases for purposes  
17   of hearing will shorten the proceedings this afternoon, and  
18   we would request they be consolidated.

19           EXAMINER STOGNER: Okay, in that case call Case  
20   12,158 also.

21           MR. CARROLL: Application of Chi Energy, Inc.,  
22   for an unorthodox gas well location or, in the alternative,  
23   for a nonstandard subsurface gas well location/producing  
24   area, Lea County, New Mexico.

25           EXAMINER STOGNER: Other than Mr. Carr, is there

1 any other appearances in either one of these cases or both?

2 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of  
3 the Santa Fe law firm of Kellahin and Kellahin, appearing  
4 on behalf of Santa Fe Energy Resources, Inc. We're  
5 appearing in opposition to Case 12,158. We oppose the  
6 approval of the unorthodox bottomhole location for the  
7 proposed Chi well.

8 EXAMINER STOGNER: Any other appearances?

9 Okay, so the compulsory pooling Application is  
10 unopposed; is that right, Mr. Carr?

11 MR. CARR: Yes, sir.

12 EXAMINER STOGNER: And we're here -- I'm assuming  
13 that you're representing an offset that's affected?

14 MR. KELLAHIN: Yes, sir.

15 EXAMINER STOGNER: Are there any witnesses in  
16 your side?

17 MR. KELLAHIN: I have two, Mr. Examiner.

18 MR. CARR: And I have three.

19 EXAMINER STOGNER: Mr. Carr?

20 MR. CARR: I have three.

21 EXAMINER STOGNER: Will all five witnesses please  
22 stand to be sworn at this time?

23 (Thereupon, the witnesses were sworn.)

24 EXAMINER STOGNER: Is there any need for opening  
25 remarks, or should we just get right on with it?

1 MR. KELLAHIN: I'd like to state Santa Fe's  
2 position for you, Mr. Examiner, if the time is appropriate.

3 MR. CARR: May it please the Examiner, I'm not  
4 going to present an opening statement. I do have a  
5 closing.

6 EXAMINER STOGNER: Mr. Kellahin?

7 MR. KELLAHIN: Mr. Examiner, if you'll visualize  
8 two sections, Section 19 and just south of Section 19 would  
9 be Section 30, in the west half of Section 30 Santa Fe  
10 Energy Resources operates what is called the Topaz 30-1  
11 well. That well is at a standard location in the west half  
12 of 30, and it is a standard setback from the common  
13 boundary with Section 19. This is a Morrow channel system,  
14 and the Topaz 30-1 is a producing Morrow gas well.

15 In Section 19 to the north, Chi has proposed a  
16 standup east-half spacing unit, and they propose to utilize  
17 a surface location that is 1650 from the east line but only  
18 480 feet from the common boundary between Section 30 and  
19 Section 19.

20 You're in the oil/potash area, and the BLM  
21 requires the minimization of adverse impact to potash. Chi  
22 proposes to drill this well at that location for that  
23 reason.

24 However, Mr. Examiner, the evidence will be  
25 conclusive and undisputed that the optimum location in the

1 east half of 13 -- of 19, in which to target this well, is  
2 at a standard location. You will find that all experts are  
3 in agreement on that point.

4           However, instead of drilling this well  
5 directionally, which has been the pattern for other wells  
6 in this area to satisfy the needs of protecting the potash,  
7 as well as maximizing the opportunity to increase ultimate  
8 recovery, instead of doing that, Chi proposes to drill this  
9 well vertically. They complain that doing it directionally  
10 will cost them additional dollars.

11           We're here to demonstrate to you, Mr. Examiner,  
12 that their Application should be denied, that the  
13 circumstances are such that they should be required to  
14 directionally drill this well to a standard bottomhole  
15 location, that it's economic to do so, that it's in the  
16 best interests of conservation to accomplish that, and they  
17 should be required to make that change.

18           If this location is approved, the locations --  
19 the exception is significant to the Santa Fe Topaz well, it  
20 is our opinion that it will prematurely water the remaining  
21 production from the Topaz well and adversely affect the  
22 correlative rights of Santa Fe, who owns an interest in and  
23 does operate that well.

24           At the end of the presentation, then, we will ask  
25 you to deny their Application for the unorthodox well



1 location.

2 EXAMINER STOGNER: Thank you, Mr. Kellahin.

3 Mr. Carr?

4 MR. CARR: At this time, Mr. Examiner, we call  
5 John W. Qualls.

6 JOHN W. QUALLS,

7 the witness herein, after having been first duly sworn upon  
8 his oath, was examined and testified as follows:

9 DIRECT EXAMINATION

10 BY MR. CARR:

11 Q. Would you state your name for the record?

12 A. John W. Qualls.

13 Q. Where do you reside?

14 A. Midland, Texas.

15 Q. Mr. Qualls, by whom are you employed?

16 A. Chi Energy, Inc.

17 Q. And what is your position with Chi Energy, Inc.?

18 A. Land manager.

19 Q. Have you previously testified before this  
20 Division?

21 A. Yes, sir.

22 Q. At the time of that testimony, were your  
23 credentials as an expert in petroleum land matters accepted  
24 and made a matter of record?

25 A. Yes, sir.

1 Q. Are you familiar with the Applications filed in  
2 each of these consolidated cases?

3 A. Yes, sir.

4 Q. And are you familiar with the status of the lands  
5 in the subject area?

6 A. Yes, sir.

7 MR. CARR: At this time, Mr. Stogner, we would  
8 request that the witness's qualifications be accepted.

9 EXAMINER STOGNER: Any objection?

10 MR. KELLAHIN: No objection.

11 EXAMINER STOGNER: So qualified.

12 Q. (By Mr. Carr) Initially, Mr. Qualls, I think it  
13 would be helpful if you would summarize for the Examiner  
14 what it is Chi Energy seeks with these Applications.

15 A. In Case Number 12,157 Chi Energy seeks pooling  
16 from the top of the Wolfcamp formation to the base of the  
17 Morrow underlying the east half of Section 19, Township 20  
18 South, Range 34 East, Lea County, New Mexico.

19 In Case Number 12,158 Chi Energy seeks this to be  
20 dedicated to the Greenstone Federal Com Well Number 1, to  
21 be drilled as either, number one, a straight hole at a  
22 location 480 feet from the south line and 1650 from the  
23 east line of Section 19, or, in the alternative, to  
24 directionally drill from this surface location to an  
25 unorthodox gas well bottomhole location and a nonstandard

1 subsurface gas well to be applicable to either the  
2 Undesignated West Lynch-Morrow Gas Pool or the Undesignated  
3 Quail Ridge-Morrow Gas Pool, no closer than 760 feet from  
4 the south line and no closer than 990 feet to the western  
5 boundary of said spacing unit, which would be 1650 from the  
6 east line.

7 Q. Let's go to what has been marked for  
8 identification as Chi Exhibit Number 1, and I'd ask you to  
9 identify and review that for Mr. Stogner.

10 A. Exhibit Number 1 shows the subject spacing and  
11 proration unit, which is the east half of Section 19, 20  
12 South, 34 East.

13 Q. Could you identify the Santa Fe-operated acreage  
14 surrounding this spacing unit?

15 A. Santa Fe operates the well in the west half of  
16 Section 19 -- I believe it's called the Topaz 19 -- and  
17 then the west half of Section 30, which would be the Topaz  
18 30 Number 1.

19 Q. Does Santa Fe also own operating rights in the  
20 east half of Section 30?

21 A. Yes, sir.

22 Q. Are there other directionally drilled wells in  
23 this immediate area?

24 A. Santa Fe directionally drilled a well in the west  
25 half of Section 19, which was the Topaz 19.

1 Q. Is that the only one you're aware of?

2 A. Yes, sir.

3 Q. What is the status of the acreage in the east  
4 half of Section 19?

5 A. The status -- It's a fed lease. Chi owns a term  
6 assignment on that lease.

7 Q. And the primary objective in the proposed well is  
8 what?

9 A. Morrow formation.

10 Q. Let's go now to Chi Exhibit Number 2. Will you  
11 identify and review that?

12 A. Exhibit Number 2 -- There's actually two Exhibit  
13 Number 2s. There are C-102s, which is a well location and  
14 acreage dedication plat. The first one identifies a  
15 surface location 480 from the south line, 1650 from the  
16 east line. The second one indicates a bottomhole location  
17 of 760 from the south line, 1650 from the east line.

18 Q. And so what you're requesting is with the second  
19 part of this Application, approval of an unorthodox  
20 location that would be no closer than 760 feet to the south  
21 line of Section 19?

22 A. Yes, sir.

23 Q. Would you agree that Chi would prefer to drill a  
24 well at a standard location on this acreage?

25 A. Yes, sir.

1           Q.    The unorthodox surface location is required  
2 because it is within the potash enclave?

3           A.    Yes, sir.

4           Q.    Let's go to what has been marked for  
5 identification as Chi Energy Exhibit Number 3. I'd ask you  
6 to identify this and then review it for Mr. Stogner.

7           A.    Exhibit Number 3 lists all the working interest  
8 owners in the east half of Section 19. If you start at the  
9 top you have Chi Energy with 93 percent. This is with  
10 Lewis Dreyfus owning 50 percent of the 93 percent.  
11 Southwestern Energy has 45 percent of Chi's 93 percent.

12                   The remainder of the working interest owners are  
13 Lerwick, Ltd., with 5 percent; Doyle Hartman with .71  
14 percent; James Davidson with .25; James E. Burr with .015  
15 percent; Ruth Sutton with .0078 percent; Larry Nermyr,  
16 .0156 percent; John H. Hendrix Corporation, .49 percent;  
17 Michael Klein, .49 percent; and Ronnie Westbook, .02  
18 percent. This comprises a hundred percent of the working  
19 interest in the east half of Section 19.

20           Q.    Mr. Qualls, could you identify the interest  
21 owners who have not voluntarily committed to the drilling  
22 of a well on this 320-acre unit?

23           A.    Yes, sir, that would be Doyle Hartman, James Burr  
24 and Larry Nermyr.

25                   MR. CARR: Mr. Stogner, at this time I need to

1     advise you that I have received the case when it was  
2     referred to me from Jim Bruce, and in the material I have  
3     I've been unable to find where notice was given to James  
4     Burr. It may have been, but I don't know that. And so at  
5     the end of the hearing I am going to request that it be  
6     continued for four weeks, and during that period of time I  
7     will establish either that he was given notice of this  
8     hearing or I will assure that he has proper notice, so that  
9     when the case is taken under advisement that issue has been  
10    addressed. And notice may have been given, I just don't  
11    know.

12                   EXAMINER STOGNER: Thank you, sir.

13           Q.     (By Mr. Carr) Mr. Qualls, what percentage of the  
14     acreage in this spacing unit has been voluntarily committed  
15     to the well?

16           A.     99.25 percent.

17           Q.     And when did Chi first propose this well to other  
18     interest owners in this subject spacing unit?

19           A.     February 15th, 1999.

20           Q.     Is Exhibit Number 4 a copy of letters reflecting  
21     efforts to obtain voluntary participation of the interest  
22     owners in the proposed well?

23           A.     Yes, sir.

24           Q.     And in your opinion, have you located and made a  
25     good-faith effort to obtain the voluntary participation of

1 Mr. Nermyr and Mr. Hartman and Mr. Burr, we believe?

2 A. Yes, sir.

3 Q. Let's go to Chi Energy Exhibit Number 5. Would  
4 you identify this, please?

5 A. This is an AFE estimate summary prepared by Chi  
6 Operating, Inc., on February 22nd, 1999.

7 Q. And what are -- Could you just briefly review the  
8 totals that are set forth on this exhibit?

9 A. Dryhole cost is \$1,065,000. Completed well is  
10 \$1,361,000.

11 Q. What does this AFE represent? Is this for the  
12 straight hole?

13 A. No, sir, this is for the hole going to 760 from  
14 the south, 1650 from the east.

15 Q. And this is the AFE that was provided to the  
16 interest owners who have --

17 A. Yes, sir.

18 Q. -- committed to the well?

19 A. Yes, sir.

20 Q. Were those interest owners advised that cost  
21 variations could result from the outcome of this hearing  
22 here today?

23 A. Yes, sir.

24 Q. What is the impact on the cost of drilling this  
25 well if you directionally drill it?

1 A. Approximately \$500,000.

2 Q. And that would be directionally drilling to what  
3 location?

4 A. From 480 to 760 from the south line is  
5 approximately \$300,000. From -- To take it on out from 760  
6 to 1650 is an additional \$200,000.

7 Q. And are these the costs, total costs, for a  
8 completed well?

9 A. Yes, sir.

10 Q. Have you made an estimate of the overhead and  
11 administrative costs to be incurred while drilling this  
12 well and also while producing it if, in fact, it is  
13 successful?

14 A. Yes, sir, it would be \$6000 while drilling and  
15 \$749 while producing.

16 Q. And what is the source of these figures?

17 A. Ernst and Young survey, 1998.

18 Q. 1998 survey?

19 A. Yes, sir.

20 Q. And do you recommend that these figures be  
21 incorporated into the order which results from today's  
22 hearing?

23 A. Yes.

24 Q. Who do you request be designated operator of the  
25 proposed well?



1           A.    Louis Dreyfus Natural Gas Corporation.

2           Q.    Let's go now to Chi Energy Exhibits 6 and 7.  Are  
3   these notice affidavits confirming that notice of today's  
4   hearing has been provided in accordance with OCD rules?

5           A.    Yes, sir.

6           Q.    And to your understanding, to whom was notice  
7   provided?

8           A.    I understand all the working interest owners in  
9   the surrounding area, Santa Fe, the working interest owners  
10   in the east half, except for James Burr, were provided  
11   notice.  Santa Fe was notified, Southwestern notified,  
12   Louis Dreyfus notified.

13          Q.    Aside from the question about Mr. Burr, is it  
14   your belief that notice was provided to all interest owners  
15   who would be subject to a pooling that could result from  
16   today's hearing?

17          A.    Yes, sir.

18          Q.    And as to the unorthodox location, was notice  
19   provided to the adjacent, adjoining and diagonal spacing-  
20   unit operators in this formation?

21          A.    Yes, sir.

22          Q.    Were Exhibits 1 through 7 either prepared by you,  
23   or have they been compiled at your direction?

24          A.    Yes, sir.

25               MR. CARR:  At this time, Mr. Stogner, I would

1 move the admission into evidence of Chi Energy, Inc's.,  
2 Exhibits 1 through 7.

3 EXAMINER STOGNER: Any objection?

4 MR. KELLAHIN: No objection.

5 EXAMINER STOGNER: Exhibits 1 through 7 will be  
6 admitted into evidence at this time.

7 MR. CARR: And that concludes my direct  
8 examination of this witness.

9 EXAMINATION

10 BY EXAMINER STOGNER:

11 Q. Mr. Qualls, has the \$6000 figure and \$749 figure  
12 for the overhead charges been accepted in previous  
13 compulsory-pooling cases issued out of this office before?

14 A. I don't know, sir.

15 Q. So you don't have a previous order that uses  
16 those figures?

17 A. No, I took that out of the Ernst and Young  
18 survey, 1998 survey.

19 EXAMINER STOGNER: Do you have that with you, or  
20 did you provide that?

21 MR. CARR: Yes, I do. And our intent here, Mr.  
22 Examiner, is to use whatever they're recommending, Ernst  
23 and Young figures.

24 Q. (By Examiner Stogner) What's the depth of this  
25 well? Do you know, Mr. Qualls?

1           A.     Right around 14,000 feet.

2           EXAMINER STOGNER: I'll take administrative  
3 notice of the Ernst and Young. Are these my copies or --

4           MR. CARR: Yes, sir, you may keep that copy.

5           EXAMINER STOGNER: This is a relatively new  
6 publication, isn't it?

7           MR. CARR: Yes, sir.

8           EXAMINER STOGNER: This --

9           MR. CARR: I received it this week, actually.

10          EXAMINER STOGNER: I think they were a little  
11 behind, if I remember right.

12          Okay, are there any other further questions of  
13 this witness?

14          MR. KELLAHIN: Yes, Mr. Examiner.

15          EXAMINER STOGNER: I'm sorry, Mr. Kellahin?

16                   CROSS-EXAMINATION

17 BY MR. KELLAHIN:

18          Q.     Mr. Qualls, if you'll turn to Exhibit 3 with me,  
19 sir --

20          A.     Yes, sir.

21          Q.     -- if you do the math and take out the Dreyfus  
22 interest and the Southwest Energy Interest, what is Chi's  
23 working interest after that subtraction?

24          A.     It would be like 4-point-something. I didn't  
25 calculate it exactly. 4.65.

1 Q. 4.65-percent interest is Chi's interest, then, in  
2 the east half of 19 under this proposal?

3 A. Yes, sir.

4 Q. In the section to the south, Section 30, are you  
5 familiar with the west half of Section 30 where Santa Fe  
6 Energy operates the Topaz 30-1 well?

7 A. I believe so.

8 Q. Chi does not have any interest in that spacing  
9 unit, does it?

10 A. No, sir.

11 Q. When you look at the letters that you sent  
12 proposing the wells to the interest owners in the eat half  
13 of 19, is the only letter you sent the one dated February  
14 15th of this year?

15 A. Yes, sir.

16 Q. With that letter did you attach what was  
17 introduced as Exhibit 5, which is the AFE?

18 A. Yes, sir.

19 Q. You told us that this AFE represents the cost of  
20 a well that is deviated from the surface location 480 to a  
21 bottomhole location 760 from the south line. Is that not  
22 true?

23 A. I believe that's right.

24 Q. You also told us that Chi would subtract  
25 \$300,000, approximately, from this AFE cost to get a

1 vertical well at this position. Was that your testimony?

2 A. I think that's what I said.

3 Q. You did or not say that?

4 A. Yeah, to go from 480 to 760 would be an  
5 additional \$300,000.

6 Q. And so if I take this AFE, which is the  
7 directional AFE --

8 A. Uh-huh.

9 Q. -- and subtract \$300,000, then I would know what  
10 it would cost for a vertical well under your estimate?

11 A. Yes, sir, I believe that's right.

12 Q. You don't prepare these estimates, do you?

13 A. No.

14 Q. Who prepares these for Chi?

15 A. The engineer in our office.

16 Q. And what is his name?

17 A. John Wolfe.

18 Q. Is Mr. Wolfe available for testifying today?

19 A. Not today, no, sir.

20 Q. So in order -- You're advising the Division that  
21 to drill to the closest bottomhole location, 1650 from the  
22 south line, Chi has concluded that it would be  
23 approximately \$200,000 more than what we're seeing on  
24 Exhibit 5?

25 A. I believe that's right.

1 Q. Do you know how that's done?

2 A. As far as -- ?

3 Q. -- determining the additional costs or any of  
4 that?

5 A. It's based on a footage.

6 Q. That's not something that you do, is it?

7 A. No.

8 Q. When I look at the well-proposal letters, am I  
9 correct in understanding the proposal you made to those  
10 interest owners in the east half of 19 is only the proposal  
11 to go to the 760 bottomhole location?

12 A. Yes, sir.

13 Q. You did not propose a vertical well in the  
14 alternative, did you?

15 A. As far as drilling a vertical well versus a 760  
16 bottomhole?

17 Q. Yes, sir.

18 A. We said we would like to drill a 480 vertical  
19 well if we could, but we're proposing that we're going to  
20 end up drilling a 760.

21 Q. Well, where in this letter does it say that, Mr.  
22 Qualls?

23 A. It doesn't say that.

24 Q. Doesn't say that, does it?

25 A. No.

1           Q.    So if I'm reading this letter that you have sent  
2 someone --

3           A.    Uh-huh.

4           Q.    -- I'm going to presume that your proposal is for  
5 a directional well to a 760 bottomhole location from the  
6 south boundary, am I not?

7           A.    Yes, sir.

8           Q.    That would be a fair assumption, would it not?

9           A.    Yes, sir.

10          Q.    All right. When we look at the Application today  
11 for the unorthodox location, you're asking for approval of  
12 a vertical well or, in the alternative, one that is  
13 slightly directional to the 760 bottomhole location; is  
14 that not true?

15          A.    Yes, sir.

16          Q.    You're asking for something in this case that you  
17 have not proposed to the interest owners under the force-  
18 pooling case; is that not true?

19          A.    I guess. I don't see it that way, but if that's  
20 the way --

21          Q.    So which way is it, Mr. Qualls?

22          A.    Well, we're proposing that we want to go to 760.  
23 We didn't think we could get a vertical well, so we  
24 proposed a well to go to 760 and sent out an AFE based on  
25 that.

1           Q.    Why didn't you think you could get approval of a  
2 vertical well?

3           A.    We're trying to get away from the south end of  
4 that section line.

5           Q.    Well, because 4 A, in your judgment, was much too  
6 close to the south boundary, wasn't it?

7           A.    (Nods)

8           Q.    In response to Mr. Carr's question, you said that  
9 Chi would want to drill at a standard location, right?

10          A.    Yes, sir.

11          Q.    And your reason for not doing so is what, sir?

12          A.    Because of the potash.

13          Q.    All right. Why would you want to be at a  
14 standard location?

15          A.    That's what you usually do when you're drilling a  
16 standup in the east half of the section, you'd have to be  
17 1650, 1650, which is a standard location.

18          Q.    Are you aware of the general belief that a  
19 standard location in the east half of 19 is going to be  
20 geologically more favorable?

21          A.    I'm not, no.

22          Q.    You're not? But you do understand it's Chi's  
23 position that they would prefer to drill at a standard  
24 location?

25          A.    We would do a standard location if it was



1 allowable, yes, sir.

2 Q. All right. Do you have available with you any  
3 evidence from Chi as to the economic consequence of  
4 spending the additional money to go to a standard  
5 bottomhole location?

6 A. No, sir, I don't.

7 MR. KELLAHIN: All right. Thank you, Mr.  
8 Examiner, that's all I have.

9 EXAMINATION

10 BY EXAMINER STOGNER:

11 Q. This James Burr, did you send a notice to him  
12 on --

13 A. Yes, sir.

14 Q. -- February 15th?

15 A. Yes, sir, there's a copy of a registered letter,  
16 certified letter, that was sent out to him, and it was  
17 accepted.

18 Q. Is that copy of that certification --

19 A. Yes, it's in the exhibit.

20 MR. CARR: Do you have one, Mr. Stogner? I can  
21 provide it if it's been left off the exhibit.

22 MR. CARROLL: Here it is.

23 EXAMINER STOGNER: And you were just going to  
24 provide me a copy of that letter or --

25 MR. CARR: The letter is in the material, and I

1 can provide the receipt if it's not there.

2 EXAMINER STOGNER: Okay, all right, I just wanted  
3 to -- that he --

4 Q. (By Examiner Stogner) He had been contacted, and  
5 that --

6 A. Yes, he had a well proposal filed, which was  
7 accepted, and got a return receipt, which is in your  
8 exhibit.

9 Q. Okay. I'm going to refer to Exhibit Number 5.  
10 There have been some -- a discussion about some additional  
11 costs for the directional drilling, and could you point  
12 that out to me in this exhibit?

13 A. As far as -- ?

14 Q. The directional drilling expenses.

15 A. My understanding, this AFE was prepared to go 760  
16 from the south line, 1650 from the east line, which is a  
17 directional drill from 480 from the south to the 760.

18 Q. And that additional cost is covered in here?

19 A. Yes, sir.

20 Q. Where would I look for that?

21 A. I would assume it would be under the drilling day  
22 work. It was just incorporated into the costs of the well,  
23 to get to that 760 from the south line.

24 Q. Okay, so that cost just -- The estimated cost is  
25 just bumped up \$200,000 --

1 A. Yes, sir.

2 Q. -- as opposed to a different entry?

3 A. Right.

4 Q. Are you aware that the casing cost was bumped up  
5 in this particular AFE for drilling in the potash area?

6 A. Yes, sir, I believe so.

7 Q. And that would be under the tangible drilling,  
8 under casing surface, the casing intermediate?

9 A. Right.

10 EXAMINER STOGNER: I don't have any other  
11 questions of this witness. You may be excused.

12 MR. CARR: At this time we would call Curt  
13 Anderson.

14 CURTIS A. ANDERSON,  
15 the witness herein, after having been first duly sworn upon  
16 his oath, was examined and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. CARR:

19 Q. Would you state your name for the record, please?

20 A. Curtis A. Anderson.

21 Q. Where do you reside?

22 A. In Midland.

23 Q. By whom are you employed?

24 A. Chi Energy.

25 Q. What is your position with Chi Energy?

1 A. I'm a geologist.

2 Q. Mr. Anderson, have you previously testified  
3 before this Division?

4 A. Yes, I have.

5 Q. At the time of that testimony, were your  
6 credentials as an expert in petroleum geology accepted and  
7 made a matter of record?

8 A. Yes, sir.

9 Q. Are you familiar with the Application filed in  
10 this case?

11 A. Yes, I am.

12 Q. And have you made a geological study of the area  
13 which is the subject of the Application?

14 A. Yes.

15 Q. And are you prepared to share the results of that  
16 study with the Examiner?

17 A. Yes.

18 MR. CARR: Are the witness's qualifications  
19 acceptable?

20 EXAMINER STOGNER: Any objection?

21 MR. KELLAHIN: No objection.

22 EXAMINER STOGNER: So qualified.

23 Q. (By Mr. Carr) All right, Mr. Anderson, let's go  
24 to what has been marked for identification as Chi Energy  
25 Exhibit 8. Would you identify that and review it for Mr.

1 Stogner?

2 A. Exhibit Number 8 is a structure map that was  
3 drawn on top of the lower Morrow formation. Again, the  
4 lower Morrow formation is the primary objective of this  
5 project. It is at a scale of 1 to 2000.

6 You'll see the red wells that are -- or the red-  
7 colored well symbols that are in the area, are Morrow  
8 producers. Written in red alongside those wells are  
9 cumulative gas and oil production.

10 The proposed location for these cases is located  
11 down in the southeast quarter of Section 19. You'll see it  
12 -- which is labeled the BHL or bottomhole location, which  
13 is a square. And also the surface location is designated.

14 The proposed proration unit is outlined in green,  
15 which would be the east half of 19.

16 Q. What is the significance of the structure?

17 A. The structure in this case -- The proposed  
18 location is kind of on the south-southeast flank with  
19 positive or nosing feature. It is basically approximately  
20 150 feet structurally high to the well located down in  
21 Section 30.

22 Let me clarify one other symbol situation in the  
23 southwest quarter of Section 19. Down in the southeast of  
24 the southeast of the southwest there is a circle that  
25 encompasses two dryhole symbols and an oil-well symbol.

1 One of those dryhole symbols is a deep well drilled by  
2 Cities back in 1968. At that time it was P-and-A'd. Okay,  
3 that wellbore was later re-entered and directionally  
4 drilled to the bottomhole location that you see in the  
5 southwest of the southwest of that quarter, and that would  
6 be the Topaz 19 Federal Number 1 that Santa Fe operated.

7 Q. All right, let's now go to Chi's Exhibit Number  
8 9, the isopach. Will you review the information on that  
9 exhibit for the Examiner, please?

10 A. This isopach map is the same scale as the  
11 previous structure map. The location and the proration  
12 unit are the same.

13 The lower Morrow was deposited in a stream or  
14 fluvial situation that flowed from north to south across  
15 the prospect area. Potentially productive sand that was  
16 deposited during this time is colored in orange and yellow.

17 Now, the interpretation on this map represents  
18 what I call typical sandbody configuration throughout this  
19 depositional trend. Okay, and this depositional trend  
20 carries several townships to the north and is roughly  
21 equivalent to a number of other depositional trends  
22 throughout Eddy and Lea County.

23 The blue dashed line represents a suggested  
24 stream orientation or location for this typical  
25 depositional trend.

1           Now, subsequent meander cutoffs and migration  
2       complicate this picture some. The sandbody configuration  
3       changes or can change to either larger or smaller  
4       configuration.

5           Now, there's not enough, in my estimation,  
6       subsurface information here to define the more complex and  
7       complicated picture. Therefore, I believe that anything  
8       within the yellow and orange that's colored on this map is  
9       potentially productive. Offset wells in this trend may or  
10      may not be connected.

11          Q.    When we look at this exhibit from the -- Was this  
12      prepared from well-control information?

13          A.    Yes, sir.

14          Q.    And as we look at the area between the Santa Fe  
15      well in the west half of 30 and the proposed location, have  
16      you seen anything that shows a separation in the reservoir  
17      at that point?

18          A.    No.

19          Q.    Are there separations in this sort of channel  
20      deposit?

21          A.    Yes.

22          Q.    So it's possible that we have not been able, and  
23      you're not attempting to show a separation?

24          A.    No, we're not attempting to show a separation but  
25      that it is a possible situation in this trend.

1 Q. You also have a trace on this exhibit for the  
2 subsequent cross-section; is that right?

3 A. Yes, sir.

4 Q. Let's go to that now. That has been marked as  
5 Chi Energy Exhibit Number 10.

6 A. Exhibit Number 10, that cross-section is A-A', A  
7 being on the left or south, beginning at the Topaz well in  
8 Section 30, going through wells located -- the first one  
9 from left to right, second well on the cross-section is the  
10 old Cities well that was drilled back in 1968. It  
11 continues on up through the proposed well location into a  
12 well located in the north half of Section 18, and then two  
13 wells in Section 7.

14 The purpose of this exhibit is to demonstrate  
15 where in the Morrow section the proposed -- or the proposed  
16 primary objective is located. And that is colored in  
17 orange on the cross-section. The subject of the structure  
18 map we referred to earlier is the top of the lower Morrow,  
19 which is highlighted in brown on the cross-section.

20 Q. If we look at the cross-section in the acreage  
21 shaded in yellow -- or the acreage shaded orange, is it  
22 your intent with this exhibit to show separation through  
23 the reservoir between individual wells?

24 A. No, the intent is to kind of follow along with  
25 the isopach map in showing a -- what I would call again a



1 typical reservoir size.

2 Q. So you do not have particular data that shows  
3 separation, although it would be possible?

4 A. That's correct.

5 Q. Can you summarize -- Are you prepared to make a  
6 recommendation to the Examiner as to the risk penalty that  
7 should be assessed against nonconsenting interest owners in  
8 this well?

9 A. That should be 200 percent.

10 Q. And can you just summarize the basis for that  
11 recommendation?

12 A. A good example is, again, the deviated well  
13 located in the southwest quarter of Section 19, originally  
14 intended as a directional well to the lower Morrow  
15 formation. You can see it was deviated to the west and  
16 missed the objective. So you don't have to offset very far  
17 to get out of our sandbody.

18 Q. Do you believe there's a chance you could drill a  
19 well at the proposed location and it might not be a  
20 commercial success?

21 A. Pardon me?

22 Q. Do you believe there's a chance that a well at  
23 the proposed location might not be a commercial success?

24 A. Yes.

25 Q. In your opinion, will granting this Application,

1 the Applications pooling the lands and authorizing the  
2 drilling of the wells as proposed be in the best interests  
3 of conservation, the prevention of waste and the protection  
4 of correlative rights?

5 A. Yes, sir.

6 Q. How soon would you hope to be able to actually  
7 spud the well?

8 A. Middle, late June.

9 Q. Were Exhibits 8 through 10 prepared by you?

10 A. Yes, they were.

11 MR. CARR: At this time, Mr. Stogner, we move the  
12 admission into evidence of Chi Exhibits 8 through 10.

13 EXAMINER STOGNER: Any objection?

14 MR. KELLAHIN: No objection.

15 EXAMINER STOGNER: 8 through 10 will be admitted  
16 into evidence.

17 Thank you, Mr. Carr.

18 Mr. Kellahin?

19 MR. KELLAHIN: Thank you, Mr. Examiner.

20 CROSS-EXAMINATION

21 BY MR. KELLAHIN:

22 Q. Mr. Anderson, if we'll look at your cross-section  
23 first --

24 A. Yes, sir.

25 Q. -- when we get from Exhibit 10, the cross-

1 section, in a minute, back to the isopach, Exhibit 9, the  
2 isopach'd interval is shown to us on Exhibit 10, is it not?  
3 You've coded that for us?

4 A. Yes, sir.

5 Q. You've shown the top and the bottom on the cross-  
6 section of the area that you're displaying on the isopach,  
7 which we'll talk about shortly?

8 A. That is correct.

9 Q. Where is the point on the cross-section upon  
10 which you have placed the structure map?

11 A. At the -- The line that's labeled "datum".

12 Q. All right, the brown line, the datum line, is the  
13 marker for the structure map?

14 A. Yes, sir.

15 Q. When we look at the cross-section and start at A,  
16 we're starting with Santa Fe's Topaz 30- --

17 A. Yes, sir.

18 Q. -- -1 well, and then as we read over to the  
19 right, we pick up the Cities Service Government 1-Y well?

20 A. Yes.

21 Q. When I look at the isopach, Exhibit 9, and I'm  
22 looking at the line of cross-section on the isopach, is  
23 this the log interval and the relationship for the well  
24 with the red dot at its bottomhole location?

25 I didn't make myself clear. Is this the deviated

1 well?

2 A. No, sir.

3 Q. All right.

4 A. This is the straight hole that Cities drilled.

5 Q. Okay. So I am looking at the straight hole that  
6 Cities drilled at the red dot. That was a vertical well?

7 A. Yes.

8 Q. And at that position in the reservoir, what is  
9 the footage you have associated with the thickness for that  
10 well?

11 A. Twenty feet.

12 Q. All right. So the 20 feet I see on the isopach  
13 is the value you have associated with the red dot  
14 immediately to the left of that number on the isopach?

15 A. Yes.

16 Q. Okay. In looking at the cross-section, am I  
17 correct in understanding your horizontal scale to be one  
18 that is relative?

19 A. Yes, sir.

20 Q. This does not truly represent the actual  
21 horizontal distance between the wells?

22 A. No, it does not.

23 Q. When I look at the Topaz well and the Cities  
24 Service well, then there geologically is a connection  
25 between those two wells? You've correlated them to be

1 continuous, have you not?

2 A. Yes, sir.

3 Q. And at the Santa Fe Topaz well, you have a value  
4 that is thicker than we get for that same sand member by  
5 the time we get to the Cities Service well, correct?

6 A. Correct.

7 Q. All right. When we look at the Santa Fe well, it  
8 appears to me that you've also coded in some perforations.  
9 Can I see those?

10 A. At the Topaz --

11 Q. Yes, sir.

12 A. -- 30? The Topaz 30?

13 Q. Yeah.

14 A. And I coded in some perforations?

15 Q. Well, maybe they're numbers that are so hard to  
16 read that they're black. So what I'm looking at in the  
17 Topaz well is a drill stem test?

18 A. Yeah, that big long black thing --

19 Q. All right.

20 A. -- is a DST, yeah. The perfs are actually just  
21 two feet, and they're on the bottom.

22 Q. All right. Is it the practice of operators that  
23 are targeting this particular sand member to perforate the  
24 entire sand member?

25 A. If it's all pay, yes.

1           Q.    Okay.  Would they do that without regard to  
2 whether or not there is water present within the sand  
3 member?

4           A.    I would suspect if there's a suspicion of water  
5 present, you would not perforate that interval, you would  
6 stay with what you think is, at that time, pay.

7           Q.    Are you aware of any water concern within the  
8 lower member of the Morrow channel system in this area?

9           A.    Yes.

10          Q.    There is one, isn't there?

11          A.    (Nods)

12          Q.    The strategy, then, would be to isolate your  
13 perforations in the very top portion of the isopach'd  
14 interval, would it not?

15          A.    Yes.

16          Q.    And that strategy would be successful because it  
17 would avoid perforating down to the sand member that has  
18 too much water content to be gas-productive.  True?

19          A.    That's true.

20          Q.    Do you utilize a particular water-saturation  
21 value when you're analyzing these logs, for this subject?

22          A.    It varies from area to area.

23          Q.    What would you use in this area?

24          A.    In this area, and from well to well and from  
25 different parts of the wellbore, it's relative, whether

1 it's productive gas and 40 percent water or 20 percent  
2 water and changes to 60, which would be an increase in the  
3 water saturation.

4 Q. All right.

5 A. In other words, there's no specific cutoff.

6 Q. As you calculate on the log a water saturation  
7 that is in excess of 30 percent, that would be of concern  
8 to you, would it not?

9 A. Thirty usually doesn't bother me too much. If  
10 can get over 40.

11 Q. When you hit 40 and above --

12 A. Yeah, I'm starting to worry.

13 Q. -- it would be your recommendation not to  
14 perforate if you had a water saturation of 40 or greater?

15 A. That's correct.

16 Q. When we look at the isopach, if you could drill  
17 vertically without regard to the potash -- Let's assume  
18 this is not a potash area and that is not an issue, and you  
19 can, in fact, drill vertically, then am I correct in  
20 understanding that it would be your opinion that you would  
21 drill, based upon this isopach, at the point of greatest  
22 thickness?

23 A. Probably not.

24 Q. Thicker is not better?

25 A. Well, not necessarily.

1           Q.    Is there a minimum number you use to be  
2 satisfied?

3           A.    In the Morrow sands it's permeability you're  
4 looking for, not necessarily thickness. You can have a 60-  
5 foot sand without permeability.

6           Q.    When we're targeting a well location in the east  
7 half of 19, does it not substantially reduce the risk to  
8 target this well at a location which would penetrate the  
9 greatest net thickness under this map?

10          A.    It may or may not.

11          Q.    So what's the point of the map, Mr. Anderson?

12          A.    Well, that's their interpretations.

13          Q.    Yes, sir, I'm looking at yours.

14          A.    That's correct, to maximize or minimize your risk  
15 in this situation, I'd drill at a standard location.

16          Q.    Well, sure, and that's what I'm asking you.

17          A.    Yeah.

18          Q.    And why is that minimizing your risk?

19          A.    Well, I wouldn't go to where the thickest contour  
20 is.

21          Q.    Well, let me ask you this. If you're going to  
22 the thicker portion, you would drill at a standard  
23 location, right?

24          A.    Sure.

25          Q.    And why would you do that?



1 A. Those are the rules.

2 Q. Well, independent of the rules, isn't it better  
3 to minimize your risk by drilling to a thicker section on  
4 the net map?

5 A. In some cases.

6 Q. In this case?

7 A. Well, in this case I wouldn't locate at the  
8 thickest part, no.

9 Q. All right, but you've told me you would be at a  
10 standard location.

11 A. Be at a standard location.

12 Q. You would be. There is no advantage gained by  
13 Chi, by drilling at the unorthodox location?

14 A. Not at all.

15 Q. When we look at the isopach, then, am I correct  
16 in understanding that you want to be at least somewhere in  
17 the 20- to 30-footage range on this map? Is that not true?

18 A. Yes, sir.

19 Q. And why do you want to do that?

20 A. Well, then you get a more even continuity in your  
21 drainage pattern, yes.

22 Q. Okay. And so a standard location would be  
23 better?

24 A. Standard location would be fine, yes.

25 Q. Okay. And the unorthodox location is

1 geologically less favorable than a standard location; is  
2 that not true?

3 A. Not necessarily --

4 Q. All right.

5 A. -- because where I would locate the standard  
6 location would be about the same thickness.

7 Q. All right, so we could get 1650 from the southern  
8 boundary and satisfy whatever geologic criteria you wish to  
9 apply?

10 A. On structure, it's definitely improvement.

11 Q. All right, we'll get to the structure map in a --

12 A. -- standard location, we're going updip, yes.

13 Q. All right.

14 A. Isopachwise, either location is fine.

15 Q. Okay. Geologically, is there any evidence  
16 available to you to show that the proposed unorthodox  
17 location would be separate from the pod being produced by  
18 the Topaz well in the west half of Section 30?

19 A. No.

20 Q. All right, you would map them to be connected in  
21 some fashion?

22 A. Either way.

23 Q. Your attempt here is not to try to compete with  
24 the Topaz well, is it, sir?

25 A. No.

1 Q. I can't hear you.

2 A. No, sir.

3 Q. Your strategy and choice is to find new reserves,  
4 is it not?

5 A. That's correct.

6 Q. And when we look at the way this north-south  
7 fluvial channel system is being developed, there appears to  
8 be an exploitation opportunity to encounter a unique pod in  
9 the east half of 19?

10 A. Yes, sir.

11 Q. And that opportunity, then, would be new reserves  
12 independent of what the Topaz well might produce, true?

13 A. Correct.

14 Q. And it would also be independent of what had been  
15 developed in Section 18 to the north as a different pod,  
16 right?

17 A. It could be.

18 Q. As we get closer to the 20-foot line, it's your  
19 preference to be at a net footage thickness greater than 20  
20 feet?

21 A. Twenty feet is plenty.

22 Q. Okay, what happens if you get less than 20 feet?  
23 What happens?

24 A. I've seen a lot of wells make plenty of gas in  
25 five feet, as long as you've got the permeability.

1 Q. All right, so permeability would be a key  
2 component here --

3 A. Yes, sir.

4 Q. -- and you can't measure that as a geologist?

5 A. And generally permeability is better towards the  
6 center.

7 Q. Okay, all right. So if the Chi location tags  
8 into what the Topaz well is producing in the west half of  
9 30, then geologically that location would have the  
10 opportunity to compete for the same reserves that the Topaz  
11 well is being produced?

12 A. I would say that would be a correct statement.

13 Q. And the farther north you go in the east half of  
14 19, the greater opportunity you have for producing new  
15 reserves?

16 A. You increase the chance for that, yes.

17 Q. Let's look at the structure map. When we look at  
18 the structure map, if I'm looking in the east half of 19,  
19 just confining the discussion to that point for a moment,  
20 am I correct in understanding that the unorthodox location  
21 is less favorable than the closest standard location?  
22 True?

23 A. That's correct.

24 Q. And that's true because at the standard location  
25 you gain structural advantage over the proposed unorthodox

1 location?

2 A. Correct.

3 Q. And here in this instance structure is important,  
4 is it not?

5 A. Yes, it is.

6 Q. The higher onstructure you get, the better it is  
7 for you, right?

8 A. Yes.

9 Q. When we look at the opportunity to adversely  
10 affect the Santa Fe well in the west half of 30, then the  
11 Chi well would be upstructure to the Topaz well, would it  
12 not?

13 A. The proposed Chi well is upstructure --

14 Q. Yes, sir.

15 A. -- at any location on that east half.

16 Q. I understand. At the proposed unorthodox  
17 location, it is what looks to be a hundred feet or so above  
18 the Topaz well.

19 A. About 150 feet.

20 Q. A hundred and fifty, and these are 50-foot  
21 contour lines?

22 A. Yes.

23 Q. A hundred and fifty feet above?

24 A. Uh-huh.

25 Q. We mentioned a while ago that there is an issue

1 about water saturation in the lower Morrow. Geologically,  
2 is there an opportunity to adversely affect the Topaz well  
3 if the Chi well is approved as requested, being upstructure  
4 from the Topaz well?

5 A. I think that based on other wells in the area,  
6 the potential exists that you could affect that well with  
7 any location in the east half.

8 Q. If that location is more standard, the  
9 opportunity to adversely affect the Topaz well is  
10 diminished, is it not?

11 A. Yes, sir.

12 Q. When we talk about your net clean sand isopach  
13 map, Exhibit Number 9, how did you arrive at net? What's  
14 the value you're using?

15 A. I used gamma ray.

16 Q. What gamma-ray percentage did you use?

17 A. I usually use -- It varies from log to log  
18 because of the different sensitivity of the tools they use.  
19 Roughly the 50 API.

20 Q. Okay. Your isopach, then, has a 50 gamma ray  
21 cutoff point to get you your net clean sand; that's what  
22 you're looking for in the log?

23 A. Yes.

24 Q. All right. Have you prepared a net-pay isopach?

25 A. No, I haven't.

1 Q. You have not done one?

2 A. Yeah, of porosity?

3 Q. Yeah, a net porosity isopach?

4 A. No.

5 Q. What would you use for a porosity cutoff if you  
6 were making such a map?

7 A. At least 6 percent.

8 Q. Six, 7, 8. Is 8 all right?

9 A. Eight would be good.

10 Q. Okay.

11 A. But I think you can go down to six.

12 Q. Okay.

13 A. At this depth in this zone.

14 Q. If you go from eight to six, you're making  
15 yourself a bigger container?

16 A. Yes.

17 Q. All right. Have you assisted the engineers from  
18 any of the companies that are aligned with your position in  
19 trying to determine the original gas in place for any of  
20 these spacing units?

21 A. No.

22 Q. You've not tried to volumetrically assist in the  
23 calculation of original gas in place for the east half of  
24 19?

25 A. No.

1 Q. West half of 30? None of that?

2 A. No.

3 Q. In order to have a Morrow prospect in this area,  
4 Mr. Anderson, what is your opinion as to the targeted gas?  
5 What volume do you target?

6 A. Up and down this trend you've got wells that  
7 vary, of course, from very little to in excess of 30 BCF.  
8 I think you're looking at a realistic number between three  
9 and five B's.

10 Q. Three and five?

11 A. Yes, sir.

12 Q. Is that gas in place or recoverable gas?

13 A. That would be an ultimate.

14 Q. That's an EUR?

15 A. Yes.

16 Q. So somewhere between 3 and 5 BCF is enough that  
17 encourages exploration geologists like you to seek a well?

18 A. Sure.

19 Q. How would you go about determining whether or not  
20 you had 3 or 5 BCF of recoverable gas available to you in  
21 the east half of 19?

22 A. I -- In working the trend and other trends, I  
23 just kind of -- It's not something I put numbers on. It's  
24 the zone that we look for. This zone works in this area.  
25 The wells that have -- There's some pretty mature wells out



1 here. Those wells have averaged a good number. It makes a  
2 good primary target. And at that point it makes -- I feel  
3 comfortable with using it as a primary objective.

4 Q. All right. You don't have to put a pencil to  
5 it --

6 A. No.

7 Q. -- you have enough experience in here --

8 A. Yeah.

9 Q. -- and enough personal experience to look at the  
10 east half of 19 and say, This is a viable target for us,  
11 I've got at least 3 to 5 BCF of recoverable gas, I want a  
12 well?

13 A. Yeah.

14 Q. Okay. Am I correct in understanding that the  
15 closer this well is to the Topaz well, the greater the  
16 chance is that you're going to be competing for proven  
17 reserves and not establishing new and unique reserves?

18 A. If you're connected. I would think that pretty  
19 much any location in the east half would have an effect.

20 Q. Okay.

21 A. I think the closer you get, quite possibly the  
22 sooner you feel that effect.

23 Q. So by moving to a standard location, then, you  
24 would diminish the adverse impact potential that might  
25 exist for the owners of interest in the Topaz well?

1           A.    If it's connected.

2           Q.    Did you have anything to do with the cost  
3 analysis for establishing the costs for the Chi proposal?

4           A.    On the AFE?

5           Q.    Yes, sir.

6           A.    I might have provided some tops, geologic tops.

7           Q.    You have nothing to do --

8           A.    Otherwise, I didn't figure any --

9           Q.    That number?

10          A.    No.

11               MR. KELLAHIN:  Okay.  Mr. Examiner, Santa Fe's  
12 Exhibit Number 1 Is taken from the case file of this case.  
13 It is the administrative application filed by Chi, or Mr.  
14 Bruce on behalf of Chi, for which there was a protest and  
15 resulted in the subject hearing.  We would move at this  
16 time for the introduction of Exhibit 1.

17               EXAMINER STOGNER:  Any objection?

18               MR. CARR:  No objection.

19               EXAMINER STOGNER:  Exhibit 1 will be admitted  
20 into evidence.  This is Exhibit 1 of Santa Fe Energy, Case  
21 12,158.

22           Q.    (By Mr. Kellahin)  Mr. Anderson, if you'll take  
23 Exhibit 1 and turn past the two opening pages, turn past  
24 Exhibits A and B, and let's look at Exhibit C.  Did you  
25 provide Exhibit C to Mr. Bruce for the administrative

1 filing of Chi's Application in this matter?

2 A. Yes.

3 Q. This is your work, is it not?

4 A. Yes, it is.

5 Q. And this was filed back in February of this year.  
6 Is this not identical to the net isopach that you discussed  
7 with me this afternoon?

8 A. Yes, it is.

9 Q. You've not made any changes or modifications,  
10 have you?

11 A. I did.

12 Q. All right, sir, what would they be?

13 A. All right, just relative to the placement of the  
14 bottomhole location in the southwest quarter of 19, when  
15 our draftsman spotted that well on there it was off by a  
16 couple hundred feet. So I moved it back over to the east  
17 where it belongs. On this exhibit it looks like it's  
18 hugging the west line too much. It didn't go that far.

19 Q. Oh, I see where it is.

20 A. Yeah.

21 Q. Yes, I'm sorry.

22 A. Yeah, it's just a couple hundred feet to the  
23 east.

24 Q. Yes, it's hard to perceive the difference. But  
25 that is the only change?

1 A. Yeah.

2 Q. Okay. When we turn to Exhibit D, which is a  
3 portion of the structure map, did you modify Exhibit D in  
4 any way when you prepared and introduced Exhibit 8 today?

5 A. No, except for that bottomhole location.

6 Q. And when we look over on page 2 of Mr. Bruce's  
7 filing and we look at the top paragraph, when he's arguing  
8 that a certain approximate net thickness is necessary for a  
9 location, he's using the 20- and 30-foot range, he got that  
10 information from you, did he not?

11 A. That's correct.

12 MR. KELLAHIN: No further questions, Mr.

13 Examiner.

14 EXAMINER STOGNER: Any redirect?

15 MR. CARR: No, no redirect.

16 EXAMINATION

17 BY EXAMINER STOGNER:

18 Q. In referring to both of your maps, Exhibits 8 and  
19 9 --

20 A. Yes, sir.

21 Q. -- when I look at your surface location and  
22 proposed subsurface location, there seems to be a wellbore  
23 between the two. If that's -- what? A shallow oil well  
24 or -- ?

25 A. Okay, yes, you'll see an oil-well symbol there,

1 and that's an existing shallow oil well. One of the  
2 stipulations for potash in here is that you have to stay  
3 within 150 feet of that wellbore with your surface  
4 location. So directly north of the oil well you'll see  
5 kind of a ghost circle. It kind of even intersects the oil  
6 well. And then a bottomhole location just a little north  
7 of that.

8 Q. Now, if I look between the Topaz well in the west  
9 half of 30 and the proposed wellbore, there's another well  
10 symbol that looks like a plugged-and-abandoned gas-well  
11 location. Can you tell me anything about that wellbore?

12 A. Is that the one in the northeast of the northwest  
13 of 30?

14 Q. That's right.

15 A. Okay, yeah, that's a shallow dryhole.

16 Q. Oh, it's a shallow dryhole?

17 A. Yes, sir.

18 Q. That was a shallow oil -- didn't penetrate the  
19 Morrow?

20 A. Didn't pen- -- No, sir. I -- In fact, on this  
21 map, the deep control is circled.

22 Q. Okay. You said one of the requirements in potash  
23 is to stay 150 feet away from this particular well,  
24 existing well, or a well pad or an old wellbore?

25 A. It has to be a producing well. An old dry hole

1 won't work. So this is the only producing well down in  
2 that south part of the section there. That's the only  
3 surface location that's available.

4 Q. Were you involved in the negotiations with the  
5 BLM about the spotting of the wellbore out here?

6 A. No, sir.

7 Q. Do you know who was, with Chi Energy?

8 A. I believe that was John Qualls.

9 Q. Okay, I'm trying to still make up my mind here  
10 about -- I heard it said that if the potash wasn't out  
11 here, the best location would have been 1650 from the south  
12 line, 1650 from the east line; is that what I'm hearing?

13 A. That's the location that I would pick, yes.

14 Q. Based on both geology and surface constraints?

15 A. If there were no surface constraint, yes,  
16 that's --

17 Q. And that would basically put you between that 40-  
18 and 30-foot contour, just by eyeballing Exhibit 9?

19 A. Yeah, between 30 and 40.

20 Q. But being within that 40 is not attractive; is  
21 that what I'm understanding?

22 A. Being within the 40, yes, sir, would be okay.  
23 But it's not necessary.

24 Q. Okay.

25 A. I'm also looking at the proximity to the old

1 Cities well.

2 Q. But you're moving further from the old -- Oh,  
3 that's what you're getting at?

4 A. That's correct, if I move it further east, I'm  
5 going away from that wellbore that's got the sand in it.

6 Q. Oh, well, I'm not talking about moving further  
7 east. I'm talking about moving further -- just further  
8 north, staying on that 1650 line from the east line.

9 A. Yes, sir, and going up to 1650.

10 Q. Right.

11 A. Sure.

12 Q. Okay, I see where you're getting at. You could  
13 still go north, it looks like maybe about a quarter of a  
14 mile, and be within that 40?

15 A. Or within the 30 at least, yes.

16 Q. Exactly. So geologically speaking, anywhere  
17 between your proposed subsurface line and up there to 1650  
18 would basically be geologically acceptable?

19 A. Anywhere between our current bottomhole location  
20 that's on here and 1650 from the south line, yes, sir.

21 Q. Yes, that's what I'm getting at.

22 A. Yes, sir.

23 Q. So anywhere in between that would be geologically  
24 acceptable?

25 A. Yes, sir.

1 EXAMINER STOGNER: Any other questions of Mr.  
2 Anderson?

3 MR. KELLAHIN: No, sir.

4 MR. CARR: No, sir.

5 EXAMINER STOGNER: You may be excused.

6 Mr. Carr?

7 MR. CARR: At this time we would call Jay  
8 Gabbard.

9 JAY GABBARD,  
10 the witness herein, after having been first duly sworn upon  
11 his oath, was examined and testified as follows:

12 DIRECT EXAMINATION

13 BY MR. CARR:

14 Q. Will you state your name for the record, please?

15 A. Jay Gabbard.

16 Q. Mr. Gabbard, where do you reside?

17 A. Oklahoma City.

18 Q. By whom are you employed?

19 A. Louis Dreyfus Natural Gas Corp.

20 Q. And what is your current position with Louis  
21 Dreyfus Natural Gas?

22 A. I'm a reservoir engineer.

23 Q. What is the relationship in this case of Louis  
24 Dreyfus Natural Gas to Chi Energy, Inc.?

25 A. We are a working interest owner in the east half



1 of 19. We are supporting their proposed well, and we  
2 intend to operate --

3 EXAMINER STOGNER: I'm sorry, I can't hear you.

4 MR. CARR: You'll have to speak up. The way the  
5 cooling system is going, Mr. Gabbard, we can't --

6 THE WITNESS: Excuse me. We are a working  
7 interest owner in the east half of 19. We support the  
8 proposed well, and we will operate the well.

9 Q. (By Mr. Carr) Mr. Gabbard, have you previously  
10 testified before this Division?

11 A. Yes.

12 Q. At the time of that testimony, were your  
13 credentials as an expert in reservoir engineering accepted  
14 by the Division and made a matter of record?

15 A. Yes.

16 Q. Are you familiar with the Application filed in  
17 this case on behalf of Chi Energy, Inc.?

18 A. Yes.

19 Q. And are you familiar with the subject area and  
20 the wells located therein?

21 A. Yes.

22 MR. CARR: Are the witness's qualifications  
23 acceptable?

24 EXAMINER STOGNER: Any objection?

25 MR. KELLAHIN: No objection.

1 EXAMINER STOGNER: So qualified.

2 Q. (By Mr. Carr) Mr. Gabbard, initially, could you  
3 explain to the Examiner what interest Louis Dreyfus owns in  
4 this particular area?

5 A. In the subject spacing unit or -- I'm not sure --

6 Q. What do you own in the spacing unit?

7 A. In the spacing unit we own 46 1/2 percent. That  
8 could be reduced to 27.9 percent if Santa Fe elects to  
9 acquire its interests pursuant to our JOA and AMI.

10 Q. So you have an agreement with Santa Fe that would  
11 enable them to acquire a certain percentage of your  
12 interest in the property?

13 A. Yes.

14 Q. What percentage is that?

15 A. We are obligated under the AMI to offer 60  
16 percent of whatever we acquire in the AMI.

17 Q. Okay. What are your interests, your ownership  
18 interests, in the offsetting units?

19 A. In the west half of 19 our interest is 40  
20 percent, and in the west half of 30 it is 40 percent, and  
21 in the east half of 30 it's 24.15 percent.

22 Q. Based on your understanding of this area, do you  
23 have an opinion as to whether or not the Morrow formation  
24 under the subject spacing unit is in communication with the  
25 Morrow sand being produced in the Santa Fe well located in

1 the northwest quarter of Section 30?

2 A. I have no direct engineering information that  
3 could answer that question. There is a potential for  
4 communication. There are also some evidence of separations  
5 in the channel, and it is not uncommon to find separations  
6 both stratigraphically and structurally in the channel, and  
7 basically we feel we won't know the answer to that until  
8 the well is drilled.

9 Q. If there happened to be no communication, would  
10 there be any reason to impose a penalty on the on the well  
11 proposed by Chi in 19?

12 A. I believe not.

13 Q. Assume for the purposes of this question that  
14 there is communication. What impact should this -- the  
15 presence of communication have on the need to penalize the  
16 well at the proposed Chi location?

17 A. If there is communication, it might very well  
18 indicate that the east half of 19 has experienced some  
19 drainage from production, from the well in 30, and it would  
20 indicate the need for a well at the proposed location.

21 Q. You were present for Mr. Kellahin's opening. Do  
22 you concur with the opening and the statements that  
23 everyone agrees that a 1650-foot setback from the south  
24 line of this section is, in fact, a better location, or the  
25 best location?

1           A.    I do not.

2           Q.    Why is that?

3           A.    Basically, it goes to the risk of what we know  
4 about the precise nature of the lower Morrow channel that  
5 is represented by Mr. Anderson's map. In his remarks, he  
6 said that this was a reasonable representation of the  
7 depositional system, and I concur with that.

8                   In terms of the sampling of the area, there have  
9 been perhaps eight wellbores that have sampled an area of  
10 four sections. And indeed, without disputing his abilities  
11 as a geologist or anything about the integrity of his  
12 mapping presentation, in fact, our ability to know the  
13 precise nature of where the thickest and best target is, is  
14 very imprecise. Something like  $3 \times 10^{-6}$  percent of the total  
15 area has been sampled by wellbore.

16                   So when we speak of where the best location is,  
17 we're using our best evidence with geology. But we also  
18 believe, in this particular case, that there's a big factor  
19 of risk that has to be applied, both to the geology and to  
20 the cost to drill. And we believe, further, that we know  
21 with a lot more certainty that we will incur greater costs  
22 to drill an extended-reach well than we will to drill a  
23 vertical well. We know that with very little doubt.

24                   And we have participated in a reach well with  
25 Santa Fe in the west half of 19 and have firsthand

1 experience with how that can go. And we believe that the  
2 risks of doing that in this case are outweighed to drill  
3 the reach for the additional cost.

4 Q. Could you summarize the reasons that you're  
5 seeking Division approval of the proposed unorthodox well  
6 locations?

7 A. Principally, we are -- would have set out in the  
8 east half to not incur legal cost or the cost of a hearing  
9 and have taken a legal location at the 1650 setback, if  
10 that had been available to us.

11 But because this well is located in the potash  
12 enclave, surface location is restricted and must be on a  
13 designated drilling. A straighthole at this unorthodox  
14 location 480 feet from the south line is unorthodox and  
15 would need approval.

16 And principally we believe, as I said, a well at  
17 this location would substantially reduce the cost over  
18 drilling directionally, and it could influence our decision  
19 on whether to pursue development or not.

20 Q. And you agree with the cost increases that were  
21 testified to by Mr. Qualls, that \$300,000 to go 760 feet  
22 out and \$500,000 to go 1650 feet?

23 A. Yes, sir.

24 Q. In your opinion, will the well be drilled if it  
25 has to be directionally drilled to a point 1650 feet from

1 the south line of Section 19?

2 A. I can say that Louis Dreyfus's approval is  
3 currently limited to participation at the 760 from the  
4 south-line location, with no penalty. Should we incur some  
5 penalty or should we be required to drill 1650, we will  
6 have to go back and seek management approval for that. I  
7 don't know the answer.

8 Q. If the Division should impose a penalty on a well  
9 at the proposed unorthodox locations, what penalty would  
10 you recommend?

11 A. We're recommending that if the well is drilled as  
12 a straight hole, that a 27-percent penalty be applied to  
13 the results of semi-annual deliverability tests. If the  
14 well is 760 or more from the south line of Section 19, we  
15 would recommend no penalty.

16 Q. Can you explain upon what you base this  
17 recommendation or how you derive the number?

18 A. We use a surface-encroachment approach, applied  
19 to a 660-foot setback.

20 Q. And why would you use a 660-foot setback?

21 A. In this particular instance, it relates to an  
22 equitable opportunity to develop reserves in the east half  
23 of 19. When our AMI was originally formed, Section 19 was  
24 not under lease to Santa Fe or to Louis Dreyfus. Chi  
25 Energy, in fact, was the first party to obtain a farmout

1 for the whole of 19, actually, and brought that to Dreyfus.  
2 And we had drilled a well in Section 30, believed that  
3 merit for pursuing development in 19 was attractive, and we  
4 sought to see development in the west half of 19.

5 And when we originally proposed that, we proposed  
6 it as a directional well, using the old OXY well as a place  
7 to kick our well from, off to the northwest, which at that  
8 time was our best interpretation of where we thought the  
9 thick part of the sand channel was.

10 In fact, when we offered our *pro rata* share,  
11 offered to Santa Fe their *pro rata* share of the interest in  
12 the farmout that we obtained from Chi, they re-proposed that  
13 we first re-enter the OXY well and try to complete the well  
14 as a standard or just a vertical well completion at the  
15 660-from-the-south-line location.

16 And we, in fact -- Santa Fe, in fact, did that  
17 and attempted to get the well down. They were unable to  
18 stabilize the hole conditions, and we had pre-agreed that  
19 we would kick the well off to the northwest if they were  
20 unable to do that, and they did.

21 Now, it raises the issue that, given the  
22 opportunity that we believe Santa Fe preferred to drill 660  
23 from the south line, which in terms of impact for the well  
24 in 30 would be more onerous than the location that we are  
25 proposing. It's considerably closer.

1           And now that we are in a position where we are  
2   restricted in where we can drill, and we would like -- and  
3   having participated in a very expensive cost overrun in a  
4   directional well that did not find the Morrow channel where  
5   we sure it would most certainly be, we still believe, based  
6   on the original Government 1-Y well, that OXY well, the  
7   original vertical well in the southeast of the southwest of  
8   19, that there is indication that this lower Morrow sand is  
9   present in 19.

10           And we -- Having drilled off to the west, we  
11   think we've established that if there is a reasonable place  
12   to look for the channel it's not west, it's east. And  
13   that's where we would like to drill.

14           Now, if we had had the opportunity to drill at a  
15   1650 location, we don't believe that we are any smarter  
16   about that particular location than what its meaning to our  
17   ultimate recovery is than the vertical location. Again, we  
18   know the costs are substantially more.

19           So with that in mind, and because Santa Fe both  
20   has an opportunity to participate and had an opportunity to  
21   drill a well at 660 from the south line or re-enter that  
22   well and, in fact, made that attempt, and we brought that  
23   before the Commission as an unorthodox location that was  
24   unopposed by Dreyfus, we feel like we should be afforded  
25   the low-cost opportunity to develop reserves in the east



1 half of 19 without incurring the additional risk, both to  
2 the mechanical integrity of the completion by drilling  
3 directionally, and just the general cost that we would  
4 incur.

5 Q. Let's go to what has been marked for  
6 identification as Chi Energy's Exhibit Number 11. Could  
7 you identify that and review it for the Examiner?

8 A. This is a plan for a directional well to drill to  
9 a point 760 from the south line of Section 19.

10 Q. Can you just briefly review the schematic for Mr.  
11 Stogner?

12 A. The schematic, of course, has a depth scale on  
13 the left and has a lateral deviation as the X axis, and it  
14 shows at a point of about 8550 that we would -- that would  
15 be our kickoff point, we would build three degrees per  
16 hundred, and we would, in that build, around 9000 feet,  
17 would begin to drop the well down to vertical, around 9508  
18 [sic], and the end of the vertical drop would be at 10,400.

19 And the proposed bottomhole location shows to be  
20 280 feet north of the surface location, which would be 760  
21 from the south line of the section.

22 Q. How often will the well be surveyed while  
23 drilling?

24 A. It will be surveyed every 200 feet.

25 Q. And it will also be surveyed at total depth?

1 A. Yes, it will.

2 Q. And that survey will be filed with the Division?

3 A. Yes, sir.

4 Q. In your opinion, will approval of this  
5 Application, including approval of the well locations and  
6 the penalty on the straight hole as recommended, be in the  
7 best interests of conservation, the prevention of waste and  
8 the protection of correlative rights?

9 A. Yes, sir.

10 Q. Will the penalties as recommended by you enable  
11 you to go forward with the development of this acreage?

12 A. It would.

13 Q. Was Chi Energy, Inc.'s, Exhibit Number 11  
14 prepared by you, or can you testify to its accuracy?

15 A. This was prepared by Halliburton and prepared in  
16 conjunction with our operations engineers.

17 Q. And it is correct and from your files?

18 A. Yes.

19 MR. CARR: At this time, Mr. Stogner, we would  
20 move the admission into evidence of Chi Energy, Inc.,  
21 Exhibit Number 11.

22 EXAMINER STOGNER: Exhibit Number 11 will be  
23 admitted into evidence.

24 MR. CARR: And that concludes my direct  
25 examination of Mr. Gabbard.

1 EXAMINER STOGNER: Mr. Kellahin, your witness.

2 MR. KELLAHIN: Thank you, Mr. Examiner.

3 CROSS-EXAMINATION

4 BY MR. KELLAHIN:

5 Q. Mr. Gabbard, let me see if I can understand your  
6 argument. Let's use Mr. Anderson's Exhibit 9, just to give  
7 us locator map.

8 A. Very well.

9 Q. All right. One of your arguments is that it is  
10 okay to encroach upon the Topaz spacing unit because Santa  
11 Fe has the opportunity to acquire an interest in the  
12 offending spacing unit? Isn't that what you're telling me?

13 A. I'm not using that as a rationalization for the  
14 location itself.

15 Q. All this discussion about percentages and  
16 agreements and opportunities or options to participate in  
17 the offending well mean nothing, sir, does it not, unless  
18 it's an excuse for crowding the Topaz well without a  
19 penalty?

20 A. It is saying that they have an opportunity to  
21 participate at this location.

22 Q. And having said that, then, and if they decline  
23 to do so, are you suggesting to influence the Examiner that  
24 the location then can be approved without a penalty?

25 A. Not on the participation.

1           Q.   All right, let's look at that.  You talked about  
2   it.  Are you aware that they have 40 percent of the Topaz  
3   spacing unit?

4           A.   Which Topaz spacing unit?

5           Q.   The west half of 30.

6           A.   Yes.

7           Q.   Okay.  And you have a share of the Topaz spacing  
8   unit too, don't you?

9           A.   Forty percent.

10          Q.   All right.  When you look at the east half of 19,  
11   under your arrangement with Chi you have acquired 46 1/2  
12   percent, right?

13          A.   Right.

14          Q.   And you have a contractual obligation to offer 28  
15   percent of that to Santa Fe, right?

16          A.   I'll trust your math.

17          Q.   All right.  See what happens?  So Santa Fe has  
18   the opportunity to participate in the offending well at 28  
19   percent, as well as continue to participate in the Topaz  
20   well at 40 percent, true?

21          A.   Yes.

22          Q.   You also understand it's Santa Fe's belief, and  
23   will be their testimony in a moment, that the Chi well at  
24   its location is unnecessary because it increases the  
25   opportunity to water out the Topaz well?  You've had that

1 discussion with the Santa Fe people, have you not?

2 A. I have heard their opinion of that.

3 Q. All right. And if their opinion is correct,  
4 then, they are being afforded the opportunity to pay for a  
5 well which they think is unnecessary, and yet you want the  
6 Examiner to know about all those percentages? How is that  
7 useful for his decision, sir?

8 A. Perhaps it's not.

9 Q. Okay, when we look at your argument about no  
10 penalty, if you're at least 760 from the common line and a  
11 27 percent penalty if you're the 480, something like that,  
12 have you researched and are you aware of any other order by  
13 this Division that adopts a penalty like that?

14 A. The reason that --

15 Q. My question was a yes-or-no question, sir.

16 A. No.

17 Q. All right. When we look at your other argument,  
18 you are arguing that the Chi's new location should be  
19 approved without a penalty because on a prior occasion  
20 Santa Fe did not object to the re-entry and directional  
21 drilling of the well in the west half of 19? You've made  
22 that argument, haven't you?

23 A. Yes.

24 Q. So anytime -- Your position is, so anytime an  
25 operator fails to object to a prior unorthodox location,

1 that precludes him from objecting to a subsequent  
2 unorthodox location?

3 A. No, sir, I'm suggesting it's more equitable if  
4 they would not.

5 Q. Let's talk about the cost. Would you look at  
6 Santa Fe Exhibit 1? Is that still before you, sir? I  
7 showed it to Mr. Anderson. Do you have that available?  
8 I'll give you another copy.

9 On page 2 of Exhibit 1, Chi is advancing the  
10 argument administratively through Mr. Bruce that they  
11 estimate there's an additional \$700,000 worth of costs to  
12 take this well to a standard bottomhole location, the 1650  
13 location, versus a vertical hole; do you see that?

14 A. Yes, I do.

15 Q. Do you remember Mr. Qualls' testimony a while ago  
16 that the number is now \$500,000?

17 A. Yes, I do.

18 Q. And your number is what, sir?

19 A. I agree with \$500,000.

20 Q. All right, so you don't have a clue as to where  
21 the \$700,000 came from, do you?

22 A. I want to make one comment about that.

23 Q. All right, sir.

24 A. This letter is dated February 15th. In fact,  
25 Louis Dreyfus had not committed to this proposed well at

1     that date, so some of the cost estimates that Chi has --  
2     and Chi has represented they have a small interest but not  
3     the determinant interest on what the -- what is going to be  
4     the best location for this, given the participation of the  
5     other working interests, as long as it's not imprudent.  
6     And if that was their estimate at that time, I think they  
7     probably made it in good faith, and that's the best I can  
8     say about it.

9             There have been some revisions in our discussions  
10     about the casing program since the initial estimates were  
11     made, and there has been some reduction in cost.

12            Q.    So you've reviewed Mr. Qualls' Exhibit 5, the  
13     AFE?

14            A.    Yes, I have.

15            Q.    You've done that personally, that's your work?

16            A.    It is -- No, it's not my AFE.

17            Q.    Is it your review of his work? Is that something  
18     you do?

19            A.    I do in terms of considering the economics of a  
20     proposal, yes.

21            Q.    All right.

22            A.    As to the accuracy, no, our operations department  
23     would be more involved in the details of the accuracy of  
24     any particular number that might be in that AFE.

25            Q.    All right. Well, let's talk within the frame of

1 your work in judging the cost relative to the opportunity.  
2 That's what you're doing, right?

3 A. Right.

4 Q. That's what you do regularly as an engineer, is  
5 look at the opportunity in relation to those costs, true?

6 A. That's right.

7 Q. Show me your economic analysis, sir, on the  
8 potential recoverable gas that could be accessed by this  
9 well.

10 A. May I see that?

11 Q. Have you prepared one?

12 A. I've prepared several.

13 Q. All right, which one do you want to talk about?

14 A. Which one do you want to see?

15 Q. I want to see the one that shows me what you have  
16 estimated to be the recoverable gas for a well drilled and  
17 accessing the east half of 19.

18 A. Let me see if I can produce it. I believe I have  
19 it, bear with me.

20 MR. CARR: Tom, we're going to need to make some  
21 copies.

22 Q. (By Mr. Kellahin) Before we talk about  
23 specifically what you're looking at, Mr. Gabbard, how many  
24 economic analyses did you perform on this prospect?

25 A. I couldn't tell you.



1 Q. More than one?

2 A. Absolutely.

3 Q. More than two?

4 A. I made numerous runs.

5 Q. And would you make numerous runs? What  
6 parameters are you changing?

7 A. Well, actually the numbers I'm going to show you  
8 that we based our first approval on, I think, would be  
9 prior to the revision of the new casing program. So our  
10 costs were a little bit different. I'm not -- If we had  
11 been assigned internally on a figure and I reduce the cost  
12 and nothing material has changed, I'm not required to run  
13 that back through for management, but I may well re-look at  
14 the economics as they affect us.

15 Q. All right, so each --

16 A. So, you know, I've probably done in the tens  
17 of --

18 Q. All right, let me understand. Every revision you  
19 have made has been a revision based upon some change of the  
20 cost component; is that right?

21 A. No, we also look at -- I may do sensitivity runs  
22 to look at what the reserves -- you know, range of reserves  
23 that we might expect, or based on what we think our risk  
24 profile is.

25 Q. Now, that's the number I want.

1           A.    I may look at costs as well.

2           Q.    I want the reserve number.  I want the unrisksed  
3   reserve number that you used throughout the calculation.  
4   What number did you use, sir?

5           A.    We used 4.3 BCF.

6           Q.    4.3 BCF is a good number to rely upon, then, for  
7   the basis of your calculations on what would be the  
8   recoverable gas for this well, right?  Is that the number?

9           A.    Absolutely not.

10          Q.    The number again, four point what?

11          A.    4.3.

12          Q.    4.3  All right.

13          A.    Did you say unrisksed?  Did I hear you say  
14   unrisksed?

15          Q.    Unrisksed, unrisksed.

16          A.    So that would absolutely not be anything that  
17   Louis Dreyfus would rely on.

18          Q.    I don't care about whether you realize it or not;  
19   I just want to know the number you used.  So you've used  
20   4.3 BCF of recoverable gas, right?

21          A.    Right.

22          Q.    And how did you get that?  Is that decline-curve  
23   analysis?

24          A.    No, sir, that would be looking at wells in this  
25   trend and what we think that their ultimate reserves would

1 be.

2 Q. Well, the only way to do that is either P/Z or  
3 decline curve? Either one, right?

4 A. Yes, sir.

5 Q. And which one did you use?

6 A. Both.

7 Q. All right, so you did use production decline  
8 analysis to get you the 4.3 BCF, right?

9 A. Well, I don't have a decline for this particular  
10 well. You're saying --

11 Q. Well, I -- No, it hasn't been drilled yet.

12 A. Right.

13 Q. But you could take the Topaz well and establish a  
14 decline for that well and give you a number, could you not?

15 A. I could.

16 Q. And you could take the pressure data for the  
17 Topaz well, get your data points, and that would give you a  
18 P/Z analysis, and you could back into what would be  
19 recoverable gas, true?

20 A. Yes, sir.

21 Q. And that's what you did, isn't it?

22 A. I have done that.

23 Q. All right, and you would expect an engineer to do  
24 that, wouldn't you?

25 A. Yes, sir.

1 Q. Okay. Did you test that with any volumetrics  
2 with the net-pay isopach map, to see if you could fit that  
3 volume of gas within a container shaped, perhaps as Mr.  
4 Anderson has provided us?

5 A. Yes.

6 Q. Was that net-pay isopach done for you by Mr.  
7 Anderson?

8 A. No, sir, it was not.

9 Q. Where did you get your volume for your  
10 volumetrics?

11 A. It was backed out as a number from what I thought  
12 was net pay in the wellbore, and I may just routinely make  
13 a guess on what I think it might be in the drainage area.  
14 I might have used material balance, and it would then back  
15 out what it said the drainage area might be.

16 Q. Have you forecasted what you anticipate to be the  
17 initial rate of the Chi well if drilled?

18 A. I have not.

19 Q. Have you anticipated what its pressure might be?

20 A. Well -- Excuse me.

21 Q. Yes, sir.

22 A. Under several scenarios, I've made an estimate  
23 for economic purposes, yes. And that is based on average  
24 initial rates of wells in this trend.

25 Q. And that's what we're talking about, Mr. Gabbard.

1 What would you estimate would be the average initial rate?

2 A. Well, let me elaborate because -- since you asked  
3 the question on what other rates I'd looked at.

4 I also looked at the case of if we considered  
5 that we were just sharing the remaining reserves that you  
6 might want to assign to the Topaz 30 well, and have made an  
7 estimate of what we might expect our capabilities to be if  
8 we had the same kind of sand and deliverability as the  
9 Topaz 30 and what that would mean to both the well in 30  
10 and to our well.

11 Q. And that's a good way to work, isn't it, Mr.  
12 Gabbard, to take the closest analogy, which is the Topaz  
13 well and use those values?

14 A. To take the closest analogy in terms of reserves?  
15 Not necessarily.

16 Q. No, I'm talking about taking data from the Topaz  
17 well, such as initial rate, current rate, original  
18 pressure. You look at Mr. Anderson's map, it looks like  
19 it's a comparable. Why not use that well?

20 A. I don't have a problem with using that. There  
21 are some peculiar things about the way that well was  
22 produced that make it a little bit untypical to other wells  
23 in the trend. I'm sure Santa Fe can elaborate more on that  
24 more accurately than I can.

25 Q. What is your opinion about the remaining

1 recoverable reserves available to the Topaz well? What  
2 number is that?

3 A. It's about -- estimating -- Well, let's see, I've  
4 got a few intervening months, but assuming that we might be  
5 able to put a well on the east half of 19 on or around  
6 October 1st, I would be estimating perhaps 1.4 BCF  
7 remaining --

8 Q. Okay.

9 A. -- to the Topaz 30 at that time.

10 Q. If the Chi well is approved at its requested  
11 location and it tags the northern edge of the Topaz pod,  
12 then you're going to be in competition with the Topaz well  
13 for the 1.4 BCF of remaining gas for that pod, right?

14 A. If we get in the reservoir, whether it's the tag  
15 in the northern -- You've drawn this distinction about the  
16 pods, but you also drew the distinction that there might  
17 not be any separation. And if there is no separation,  
18 indeed, we'll be competing for those reserves wherever we  
19 would be in the east half of 19, quite likely.

20 Q. All right. And that competition is more  
21 equitable, is it not, sir, if you're competing at a  
22 standard location common to the Topaz well along the common  
23 line? That would be fair, would it not?

24 A. If our opportunity to develop was equal, yes,  
25 you'd say that that would be the most equitable thing.

1           Q.    All right.  And when you get 480 feet off the  
2   line, or even 760 off the line, if you're in competition  
3   with the Topaz well, you're going to get gas underlying the  
4   west half of 30 that otherwise would be produced by the  
5   Topaz well?

6           A.    We've offered that a mirror-image location be  
7   permitted for this location.  We are in no way attempting  
8   to gain reserves from what is both our well and Santa Fe's  
9   well, the Topaz 30.

10          Q.    Well, let's follow that up for a --

11          A.    That is not what we are drilling this prospect  
12   for, for some percentage of what they perceive as remaining  
13   reserves for that well.

14          Q.    Well, let's follow that thought.  Did I  
15   understand you correctly that we should approve your  
16   location?  If that's approved, then Santa Fe needs to  
17   replace the Topaz well with a well that's 760 from the  
18   common line, and that's the solution?

19          A.    If they believe that there is significant  
20   drainage impact that was commercially important, then they  
21   would certainly have that remedy.

22          Q.    By your own calculation that's not feasible, is  
23   it, if there's only 1.4 BCF of recoverable gas left?  It  
24   won't support a third well, will it?

25          A.    There is -- You asked me for an estimate of

1 remaining reserves. Let me address that. Remaining  
2 reserves -- I have looked at the material balance on the  
3 well in the south, the Topaz 30. I received a pressure  
4 test that was taken in 1998 that was supplied to me by  
5 Santa Fe. I had also had a previous surface shut-in  
6 supplied to me by an engineer there, just on a call to try  
7 to get some information so I could do routine reserve work  
8 that was taken in 1997, and there were a number of pressure  
9 tests taken when the well was first drilled, and I've  
10 analyzed all of that.

11 What I am seeing is that there is some -- between  
12 the first point that I had and the second point, there is  
13 some evidence that reserves might be -- or the material  
14 balances developed in a little bit of a kink, and you could  
15 -- the very first fit in the reserves that I assumed for  
16 quite a period of time, when I only had the first point,  
17 was that gas in place was on the order of 3 BCF, and my  
18 most conservative estimate for what the Topaz 30 might  
19 recover is about 2.6 BCF. And that's a very good fit with  
20 the material balance.

21 The latest point they supplied me, I will say, is  
22 indicating some increase in that. I'm aware that Santa Fe  
23 is saying that there may be, you know, a water problem  
24 here, and they've indicated some other places where they've  
25 seen evidence of that in this trend. It could possibly be



1 water support, I don't know. I have not seen evidence in  
2 the production characteristics --

3 Q. Mr. Gabbard, what question are you answering,  
4 sir? I asked you if 1.4 BCF of remaining recoverable gas,  
5 which is the number you gave me, is enough gas to support a  
6 third well.

7 A. You're -- 1.3 would not be.

8 Q. All right.

9 A. You're asking -- You also asked what I -- what  
10 you thought was the best model for reserves in the east  
11 half of 19, and you were suggesting --

12 Q. No, sir, I didn't ask you what I thought the best  
13 model was.

14 A. Well, you told me what it was, and you suggested  
15 to me that it was the Topaz because of its proximity to our  
16 particular location.

17 Q. And have you disagreed with that?

18 A. Yes, I have.

19 Q. Okay. Let's look at this water issue that you've  
20 mentioned.

21 A. Yes.

22 Q. Do you share Santa Fe's concern that if the Chi  
23 well is too close, its position allows it to prematurely  
24 water out the Topaz well?

25 A. I do not.

1 Q. You don't share that concern?

2 A. No.

3 Q. Tell me why not.

4 A. I think this is based on log calculations,  
5 principally, that they think they have determined what they  
6 would calculate as a wet stringer in the lower part of the  
7 sand in the Topaz 30.

8 Q. Do you remember what that percentage is?

9 A. The water saturation?

10 Q. Yes, sir, that they gave you for the concern  
11 about water?

12 A. No, I don't know what Santa Fe's number for that  
13 is.

14 Q. Okay.

15 A. But we were aware that there was some low  
16 resistivity there and that there could be an issue there.  
17 And their completion technique, as you alluded to, was not  
18 the full interval in this well because of their concern  
19 about water. I fully concur that that was a prudent thing  
20 for them to have done.

21 But I also agree -- or, by my instrument of  
22 looking at what is pay in and around -- in the wellbore,  
23 and might, I guess, what's out and about, around the  
24 drainage area of that well, I think I see 16 feet of net  
25 good pay, not the 1 1/2 feet that were perforated. I think

1 that you could easily fit that inside of Section 30 without  
2 putting it into 19. It could be in the north half, it  
3 could be just as portrayed on Mr. Anderson's map. It  
4 doesn't have -- You don't have to get too inventive to try  
5 and put these reserves into 30.

6 Q. That wasn't my question, sir. My question is, if  
7 the Chi well is drilled, and if it is in pressure  
8 communication with the Topaz well -- they would be  
9 connected -- and Santa Fe's concern is that connection  
10 would cause the Topaz well to be prematurely watered out,  
11 and you have disagreed. Why would you disagree that if  
12 they're connected, the Chi well would not water out the  
13 Topaz well?

14 A. I'm not absolutely sure that there is a moving  
15 water contact in the Section 30.

16 Q. Have you studied that issue in this channel to  
17 see if that's occurred in the past?

18 A. I have.

19 Q. Okay, has it?

20 A. It's not clearly evident that it was water that  
21 caused that.

22 Q. All right. Have you done any type of pressure  
23 analysis to see what the impact is of one well on another  
24 and how far that impact might be felt in this area?

25 A. Yes, I have.

1 Q. Where did you do it, and what did you find out?

2 A. I looked at the case of a 50-percent penalty,  
3 which it had been suggested to me that it might be  
4 something we should expect in coming here that is more in  
5 line with the footage calculations that the Commission is  
6 -- generally employs in their determination on penalties.

7 And I made the assumption that, yes, we were  
8 unlucky and could only expect to share some percentage of  
9 the remaining reserves with Topaz 30. And I determined  
10 that with that sort of penalty and all other things being  
11 equal in terms of deliverability, that the well at a  
12 vertical location might produce 465 million gas, that it  
13 might have a drainage area of roughly 61 acres if you  
14 applied a radial pattern, that perhaps something on the  
15 order of 28 acres might be in a little bit of a pie shape  
16 that would come into Section 30.

17 Q. Did you or did you not study pressure  
18 interference between two wells? That was the question?

19 A. Well, that was the extent of my study.

20 Q. Okay. If the Chi well is in pressure  
21 communication with the Topaz well, those wells will equally  
22 share whatever the remaining gas is, is it not?

23 A. Not necessarily.

24 Q. What initial rate do you anticipate for the Chi  
25 well under that analysis you've just described?

1           A.    Let me refer to something here.  An unpenalized  
2   rate?

3           Q.    Yes, sir.

4           A.    If we're using that October 1st date, we might be  
5   looking for a deliverability, assuming a line pressure 570  
6   pounds, which is my best information about what it was in  
7   the past.  Santa Fe probably has undoubtedly better  
8   information than I do.  But the deliverability I would  
9   expect at that time for the Topaz 30, actually, would be  
10  987 MCF per day.  If you made the assumption that we had  
11  the same deliverability and all other things equal, then I  
12  guess you'd say we had that as well.

13          Q.    All right.  So you're forecasting that the rate  
14  of the Topaz well by October of 1999 is going to be a  
15  little less than a million MCF a day?

16          A.    Yes.

17          Q.    Okay.  And that it would be your forecast that if  
18  the Chi well is completed and connected with the Topaz well  
19  at that time, it would have an equivalent unpenalized rate  
20  of about a million a day, right?  Is that what you're  
21  telling me?

22          A.    Yes, if that's all that -- if you're saying that  
23  the only reserves that they found at that location --

24          Q.    Yes, sir.

25          A.    -- were associated with what is being produced

1 with the well in 30.

2 Q. Okay. So at an unpenalized rate, each well  
3 producing a million a day, they would each produce 50  
4 percent of the remaining recoverable gas, true?

5 A. Unpenalized, yes.

6 Q. And if it's unpenalized and the remaining gas is  
7 1.4 BCF, they would share that 50-50, right?

8 A. Yes, sir.

9 Q. And they would do that if there was no penalty on  
10 the Chi well, right?

11 A. At the vertical location.

12 Q. Okay. Have you made any kind of calculation to  
13 determine what is the remaining recoverable share of the  
14 gas within this Topaz pod that is still under the Chi  
15 spacing unit?

16 A. You'll have to repeat that.

17 Q. Yes, sir.

18 A. You lost me.

19 Q. When we look at the remaining recoverable gas at  
20 the opportunity you exercise your correlative rights, and  
21 we try to apportion that between the Topaz well and the Chi  
22 spacing unit, do you know what that apportionment would be?

23 A. You're assuming -- This is just a scenario that  
24 we just set up?

25 Q. Yes, sir.

1           A.    I said that we would produce perhaps -- well, I  
2           was looking at the 50-percent penalty. I did not assume  
3           that we would drill the vertical location without a  
4           penalty, so...

5           Q.    And your assumption under your analysis was that  
6           the penalty, as high as you calculated, was a 50-percent  
7           penalty?

8           A.    Yes.

9           Q.    Okay. Under those circumstances you described,  
10          it would not be feasible for Chi to drill the well, would  
11          it?

12          A.    Absolutely not.

13               MR. KELLAHIN: No, you wouldn't want to do it.

14               Thank you, Mr. Examiner.

15               EXAMINER STOGNER: Mr. Kellahin.

16               Mr. Carr, redirect?

17               MR. CARR: No, sir.

18                               EXAMINATION

19   BY EXAMINER STOGNER:

20          Q.    This proposed penalty that you suggested for the  
21          straight hole, that was based on a proximity of 660 feet?

22          A.    Yes.

23          Q.    Why 660?

24          A.    Because that was the distance that Santa Fe  
25          attempted to develop reserves in the west half, and on an

1 equity, considering our joint ownership in these lands,  
2 which is very nearly equal, regardless of the outcomes of  
3 the wells, assuming they participated with us, that it  
4 seemed to be the most equitable thing to allow us to --  
5 given our restriction on the potash -- and again, I would  
6 say to you that it is clear to us there's gas being  
7 produced from this lower Morrow channel to the north of us  
8 in Section 18, there is gas being produced from the channel  
9 to the south of us in Section 30, still producing, good  
10 wells, and there is reasonable evidence to suspect that  
11 there could be quite a bit of net sand in the east half of  
12 19.

13 I don't have any more evidence that we are not  
14 connected to the well in 18 or the well in 30. There is  
15 simply no pressure data for the original OXY Government 1 Y  
16 well there in the southeast southwest of 19. We do know  
17 that there was sand present.

18 And given that they had -- when they had their  
19 opportunity to develop, they chose to develop at that  
20 distance, and we would actually have developed at the 1650,  
21 had the potash not restricted us.

22 We were given some advice that we should expect  
23 no penalty if we were required to directionally drill to  
24 something greater than 660 that were unopposed, that we  
25 might very well not be penalized if we had done a laydown,



1 you know, we could have been 660 off the line, although  
2 there's a currently active unit in the west half of 19, but  
3 just in a suppositional way.

4 Therefore, we feel like that in terms of  
5 opportunity to develop, that that's a better number, even  
6 though it is not common for what the Commission has done in  
7 the past. That's why we make these appeals to the  
8 Commission to adjudicate these special cases where there  
9 are special circumstances.

10 Q. Was that put in some sort of an agreement when  
11 Santa Fe re-entered that old Cities well, to base your 660  
12 on?

13 A. There was -- No, there was no agreement.

14 Q. Nothing official, just your assumption? Nothing  
15 official, just your assumption?

16 A. Assumption about what?

17 Q. Just what you told me, the 660 came from,  
18 assuming that they were allowed to develop a 660 -- or did  
19 you say something else, or did I just not understand all  
20 that lengthy discussion tat you just gave me?

21 Let me re-ask my original question. What do you  
22 base the 660 on for that 27 percent?

23 A. I'm basing it on where they attempted to develop.  
24 They, in fact, did re-enter at the vertical location, at  
25 660 from the south line.

1 Q. Okay. Was there some sort of an agreement, a  
2 written agreement, whenever they did that with the offsets,  
3 that they be allowed to develop 660?

4 A. No, there was not.

5 Q. Okay.

6 A. Are you meaning the offset of the Topaz 30?

7 Q. What offset were you referring to?

8 A. That's the only offset that there was existing at  
9 that point, proposed or considered.

10 Q. Now, we're talking about the one in the west half  
11 of 19. I'll tell you what. We seem to be talking about  
12 this west half of 19. Can somebody give me -- In fact,  
13 I'll ask you, what was the approval order for that?

14 A. I don't --

15 Q. You don't know?

16 A. I don't know.

17 Q. But you will tell me, though, won't you?

18 MR. CARR: I can get that for you.

19 EXAMINER STOGNER: Good, okay.

20 Q. (By Examiner Stogner) Now, let me see if I get  
21 this straight too. You're proposing a 27-percent penalty  
22 on the production, proposed production, for this distance,  
23 but not penalty on the 760. I don't believe I've heard  
24 anything about a risk-penalty factor on the compulsory  
25 pooling. I think now would be a good time to see what it

1 is.

2 MR. CARR: Mr. Examiner, Mr. Anderson did testify  
3 in support of a 200-percent risk penalty.

4 Q. (By Examiner Stogner) Okay, now -- We heard  
5 geological. Now we heard some differences that make me  
6 believe that maybe 200 percent, because you can't have an  
7 unorthodox location without penalty and then come in and  
8 ask for risk penalty at 200 percent. I don't see the  
9 corresponding thing here. You say you want an unorthodox  
10 location because it's more acceptable; is that correct?  
11 But you also say it's risky? Doesn't this seem to be head-  
12 on to each other here?

13 A. We're saying that the risk of knowing where the  
14 sweet spot of this Morrow channel is, we consider to be far  
15 riskier than what we know about the cost to drill  
16 directionally.

17 Q. Which is \$500,000 more to go over about 280 feet?

18 A. It is \$300,000 to go from the vertical location  
19 to the 760. We believe it would be another \$200,000, or a  
20 total of \$500,000, if we were required to go to the 1750 --  
21 or 1650.

22 Q. Okay. I'd like to find out a little bit more  
23 about this original standard location that the BLM denied,  
24 and I don't have anything on that other than Jim Bruce's  
25 letter. When was that application applied for, for the

1 standard location?

2 A. I'll have to --

3 Q. I'm getting a little confused here. Who is the  
4 Applicant? I mean, I'm -- Chi Energy, I thought, was going  
5 to be the operator. That's what compulsory pooling said,  
6 so that will have to be changed.

7 MR. CARR: Yes, it will.

8 EXAMINER STOGNER: And then the case that we're  
9 hearing now -- and what I understand from this gentleman is  
10 that that standard location would not be acceptable, was  
11 not even originally applied for. That seems a little  
12 bit --

13 MR. CARR: I'm not aware of an application for a  
14 1650 off the south-line location.

15 MR. QUALLS: No.

16 MR. CARR: There was none. Mr. Stogner, the NSL  
17 number that you asked for --

18 EXAMINER STOGNER: Yes.

19 MR. CARR: -- is 3910, NSL-3910. That was for  
20 the Topaz 19 Federal Com Number 1 in 19. That's down in  
21 the southwest quarter.

22 EXAMINER STOGNER: So a standard location was  
23 never even requested by the BLM?

24 MR. QUALLS: I have talked the BLM and  
25 requested -- talked to the potash guy in Carlsbad. His

1 name is Doug Hope. He said there's no way we could do a  
2 standard location on a surface 1650-1650. He said we could  
3 come in and go 150-foot radius from that well in the  
4 southeast corner, the Yarbrough Number 1, 480 from the  
5 south and directional drill to a 760. That was what was  
6 applied for, was 760.

7 EXAMINER STOGNER: Based on what your  
8 conversation with the BLM was?

9 MR. QUALLS: Yes, sir.

10 EXAMINER STOGNER: As opposed to trying to go  
11 through his supervisor or make an application and then for  
12 them to come back to you and justify what you're saying  
13 today?

14 MR. QUALLS: He told me over the phone that we  
15 could --

16 EXAMINER STOGNER: So the answer is no, okay.

17 MR. QUALLS: -- that we couldn't --

18 EXAMINER STOGNER: Thank you.

19 MR. QUALLS: -- drill a --

20 EXAMINER STOGNER: Thank you.

21 I have no other questions of this witness. You  
22 may be excused.

23 MR. CARR: That concludes our direct case. We  
24 would request a ten- or fifteen-minute recess.

25 EXAMINER STOGNER: Let's make it ten.

1 (Thereupon, a recess was taken at 2:40 p.m.)

2 (The following proceedings had at 3:00 p.m.)

3 MR. KELLAHIN: Mr. Examiner, our first witness is  
4 Mr. Tom Tinney. Mr. Tinney is a geologist with Santa Fe  
5 Energy Resources. He currently resides in Midland, Texas.

6 THOMAS J. TINNEY, III,

7 the witness herein, after having been first duly sworn upon  
8 his oath, was examined and testified as follows:

9 DIRECT EXAMINATION

10 BY MR. KELLAHIN:

11 Q. Mr. Tinney, for the record, sir, please state  
12 your name.

13 A. Thomas Jordan Tinney, III.

14 Q. And where are you employed?

15 A. Santa Fe Energy Resources.

16 Q. In what capacity?

17 A. I'm the geological and geophysical manager.

18 Q. On prior occasions have you testified before the  
19 Division?

20 A. Yes, I have.

21 Q. And pursuant to your employment as a geologic  
22 manager for Santa Fe, have you made a study of the geologic  
23 issues involved in this case and prepared your conclusions  
24 and supporting displays?

25 A. Yes, I have.

1 MR. KELLAHIN: Mr. Examiner, we tender Mr. Tinney  
2 as an expert geologist.

3 EXAMINER STOGNER: Any objection?

4 MR. CARR: No objection.

5 EXAMINER STOGNER: Mr. Tinney is so qualified.

6 Q. (By Mr. Kellahin) Mr. Tinney, let's -- before we  
7 look at the specifics of your display, let's talk about  
8 some of your ultimate conclusions. You were here during  
9 Mr. Anderson's testimony concerning his presentation, were  
10 you not?

11 A. Yes, I was.

12 Q. All right. Do you have any agreement or  
13 disagreement with Mr. Anderson about the depositional  
14 environment of this north-south-trending fluvial Morrow  
15 channel system?

16 A. No, I do not.

17 Q. What have you concluded?

18 A. I agree with Mr. Anderson that this is a north-  
19 south-trending lower Morrow fluvial system.

20 Q. When you look at your results and examine the  
21 east half of Section 19, what is your conclusion about the  
22 geologic preference between a standard location versus the  
23 proposed unorthodox location Chi seeks to have approved?  
24 What do you conclude?

25 A. I conclude that a standard location, an orthodox

1 location, proposes the best chance of capturing the unique  
2 reserves, and that an unorthodox location has a high chance  
3 of encountering reserves that otherwise would be produced  
4 from the well in the west half of Section 30.

5 Q. When you look at structure in this area, in the  
6 Morrow, lower Morrow, is structure an issue of importance  
7 to you?

8 A. Yes, it is. I think there's evidence in this  
9 particular area that there are several separate gas-water  
10 contacts in this system and that the structural position  
11 does play a role in the well performance.

12 Q. Geologically, is there an opportunity or a  
13 reasonable probability that if the Chi location is approved  
14 it will be connected to the same Morrow pod that is  
15 currently being produced in the Topaz well?

16 A. Yes, it's my opinion that a well located at an  
17 unorthodox location would adversely affect the Santa Fe  
18 well in the west half of 30.

19 Q. When you look at structure and confined your  
20 examination to the east half of 19 and you're looking at a  
21 structural advantage or disadvantage, how does that  
22 information affect your conclusion about Chi's proposed  
23 location and the closest standard location for that spacing  
24 unit?

25 A. When you look at the structure map, you'll notice



1 that Chi's proposed unorthodox location will be  
2 structurally high to the Topaz 30, which does have a --  
3 water in that reservoir, that an orthodox location would be  
4 structurally higher, and that would afford them the best  
5 opportunity for a well with unique reserves.

6 Q. All right. Would you agree or disagree with Mr.  
7 Anderson's opinion that if potash was not an issue and you  
8 could drill a vertical well, that you would drill that well  
9 at a standard location in the east half of 19?

10 A. I would agree with that.

11 Q. Do you find any geologic evidence to the  
12 contrary?

13 A. No.

14 Q. Nothing to suggest that there is some advantage  
15 gained by moving to an unorthodox location?

16 A. No, sir.

17 Q. This is not one of those circumstances that the  
18 only reasonable location in the spacing unit is at an  
19 unorthodox location?

20 A. That's correct.

21 Q. We don't have that problem?

22 A. No, sir.

23 Q. Let's look at your work product, Mr. Tinney. If  
24 you'll turn to look at Exhibit Number 2, before you explain  
25 the details, explain the code so we can understand your

1 color code and what you're showing us.

2 A. Okay.

3 Q. First of all, what are we looking at?

4 A. This is an isopach of the lower Morrow. It's a  
5 gross sand isopach, and the blue line is the measured  
6 potash boundary. The red square would be the proposed Chi  
7 Energy Greenstone Fed Number 1 at the 480-from-the-south-  
8 line location, and you can see the well is labeled. And  
9 then also you can see Santa Fe's acreage position is  
10 stippled in gray.

11 Q. Okay. We'll come to the cross-section in a  
12 moment, but are you isopaching a sand interval that is any  
13 different from the markers used by Mr. Anderson when he  
14 constructed his map?

15 A. I'm not isopaching a different interval. The way  
16 I determined the values is slightly different. Mr.  
17 Anderson used a gamma-ray cutoff that he said generally was  
18 50 API. I chose to do a true gross sand map, which you  
19 just take the inflection of the bed from the shale and  
20 calculate that number

21 Q. Okay. Looking at the gross lower Morrow  
22 interval, you are looking at the equivalent interval that  
23 Mr. Anderson was examining, are you not?

24 A. That's correct.

25 Q. There's no disagreement between you as to what

1 interval we're examining?

2 A. No, not at all.

3 Q. On the gross map, you have displayed some  
4 information. First of all, you have shown the Section 19,  
5 30, Section 18, these stacked sections, to be part of what  
6 appears to be a channel system; is that true?

7 A. Yes, sir.

8 Q. Within that you have confined some contour lines.  
9 What are those contour lines, and what do they mean?

10 A. Well, the contour lines, obviously, are the  
11 actual gross sand. The color is more for reference in  
12 terms of the eye so you can pick out the system and the way  
13 it trends north-south.

14 Q. In those instances where you had a deviated well  
15 and a bottomhole location --

16 A. Yes, sir.

17 Q. -- have you made the appropriate adjustments to  
18 the display to denote --

19 A. Yes, the bottomhole locations will be noted --

20 Q. All right.

21 A. -- as BHL for bottomhole location.

22 Q. Within Section 30, just to the south of the Topaz  
23 well, there's a dashed red line, and you've indicated  
24 gas/water. Do you see that line?

25 A. Yes, I do.

1 Q. And it says minus 10,143?

2 A. Yes, sir.

3 Q. You put that line there?

4 A. I did.

5 Q. Why did you?

6 A. That is based on log analysis calculations. We  
7 can show that on the cross-section, we have some water-  
8 saturation calculations on the cross-section. But what  
9 I've done there is, when the water-saturation calculations  
10 were greater than 40 percent, then I felt like that was at  
11 risk at being water-productive or predominantly water-  
12 productive, and therefore that's an arbitrary.

13 We also, in the Topaz 30, ran a DST and recovered  
14 water when we DST'd the sand in conjunction with gas.

15 Q. All right. We'll come back and integrate the  
16 gas-water contact line with the cross-section in just a  
17 moment.

18 After you have a gross map like this, there is an  
19 opportunity for you as a geologist to become more  
20 definitive and refine this map; is that not true?

21 A. Yes, it is. Yes, there is.

22 Q. Have you done that in this instance?

23 A. Yes, in the next exhibit.

24 Q. And what is that next exhibit?

25 A. The next exhibit would be Exhibit 3, I believe,

1 net pay of lower Morrow sand. And what I've done here is,  
2 the first number that's next to the well is net pay based  
3 on porosity greater than or equal to 8 percent, and I used  
4 40 percent as a water-saturation cutoff to determine net  
5 pay. The second number is just a net-sand number, which is  
6 anything greater than or equal to 8 percent.

7 Q. You and Mr. Anderson, then, are in agreement  
8 about a water-saturation value? He said he would start  
9 being concerned at 40 percent, and you've used that 40  
10 percent?

11 A. That's right.

12 Q. What does that mean to you?

13 A. Well, you just run the risk anytime you're higher  
14 than 40 percent in this area, of producing more water than  
15 gas. So it is a risk.

16 Q. And the porosity cutoff value, 8 percent, is  
17 within the range of reason?

18 A. Yes.

19 Q. All right. Once you do that, make the  
20 adjustments and reproduce the map, you can come to  
21 conclusions in Section 19, can you not?

22 A. Yes.

23 Q. Let's look at Section 19, and particularly the  
24 east half of 19.

25 A. Right, what I feel like will happen here is

1 reflected in the gross-sand map, is also reflected in the  
2 net-pay map, that there's a high probability that an  
3 unorthodox location on the Chi Energy Greenstone Fed Number  
4 1 would encounter common reserves to the Topaz 30 Number 1,  
5 which is labeled in the west half of Section 30.

6 As you can see, it had a net pay, the Topaz 30  
7 had a net pay of four feet, and a net sand of 14 feet.  
8 Obviously, the rest of that 14 feet was below the water-  
9 saturation cutoff. The Chi well, if they encounter a  
10 similar-type reservoir, would have all 14 feet above the  
11 water contact, and therefore you would -- one would  
12 conclude that their well might outperform the Topaz 30.

13 In addition to that, if you look at the orthodox  
14 location, that location has the best chance to encounter, I  
15 feel like, unique reserves.

16 Q. All right. Do you remember Mr. Anderson's  
17 testimony that his strategy also was to find new and unique  
18 reserves?

19 A. Yes.

20 Q. In your opinion, using your analysis, can you  
21 best achieve obtaining new and unique reserves at a  
22 standard location or at the proposed unorthodox location?

23 A. Well, it's my feeling, from the mapping I've  
24 done, that the best chance to do that is at the standard  
25 location or orthodox location.

1 Q. Let's integrate your net-pay isopach now with  
2 your structure map. You've also prepared a structure map,  
3 have you not?

4 A. Yes, I have, and that would be the next exhibit.

5 Q. All right, let's take Exhibit 4, which is the  
6 structure map, again have you define the coding, and then  
7 we'll talk about your conclusions.

8 A. The coding is similar to the other maps.  
9 Actually, it's the same with the outline of the potash, the  
10 stippled acreage being Santa Fe acreage. I've also got a  
11 gas-water contact on the structure map; it's minus 10,143.  
12 It shows the location of the Topaz 30 at a minus 10,106,  
13 and that moving to the north to the Chi Energy Greenstone  
14 Fed Number 1 at an unorthodox location, that they would be  
15 updip to the Topaz 30.

16 Q. Let's examine your structural conclusions as they  
17 affect the east half of 19. When you look at structure,  
18 does it matter whether you're at a standard location or the  
19 proposed unorthodox location?

20 A. Well, the standard location will just afford you  
21 to be structurally higher, and because of the fact that  
22 there is proof in this area that there are separate gas-  
23 water contacts, obviously even if you get into a reservoir  
24 that has unique reserves, you want to be as far  
25 structurally updip as possible.

1           Q.    You can conclude, then, that the standard  
2           location is structurally preferable to the unorthodox  
3           location?

4           A.    Yeah, I agree with Mr. Anderson that his map is  
5           similar to this one, and that it would be structurally  
6           higher at that location.

7           Q.    And that structural difference is enough to  
8           matter?

9           A.    Yes, anytime that you can gain structure in the  
10          Morrow, you have to take advantage of it, is my opinion.

11          Q.    Let's look at the structural relationship between  
12          the Chi-proposed location and where the Topaz well  
13          currently exists and have you tell us your geologic  
14          conclusions about what, if any, adverse consequences the  
15          Chi well would impact or have on the Topaz well.

16          A.    Well, as I mentioned, if you take the net-pay map  
17          and assume that they're going to have 14 feet of net pay,  
18          which will be somewhere near the Topaz 30, and that by  
19          moving 50 feet updip, that you would get all of that 14  
20          feet above that water, therefore you would have a better  
21          performance of your well.

22          Q.    Let's go to the cross-section so that you can  
23          illustrate that point. If you'll take Exhibit 5 for me and  
24          take a moment and unfold it.

25          A.    Exhibit 5 is a northeast-to-southwest cross-



1 section. North would be on the left, so it is the proposed  
2 Chi Energy Greenstone Fed location.

3 Q. Let's go to the far right and look at the Topaz  
4 30-1, the Santa Fe well.

5 A. Yes, the Topaz 30 Fed Number 1, you can see the  
6 sand labeled lower Morrow, also the water saturation  
7 calculations to the right of that well. We perforated a  
8 foot and a half in the very top of that particular well.  
9 And as you can see as you move down, your water saturations  
10 increase.

11 And I'd also like to note that the DST from  
12 13,821 to 14,008, we'd like to note that they recovered  
13 eight barrels of water on that DST. And if you look at the  
14 interval, even though it's a rather large interval, the  
15 only zone that has any porosity that could give up water  
16 would have to be that lower Morrow sand.

17 Q. Is this occurrence unique to the Topaz 30 and 1  
18 well, or has it occurred elsewhere in the immediate area?

19 A. No, this same thing occurs to the north. If you  
20 look at the Section 7, the well labeled TXO Production Corp  
21 Hamon 'A' Fed Number 1, that well, they perforated the  
22 top -- I think it's four feet in that particular well. If  
23 you do the water-saturation calculations, it's also wet in  
24 the bottom. They realized that, and I think that's the  
25 reason that they perforated only the top four feet of that

1 particular well.

2 Q. When you look at the current perforation  
3 relationship in the Topaz 30-1 well --

4 A. Uh-huh.

5 Q. -- to what you've calculated to be the 45-percent  
6 water-saturation value --

7 A. Yes.

8 Q. -- would that illustrate your concern about water  
9 encroachment if there's a second well in the Topaz pod?

10 A. Yes, any of those water-saturation calculations,  
11 I think, do indicate that there is water in that reservoir,  
12 and the fact that the well actually is producing water.  
13 And I think Mr. Adams will address that fact when he gives  
14 his testimony.

15 Q. But looking at the log analysis, you as a  
16 geologic expert can recognize and realize the risk imposed  
17 by the Chi well if it connects with the Topaz pod?

18 A. Yeah, absolutely. When you've only got a foot  
19 and a half of perforations open and you realize that you've  
20 got water below you, any well updip that has a superior  
21 structural advantage, you would feel like that that would  
22 have a chance of watering your well out.

23 Q. Does that probability affect where a well would  
24 be located in the east half of 19?

25 A. I think it should, yes. The fact that -- their

1 unorthodox location, and the way I've correlated and the  
2 way Mr. Anderson correlated, the fact that by drilling  
3 there they have a high probability of encountering that  
4 same sand, an orthodox location would give you the best  
5 opportunity to prevent that from happening.

6 Q. Summarize for us your geologic conclusions, then,  
7 Mr. Tinney.

8 A. My geologic conclusions are that I agree there is  
9 a fluvial north-south-trending system, that there is a high  
10 probability by drilling at an unorthodox location that a  
11 well would tag into a common reservoir with the Topaz 30  
12 Fed Number 1, and then by having a structurally superior  
13 position would have an adverse effect on our well, that a  
14 standard location or an orthodox location would afford Chi  
15 and its partners the best opportunity to encounter unique  
16 reserves, and I think that, as they have stated, that's  
17 really their sole purpose, is to try to capture unique  
18 reserves, new and unique reserves.

19 Q. In your opinion, do the interest owners in the  
20 east half of 19 substantially reduce the risk involved in  
21 that well if they move to a standard bottomhole location?

22 A. I think that it actually is beneficial to them by  
23 moving to a standard location.

24 Q. It would reduce the risk, then?

25 A. Yes, sir.

1 MR. KELLAHIN: That concludes my examination of  
2 Mr. Tinney. We move the introduction of his Exhibits 2  
3 through 5.

4 EXAMINER STOGNER: Exhibits 2 through 5 will be  
5 admitted into evidence.

6 Thank you, Mr. Kellahin.

7 Mr. Carr, your witness.

8 MR. CARR: Thank you, Mr. Stogner.

9 CROSS-EXAMINATION

10 BY MR. CARR:

11 Q. Mr. Tinney, when I look at your Exhibits 2, 3, 4,  
12 when you constructed these exhibits, what information did  
13 you have? Well-control data?

14 A. Yes, sir.

15 Q. And are the wells shown on this exhibit that you  
16 were able to analyze to develop your interpretation?

17 A. Yes, sir.

18 Q. And did you have access to any seismic work over  
19 the area?

20 A. No, sir.

21 Q. Okay. If I look at your Exhibit Number 2, you  
22 have shaded in yellow what look like there are almost  
23 separate pods through the reservoir. Is that what you're  
24 intending to show?

25 A. Yes, sir, I think that's what the evidence does

1 show, is that we have separate pods in here.

2 Q. Do you have any geological evidence that would  
3 suggest that, in fact, you have separation running through  
4 the southern portion of Section 19 and that could not be  
5 just a continuous zone running through there, instead of  
6 two separate pods?

7 A. No, that's an alternative interpretation.

8 Q. And that's just your interpreta- -- The same  
9 would apply as we come across the southern half of Section  
10 18 to the north?

11 A. Yes, sir, the only evidence that is there is,  
12 there is engineering data that suggests that those are  
13 separate reservoirs.

14 Q. Geologically, though, this is just your  
15 interpretation --

16 A. That's correct.

17 Q. -- they could be connected?

18 What do you mean by the Topaz outline that you've  
19 indicated down at the bottom, in the legend, with this  
20 block around six sections?

21 A. That's the original prospect outline.

22 Q. Is that the area -- Do you have your AMI in that  
23 area, or is that something else?

24 A. I'd have to defer.

25 Q. Okay.

1           A.    That's not my area of expertise, sir.

2           Q.    And you have ownership in five of the six  
3 sections; is that correct?

4           A.    Yes, sir.

5           Q.    If we look in 19, do you actually have in the  
6 east half any ownership at this time in the deep rights, or  
7 do you know?

8           A.    Once again, I --

9           Q.    Okay.

10          A.    -- I don't have the expertise.

11          Q.    If we go to Exhibit Number 3, again I see you  
12 have got what you've indicated coming across this channel  
13 permeability barriers. From a geologic point of view, this  
14 is just your interpretation; there's no particular geologic  
15 data that would support that; is that correct?

16          A.    That is correct.

17          Q.    And you've put across the southern portion of  
18 Section 30 a line that is your gas-water contact?

19          A.    That is correct.

20          Q.    You used a 40-percent cutoff in mapping or  
21 placing that line across the reservoir there?

22          A.    Yes, sir.

23          Q.    Now, if I understand it, a 40-percent cutoff  
24 means you've got 40-percent water; is that what that means?

25          A.    Yes, sir.

1 Q. And conversely, you would still have 60-percent  
2 gas south of that line?

3 A. That's correct, sir.

4 Q. And so there would be some gas south of that line  
5 that you still would be able to recover; is that right?

6 A. Potentially, yes, sir.

7 MR. CARR: Okay, that's all I have.

8 EXAMINATION

9 BY EXAMINER STOGNER:

10 Q. Your Topaz 30 was completed in 1996; is that  
11 correct?

12 A. Yes, sir.

13 Q. What stimulation was utilized on it?

14 A. I'd have to defer, actually. Not my area of  
15 expertise. I believe it was natural, Mr. Stogner, but I  
16 don't -- don't really know.

17 Q. In looking at your Exhibit Number -- well, 2 and  
18 3, is this one well adequate to drain this pod or the  
19 yellow pod? Is that you're indicating?

20 A. Yes, sir.

21 Q. And what is the acreage within the productive  
22 interval? Is that the -- Can I look at the yellow portion  
23 and say this is the productive interval, or does it extend  
24 beyond that?

25 A. I would really ask you to look at the net-pay

1 map. You can see on the net-pay map that the Topaz 30 has  
2 four feet of net pay. So really anything within that zero  
3 line potentially could be productive.

4 Q. Okay, what's the -- Do you know what the area of  
5 that would be?

6 A. Yes, sir, that's approximately 300 acres.

7 Q. 300 acres. I'm trying to realize something.  
8 Part of that small pod goes into their -- or reservoir goes  
9 into -- in the east half of Section 19?

10 A. That's correct.

11 Q. But I don't see how what you're proposing would  
12 allow them to recover their rightful share that goes into  
13 the east half of 19.

14 A. It's our interpretation that the Topaz 30 will  
15 drain all of those reserves.

16 Q. You mean will take reserves under 19 and come  
17 down?

18 A. Yes, sir.

19 Q. Isn't that a little bit beyond 320-acre spacing,  
20 since you're at a standard location?

21 A. Yes, sir.

22 Q. Then why hasn't Santa Fe asked for 640-acre  
23 spacing to adequately regulate or develop these reserves?

24 A. I couldn't answer that question.

25 Q. Hm. Who could?



1           A.    I imagine our landman would have to answer that  
2 question.

3           EXAMINER STOGNER:   Okay, good.   I'll reserve that  
4 question for them, or hopefully Mr. Carr will ask a similar  
5 question where I won't have to.

6           Okay, any other questions of this witness?

7           You may be excused.

8           I'm sorry, I meant Mr. Kellahin.

9           MR. KELLAHIN:   Yes, sir, Mr. Rod Adams is our  
10 next witness.

11                               ROD ADAMS,  
12 the witness herein, after having been first duly sworn upon  
13 his oath, was examined and testified as follows:

14                               DIRECT EXAMINATION

15           BY MR. KELLAHIN:

16           Q.    Mr. Adams, for the record, would you please state  
17 your name and occupation?

18           A.    Rod Adams.   I am a petroleum engineer.   I'm  
19 employed by Santa Fe Energy Resources.   I'm the division  
20 engineer responsible for New Mexico.

21           Q.    And where do you reside, sir?

22           A.    Midland, Texas.

23           Q.    As part of your responsibilities for your  
24 company, have you as a petroleum engineer examined the  
25 engineering facts relevant to the topic before the Examiner

1 this afternoon?

2 A. Yes, I have.

3 Q. Have you testified on prior occasions?

4 A. No, I have not.

5 Q. Summarize for us when and where you obtained your  
6 engineering degree.

7 A. I have a bachelor of science in petroleum  
8 engineering from the University of Tulsa. I graduated in  
9 1978. I've been continuously employed in the oil business  
10 for the last 21 years. I'm a registered engineer in the  
11 State of Oklahoma.

12 Q. The information you're about to present and the  
13 opinions you're about to express, were those arrived doing  
14 your normal engineering functions for your company?

15 A. That is correct.

16 Q. The method by which you have arrived at these  
17 conclusions is those typically used by members of your  
18 profession to reach conclusions on these subjects?

19 A. Yes, they are.

20 MR. KELLAHIN: We tender Mr. Adams as an expert  
21 petroleum engineer.

22 EXAMINER STOGNER: Any objection?

23 MR. CARR: No objection.

24 EXAMINER STOGNER: Mr. Adams is so qualified.

25 Q. (By Mr. Kellahin) Mr. Adams, was a copy of the

1 Chi administrative application, which included Mr.  
2 Anderson's net clean sand isopach map, made available to  
3 you?

4 A. Yes, it was.

5 Q. You had an opportunity to look at that  
6 information, did you, prior to the hearing?

7 A. Yes, sir.

8 Q. In addition, you had available to you the other  
9 reservoir data from the Topaz well that Santa Fe operates,  
10 as well as other data available from similar wells in the  
11 area?

12 A. That is correct.

13 Q. Let me ask you to address your major conclusions.  
14 First of all, the conclusion with regards to, if Mr.  
15 Anderson's map is correct, what does that mean?

16 A. If Mr. Anderson's map is correct, they should  
17 find a new, unique reservoir. That reservoir would cover  
18 the entire 320 acres in the east half of Section 19. The  
19 volumetric calculations from his mapping would indicate  
20 6674 acre-feet of Morrow sand underlying that production  
21 area.

22 If you go ahead and use the log characteristics  
23 and the production information from the Topaz well, you  
24 come up with a gas-in-place number of 6.2 BCF, or something  
25 around 5 BCF recoverable, which compares with Mr. Gabbard's

1 testimony of 4.7 BCF.

2 Q. All right. If you use Mr. Anderson's map,  
3 calculate gas in place, apply an appropriate recovery  
4 factor, is there sufficient recoverable gas in the east  
5 half of Section 19 to pay for the cost of directionally  
6 drilling this well to a standard bottomhole location?

7 A. Absolutely. The next exhibit that I put together  
8 was an economic run showing 5 BCF of recovery with the  
9 comparable information of the other Morrow wells in the  
10 area, and it indicates that they would have a hundred-  
11 percent rate of return and pay out in a very short period  
12 of time. And this was done assuming \$1.7 million as the  
13 cost to drill this directional well.

14 Q. All right. The \$1.7-million directional well  
15 would get you from the 480 surface location down to a  
16 standard subsurface location?

17 A. That is correct.

18 Q. And you had engineering drilling people within  
19 Santa Fe to prepare and submit to you an itemized, detailed  
20 AFE that gave you that number?

21 A. And those are attached in the exhibits --

22 Q. All right.

23 A. -- that we did.

24 I would add that when I first did that, the  
25 number that they came up with was one point fifteen sixty

1 dollars, which is the same number that they have, and when  
2 I told them that I needed to come up here and be able to  
3 pound the table and testify to these numbers and to make it  
4 as high as it could cost, they were able to push the cost  
5 up to \$1.7 million.

6 Q. All right. So even if it's required to be  
7 drilled to a standard bottomhole location, the additional  
8 expense that you show over a vertical well is about what?  
9 Four hundred and --

10 A. -- thirty-thousand dollars.

11 Q. How much?

12 A. About \$430,000.

13 Q. About \$430,000 additional costs. Those are the  
14 numbers you used?

15 A. Yes. And compared to the \$500,000 they came up  
16 with.

17 Q. All right. And you have applied the current  
18 economic methodology used by reservoir engineers to show if  
19 this was profitable or not?

20 A. Right, the next exhibit, basically, is an  
21 economics evaluation of what the reserves on the well would  
22 yield economically. And so it basically -- the line on the  
23 left would show what kind of BTAX rate of return you would  
24 get, and the line on the right is the BTAX net present  
25 value, discounted at 15 percent.

1           You can see from these numbers that you basically  
2 need a well that makes about 1.4 million BCF to make a well  
3 that will pay out --

4           Q.   All right, let's look at Exhibit --

5           A.   -- and gain 15 percent rate of return.

6           Q.   Let me look at Exhibit 8 and have you help me  
7 read it.  If I'm reading the bottom horizontal graph, I'm  
8 showing a reserve number.  These are recoverable gas in  
9 BCF, right?

10          A.   Yes.

11          Q.   And if I'm looking at the left-hand vertical  
12 column, I'm looking at a rate of return?

13          A.   Yes.

14          Q.   And as I match the two, the minimum for a rate of  
15 return would give me how much BCF?

16          A.   Zero percent rate of return would be about 1.25  
17 rate of return.

18          Q.   All right.  For 1.25 recoverable gas, that means  
19 I can pay for the well one time?

20          A.   That's right, that's it.

21          Q.   And that will give me my \$1.7 back?

22          A.   That's it.

23          Q.   Okay.  If we believe Mr. Gabbard's conclusion  
24 about the remaining recoverable gas in the Topaz pod, he  
25 was dealing in the range of perhaps 1.4 BCF; is that not

1 true?

2 A. That's correct.

3 Q. Is there enough left in the Topaz pod to support  
4 two wells at this point?

5 A. No, there's not. That's -- The gist of this  
6 statement is that if you split the remaining reserves  
7 between those two wells, you would be losing money and  
8 you'd be causing economic waste by drilling a second well  
9 to recover the remaining reserves.

10 Q. Well, let's talk for a moment about this concept  
11 of correlative rights. Mr. Stogner began to touch on it  
12 with Mr. Tinney. If you looked at the original gas in  
13 place before the Topaz well was drilled, you're going to  
14 have a certain portion of that gas not only underlying the  
15 Topaz spacing unit, but originally in place under the Chi  
16 spacing unit in the east half of 19, true?

17 A. That's the geologic interpretation that we have,  
18 that's correct.

19 Q. All right. Correlative rights is the opportunity  
20 to recover your share?

21 A. That's correct.

22 Q. If that opportunity is delayed and the offsetting  
23 well produces it, you simply lose it, do you not?

24 A. That's correct.

25 Q. At this point in time, in order for Chi to put a

1 well at the edge of their spacing unit, to get whatever is  
2 left of their share, is there enough to support that  
3 activity?

4 A. No, they would have to take more than all the  
5 remaining gas that's left in the Topaz well for that to  
6 work.

7 Q. At this point in time, you simply can't balance  
8 the equity, can you?

9 A. You can't.

10 Q. In order to achieve the best opportunity in the  
11 east half of 19, then, what would you do?

12 A. You need to drill a well that finds unique  
13 reserves.

14 Q. Mr. Qualls says that was their purpose.

15 A. That's right.

16 Q. And where do you best achieve that?

17 A. You achieve that at a legal location further  
18 north than the location they've proposed.

19 Q. Let's look at the rest of the parts that support  
20 the economics that you have concluded make this profitable  
21 as a directional well.

22 A. Okay.

23 Q. If you'll look at Exhibit 9, identify and tell us  
24 what that is.

25 A. Exhibit 9 is the well-cost estimate that was put



1 together by Mr. Burton and approved by me, saying what our  
2 cost would be for a directional well.

3 Q. It's the \$1.7 million?

4 A. Correct.

5 Q. Do you have experience and knowledge about going  
6 through this and determining whether it's reasonable?

7 A. Yes.

8 Q. Were you involved in any of the other wells?

9 A. Yes, I've been in this area for five years, and  
10 I'm familiar with the wells that were drilled in the area  
11 and I've put together an exhibit showing the drilling times  
12 for the offset wells that Santa Fe has operated in the  
13 area.

14 Q. All right. So 9 is the directional well?

15 A. Yes.

16 Q. What is Number 10?

17 A. Straight hole.

18 Q. It's the AFE for the straight hole?

19 A. Uh-huh.

20 Q. You show a differential of about what? \$430,000?

21 A. Yes.

22 Q. Do you find any support for the representation in  
23 Chi's letter to the Division that the additional cost is  
24 some \$700,000?

25 A. No.

1           Q.    Let's look at the comparison of times.  If you'll  
2           turn to Exhibit 11, describe for us what you're  
3           illustrating here.

4           A.    Santa Fe was the operator of the four mentioned  
5           here, the Sinagua 18-1, 18-2, and the Topaz 30-1 and Topaz  
6           19-1.

7                   The Sinagua 18-1 was a straight hole.

8                   The 18-2 was a deviated well that was kicked off  
9           at 9750, and so what I did here is basically take the  
10          drilling days down to 10,000 feet, and then to take the  
11          drilling days below 10,000 feet so that I can compare how  
12          much longer it took to drill a deviated well from a  
13          straight hole.

14                   I did the same thing on the Topaz 30 well.

15                   The Topaz 19-1 is a re-entry, and so its top  
16          10,000 feet didn't take as long because the well had  
17          already been drilled, and we were just re-entering an  
18          existing wellbore.

19                   But from what I was able to conclude from this is  
20          that it took an average of 26 days to drill down to 10,000  
21          feet on the first three wells, and it took 19 days to drill  
22          on down to the -- from 10,000 to TD, which is a total of 45  
23          days, which is the number of days that Mr. Burton used on  
24          his AFE.  And for a deviated well it took 33 days, or an  
25          extra 14 days, to get down to TD.  And his original answer

1 was 60 days to drill the deviated well, but to go ahead and  
2 push the cost here, he used 70 days on this \$1.7-million  
3 AFE.

4 Q. So for drilling days, you've used a number that's  
5 higher than any of the actual days, actually involved in  
6 any of the directional wells?

7 A. That's correct.

8 Q. And so it's a very high AFE number. And despite  
9 that AFE cost, you can show economics that justify the  
10 directional well?

11 A. That's correct.

12 Q. It would be highly profitable, wouldn't it?

13 A. Very highly profitable.

14 Q. What's the payout period of the directional well?

15 A. It would be 1.28 years at 5 BCF.

16 Q. You only have to wait what? Fourteen months --

17 A. Yeah.

18 Q. -- fifteen months, to get payout?

19 A. Yes.

20 Q. What's your rate of return?

21 A. A hundred percent. It's greater than a hundred  
22 percent.

23 Q. This development has occurred within the context  
24 of the potash enclave, has it not?

25 A. That's correct.

1 Q. That potash reserve was known to everybody before  
2 these wells were ever drilled?

3 A. That's correct.

4 Q. So everybody, including Santa Fe, has factored in  
5 the risk involved of having to pay for directional wells to  
6 get to the resource?

7 A. That's correct.

8 Q. Everybody knows that up front?

9 A. Yes.

10 Q. When you controlled 19, you knew that as an  
11 issue, right?

12 A. That's correct.

13 Q. And if Chi acquired an interest subsequent to  
14 that, they knew they were acquiring an interest that might  
15 require them to drill a directional wellbore?

16 A. That's correct.

17 Q. They weren't blindsided by any change in the  
18 rules, were they?

19 A. No.

20 Q. Let's look at 12. What's 12?

21 A. Exhibit 12 is a summary of pressure data of  
22 measured bottomhole pressures that I have on the Topaz  
23 30-1, and the calculated Z factors that make up the graph  
24 that is Exhibit 13, that indicate a reserve -- excuse me, a  
25 gas-in-place number of almost 4 1/2 BCF for the Topaz 30

1 Number 1.

2 Q. Are you satisfied, Mr. Adams, that you've got  
3 good pressure data points to construct your P/Z curve?

4 A. Yes.

5 Q. And when we look at Exhibit 13, we're seeing that  
6 forecast?

7 A. That is --

8 Q. Thirteen?

9 A. That's correct.

10 Q. The P/Z gets you 4.5 BCF of gas?

11 A. In place.

12 Q. In place.

13 A. Not recoverable, but in place.

14 Q. Okay. Have you attempted to calculate that in  
15 any other way?

16 A. I did decline-curve analysis, and the decline-  
17 curve analysis I did came up with a 3 1/2 BCF recoverable  
18 from the well, which would be about 80-percent recovery  
19 factor, which is normal.

20 Q. Are you satisfied that you've got reasonable  
21 agreement between your P/Z analysis and your production  
22 decline curves?

23 A. Yes, I do, and that's why I would conclude that  
24 the existing well can drain the reserves that's represented  
25 on this P/Z plot.

1 Q. Have you taken the additional engineering step of  
2 satisfying yourself that these volumes, in fact, will fit  
3 within the size and the shape of the reservoir mapped by  
4 Mr. Anderson?

5 A. By Mr. Anderson?

6 Q. Oh, no, by Mr. Tinney.

7 A. Yes.

8 Q. It will fit within that net-pay isopach, right?

9 A. That is correct. Exhibit 14 shows the volumetric  
10 estimates to come up with 300 acres of drainage area for  
11 the Topaz well, which ties pretty well with Mr. Tinney's  
12 mapping.

13 Q. All right. So when you're looking at 14 then,  
14 you've got the -- you've backed through the volumetric  
15 calculation, and you've got a drainage area that's going to  
16 be 300 acres?

17 A. Yes, and I have made some assumptions here. The  
18 assumptions that I've made on this exhibit are that the  
19 average porosity will be 9 percent, which comes off the  
20 logs of the Topaz 30 Number 1. I assumed that all of the  
21 pay in the well, of the 14 feet that I counted on the well,  
22 would be above water and would be pay and that the water  
23 saturation was 23.3 percent, which was the average of the  
24 top four feet in the Topaz well.

25 So I assumed that over the entire 14-foot

1 interval, that those would be the average parameters that  
2 would give you a gas in place of 4 1/2 BCF which would  
3 match the P/Z.

4 Q. And you used Mr. Tinney's net-pay isopach,  
5 Exhibit 3, to get you your volumetrics?

6 A. Actually, this is assuming wellbore thicknesses,  
7 and it was done independently of Mr. Tinney's mapping, and  
8 it confirms that his mapping is reasonable.

9 Q. All right. When we look to the Division rules  
10 that are in place for developing wells and dedicating  
11 acreage, the rules in here require 320-acre spacing --

12 A. That is correct.

13 Q. -- wells 1650 from the end and 660 from the side  
14 boundary?

15 A. That is correct.

16 Q. In your opinion, those rules look to be fair and  
17 reasonable and appropriate?

18 A. Yes.

19 Q. A well that drains 300 acres in a 320-acre pool  
20 is about as good as you can do in southeastern New Mexico  
21 in the Morrow, isn't it?

22 A. That's not too bad.

23 Q. All right. When we turn to Exhibit 15, identify  
24 and describe what you're showing here.

25 A. I've gone ahead here and done the economics of a

1 straight hole and done a similar-type evaluation that I did  
2 previously on the deviated well. And what I tried to show  
3 here is that on the lower-cost well you -- it takes 1.3 BCF  
4 to get a 15-percent rate of return. And where I was headed  
5 with this was that anything less than 1.3 BCF, if you  
6 drilled a well for that, it would be an economic waste, it  
7 would be an uneconomic well.

8 Q. All right. Let's bring that within the context  
9 of your investigation of what is the remaining recoverable  
10 gas associated with the pod being produced by the Topaz  
11 well?

12 A. Basically what that's saying is that for Chi to  
13 drill an economic well that does not create economic waste,  
14 they would have to either get a unique reservoir, or they  
15 would have to take all the remaining reserves left in the  
16 Topaz well.

17 Q. And that number is what?

18 A. 1.3 BCF.

19 Q. Okay. You referred to the phrase "economic  
20 waste". What do you mean by that, Mr. Adams?

21 A. I'm saying that you would drill a well without  
22 getting a return on your money.

23 Q. And that's a probable occurrence in the Chi  
24 location if they connect with the Topaz pod?

25 A. I believe that to be true.



1           Q.    Does that substantially increase the risk of the  
2 well at the unorthodox location, as opposed to the closest  
3 standard location?

4           A.    I believe so.

5           Q.    Let's look at Exhibit 16.  What are you showing  
6 here?

7           A.    Exhibit 16 is -- and 17 and 18, are basically  
8 production plots from three wells that I think are  
9 comparable to the Topaz 30 Number 1.  They are the wells  
10 that are on the cross-section that Mr. Anderson presented.  
11 And what I was trying to show with these plots is what may  
12 potentially happen if Chi's well was granted.

13                   On Exhibit 16 you see the Hamon A Fed Com Number  
14 1 well, which was producing 2 to 3 million a day in 1994,  
15 and then for some strange reason in the middle of 1994, the  
16 well went down to nothing, and it's, you know, gone down to  
17 producing maybe 40, 50 MCF a day after that.

18           Q.    Let's find that well.  If I look on Mr. Tinney's  
19 Exhibit Number 2 and find Section 7, up to the north of 18,  
20 there is a code that shows the Hamon well, right?

21           A.    Yes, that would be the location in the southeast  
22 of 7.

23           Q.    All right.  That well drilled, completed,  
24 produces, and by the second or third month in 1994, why, it  
25 just -- it stops?

1           A.    Yes.  You can see the well was making 80 barrels  
2   of water a day, and on the cross-sections it was shown that  
3   the perforations were at the very top of the section, and  
4   they were trying to avoid water, and this well was --  
5   something happened to it in 1994 that caused it to quit  
6   producing.

7           Q.    When you look at the Hamon well, is it completed  
8   in a manner similar to the Topaz well where there is small  
9   perforations high in the zone, in a point that you have  
10  lower water saturation?

11          A.    It's the same, yes.

12          Q.    All right.  Let's turn to Exhibit 17 and have you  
13  show us what, in your opinion, was the direct result of the  
14  adverse consequences on the Hamon well.

15          A.    As you can see in the middle of 1994, the Sinagua  
16  18-1 was drilled, which is the direct south offset.  The  
17  well came in producing 2 million a day, and we finally  
18  opened it up to 5 1/2 million a day.  The well is only  
19  making two or three barrels of water a day.  It's  
20  substantially higher structurally than the Hamon well, and  
21  it had a competitive advantage, and it, I believe, affected  
22  the Hamon well.

23          Q.    And that was done with wells at standard  
24  locations from the common boundary?

25          A.    That is correct.  The other evidence that I have

1 of that is Exhibit 19, which is the pressure data on the  
2 Sinagua 18-1 well, and the original pressure that we had on  
3 the well, measured bottomhole pressure, was 3634, which is  
4 substantially less than the 6590 original bottomhole  
5 pressure that we had on the Topaz. So the Sinagua 18-1  
6 well was depleted when it was originally drilled.

7           You can also see that in that it took four months  
8 to get the well connected, and the well lost 200 pounds of  
9 bottomhole pressure in the four-month period that we were  
10 waiting to get it connected.

11           Q. Apply that information to your engineering  
12 conclusions about what is the probable adverse consequence  
13 to the Topaz well if the Chi well is approved at the  
14 requested location.

15           A. Okay. Well, I think one of the things that's  
16 interesting is, the Topaz well right now, or back in June,  
17 had a bottomhole pressure of 3843, which is very similar to  
18 the original bottomhole pressure of the Sinagua well. And  
19 so you basically have analogy that the Sinagua well at a  
20 pressure of 3600 pounds, 3400 pounds, negatively affected  
21 the offset to the north.

22           And our concern here is that our well, which is  
23 in a similar reservoir-pressure condition, our well is  
24 making -- is producing water. Exhibit 18 shows that it's  
25 making 30 barrels of water a day and that if another well

1 was brought in updip, we have the potential loss of  
2 production from our well. That's our concern.

3 Q. Is that concern eliminated if the Examiner does  
4 what Mr. Gabbard proposed, and that is no penalty if it's  
5 bottomed 760 from the common line? Is that going to fix  
6 it?

7 A. I don't think that would fix it.

8 Q. Why?

9 A. I think that if they get a well that is in the  
10 reservoir and they produce it at its capacity, our well  
11 would be damaged, and we would never be able to get our  
12 production back.

13 Q. Is it a solution to suggest that a production  
14 penalty can be applied by the Examiner on the unorthodox  
15 location so that he could approve this location, put a  
16 penalty that's appropriate on it, and maintain the  
17 correlative-rights equity involved?

18 A. I believe that -- The one area where I would  
19 differ from Mr. Gabbard is that I believe that if they got  
20 a well in the center of the channel that had 14 feet of pay  
21 in it, that would be about the same thickness as our  
22 Sinagua 18-1 well, and at the pressure conditions of it,  
23 that well was able to make 5 1/2 million a day.

24 So I think that their location could make 5 1/2  
25 million a day, compared to our million a day that we're

1     able to make at -- 1.3 million, that we're making out of  
2     our well right now. Instead of the million a day that he  
3     suggested, I think it's 5 1/2 million a day.

4             You would also see that in that we only have a  
5     foot and a half open in our well, and if they had 14 feet  
6     open they would have ten times the capacity in their well  
7     to produce. So I would think it would be reasonable to  
8     think that they could produce four or five times what we  
9     can produce in our wellbore.

10            Q.    Even at a penalized allowable where it would  
11     produce no more than a million a day, it would still be an  
12     unfair competitive advantage to the Santa Fe property?

13            A.    That is correct.

14            Q.    Do you see any way to balance the problem and get  
15     a solution that lets them drill this unorthodox location  
16     without an adverse consequence to Santa Fe?

17            A.    No.

18            Q.    Summarize your conclusion for us, Mr. Adams.  
19     What would you propose?

20            A.    You know, this is real simple. If we want to go  
21     out and drill a well, the goal is to make money, and the  
22     only way to make money is to drill for unique reserves, and  
23     we've heard all the witnesses testify to that.

24                    If this location is drilled, we have four  
25     options: We will either drill a well that is in the Topaz

1 reservoir, we will either drill -- or we will drill a well  
2 that's in a unique reservoir, or we will drill a well  
3 that's a dry hole, or we could possibly drill a well that's  
4 in the Sinagua reservoir to the north. Those are the four  
5 possibilities that we have. And the only one that makes us  
6 money is that we get unique reserves.

7 And for that reason, my strong recommendation is  
8 that the best location be drilled for an economic well, and  
9 that would be a legal location.

10 Q. Do you share Mr. Gabbard's opinion that closer is  
11 better and the best way you handle the risk involved is to  
12 get as close to the Topaz well as you can?

13 A. No, closer means drained.

14 MR. KELLAHIN: That concludes my examination of  
15 Mr. Adams. We move the introduction of his exhibits.

16 EXAMINER STOGNER: Any objection?

17 MR. CARR: No objection.

18 EXAMINER STOGNER: His exhibits are admitted into  
19 evidence. What number --

20 MR. KELLAHIN: Yes, sir, they're 5 through 18,  
21 Mr. -- I'm sorry, 5 through 19.

22 EXAMINER STOGNER: Five through 19.

23 MR. KELLAHIN: I think they're 6 through 19, I  
24 believe.

25 EXAMINER STOGNER: Six through 19.

1 MR. KELLAHIN: Six through 19.

2 EXAMINER STOGNER: Mr. Carr, your witness.

3 CROSS-EXAMINATION

4 BY MR. CARR:

5 Q. Mr. Adams, if we look at Exhibit Number 2, just  
6 for reference, and if I understand what you're  
7 recommending, is that the proposed unorthodox location, the  
8 straighthole location in the southeast of 19, simply needs  
9 to be denied. There's no penalty that would be effective.  
10 Is that your testimony?

11 A. Yes.

12 Q. And if that were to occur, the result of that  
13 would be that whatever reserves exist in the -- and based  
14 on this interpretation, in the southeast of Section 19  
15 could never be recovered by the owners in Section 19?

16 A. That is correct.

17 Q. So that would be -- you would simply leave those  
18 reserves, and they would ultimately be recovered by the  
19 Santa Fe well in the west half of 30?

20 A. That is correct.

21 Q. Now, you are concerned about the potential for  
22 damage to the well in 30, if a well is permitted, and as  
23 proposed by Chi; is that correct?

24 A. That's correct.

25 Q. And if I understood your testimony, you cited as

1 an example what had actually occurred up in between the  
2 Hamon A Federal well in 7 and the Sinagua --

3 A. -- Sinagua --

4 Q. -- Sinagua --

5 A. -- 18 Fed Com Number 1.

6 Q. -- well in 17 -- I'm sorry, in 18. Is that  
7 right?

8 A. That's correct.

9 Q. Now, when that -- When did that occur? Was that  
10 1994 or 1995 --

11 A. 1994.

12 Q. -- when that problem occurred?

13 A. 1994.

14 Q. In 1998, Louis Dreyfus came to Santa Fe and  
15 proposed a directional drill using the existing OXY  
16 wellbore in the southwest of 19; is that correct?

17 A. That is correct.

18 Q. Were you involved at that time?

19 A. Yes, I was.

20 Q. And wasn't it Santa Fe that recommended actually  
21 drilling a straight hole initially to test this very same  
22 formation?

23 A. No, what we recommended doing was re-entering an  
24 existing well and cleaning it out to TD and drill stem  
25 testing the well so that we could see if it was truly



1 unique reserves, if it was tied to the Topaz well or if it  
2 was tied to the Sinagua well, or if it was wet.

3 Q. And is it your testimony that you never intended  
4 to produce lower Morrow in that well?

5 A. No, that's not my testimony. If we would have  
6 had virgin pressure, we would have gone ahead and attempted  
7 to complete the well, because it would have been separate  
8 from the well in Section 30.

9 Q. You would never have produced that well if you  
10 had not had virgin pressure; is that your testimony?

11 A. My testimony is that after that testing we would  
12 decide whether to complete the well or to sidetrack it.  
13 Our intent probably was that the pressure was depleted, to  
14 sidetrack it and see if we could get into a unique  
15 reservoir.

16 Q. But you were at that point testing this very  
17 formation, and the well was substantially closer than the  
18 location we're talking about?

19 A. That's correct.

20 Q. If we look at Exhibit Number 2, again, and we  
21 accept the geological interpretation, the pod that we have  
22 over Section 30 basically covers in excess of 320 acres,  
23 does it not?

24 A. I'm sorry, what?

25 Q. Covers in excess of 320 acres?

1 A. On the --

2 Q. On Exhibit Number 2?

3 A. The yellow pod does, but you need to cut it off  
4 from the gas-water contact. And so above the gas-water  
5 contact, my estimate in looking at his mapping is that  
6 there's about 360 acres that are above the gas-water  
7 contact.

8 Q. Below the gas-water contact, is there no gas  
9 contribution?

10 A. Below the gas-water contact?

11 Q. Yes.

12 A. I don't believe so.

13 Q. And that line was drawn using a 40-percent  
14 saturation?

15 A. The geologists picked that based on their  
16 calculations of water saturation.

17 Q. And the 60-percent gas below that point would not  
18 be produced; is that your testimony?

19 A. That is correct.

20 Q. You do believe 320-acre spacing is appropriate  
21 for the reservoir?

22 A. Yes.

23 Q. If we look at the well, the well -- Sinagua? I'm  
24 having --

25 A. Sinagua.

1 Q. Sinagua, in Section 18 --

2 A. Yes.

3 Q. -- have you calculated recoverable reserves for  
4 that well?

5 A. Yes.

6 Q. And what did you come up with?

7 A. 6.7 BCF.

8 Q. And have you run volumetrics and have you  
9 satisfied yourself that in fact you could fit the 6.7 BCF  
10 in that tract?

11 A. At virgin pressure it would have fit under that  
12 tract.

13 Q. And what pressures were you using? What  
14 bottomhole pressure did you use?

15 A. Well, the calculations that I did were based on  
16 the original reservoir pressure in the well, and it was  
17 about 550 acres, based on the depleted pressure.

18 Q. When Mr. Gabbard testified, you understood that  
19 he said that 4.3 BCF was what he considered necessary to  
20 make a successful well; did you understand --

21 A. No, I didn't hear him say that. I heard him say  
22 that that was his unrisks reserves on what he thought was  
23 the --

24 Q. All right, that's right.

25 A. -- potential for that unit.

1 Q. Right. And you understood that was unrisked?

2 A. Yes.

3 Q. And that you assign a risk to that?

4 A. Yes.

5 Q. Now, when you go out and drill, no matter what  
6 you do in terms of calculating this, you would agree with  
7 me that anytime you attempted to complete a well in the  
8 Morrow in this area, there is substantial risk associated  
9 with that?

10 A. To drill and complete a well, yes.

11 Q. And as we move out from this proposed location  
12 and go to the north, you are increasing the risk, are you  
13 not?

14 A. I think there's some questions about whether the  
15 original OXY well is productive. The resistivity on the  
16 well was very low and was not completed by OXY originally,  
17 probably because they thought it was wet, based on log  
18 calculations. So in one aspect, by getting structurally  
19 updip you are reducing the risk of doing a wet well.

20 If we do get a unique pod here in this east half  
21 of Section 19, there is a possibility that it has a  
22 different water contact than the well in 30 or the well up  
23 in 7, because those two wells do have different water  
24 contacts. So if you are at the bottom of a new pod, it  
25 could be wet also. So you want to get updip to stay above

1 a water contact, even though I have not identified one in  
2 the pod on the east half of 19.

3 Q. Is it your testimony that you have a lower risk  
4 associated with moving the well to a standard location,  
5 going 1650 off the south line in Section 19?

6 A. Yes.

7 Q. Do you believe that this is a high-risk well?

8 A. In -- ?

9 Q. In 19, if you would move to that location?

10 A. I think it would be less risky than the well that  
11 they're talking about drilling.

12 Q. Santa Fe has an opportunity to elect to  
13 participate in that well, do they not?

14 A. We are evaluating that.

15 Q. And that's through some contractual arrangements  
16 with Louis Dreyfus; isn't that right?

17 A. I think it's the AMI that was referred on that  
18 other map --

19 Q. Do you --

20 A. -- I'm not sure.

21 Q. Do you also have other arrangements with  
22 Southwestern and other people whereby you could acquire  
23 interest --

24 A. Yes.

25 Q. -- in this property?

1           And have you made any determination on that at  
2 this point?

3           A.    No, I have not.

4           Q.    Have you made any decision as to whether or not  
5 you consider this of such high risk if you move to a  
6 standard location that you would not participate?

7           A.    Basically, this is beyond our authority at the  
8 local level and we have to present it to our corporate  
9 management, and we haven't had the opportunity to do that  
10 yet.

11          Q.    Were you involved with the effort to sidetrack  
12 that OXY well and drill directionally off toward the north  
13 and the west?

14          A.    Yes.

15          Q.    And you would agree with me that whenever we  
16 attempt to drill in the Morrow, we are encountering  
17 substantial risk?

18          A.    I would also note that we kicked that well off  
19 1300 feet to try to get far away from that existing  
20 wellbore. So, you know, as far as far as kicking it off to  
21 get -- you know, closer is better -- we thought a better  
22 location is 1378 feet away.

23          Q.    From the data that you --

24          A.    And Louis Dreyfus agreed with that when we did  
25 it.

1 Q. And the data that you had available, if I look at  
2 the mapping we have in the well in the western half of  
3 Section 30, 4 feet --

4 A. I'm sorry, west --

5 Q. West half of Section 30, the Topaz well --

6 A. Okay.

7 Q. -- your well, what do we have? Four feet there?

8 A. Yes.

9 Q. And then we go north up to the OXY well, we have  
10 six feet there. Isn't it possible that what we've got is  
11 the --

12 A. I don't have that map, I'm sorry, I don't --  
13 geologic exhibits.

14 MR. KELLAHIN: Two?

15 MR. CARR: Three.

16 MR. KELLAHIN: Oh, you have 2. There's 3.

17 THE WITNESS: Okay.

18 Q. (By Mr. Carr) If I look at the map, the well in  
19 30 appears to have 4 feet in it, based on this mapping,  
20 correct?

21 A. Okay.

22 Q. And you go to the OXY location, you have six  
23 feet?

24 A. That's correct.

25 Q. Isn't it a reasonable interpretation that instead

1 of having a unique reserve in Section 19, we just have a  
2 reservoir that's improving as it moves in that direction?

3 A. Well, actually it's -- the gross sand is less.  
4 So I mean, it's -- The only reason there's four feet in the  
5 Topaz 30 is because it's structurally downdip. You go 14  
6 feet updip to that well and you have 14 feet of pay.

7 Q. I understand it's your interpretation that you've  
8 got a separate, isolated pod. But I'm just saying, looking  
9 at this data, isn't it possible that we just have a common  
10 reservoir extending off into the east half of Section 19?

11 A. The same as in the 30?

12 Q. Yes.

13 A. That's what he's mapped, yes.

14 Q. Okay. And based on just the general nature of  
15 the Morrow, wouldn't you agree with me that you might have  
16 a unique sand and also a continuous sand in that area?

17 A. What do you mean by "unique" and "continuous"?

18 Q. Well, you're talking about intersecting or  
19 encountering a unique, separate or new pod that has  
20 separate reserves in it, in the Morrow, at a standard  
21 location.

22 A. Yeah, I'm looking for a well that has a virgin  
23 reservoir pressure.

24 Q. And isn't it possible that if you drill a well up  
25 there on the Morrow, just because of the nature of the



1     Morrow, you could have that, and also encounter another  
2     zone that's continuous across the area?

3             A.     I guess that's possible.

4             Q.     And the problem we have is that no matter what we  
5     do, if your interpretation is correct and we drill at the  
6     standard location, as to the reserves that are available to  
7     the Topaz well and also present in the southeast of 19, we  
8     will never get those reserves in 19?

9             A.     Right.

10            Q.     Okay.

11            A.     And I'll add that my estimate of those reserves  
12     are about a quarter of a BCF right now --

13            MR. CARR:   That's all I --

14            THE WITNESS:  -- based on this mapping.

15            MR. CARR:   Thank you, that's all.

16            EXAMINER STOGNER:  Mr. Kellahin?

17            MR. KELLAHIN:  Nothing further, sir.

18                               EXAMINATION

19     BY EXAMINER STOGNER:

20            Q.     Okay, let's first look at Exhibit Number 3.  This  
21     is one I've referenced.  Now, the west half of 19 is not  
22     being produced by anybody; is that correct?

23            A.     That well is produced out of the middle Morrow  
24     right now.

25            Q.     In the bottomhole location over to the --

1           A.    -- to the west.

2           Q.    -- far west?

3           A.    Yes.

4           Q.    Okay.  So if your proposed location at a standard  
5   location, the east half of 19, is drilled and a reservoir,  
6   a unique reservoir, is obtained, would Santa Fe consider  
7   drilling up in the northwest quarter?

8           A.    I would think if they found a unique well, what  
9   we would do is, we would drill a well offsetting the Topaz  
10   19-1 and drill a directional well up to the north in that  
11   wellbore also.

12                We can't drill in the northwest quarter because  
13   of the potash problem.  We're stuck around the old  
14   producing wells.

15                And so we would basically -- to protect the west  
16   half, we would have to offset the Sinagua 19-1 and kick it  
17   to the north.

18           Q.    Or perhaps go up there in 18 and kick off.  But  
19   anyway, you'll try to get those reserves in the northwest  
20   quarter, right?

21           A.    Uh-huh.

22           Q.    Why?

23           A.    I'm sorry, what?

24           Q.    Why would you do that?

25           A.    Because they're unique reserves.

1 Q. Well, they wouldn't be unique, because the well  
2 in the east half of 19 discovered it, so they wouldn't be  
3 unique anymore.

4 So why would Santa Fe want to get the production  
5 in the northwest quarter now?

6 A. If that well was discovered, then we would have  
7 the opportunity to protect our interest in what was not  
8 drained underneath our lease, to go get what's not drained,  
9 and we would do it with a legal location.

10 Q. Well, if you didn't have a legal location, you  
11 would not even consider drilling an unorthodox?

12 A. Well, we would consider drilling at an  
13 unorthodox, and that's in effect what we did when we  
14 re-entered the 19-1. And the reasoning behind that was, is  
15 that those were reserves that would not be recovered by the  
16 Topaz 30-1.

17 Q. But you would go after those reserves in the  
18 northwest, you would feel compelled to?

19 A. Sure.

20 Q. Good. Sort of like what Chi is doing now?

21 A. Uh-huh.

22 EXAMINER STOGNER: That's all the questions I  
23 have.

24 Any other questions of this witness?

25 MR. KELLAHIN: Yes, sir.

## FURTHER EXAMINATION

BY MR. KELLAHIN:

Q. Let's look at Mr. Stogner's hypothetical. Let's look at the opportunity in 19. Let's assume that Chi does get unique reserves. Aren't there some additional factors you have to consider for the west half of 19? For example, whether or not there is enough gas that can be produced in order to make the well profitable?

A. That's correct, it would need to be a well that would have 4 BCF or something that Mr. Gabbard was talking about earlier. Under that scenario you could split those reserves and have an economic well.

Q. In order for the example in 19 to be the equivalent of the Topaz example, you would have to find new reserves for 19 that could not support the drilling of the second well?

A. That is correct.

Q. And so you simply waived your opportunity because it would be wasteful to drill the unnecessary well?

A. That is correct.

Q. And that's the way of life down there, is it not?

A. Yes, it is.

MR. KELLAHIN: No further question.

EXAMINER STOGNER: Okay. Anybody else have anything further?

1 MR. CARR: No, sir.

2 EXAMINER STOGNER: You may be excused.

3 Does anybody else have anything further in both  
4 of these cases?

5 MR. KELLAHIN: Yes, sir, I have a closing  
6 statement.

7 EXAMINER STOGNER: Okay, Mr. Kellahin?

8 MR. KELLAHIN: Mr. Examiner, let's -- I'd like to  
9 dismiss with you some of the contentions Chi has made to  
10 justify the location.

11 It would establish a highly unusual solution to  
12 suggest that it's okay to drill an unorthodox location if  
13 you afford the opportunity of the parties being encroached  
14 upon to participate in the offending well. You would have  
15 to ignore a substantial portion of the testimony in this  
16 case, because the testimony of this case is such that our  
17 belief is, the second well is unnecessary.

18 And you're faced with a circumstance then, the  
19 dilemma, that if Santa Fe, in order to protect itself from  
20 being watered out, has to spend additional money, receive  
21 an interest that's less than the interest they now have in  
22 order to capture reserves that the Chi well will drain from  
23 the Topaz property, it's ridiculous to suggest that  
24 offering a percentage, whatever that percentage is, fixes  
25 the problem. It doesn't. It's a red herring, it's a

1 sidetrack, it's a dead-end, it's a detour, it's a  
2 distraction from where you ought to focus your attention.

3 You have processed thousands of location  
4 exceptions, Mr. Examiner, I don't doubt that there are  
5 thousands of them. Look at what you do.

6 When you examine those applications,  
7 administratively or by hearing, the first thing you're  
8 looking at is the applicant's geologic case. Occasionally  
9 you will see them give you an isopach that shows you the  
10 standard location is better than the unorthodox location  
11 they want, and you kick it back to them saying, Applicant,  
12 this makes no sense. You want an unorthodox that is less  
13 favorable geologically than the standard location that's  
14 already suitable to you.

15 That circumstance exists here. When we look at  
16 the kinds of cases that you do approve, you're looking at a  
17 circumstance where the unorthodox location is the best  
18 opportunity in that spacing unit. That's why you justify  
19 it. It's that it is preferable, it is better, it is  
20 superior to anything they can do in any other standard  
21 position.

22 That is not their own testimony. With the  
23 exception of Mr. Gabbard who thinks that closer is better,  
24 Mr. Anderson tells us his best place is at a standard  
25 location. That's where he wants to be.

1           We have taken their case and given you the rest  
2 of the story. The rest of the story is that you can  
3 calculate enough recoverable gas in the east half of 19  
4 that can be accessed with a directional wellbore, and have  
5 a well that is hugely profitable. It's going to pay out in  
6 15 months. These people fight to have wells that will do  
7 that. That's a huge home run if they can do that. If it  
8 pays out in 30 months, they're happy. Highly profitable.

9           The Applicant has failed to demonstrate the  
10 necessity of what they want you to do. It ought to be  
11 denied. You establish a different position for Mr. Carr  
12 and I to come back to you then for all these location  
13 exceptions. We can present a case and ignore our own proof  
14 and say, Here's what we need to do, Mr. Examiner. In each  
15 and every instance, if there is an existing well at a  
16 standard location and there is a sliver of that reservoir  
17 on my spacing unit, then shame on you if you don't let us  
18 have that chance. Well, if you do that, even with a  
19 penalty, I think you've run afoul of the definition of  
20 correlative rights.

21           Now, Mr. Carr wants to argue, I've got to have  
22 this unorthodox location. If I don't get it, then the  
23 Topaz well gets my remaining gas, and that can't be fair.

24           Sure it's fair, it happens all the time. And  
25 it's fair because in order to get their remaining share of

1 that sliver at this late date in the game, they have to  
2 drill an unnecessary well. They're also asking you to  
3 force-pool this acreage to avoid drilling unnecessary  
4 wells. How are they going to have it both ways? That well  
5 is unnecessary.

6 By their own proof they show you the remaining  
7 recoverable gas is only 1.4 BCF of gas. 1.4. They can't  
8 pay for the Chi well. They can't pay for the Chi well, and  
9 if they get the Chi well there, they damage the Topaz well.  
10 Is that what we do here?

11 In the masquerade of protecting correlative  
12 rights, you're going to incur economic waste, allow an  
13 unnecessary well to be drilled, damage an existing well.

14 This is one that you ought to tell them no. No  
15 penalty can solve this problem. The only answer is the one  
16 they should have been exploring, and that's to file the  
17 paperwork at the BLM, and let's test the BLM on how much  
18 potash is there to be wasted on a vertical wellbore? Let's  
19 go through that exercise. Let's find out if that potash is  
20 worth more than 4.5 BCF of recoverable gas in the east half  
21 of 19. Let's test that process. There is a process  
22 available. Let them file that application. Let's make the  
23 potash people come in here and justify that. That's where  
24 they need to go first. They don't need to come in here and  
25 damage the Santa Fe well.



1           We ask that you deny this Application, because  
2           that's the right thing to do.

3           EXAMINER STOGNER: Mr. Carr?

4           MR. CARR: May it please the Examiner, in the  
5           midst of all the frenzy that Mr. Kellahin is trying to  
6           create, I think it's important to take a look at what's  
7           happened in this area for some period of time.

8           We have a number of operators that cooperatively  
9           have attempted to develop the Morrow reserves. Now Chi  
10          comes before you, and they're proposing a well in the east  
11          half of Section 19. They're really attempting to do just  
12          what's been done before by other operators in the field,  
13          they want to economically test the Morrow, just as Santa  
14          Fe, Louis Dreyfus and others tried to economically look at  
15          the Morrow in the southwest quarter of Section 19.

16          With a location that is as close to the southern  
17          boundary, or at least using as the basis for any penalty  
18          calculations a figure which is the location which was used  
19          by Santa Fe, Louis Dreyfus and others in the southwest of  
20          the section, we do prefer a standard location. But we are  
21          in the potash area.

22          Mr. Kellahin has always great ideas for everyone  
23          else. Our economics are always better, according to him,  
24          than we view them. We always have an opportunity to just  
25          straighten things out at the BLM or in the federal court or

1 in the state Supreme Court.

2 But the fact of the matter is that we have potash  
3 problems, we have an unorthodox surface location, we have  
4 to directionally drill, which will increase our costs, to a  
5 high-risk formation, and it may jeopardize the well.

6 And so what we've come here before you requesting  
7 is approval of an unorthodox location for a straight hole  
8 with a reasonable penalty, or authority to drill to an  
9 unorthodox bottomhole location, moving father away from the  
10 Santa Fe well in Section 30.

11 We're seeking a penalty, Mr. Stogner, based on  
12 the 660-foot setback. That is not consistent with the  
13 rule. It would be if we oriented the spacing unit in a  
14 different way and if we let surface determinations control  
15 over what happened in the reservoir. But until the rules  
16 can be changed those are the rules, and we know that.

17 And we explain that we did that because we were  
18 trying to just continue to do what others have done, and so  
19 we're asking you to use that as the basis for the  
20 imposition of a penalty. We believe it's fair, and we  
21 believe it's in line with what has been done in the area  
22 before.

23 But the real reason we're asking for this is, we  
24 believe, based on our economics, that if the well is  
25 penalized as we recommended, then in fact the well will be

1 drilled and all owners in the acreage, then, will be able  
2 to participate in the production from the acreage. And all  
3 those owners will almost certainly include Santa Fe.

4 It's very simple. We'd like to be 480 feet from  
5 the south line with a 27-percent penalty, or 760 feet with  
6 none, and that's what we're asking for. We believe if  
7 that's approved, the acreage will be developed, and we will  
8 have an opportunity to produce what's under our tract.

9 And yet when you listen to the proposal advanced  
10 by Santa Fe, the net effect is to move us out of a portion  
11 of the reservoir and move us away from acreage that is  
12 productive, that we will have a right to operate and put  
13 our well in the position that if their interpretation is  
14 correct, we won't be able to access those reserves.

15 Mr. Kellahin talks about the fact that I will  
16 want to talk about correlative rights. Well, I do. And he  
17 always suggests I'm going to misspeak, but he needs to  
18 remember what the definition is. The definition is an  
19 opportunity to produce what is recoverable under your  
20 acreage. And they want to move us to a point where we  
21 cannot produce reserves that are recoverable.

22 We request that the Applications be granted, that  
23 the penalties we request be imposed. And by doing so, we  
24 believe you will protect correlative rights, you will  
25 prevent waste, and the reservoir will be developed.

1 EXAMINER STOGNER: Thank you, Mr. Carr.

2 Anything else?

3 Then in that case, Cases 12,157 and 12,158 will  
4 be taken under advisement at this time.

5 And the hearing is adjourned.

6 (Thereupon, these proceedings were concluded at  
7 4:15 p.m.)

8 \* \* \*

9  
10  
11  
12  
13  
14 I do hereby certify that the foregoing is  
15 a complete record of the proceedings in  
the Examiner hearing of Case No. 12,158,  
16 heard by me on 15 April 1949.  
Michael E. Stogner, Examiner  
17 Of Conservation Division  
18  
19  
20  
21  
22  
23  
24  
25


## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO    )  
                                  )   ss.  
COUNTY OF SANTA FE    )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL April 18th, 1999.



STEVEN T. BRENNER  
CCR No. 7

My commission expires: October 14, 2002