

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)

CASE NO. 12,215

APPLICATION OF ANADARKO PETROLEUM)
CORPORATION FOR DOWNHOLE COMMINGLING,)
LEA COUNTY, NEW MEXICO)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

August 5th, 1999

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, August 5th, 1999, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

OIL CONSERVATION DIV.
99 AUG 30 AM 8:52

I N D E X

August 5th, 1999
Examiner Hearing
CASE NO. 12,215

	PAGE
EXHIBITS	3
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>RICHARD LAUDERDALE</u> (Engineer)	
Direct Examination by Mr. Kellahin	5
Examination by Examiner Catanach	13
REPORTER'S CERTIFICATE	15

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	13
Exhibit 2	7	13
Exhibit 3	8	13
Exhibit 4	9	13
Exhibit 5	10	13
Exhibit 6	11	13

* * *

A P P E A R A N C E S

FOR THE DIVISION:

BRUCE ROGOFF
 Attorney at Law
 Legal Counsel to the Division
 2040 South Pacheco
 Santa Fe, New Mexico 87505

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
 117 N. Guadalupe
 P.O. Box 2265
 Santa Fe, New Mexico 87504-2265
 By: W. THOMAS KELLAHIN

* * *

1 WHEREUPON, the following proceedings were had at
2 9:16 a.m.:

3 EXAMINER CATANACH: Okay, at this time I'll call
4 Case 12,215, which is the Application of Anadarko Petroleum
5 Corporation for downhole commingling, Lea County, New
6 Mexico.

7 Call for appearances in this case.

8 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
9 the Santa Fe law firm of Kellahin and Kellahin, appearing
10 on behalf of the Applicant, and I have one witness to be
11 sworn.

12 EXAMINER CATANACH: Any other appearances?
13 Will the witness please stand to be sworn in?
14 (Thereupon, the witness was sworn.)

15 MR. KELLAHIN: Mr. Catanach, this is an
16 Application by Anadarko for downhole commingling. They're
17 seeking to take the Walden Number 12 well and downhole
18 commingle production from the Penrose Skelly-Grayburg Pool,
19 with production from the Southwest Eunice-San Andres Pool.

20 The well currently produces from the Grayburg
21 Pool. They want to prolong the life of this wellbore to
22 recover what additional oil could be produced out of the
23 San Andres, and so they want to add the San Andres.

24 The Application was filed administratively. It's
25 our understanding that it meets all the requirements for

1 approval for downhole commingling with the exception that
2 the anticipated water production from the San Andres will
3 be a volume in excess of what you're allowed to approve
4 administratively under 303.C.

5 Our witness is Mr. Richard Lauderdale. Mr.
6 Lauderdale is the production engineer that filed the
7 administrative application and understands the details and
8 circumstances of the Application.

9 RICHARD LAUDERDALE,
10 the witness herein, after having been first duly sworn upon
11 his oath, was examined and testified as follows:

12 DIRECT EXAMINATION

13 BY MR. KELLAHIN:

14 Q. Mr. Lauderdale, for the record, sir, would you
15 please state your name and occupation?

16 A. Richard Lauderdale, production engineer for
17 Anadarko Petroleum Corporation.

18 Q. When and where did you obtain your engineering
19 degree?

20 A. I obtained my engineering degree in 1996 from
21 Texas Tech University.

22 Q. And what are your current responsibilities for
23 Anadarko?

24 A. I'm the production engineer for the Level Land
25 properties as well as the New Mexico properties that

1 Anadarko operates.

2 Q. This microphone is just for the court reporter,
3 and there's a ceiling fan in the false ceiling that's hard
4 for me to hear you, sir. So if you speak up, I think it
5 will be easier to hear your presentation.

6 Has it been your responsibility to prepare the
7 Division Form C-107.A for downhole commingling?

8 A. Yes, sir.

9 Q. And you, in fact, did that?

10 A. Yes, sir.

11 Q. All right, and you're familiar with the
12 engineering aspects and the information concerning the
13 Number 12 well?

14 A. Yes, sir.

15 MR. KELLAHIN: We tender Mr. Lauderdale as an
16 expert production engineer.

17 EXAMINER CATANACH: Mr. Lauderdale is so
18 qualified.

19 Q. (By Mr. Kellahin) Mr. Lauderdale, let's take
20 Exhibit 1 of the exhibit package and have you identify for
21 us where this well is located.

22 A. The well is located in Section 15 of Township 22,
23 Range 37 East, in Lea County. It's denoted in the yellow.
24 It is Well Number 12 in the E.W. Walden lease.

25 Q. All right, what are you proposing to do?

1 A. I would like to downhole commingle the Penrose-
2 Skelly Grayburg and the Eunice Southwest-San Andres. The
3 well is currently only completed -- or only producing from
4 the Penrose-Skelly Grayburg.

5 Q. Approximately what is the current rates of
6 production from the well as it is now configured for
7 production out of the Grayburg?

8 A. The current daily production rate is about one to
9 two barrels of oil a day and about two to four barrels of
10 water a day and about 20 MCF of gas a day.

11 Q. Based upon your studies, what do you anticipate
12 to be the production attributable to the San Andres Pool?

13 A. Based on tests that were performed when the well
14 was originally drilled and before we were able to commingle
15 the zones, the San Andres test was about 25 barrels of oil
16 a day and about 250 barrels of water per day.

17 Q. Let's set aside Exhibit 1 and have you identify
18 for the record what is marked as Anadarko Exhibit 2.

19 A. This was the application that I filed to try to
20 get administrative approval to downhole commingle the
21 Penrose Skelly-Grayburg in the Southwest Eunice-San Andres.

22 Q. I've numbered the pages of your administrative
23 application, Mr. Lauderdale. If you'll turn with me to
24 page number 10, describe for me and for Mr. Catanach how
25 this wellbore is configured.

1 A. The wellbore is configured as shown on the
2 wellbore schematic, of which the bottom perforations are
3 the San Andres. They are isolated by a cast-iron bridge
4 plug and ten feet of cement, and then the current and
5 producing perforations are in the Penrose Skelly-Grayburg.

6 Q. If Mr. Catanach approves the commingling, how
7 will you alter the wellbore configuration?

8 A. Basically, it will involve drilling out the cast-
9 iron bridge plug and running in with the current production
10 equipment as shown in the schematic.

11 Q. All right. Set aside Exhibit 2 for a moment.
12 Let's turn to Exhibit 3. What are we looking at with
13 Exhibit 3?

14 A. Exhibit 3 is a production plot of the Penrose
15 Skelly-Grayburg in the E.W. Walden Number 12, and only the
16 Penrose Skelly-Grayburg.

17 Q. All right, and this is the data that supports
18 your conclusion about the minimal oil production from that
19 zone?

20 A. Yes, sir.

21 Q. What is the benefit to Anadarko and the interest
22 owners that are entitled to share in production from this
23 well if commingling is approved?

24 A. We can efficiently and effectively produce more
25 of the reserves from the Penrose Skelly-Grayburg beyond

1 what would be produced by simply leaving it a Penrose
2 Skelly-Grayburg producer.

3 Q. Let's turn to Exhibit 4 and have you illustrate
4 to Mr. Catanach the support for your opinion about the
5 forecasted production from the San Andres Pool.

6 A. This is the two different intervals of the San
7 Andres that was originally perforated, and the tests are
8 shown as well.

9 Q. There are a range of oil rates and water rates
10 tested over the test period, are there not?

11 A. Yes, sir.

12 Q. What's your anticipated average oil rate and
13 water rate for the San Andres? Do you have an estimate?

14 A. It seems to me that that has seemed to stabilize
15 at around 25 barrels of oil a day and around 250 to 300
16 barrels of water a day in that.

17 Q. What is the current Division rule with regards to
18 the amount of water produced in association with the oil
19 that's been commingled?

20 A. I believe the rule is that you cannot produce
21 more than two times the amount of water from the top --
22 from the shallowest zone, which is the Penrose Skelly-
23 Grayburg, you cannot produce more than two times the amount
24 of water as the top oil allowable.

25 Q. And what is your oil allowable in the Grayburg?

1 A. It is 80 barrels of oil per day.

2 Q. All right, it's 160 barrels, and so there's the
3 real probability that you'll exceed that number?

4 A. I believe so.

5 Q. Can that number be exceeded in this wellbore
6 without causing waste or impairing correlative rights?

7 A. Yes, sir.

8 Q. And why is that so?

9 A. I have two exhibits which -- We think the main
10 concern in producing this well would be precipitant
11 formation, inhibiting production.

12 Q. All right, let's turn to Exhibit 5 and have you
13 describe your conclusion that the commingling of fluids and
14 waters is not going to cause you any kind of compatibility
15 problem.

16 A. This is a result of two waters that were obtained
17 from leases that Anadarko operates as -- to the end of last
18 month. One was a San Andres water which is from the Hugh
19 13. The other is the Penrose Skelly-Grayburg, water that
20 was taken from the E.W. Walden Number 12.

21 And Martin Water Labs performed water analysis,
22 and in their opinion they find no precipitant, and these
23 waters are compatible.

24 Q. How recent is this test data and results?

25 A. It was the end of last month.

1 Q. Are you satisfied that based upon this analysis
2 and your other information, there is not a compatibility or
3 a scaling problem if downhole commingling is approved?

4 A. Yes, sir.

5 Q. What is another possible concern that you would
6 have as a production engineer with the commingling of a
7 zone that's been depleted with another zone that has a
8 substantial quantity of water associated with its oil
9 production?

10 A. The main concern there would be crossflow.

11 Q. Have you made a calculation to determine whether
12 this wellbore is configured with surface facilities and
13 subsurface equipment such that you will be able to keep it
14 pumped off?

15 A. Yes, sir.

16 Q. Let's turn to Exhibit 6 and have you identify and
17 describe the support for that opinion or conclusion.

18 A. Exhibit 6 is a RODSTAR, which is what we use to
19 calculate pump efficiency and pump capacity of our downhole
20 equipment, and in this run we are using the current
21 equipment that we have. And up in the right-hand corner,
22 the production rate of 282 barrels per day at 85-percent
23 efficiency is shown. Therefore, with no changes I believe
24 we can keep this well in a pumped-off condition.

25 Q. If there is a change that's necessitated by the

1 fact that your production rate of fluids might exceed 282 a
2 day, what would yo have to do?

3 A. We are prepared to install a bigger pump, move
4 pumping unit equipment as necessary to keep the well pumped
5 off.

6 Q. And that's all you'd have to do?

7 A. Yes, sir.

8 Q. You don't have to change downhole configurations
9 or anything else like that?

10 A. No, sir.

11 Q. Is there an opportunity to Anadarko as operator
12 of this Walden lease and similar wells in this vicinity to
13 commingle Grayburg and San Andres production on other
14 wells?

15 A. Yes, sir.

16 Q. And in all probability this water issue is likely
17 to impact those subsequent applications, would it not?

18 A. Yes, sir.

19 Q. Do you think this would be typical of the
20 circumstances associated with similar wells commingled in
21 these two pools?

22 A. Yes, sir.

23 Q. This is not an atypical situation with regards to
24 the Walden 12?

25 A. No, sir.

1 Q. In summary, then, Mr. Lauderdale, will approval
2 of this Application be in the best interests of
3 conservation, the prevention of waste and the protection of
4 correlative rights?

5 A. Yes, sir.

6 MR. KELLAHIN: Mr. Catanach, we move the
7 introduction of Anadarko's Exhibits 1 through 6.

8 EXAMINER CATANACH: Exhibits 1 through 6 will be
9 admitted as evidence.

10 EXAMINATION

11 BY EXAMINER CATANACH:

12 Q. Mr. Lauderdale, as far as allocating production
13 in this well, is that included in your Application?

14 A. Yes, sir, it is.

15 Q. And that is based on -- Is that based on the
16 anticipated San Andres rate?

17 A. Yes, sir.

18 Q. Is it the average that you've used?

19 A. Yes, sir.

20 Q. 25 barrels of oil per day?

21 A. Yes, sir.

22 Q. Do you anticipate any gas production from that
23 zone?

24 A. There has been evidence that we will see some gas
25 production from the San Andres.

1 Q. Okay, so you've got some 93 percent of the gas
2 allocated to the San Andres?

3 A. Yes, sir.

4 EXAMINER CATANACH: I have nothing further. This
5 witness may be excused.

6 Anything further in this case, Mr. Kellahin?

7 MR. KELLAHIN: No, sir.

8 EXAMINER CATANACH: There being nothing further,
9 Case 12,215 will be taken under advisement.

10 (Thereupon, these proceedings were concluded at
11 9:28 a.m.)

12 * * *

13
14
15 I do hereby certify that the foregoing is
16 a correct record of the proceedings in
17 the above hearing of Case No. 12215,
heard by me on April 5 1959.
18 Daniel R. Catanach, Examiner
19 Of Conservation Division
20
21
22
23
24
25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL August 9th, 1999.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 2002