

ILLEGIBLE

Page 1

NEW MEXICO OIL CONSERVATION DIVISION

EXAMINER HEARING

SANTA FE, NEW MEXICO

Hearing Date JANUARY 20, 2000 Time 8:15 A.M.

NAME	REPRESENTING	LOCATION
D.B. Champlin	Altura Energy Ltd	Houston, TX
Stella Wilson	Altura Energy Ltd	Houston, TX
PAUL R OWEN	Cameron, Carr, Beck & Sullivan	Santa Fe
SCOTT HALL	MILLER LAND FIRM	SF
MITCH CHENEY	T.L. COX	
Mike Brown	Manzano Oil	Rowell
William J. [Signature]	Chapman, [Signature] & [Signature]	Santa Fe
James [Signature]	—	SF
James Hark	Ocean Energy	Houston, TX
RICHARD CONCOEN	ENERGEN RES	FARMINGTON
JOE NIEDERHARTEN	ENERGEN RES	FARMINGTON
BRIAN BLOME	OCEAN ENERGY	HOUSTON, TX
Robert Silver	Ocean Energy	Houston, TX
DEROLD MANEY	OCEAN ENERGY	HOUSTON, TX
ALAN ALEXANDER	BURKINSON RESOURCES	FARMINGTON

ROBERT HENRY	CHESAPEAKE	OKC, OK
LEONARD HENSON	OKC	OKC, OK
DOUGLAS HENSON	CHESAPEAKE	OKC, OK
RANDY GREGORY	CHESAPEAKE	OKC, OK
MARK NEARBERG	AMERISTATE	AUSTIN, TX
JOHN HERBIE	SELF	OKC, OK
THOMAS M. BEALL	SELF	OKC, OK

STATE OF NEW MEXICO
 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
 OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
 THE OIL CONSERVATION DIVISION FOR THE)
 PURPOSE OF CONSIDERING:)

CASE NO. 12,342

APPLICATION OF HOME-STAKE OIL AND GAS)
 COMPANY FOR AN INCREASE IN THE DEPTH)
 BRACKET ALLOWABLE FOR THE SOUTH)
 MCCORMACK-SILURIAN POOL, LEA COUNTY,)
 NEW MEXICO)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MARK ASHLEY, Hearing Examiner

January 20th, 2000

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MARK ASHLEY, Hearing Examiner, on Thursday, January 20th, 2000, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

January 20th, 2000
 Examiner Hearing
 CASE NO. 12,322

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>BARBARA COURTNEY LONG</u> (Landman)	
Direct Examination by Mr. Bruce	5
Examination by Examiner Ashley	8
<u>LARRY TARWATER</u> (Engineer)	
Direct Examination by Mr. Bruce	9
Examination by Examiner Ashley	16
REPORTER'S CERTIFICATE	23

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	8
Exhibit 2	7	8
Exhibit 3	11	16
Exhibit 4	12	16

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

JAMES G. BRUCE, Attorney at Law
3304 Camino Lisa
Santa Fe, New Mexico 87501
P.O. Box 1056
Santa Fe, New Mexico 87504

* * *

1 WHEREUPON, the following proceedings were had at
2 8:23 a.m.:

3
4 EXAMINER ASHLEY: This hearing will come to order
5 for Docket Number 02-00. Please note today's date, January
6 20th, 2000.

7 I'm Mark Ashley, appointed Hearing Examiner for
8 today's cases. And Mr. Rand Carroll is the Division-
9 appointed attorney for today's cases.

10 And by the way, I just want to let everybody know
11 that this is Rand's last hearing as counsel. He'll be
12 leaving effective next Thursday to go to work as a Hearing
13 Examiner for the State Engineer. We wish him the best.

14 At this time the Division calls Case 12,322.

15 MR. CARROLL: Application of Home-Stake Oil and
16 Gas Company for an increase in the depth bracket allowable
17 for the South McCormack-Silurian Pool, Lea County, New
18 Mexico.

19 EXAMINER ASHLEY: Call for appearances.

20 MR. BRUCE: Mr. Examiner, Jim Bruce of Santa Fe,
21 representing the Applicant. I have two witnesses to be
22 sworn.

23 EXAMINER ASHLEY: Additional appearances?

24 Will the witnesses please stand to be sworn in?

25 (Thereupon, the witnesses were sworn.)

1 BARBARA COURTNEY LONG,

2 the witness herein, after having been first duly sworn upon
3 her oath, was examined and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. BRUCE:

6 Q. Would you please state your name and city of
7 residence for the record?

8 A. Barbara Courtney Long. I'm from Tulsa, Oklahoma.

9 Q. And who do you work for and in what capacity?

10 A. Home-Stake Oil and Gas Company. I'm vice
11 president of the land department.

12 Q. Have you previously testified before the
13 Division?

14 A. No, I have not.

15 Q. Would you please summarize your educational and
16 employment background?

17 A. Well, I have 23 years' experience in the oil and
18 gas business. I started in the Industry in 1975. 1976 I
19 worked for a chemical company in El Dorado, Arkansas, set
20 up their land department, maintained all their records,
21 made all their payments. 1980 I moved to Fort Smith,
22 Arkansas, and went to work as a broker checking oil and gas
23 records, buying leases. And in two years I moved in-house
24 and worked as a crew chief for the other land offices,
25 landmen.

1 In 1984 I moved to Home-Stake as the land
2 department administrator and have handled all functions of
3 the land department since then, including Division orders,
4 lease records, revenue distribution, preparing all
5 contracts. My degree is not in oil and gas.

6 Q. And does your area of responsibility at Home-
7 Stake include southeast New Mexico?

8 A. Yes, it does.

9 Q. And are you familiar with the land matters
10 involved in this case?

11 A. Yes, I am.

12 MR. BRUCE: Mr. Examiner, I'd tender Ms. Long as
13 an expert petroleum landman.

14 EXAMINER ASHLEY: Ms. Long is so qualified.

15 Q. (By Mr. Bruce) Briefly, what does Home-Stake Oil
16 and Gas Company seek in this case?

17 A. We seek an increase in the depth bracket
18 allowable for the South McCormack-Silurian field from 187
19 barrels a day to 320 barrels a day, and our engineer will
20 explain or discuss the reasons why we'd like that.

21 Q. Now, referring to Exhibit 1, could you identify
22 that and discuss its contents for the Examiner?

23 A. Exhibit 1 is a land plat of a portion of Township
24 22, Range 37 East. Home-Stake's acreage is highlighted in
25 yellow. It's within the boundaries of the South McCormack-

1 Silurian Oil Pool, created in 1967 by Order Number R-3295,
2 and it's developed on statewide rules. It currently covers
3 1000 acres, but there are only two wells currently
4 producing in this pool.

5 Q. Who are the operators in this pool?

6 A. Home-Stake Oil and Gas Company and John Hendrix
7 Corporation.

8 Q. And was Hendrix notified of this Application?

9 A. Yes, they are, and they're our partner in this
10 well. They support our Application.

11 Q. Now looking at Exhibit 2, is that my affidavit of
12 notice, by the way?

13 A. Yes, it is.

14 Q. Now, there were several other parties notified,
15 other than Hendrix. Who are those parties?

16 A. Yarborough Oil and Gas was notified, Collins and
17 Ware, John H. Hendrix Corporation and Conoco.

18 Q. And those are other operators within a mile of
19 the pool who operate Fusselman or Silurian wells?

20 A. That's correct.

21 Q. Okay. That's not exactly required by the rules,
22 but you went a little above and beyond what was required?

23 A. Yes.

24 Q. Have you received any objections to this
25 Application?

1 A. No, we have not.

2 Q. What is Hendrix's position with respect to the
3 Application?

4 A. Hendrix owns 47 percent of our prospect, so they
5 support our Application.

6 Q. And you've spoken with them about the
7 Application?

8 A. Yes, and they would have been willing to sign a
9 letter if that's necessary, saying they support it.

10 Q. Okay. Were Exhibits 1 and 2 prepared by you or
11 under your direction, or compiled from company business
12 records?

13 A. Yes, they were.

14 Q. And in your opinion, is the granting of this
15 Application in the interests of conservation and the
16 prevention of waste?

17 A. Yes, it is.

18 MR. BRUCE: Mr. Examiner, I'd move the admission
19 of Home-Stake Exhibits 1 and 2.

20 EXAMINER ASHLEY: Exhibits 1 and 2 will be
21 admitted at this time.

22 EXAMINATION

23 BY EXAMINER ASHLEY:

24 Q. Miss Long, in Exhibit 1, what is the blue
25 outlined area, area of mutual interest? What is that?

1 A. That is our area of mutual interest with our
2 partners. Anything that's acquired within that area will
3 be shared by us. That was just on our computer.

4 Q. And where are the wells that you operate?

5 A. The southeast quarter of Section 22.

6 Q. Which well is that? Do you have a well name for
7 that?

8 A. The Sarah Johnston Number 1 and the Sarah
9 Johnston Number 2.

10 Q. And you said Hendrix has a well out here too?

11 A. They operate wells out here. I'm not sure if any
12 of them are in the Fusselman, but some of them are around
13 us in the -- maybe -- I don't remember the formation.

14 MR. BRUCE: I think Mr. Tarwater, our next
15 witness, can discuss that more fully. They operate a well
16 in this pool, which is currently not producing.

17 EXAMINER ASHLEY: Okay. I have nothing further.
18 Thank you.

19 LARRY TARWATER,
20 the witness herein, after having been first duly sworn upon
21 his oath, was examined and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. BRUCE:

24 Q. Would you please state your name for the record?

25 A. Yes, Larry Tarwater.

1 Q. And where do you reside?

2 A. Tulsa, Oklahoma.

3 Q. Who do you work for and what is your job there?

4 A. I work for Home-Stake Oil and Gas Company, and
5 I'm a production engineer there.

6 Q. Have you previously testified before the
7 Division?

8 A. No, I haven't.

9 Q. Would you please summarize your educational and
10 employment background?

11 A. Yes, I went to school, graduated from the
12 University of Tulsa with a bachelor of science in chemical
13 engineering, worked for -- that was in 1973 -- worked for
14 Phillips Petroleum and then a number of independents since
15 then and have worked for Home-Stake Oil and Gas as
16 production engineer since January of 1997.

17 Q. Does your area of responsibility include
18 southeast New Mexico?

19 A. Yes, it does.

20 Q. And are you familiar with the engineering matters
21 related to this Application?

22 A. Yes.

23 EXAMINER ASHLEY: Mr. Examiner, I'd tender Mr.
24 Tarwater as an expert petroleum engineer.

25 EXAMINER ASHLEY: Mr. Tarwater is so qualified.

1 Q. (By Mr. Bruce) Mr. Tarwater, could you identify
2 Exhibit 3 and discuss its contents for the Examiner?

3 A. Exhibit 3 is a map of the area. The heavy gray
4 outline is the border of the South McCormack-Silurian Pool,
5 encompassing all of 16 and parts of 21 and 22, Township 22
6 South, Range 37 East, Lea County.

7 What we try to depict here is, the Silurian wells
8 are colored in purple. As you look from the upper left or
9 the northwest, trending down to the southeast, you can see
10 -- I don't know how many, six or eight Silurian wells, all
11 of which are inactive. The only active wells in the pool
12 at this time are the Home-Stake wells Sarah Johnston Number
13 1 and the HSOG Number 2, which is the subject of this
14 hearing.

15 As you can see, the border of the pool pretty
16 well outlines or defines the field according to this
17 structure map that we've had prepared.

18 Q. What is on page 2 of Exhibit 3?

19 A. Page 2 is just a table that lists the wells in
20 the pool, the cumulative production from those wells, oil,
21 gas and water, according to published records. The first
22 production date, the last production date, and the current
23 production. As you can see from there, everything is
24 inactive except the two Home-Stake wells. The last
25 activity, last production shown by the records, was in

1 1982, so that's 16 years ago.

2 Q. So there was really no drilling activity in this
3 pool until Home-Stake came along a couple years ago or a
4 year and a half ago and drilled a couple of wells?

5 A. Right, we drilled our first well, the Sarah
6 Johnston Number 1, in the fall of 1998.

7 Q. Okay. Let's discuss the currently producing
8 wells in the pool. Could you move on to your Exhibit 4 and
9 identify that for the Examiner?

10 A. Yes. Exhibit 4 is a graph depicting both daily
11 production and flowing tubing pressures on the two Home-
12 Stake Silurian wells in this field.

13 The top two curves are production curves over the
14 first 60 days of the life of each of these two wells. The
15 red depicts the Sarah Johnston Number 1 that was drilled
16 first in 1998. The green is the HSOG Number 2 production
17 curve that is the subject of this hearing. And what's very
18 obvious here is, the first well, colored red, produced
19 steadily for about the first approximately 30 days and then
20 was up and down productionwise, as was the pressure
21 depicted by the red-dashed curve below.

22 The green curve that is the production on the
23 HSOG Number 2 shows a very flat, stable production rate
24 over its first 60 days, which by the way, its first 60 days
25 ended this past Monday, the 17th.

1 Q. What happened to the Number 1 well to cause it to
2 fluctuate in production?

3 A. Well, on our Number 1 well, it too started off
4 flowing. And we, in an attempt to keep it flowing, of
5 course, adjusted the choke size, and in an attempt to keep
6 things flowing at an optimal rate, it was not possible to
7 keep it constant. And in fact, about two months down the
8 road, off -- that would not be depicted here, but about two
9 months later it ceased flowing entirely and we had to put
10 it on the pump.

11 Q. Okay. What happened to the water production in
12 this well?

13 A. Well, the water -- On the first well, the Sarah
14 Johnston 1, it started off water-free, and then water -- we
15 began producing water. It seems fairly stable now, about a
16 year after going on pump. It is producing a little more
17 water than the HSOG 2, which is just producing about 16 or
18 18 barrels a day, very consistently.

19 Q. Is it your fear that if you have to reduce
20 production, adjust the choke size on the Number 2 well, the
21 same thing will happen as happened to the Number 1 well?

22 A. Well, as you can tell, we don't have a lot of
23 history here, either in number of wells or in production
24 time. It is, however, our fear based on our experience
25 here in this first well that if we begin adjusting the

1 choke and trying to really fine-tune everything, that it
2 could lead to completely ceasing flowing and having to put
3 it on pump, certainly decreased production.

4 Q. What type of reservoir is this, as far as the
5 drive mechanism?

6 A. This is a water-drive reservoir.

7 Q. Is it your opinion that if you adjust the choke
8 sizes and the same thing happens to the Number 2 well as
9 happened to the Number 1 well that it could increase the
10 water production also?

11 A. Yes, it could, uh-huh, as well as decrease oil.

12 Q. Will leaving the well producing at its current
13 rate harm the reservoir?

14 A. We really don't think so, and the reason we don't
15 think so is that we have seen, as evidenced by this curve,
16 a very consistent flow rate. The oil and gas both are very
17 constant, so hence the GOR is not fluctuating, the water is
18 not fluctuating. And I think that this choke setting is
19 not harming anything. We are at a very consistent rate
20 right now, and have been, really, since the beginning.

21 Q. What about the flowing tubing pressure?

22 A. It has fluctuated about 10 pounds or 10 p.s.i.
23 from inception and has been constant for about the last 45
24 days at 340 pounds.

25 Q. And what would this indicate to you?

1 A. Well, this would indicate this withdrawal rate is
2 not even enough to be evidenced by any decrease in flowing
3 tubing pressure or anything, that -- To our knowledge,
4 certainly no damage is being done to the reservoir. It's
5 not even indicating anything by falling pressure.

6 Q. So in your opinion, leaving the well at this rate
7 at approximately 230 barrels a day, number one, would not
8 harm the reservoir and, number two, could prevent what
9 happened to the Number 1 well?

10 A. Yes, it is.

11 Q. Now, when the OCD grants special pool rules, they
12 usually do it on a temporary basis. Is that acceptable to
13 Home-Stake?

14 A. Certainly, yes.

15 Q. Would that allow you, even if it's a relatively
16 short period, to gain more production information on this
17 pool?

18 A. Oh, certainly. Even with six or twelve months,
19 we would have vastly more knowledge than we have at this
20 time, which, on the subject well we only have 60 days of
21 production information on that. So yes.

22 Q. And it would allow you to gain time to gain
23 additional information on this well and -- Are there plans
24 to drill other wells?

25 A. Well, yes, certainly with success like this, we

1 certainly plan to drill more wells this year.

2 Q. Into the Fusselman?

3 A. Yes, uh-huh.

4 Q. And again, these are the first Fusselman wells
5 that have been drilled out here in about 18 years?

6 A. That's correct.

7 Q. In your opinion, is the granting of this
8 Application in the interests of conservation and the
9 prevention of waste?

10 A. I think it is, yes.

11 Q. And were Exhibits 3 and 4 prepared by you or
12 under your supervision?

13 A. Yes, they were.

14 MR. BRUCE: Mr. Examiner, I'd move the admission
15 of Home-Stake Exhibits 3 and 4.

16 EXAMINER ASHLEY: Exhibits 3 and 4 will be
17 admitted as evidence at this time.

18 EXAMINATION

19 BY EXAMINER ASHLEY:

20 Q. Mr. Tarwater, can you explain to me again in
21 Exhibit 4 what's going on with the Number 1 well?

22 A. Okay, yeah, in the Number 1 well, when production
23 started to fall we simply tried to keep it up by adjusting
24 the choke size. And quite frankly, we adjusted the choke
25 -- we opened it, we closed it, we did a number of things to

1 try to sustain production at that original rate of just
2 slightly under 200 barrels a day. And it fell, and it
3 would come back briefly and fall again, and continued to do
4 that until it ceased to flow.

5 Q. And did the water production increase on that
6 one?

7 A. The water production has increased, yes.

8 Q. So what's it currently producing?

9 A. The Sarah Johnston Number 1 is currently
10 producing, as I show here, about -- Well, let's see.
11 Current production, about 60 barrels a day of oil and 105
12 barrels of water a day. And it's on pump.

13 Q. So how is that different than what's going on in
14 the Number 2?

15 A. Well, the Number 2 well, since the day we put it
16 on line -- Well, prior to putting it on line we, of course,
17 flowed it temporarily, as a test. And when we put it on
18 line, we put it on a choke setting -- it happens to be
19 16/64 -- but we thought from our brief tests it might be
20 optimal, as far as a reasonable amount production and
21 constant flow rate. And as we monitored that it seemed to
22 be very consistent, and we left it at that.

23 Now, you know, what's different is, obviously,
24 partly Mother Nature comes to play here. But it lined out,
25 and we didn't adjust the choke, we stayed with one choke

1 setting. And it has been, as you can see, very constant
2 since we put it on line.

3 I mean, what is different reservoirwise? Both of
4 them had relatively the same shut-in pressure. The Number
5 1 well, when we put it on line, had an 800-pound shut-in
6 pressure. The HSOG well had a 750-pound shut-in pressure.
7 Relatively close. We haven't done any bottomhole buildups
8 or anything like that to really try to analyze the extent
9 of the reservoir or anything like that.

10 Q. Okay. And do you have any idea what the drainage
11 area would be for this?

12 A. I really don't. If these wells prove out to be
13 as good as some of the better wells in this pool, I
14 certainly would think and expect them to drain up to 40
15 acres. But at this point in time it's so early it would be
16 hard to tell.

17 Q. Can you tell from the Number 1?

18 A. After about a little over a year's production and
19 at its current rate and decline -- I haven't done any
20 calculations. I doubt if it would really truly drain 40
21 acres. But I have not done any real calculations on the
22 Number 1.

23 Q. You said the GOR has been pretty stable on both
24 of these wells?

25 A. Well, yes, and particularly -- Everything has

1 been stable on this HSOG 2. The gas is right about 300 to
2 320 MCF a day, and the oil is about 220 to 230 a day.

3 Q. The oil, you said, was 220?

4 A. Yes.

5 Q. Do you think that increasing the allowable will
6 affect the GOR in any way?

7 A. Well, just based on this first 60 days of
8 production at this very consistent rate, the GOR has not
9 fluctuated. So no, I don't think increasing the allowable
10 is going to affect the GOR, based on our evidence in this
11 subject well.

12 Q. Now, the reason you think that this -- that the
13 allowable should be increased is just because of how well
14 the HSOG Number 2 has produced and how consistent it is in
15 the amount that it's producing right now?

16 A. Yes.

17 Q. And because of that, you think it's capable of
18 more, of a higher GOR?

19 A. Well, we feel sure it's capable of more
20 production just based on, you know, brief tests before it
21 actually went on line. Based on those tests and a larger
22 choke setting, it's capable of 400 barrels a day and
23 greater, but we never flowed it at that for any length of
24 time. And we're talking test rates of near hours, not
25 days. So we feel certain it's capable of much more.

1 And also, based on our experience with the Sarah
2 Johnston Number 1, we weren't sure that we wouldn't see the
3 same thing, that it would fall off, get erratic and have to
4 go on pump. We're surprised but pleasantly surprised that
5 it's this consistent at this flow rate, with no evidence of
6 declining pressure really at all in the past 40 days.

7 Q. Did the other wells in the pool that have since
8 been plugged or abandoned, the other Fusselman producers,
9 did they have production or declines similar to the Number
10 1 or Number 2?

11 A. Oh, boy... Well, I'm really not sure. I've got
12 all that data, but I -- really, all that I tabulated was
13 the cumulative production. Some of those wells, two of
14 them, produced in the range of a quarter million barrels.
15 You know, excellent wells. But I can't say -- They started
16 off at a high rate and would have come down fairly fast,
17 but they had a long life too. I think several of those
18 produced, well, in the neighborhood of ten years or more.

19 Q. Okay. Now, there's not a Sarah Johnston Number
20 2; that's the HSOG Number 2; is that correct? Or is --

21 A. Well, technically there is a Sarah Johnston
22 Number 2. It is a Drinkard well. It's not really the
23 subject of our discussion here today. It is north and
24 slightly west of the Sarah Johnston 1. It's not even --
25 Well, it's not really labeled on this Exhibit 3.

1 Q. Okay. But that's one that you operate?

2 A. We do also operate the Sarah Johnston 2, yes.

3 Q. Are the other locations on Exhibit 3 -- are those
4 Drinkard wells?

5 A. Yes, uh-huh, they're part of a -- oh, the Chevron
6 unit. I mean, excuse me, excuse me, Anadarko's unit.

7 EXAMINER ASHLEY: Okay, I have nothing further.
8 Thank you.

9 MR. BRUCE: I have nothing further in this
10 matter, Mr. Examiner.

11 EXAMINER ASHLEY: There being nothing further in
12 Case 12,322, the case will be taken under advisement.

13 (Thereupon, these proceedings were concluded at
14 8:50 a.m.)

15 * * *

16
17
18
19 I do hereby certify that the foregoing is
20 a correct and true copy of the proceedings in
the Examination of Case No. 12322
21 heard by me on 4-20-2000
22 Hank Ashley, Examiner
Oil Conservation Division
23
24
25

CERTIFICATE OF REPORTER

[illegible]

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL January 23rd, 2000.

William H. Steiner

STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 2002