

## NEW MEXICO OIL CONSERVATION DIVISION

EXAMINER HEARINGSANTA FE, NEW MEXICOHearing Date APRIL 20, 2000 Time 8:15 A.M.

NAME	REPRESENTING	LOCATION
John Humphrey	Yates Petroleum	Artesia, N.M.
Tim Miller	Yates Petroleum	Artesia, N.M.
Charles Moran	Yates Petroleum	Artesia, N.M.
John Dean	Dugan Products	Farm NM
John Alexander	Dugan Products	Farm NM
<i>W. Kellahin</i>	<i>KELLAHIN + KELLAHIN</i>	<i>Santa Fe</i>
<i>William F. Paul</i>	<i>Langbeil, Paul, Dyer + Henderson</i>	<i>Santa Fe</i>
SAM JOLLIFFE	NADEL AND GUSMAN	MIDLAND, TX.
Scott Germain	NADEL + GUSMAN Permian	MIDLAND TX
James Blue	—	Santa Fe
B. H. Pierce	Penwell Energy Inc.	Midland, TX

STATE OF NEW MEXICO  
 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIV.

05 APR 34 AM 5:11

## OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY )  
 THE OIL CONSERVATION DIVISION FOR THE )  
 PURPOSE OF CONSIDERING: )

CASE NO. 12,364

APPLICATION OF DUGAN PRODUCTION )  
 CORPORATION FOR SALTWATER DISPOSAL, )  
 SAN JUAN COUNTY, NEW MEXICO )

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGSEXAMINER HEARING

BEFORE: MARK ASHLEY, Hearing Examiner

April 20th, 2000

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MARK ASHLEY, Hearing Examiner, on Thursday, April 20th, 2000, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

05 MAY -4 AM 5:14

OIL CONSERVATION DIV.

## I N D E X

April 20th, 2000  
Examiner Hearing  
CASE NO. 12,364

## PAGE

EXHIBITS 3

APPEARANCES 3

## APPLICANT'S WITNESS:

JOHN ALEXANDER (Engineer)

Direct Examination by Mr. Dean 6

Examination by Examiner Ashley 18

REPORTER'S CERTIFICATE 20

\* \* \*

## E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	18	18
Exhibit 2	9	18
Exhibit 3	9	18
Exhibit 4	9	18
Exhibit 5	10	18
Exhibit 6	10	18
Exhibit 7	11	18
Exhibit 8	12	18

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

LYN S. HEBERT  
 Attorney at Law  
 Legal Counsel to the Division  
 2040 South Pacheco  
 Santa Fe, New Mexico 87505

## FOR THE APPLICANT:

CURTIS & DEAN  
 P.O. Drawer 1259, 506 West Arrington  
 Farmington, NM 87401  
 By: JOHN DEAN

\* \* \*

1 WHEREUPON, the following proceedings were had at  
2 8:20 a.m.:

3 EXAMINER ASHLEY: This hearing will come to order  
4 for Docket Number 10-00. Please note today's date, April  
5 20th, 2000. I'm Mark Ashley, appointed Hearing Examiner  
6 for today's cases.

7 Before we call the first case, I'd like to review  
8 the docket for any continuances and dismissals.

9 (Off the record)

10 EXAMINER ASHLEY: At this time the Division calls  
11 Case 12,364.

12 MS. HEBERT: The Application of Dugan Production  
13 Corporation for saltwater disposal, San Juan County, New  
14 Mexico.

15 EXAMINER ASHLEY: Call for appearances.

16 MR. DEAN: My name is John Dean, I'm an attorney  
17 representing Dugan Production Company. I have with me John  
18 Alexander, who's the vice president of Dugan.

19 EXAMINER ASHLEY: Call for additional  
20 appearances?

21 Will the witness please rise to be sworn?

22 (Thereupon, the witness was sworn.)

23 EXAMINER ASHLEY: Mr. Dean?

24 MR. DEAN: This an Application by Dugan  
25 Production to convert its Stella Needs A Com Number 1 to a

1 saltwater disposal service. The formation to be injected  
2 is the Mesaverde at 3500 feet. The Mesaverde in this area  
3 is not producing and is not part of any designated oil or  
4 gas pool.

5 This well was drilled in the 1960s and completed  
6 in the Dakota formation. The well is located in San Juan  
7 County near Hartford Hill, west of Farmington, and the  
8 maximum proposed injection rates are 700 barrels of water a  
9 day and a maximum pressure of 700 p.s.i.

10 Dugan operates a similar well within a very close  
11 proximity, which was administratively approved. We're  
12 going to use the same procedure on this well.

13 We have a list of exhibits which I'd like to go  
14 ahead and admit, if it's all right with the Hearing  
15 Officer, and they're indexed. The index is on the top.  
16 These were prepared by the witness and are made from  
17 records of Dugan Production, public records.

18 Also in this case, there was a mistake on the  
19 Application that this was part of -- the interval to be  
20 injected was part of a pool. It is not. It's a non-  
21 producing formation in this area.

22 Also, we've been told by the Commission that  
23 they'll stipulate as to the water analysis from the offset  
24 well as being water typical of the water found in this  
25 formation.

1           That water analysis is Exhibit C -- or Number 6,  
2 I'm sorry, that's in the documents that have been provided  
3 to you. It's our understanding that the Commission will  
4 stipulate that those are representative of the water from  
5 the Stella Com.

6           And I'd like to call Mr. Alexander as a witness,  
7 unless there's any questions beforehand.

8           EXAMINER ASHLEY: No, that's fine.

9                       JOHN ALEXANDER,  
10 the witness herein, after having been first duly sworn upon  
11 his oath, was examined and testified as follows:

12                       DIRECT EXAMINATION

13 BY MR. DEAN:

14           Q. All right, would you please state your name?

15           A. John Alexander.

16           Q. And your occupation?

17           A. I am a petroleum engineer.

18           Q. And you work for Dugan Production?

19           A. I do work for Dugan Production Corporation. I'm  
20 vice president and chief operating officer.

21           Q. All right. And by training, what is your  
22 profession?

23           A. I am a petroleum engineer by education,  
24 University of Texas, 1968.

25           Q. Have you worked in your profession since that

1 time?

2 A. I've worked as a petroleum engineer since that  
3 time.

4 Q. And have you worked primarily in the San Juan  
5 Basin?

6 A. I've been working in the San Juan Basin since  
7 1972.

8 Q. And have you testified in front of the Commission  
9 before?

10 A. Yes, I have.

11 MR. DEAN: I'd like to ask that he be recognized  
12 as an expert to testify in matters of petroleum  
13 engineering.

14 EXAMINER ASHLEY: Mr. Alexander is so qualified.

15 MR. DEAN: Thank you.

16 Q. (By Mr. Dean) Did you prepare the Application on  
17 behalf of Dugan Production for this Stella Needs A Com 1?

18 A. Yes, I did.

19 Q. Did you prepare that Application? And did you  
20 sign it, and are all of the items in it true and correct to  
21 the best of your knowledge?

22 A. Yes, they are.

23 Q. And did you prepare or supervise the preparation  
24 of Dugan Exhibits 1 through 8 on this well that have been  
25 turned in to the Commission this morning?



1 A. Yes, I did.

2 Q. Do you have those exhibits in front of you?

3 A. Yes, sir.

4 Q. All right. Basically, what is Dugan asking the  
5 Commission to do?

6 A. Dugan is asking the Commission to allow for  
7 saltwater disposal into the Point Lookout member of the  
8 Mesaverde at the Stella Needs A Com Number 1 Well, that  
9 well being located 1650 foot from the south line, 1650 foot  
10 from the west line of Section 36, Township 30 North, Range  
11 14 West. And as I said, we're asking that we be allowed to  
12 dispose of produced water in that location.

13 Q. Are you currently operating a well similar to  
14 that near this location?

15 A. Yes, sir, we operate the Stella Needs A Com  
16 Number 1 E, which is in the same section. That application  
17 was administratively approved by the Commission in 1995.  
18 It's administrative order SWD-595.

19 Q. And so you've been operating that well since  
20 1995?

21 A. Yes, we have.

22 Q. Have there been any problems with it?

23 A. There have not.

24 Q. All right. Did you notify the offsetting lease  
25 operators and surface owners to this well?

1           A.    Yes, I did. Exhibit 2 is a map showing the wells  
2 within two miles -- the wells and leases within two miles  
3 of the subject well, and all wells and leases within one  
4 half mile of the subject well.

5                   There is only -- Dugan Production Corporation is  
6 operator of all leases within a half mile, with the  
7 exception of the southeast quarter of Section 35, where  
8 Dugan owns from the base -- from the surface to the base of  
9 the Pictured Cliff, and Questar owns from the base of the  
10 Pictured Cliff to total depth.

11                   Exhibit 3 is a copy of the certified mail return  
12 receipt to both the surface owners, being the Land  
13 Commissioner and the grazing rights owner, Rilla King, and  
14 then of course Questar as the mineral owner.

15                   Richardson Operating was also notified, because  
16 there was some question about their ownership. But they,  
17 indeed, are not affected.

18           Q.    Did you also cause a notice and proposal in the  
19 Farmington -- to be published in the *Farmington Daily*  
20 *Times*?

21           A.    Yes, I did. I also published notification of  
22 this proposal on February 8th, 2000. Exhibit 4 is a copy  
23 of that notice published in the *Farmington Daily Times*.

24           Q.    And have you received any opposition or comments  
25 about the proposal?

1           A.    I have not.

2           Q.    Okay.  What is the water quality of the well of  
3 the Stella Needs A Com that's the subject of this  
4 Application?

5           A.    Okay, we've asked the Commission to stipulate  
6 that the water contained within the Point Lookout and the  
7 current Stella Needs A Com Number 1 is similar to that  
8 found in the Stella Needs A Com Number 1 E, which is the --  
9 I apologize for the confusion of names here, but the Stella  
10 Needs A Com Number 1 E is the currently authorized  
11 injection well.

12                If you'll look at Exhibit 5, Exhibit 5 is a log  
13 cross-section which shows the Stella Needs A Com Number 1 E  
14 there to the north in the left track.  The right track is  
15 the Stella Needs A Com Number 1, which is the subject well  
16 of this Application.

17                If you can see, looking at the lower part of the  
18 log down here, the Point Lookout interval in the Stella  
19 Needs A Com Number 1 E shows the injection interval and the  
20 proposed injection interval in the Stella Needs A Com  
21 Number 1.

22                During my conversion of the Stella Needs A Com  
23 Number 1 E, we perforated the Point Lookout and swabbed 200  
24 or 300 barrels out of it and took a water sample at that  
25 point.  A copy of that water sample is shown in Exhibit 6.

1 This was the same sample that was used in the application  
2 for the Stella Needs A Com Number 1 E. It shows total  
3 dissolved solids of 59,361 milligrams per liter. And of  
4 course this is greater than the 10,000 milligrams per  
5 liter, which is the cutoff for water quality to approve  
6 injection.

7 Q. All right. Do you believe that that sample from  
8 the 1 E is reflective of the water in the Stella Needs A  
9 Com 1, which is the subject of this Application?

10 A. Yes, I do.

11 Q. And what about the water you plan to dispose in  
12 this well?

13 A. Referring to Exhibit 7, Exhibit 7 is a copy of a  
14 water analysis which I took here, or a few days ago, 4-17  
15 of 2000. This sample was taken at the inlet to the Stella  
16 Needs A Com Number 1 E injection well, and it shows the  
17 total dissolved solids of 49,541.

18 This water comes from a water injection facility  
19 which is a few miles south of the Stella Needs A Com Number  
20 1 E where we collect water primarily from the Fruitland  
21 Coal wells in the area.

22 From time to time, we also bring in water from  
23 Gallup and Dakota wells, and so my water quality -- or the  
24 type of water contained in that facility will vary slightly  
25 from time to time.

1           The Fruitland Coal water in this area generally  
2 averages around 30,000 milligram per liter, total dissolved  
3 solids. As you can see, this sample was 49,000. It was a  
4 little bit higher, so there may have been some Dakota or  
5 Gallup water in there. But this is typical of the water.  
6 This is about the highest total dissolved solids that would  
7 be disposed of in this well.

8           Q. And the same waters will be injected into the  
9 Stella Needs A Com 1 if that Application is approved?

10          A. That's correct.

11          Q. All right. What is the current wellbore  
12 configuration of this well?

13          A. Referring to Exhibit 8, this is a wellbore  
14 schematic of the Stella Needs A Com Number 1 as it will  
15 appear after a conversion to injection.

16                To familiarize you with what this schematic  
17 shows, the red intervals are cement that is currently known  
18 to be in place or that is currently in place, the blue  
19 intervals show cement plugs that I plan to set in preparing  
20 this well, and the yellow indicates the proposed injection  
21 interval.

22                If you will take a look at this, 8-5/8-inch  
23 casing was set at 268 foot. It was then cemented to the  
24 surface, and that was verified by circulation. 4-1/2-inch  
25 10.5-pound casing was set at 6016 feet. It was cemented

1 with 100 sacks with an eight-percent gel in it, followed by  
2 50 sacks of Class B.

3 The calculated cement top of 5200 foot was -- I  
4 made that calculation. They were pumping 251 cubic foot of  
5 total cement, used 75 percent of that volume because that's  
6 what customarily the BLM does when you don't have a caliper  
7 log, and so I calculated the primary cement top to be 5280  
8 feet.

9 My proposal here to convert this well is that I  
10 would plug and abandon the Dakota. I would do that by  
11 spotting a plug from the -- below the Dakota top at  
12 approximately 5800 foot to 5650 foot, and this would  
13 abandon the Dakota with the Greenhorn top, which is  
14 generally considered to be the top of the Dakota, 5734  
15 foot.

16 To abandon the Gallup, which would be above the  
17 calculated cement top behind pipe from the primary cement  
18 job, I perforate below the Gallup top at approximately 4992  
19 foot and place an adequate volume of cement through that  
20 hole to leave approximately a 200-foot plug outside and  
21 inside of the casing at that point.

22 This brings us to how I plan to separate the  
23 Point Lookout interval of the Mesaverde and isolate it for  
24 injection. In order to do so, I need to isolate the lower  
25 portion of the Point Lookout, which is also the top of the

1 Mancos shale. I propose to do that by perforating 100 foot  
2 below the top of the Mancos shale. The Mancos shale top is  
3 4027 feet, so I would perforate at approximately 4127 foot,  
4 run a cement retainer and set it, of course, above those  
5 holes, and spot an adequate volume of cement outside the  
6 casing to give me 200 foot of cement in the casing hole  
7 annulus, and leave about 100 foot inside of the 4-1/2-inch  
8 casing. This would effectively limit water from entering  
9 anything lower than the Point Lookout.

10 To seal above the Point Lookout, I plan to rely  
11 on a cement squeeze job that was done back in 1984 to  
12 repair a hole in the casing. 150 sacks of cement was  
13 squeezed through this hole, which was found to be at 3500  
14 foot, and the calculated top of that cement would be 2950  
15 foot, which is near the Menefee. And in this way I would  
16 limit the water from going up. I do realize it will have  
17 to pass a mechanical integrity test and those other things  
18 to be assured that the casing is in good shape beyond that  
19 point.

20 I further suggest that I be allowed to set the  
21 injection packer at 3500 foot. 3500 foot is where I know I  
22 have good cement, and I consider it good practice to set  
23 injection packers where I know I have cement behind the  
24 casing.

25 I realize that the interval from 3500 foot, which

1 is in the Menefee section of the Point Lookout, to 3690  
2 foot, which is the top of the Point Lookout section of the  
3 Mesaverde, will be open to injection pressure. I don't  
4 think this will be a problem.

5 If you will refer quickly back to Exhibit 5,  
6 which is the log, in looking at the Stella Needs A Com  
7 Number 1 well here, you can see that the interval from 3500  
8 foot to 3690 foot, which is here marked as the top of the  
9 Point Lookout, has only a minimal amount of sand, when  
10 compared to the Point Lookout. So I don't feel that the  
11 Menefee would take any water. I also feel that if it took  
12 any water, the water within the Menefee should be no  
13 different than it is from the Point Lookout. And that  
14 would be the way that I...

15 Q. All right, so you're going to place the packer a  
16 little higher than is typically done, because you know  
17 there's cement behind it there?

18 A. That's correct. Normally, the State of New  
19 Mexico likes to see its injection packer placed within 50  
20 foot of the top of the perforated interval, and I  
21 completely understand the reason for that.

22 In this particular case, I know that there's  
23 cement behind the pipe at 3500 foot, and I would propose  
24 that I be allowed to set the packer at 3500 to inject  
25 through the perforated interval at 3690.



1 Q. In your experience, the Menefee would not be at  
2 risk then --

3 A. That's correct.

4 Q. -- from the injected fluids? Okay.

5 How do you intend to equip the well for injection  
6 service?

7 A. Again, referring to Exhibit 8, we would run  
8 internally plastic-coated 2-3/8-inch tubing, set in a  
9 plastic-coated Baker Model AD-1 tension packer. The tubing  
10 casing annulus will be loaded with a packer fluid to  
11 prevent any corrosion.

12 Q. All right. And have you had any experience in  
13 this type of process before, in what you propose to do to  
14 the Mesaverde in this case?

15 A. We've had some considerable experience, of  
16 course, in squeezing holes in casing, and the bulk of them  
17 have been in producing wells, but we have been very  
18 successful at it. Of course, it depends on the particular  
19 factors within the well at that time, but all the things  
20 we're talking about doing here are standard oilfield  
21 practice.

22 Q. All right, they've been successful for you in the  
23 past --

24 A. Yes, they have.

25 Q. -- and in the industry?

1 All right, in the Application you verified that  
2 you had studied available geological and engineering data  
3 to determine that there was no open faults or other  
4 hydrological connection; is that true?

5 A. That's correct.

6 Q. You're not concerned about this water going into  
7 known sources of drinking water in this area?

8 A. I am not. I'm also unaware of any wells in the  
9 area. In a review of the State Engineer's records we found  
10 no wells in the area.

11 Q. And there are no producing Mesaverde wells in the  
12 area of review?

13 A. There are not, within the Blanco-Mesaverde Pool  
14 is non-hydrocarbon producing.

15 Q. All right, so do you think your proposal as  
16 presented would protect the water quality, the associated  
17 rights, the correlative rights, public health and safety  
18 and the surface rights?

19 A. Yes, sir, I do.

20 Q. It would not pose any threats to them?

21 A. It would not.

22 MR. DEAN: I don't have any other testimony,  
23 except to move the exhibits into evidence, into the record,  
24 if they're not so done.

25 EXAMINER ASHLEY: No, they're not. How many

1 exhibits are there?

2 MR. DEAN: 1 through 8.

3 EXAMINER ASHLEY: Okay, Exhibits 1 through 8 will  
4 be admitted as evidence at this time.

5 MR. DEAN: 1 is just the original application.  
6 It may already be part of the record, but we also have it  
7 marked as an exhibit --

8 EXAMINER ASHLEY: Okay.

9 MR. DEAN: -- so you'll know.  
10 We'll be happy to stand for any questions.

11 EXAMINER ASHLEY: Okay, give me a minute here.

12 EXAMINATION

13 BY EXAMINER ASHLEY:

14 Q. Mr. Alexander, did you say there are any wells in  
15 the one-half-mile AOR that penetrate the Mesaverde?

16 A. That's correct.

17 Q. What is this well that's just south?

18 A. That's a well called the O. Henry. It is a  
19 Fruitland Coal well, approximately 1200 foot deep. It is  
20 within the area of review, but it does not penetrate the  
21 Mesaverde.

22 Q. Mr. Alexander, has a bond log been run on this  
23 well?

24 A. It has not.

25 Q. Would a bond log tell you anything that we don't

1 already know here?

2 A. I think -- Mark, I think that's the only way that  
3 any of us are going to know for sure where this cement well  
4 -- We're fully prepared to expect you to ask us to do that.  
5 As I said, that squeeze job up there at 3500 that was done  
6 in 1984, we never had a bond log after that. So I totally  
7 think that that's reasonable, and it would -- it's the best  
8 way we can go about determining for sure where that cement  
9 is.

10 EXAMINER ASHLEY: Okay. Okay, I have nothing  
11 further.

12 MR. DEAN: Thank you.

13 EXAMINER ASHLEY: There being nothing further in  
14 this case, Case 12,364 will be taken under advisement.

15 (Thereupon, these proceedings were concluded at  
16 8:46 a.m.)

17 \* \* \*

18  
19  
20 I do hereby certify that the foregoing is  
21 a complete record of the proceedings in  
the Examiner hearing of Case No. 12364.  
heard by me on 4-20-192000

22 Mark Ashley, Examiner  
23 Oil Conservation Division  
24  
25

## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO    )  
                                  )   SS.  
COUNTY OF SANTA FE    )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL April 27th, 2000.



STEVEN T. BRENNER  
CCR No. 7

My commission expires: October 14, 2002