

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
 THE OIL CONSERVATION DIVISION FOR THE)
 PURPOSE OF CONSIDERING:) CASE NO. 12,563

APPLICATION OF THE NEW MEXICO OIL)
 CONSERVATION DIVISION FOR TERMINATION)
 OF GAS PRORATIONING IN THE JALMAT AND)
 EUMONT GAS POOLS AND TO AMEND THE)
 SPECIAL RULES GOVERNING BOTH POOLS,)
 LEA COUNTY, NEW MEXICO)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGSEXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

July 12th, 2001

Santa Fe, New Mexico

01 JUL 26 AM 7:45

JUL 26 2001

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, July 12th, 2001, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
 (505) 989-9317

I N D E X

July 12th, 2001
 Examiner Hearing
 CASE NO. 12,563

	PAGE
EXHIBITS	3
APPEARANCES	4
DIVISION WITNESSES:	
<u>JIM MORROW</u> (Engineer, present by telephone)	
Direct Examination by Mr. Brooks	8
Examination by Mr. Gallegos	25
Examination by Examiner Catanach	25
<u>MICHAEL E. STOGNER</u> (Engineer)	
Direct Examination by Mr. Brooks	27
Examination by Mr. Gallegos	65
Examination by Mr. Carr	78
Examination by Examiner Catanach	80
Further Examination by Mr. Brooks	89
Further Examination by Mr. Gallegos	90
HARTMAN WITNESS:	
<u>CRAIG VAN KIRK</u> (Engineer)	
Direct Examination by Mr. Gallegos	92
Examination by Mr. Brooks	102
Examination by Examiner Catanach	106
REPORTER'S CERTIFICATE	116

* * *

E X H I B I T S

Division	Identified	Admitted
Exhibit 1A	58	92
Exhibit 1B	58	92
Exhibit 2	40	92
Exhibit 3A	50	92
Exhibit 3B	50	92
Exhibit 4A	51	92
Exhibit 4B	51	92
Exhibit 5	12	24

* * *

Hartman	Identified	Admitted
Exhibit 1	95	102
Exhibit 2	95	102
Exhibit 3	95	102
Exhibit 4	96	102
Exhibit 5	97	102
Exhibit 6	76	-

* * *

A P P E A R A N C E S

FOR THE DIVISION:

DAVID BROOKS
Attorney at Law
Energy, Minerals and Natural Resources Department
Assistant General Counsel
1220 South St. Francis Drive
Santa Fe, New Mexico 87505

FOR DOYLE HARTMAN:

GALLEGOS LAW FIRM
460 St. Michael's Drive, #300
Santa Fe, New Mexico 87505
By: J.E. GALLEGOS

FOR EXXON MOBIL CORPORATION:

JAMES G. BRUCE, Attorney at Law
3304 Camino Lisa
Santa Fe, New Mexico 87501
P.O. Box 1056
Santa Fe, New Mexico 87504

FOR RAPTOR RESOURCES, INC.; BP AMOCO
and CHEVRON USA, INC.:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR
110 N. Guadalupe, Suite 1
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

ALSO PRESENT:

RICHARD EZEANYIM
Chief Engineer
New Mexico Oil Conservation Division
1220 South Saint Francis Drive
Santa Fe, NM 87501

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

1 WHEREUPON, the following proceedings were had at
2 1:30 p.m.:

3 EXAMINER CATANACH: Call the hearing back to
4 order, and at this time I'll call Case 12,563, which is the
5 Application of the New Mexico Oil Conservation Division for
6 termination of gas prorationing in the Jalmat and Eumont
7 Gas Pools and to amend the special rules governing both
8 pools, Lea County, New Mexico.

9 Call for appearances in this case.

10 MR. BROOKS: May it please the Examiner, my name
11 is David Brooks. I am assistant general counsel for the
12 New Mexico Energy and Minerals and Natural Resources
13 Department, appearing on behalf of the Oil Conservation
14 Division.

15 I have one witness who is present and another
16 whom I will ask leave of the Examiner to have appear by
17 telephone and give his testimony by telephone.

18 EXAMINER CATANACH: Okay, call for additional
19 appearances.

20 MR. GALLEGOS: Mr. Examiner, Gene Gallegos, Santa
21 Fe, New Mexico, appearing for Doyle Hartman, and we have
22 one witness.

23 MR. CARR: May it please the Examiner, my name is
24 William F. Carr with the Santa Fe office of Holland and
25 Hart, L.L.P. I'd like to enter our appearances for Raptor

1 Resources, Inc., BP Amoco and Chevron USA, Inc. I have no
2 witnesses.

3 MR. BROOKS: Would you like to swear my witness,
4 Mr. Examiner.

5 EXAMINER CATANACH: I would like to defer that
6 until we get Mr. Morrow on the phone, and we'll do all
7 three of them at the same time, Mr. Brooks.

8 MR. BROOKS: Very good.

9 EXAMINER CATANACH: Are there any additional
10 appearances in this case?

11 MR. BRUCE: Mr. Examiner, James Bruce of Santa
12 Fe, representing Exxon Mobil Corporation. I have no
13 witnesses.

14 EXAMINER CATANACH: Okay. We are waiting on Mr.
15 Morrow's phone call to start the proceedings in this case.
16 Is he your first witness, Mr. Brooks?

17 MR. BROOKS: Yes, because of his time schedule we
18 would like to put him on first.

19 EXAMINER CATANACH: Okay, then we shall wait his
20 arrival.

21 MR. BROOKS: Okay. Well, to expedite things,
22 with the leave of the Examiner I will head on upstairs so
23 I'll be up there when he calls.

24 EXAMINER CATANACH: You may be excused.

25 MR. BROOKS: Thank you.

1 (Off the record at 1:32 p.m.)

2 (The following proceedings had at 1:35 p.m.):

3 MR. BROOKS: May it please the Examiner, I
4 believe we now have the phone number for Mr. Morrow, and we
5 can get him on the telephone, assuming there's no objection
6 to his testifying by telephone.

7 EXAMINER CATANACH: Is there any objection?

8 MR. CARR: No objection.

9 MR. BRUCE: No objection.

10 MR. GALLEGOS: No objection.

11 MR. BROOKS: Very good.

12 MR. MORROW: Hello?

13 EXAMINER CATANACH: Mr. Morrow?

14 MR. MORROW: Yes.

15 EXAMINER CATANACH: David Catanach here.

16 MR. MORROW: Hello David.

17 EXAMINER CATANACH: How are you?

18 MR. MORROW: Good, how are you doing?

19 EXAMINER CATANACH: I'm doing good. We have you
20 on speaker in the hearing room, and I assume you're going
21 to be the first to testify so --

22 MR. MORROW: Okay.

23 EXAMINER CATANACH: -- we're going to need to
24 swear you guys in. Can I have all the witnesses please
25 stand and be sworn in?

1 MR. MORROW: Okay, I'm standing.

2 (Thereupon, the witnesses were sworn.)

3 EXAMINER CATANACH: Okay, Mr. Brooks, you may
4 proceed.

5 MR. BROOKS: Thank you, Mr. Examiner.

6 Mr. Morrow, can you hear me from here?

7 MR. MORROW: Not as well as I could David.

8 MR. BROOKS: Mr. Examiner, would you like me to
9 approach the phone so I can --

10 EXAMINER CATANACH: Certainly, that would be --

11 MR. BROOKS: -- communicate more efficiently with
12 Mr. Morrow?

13 EXAMINER CATANACH: Yes, sir, that would be fine.

14 MR. BROOKS: Thank you, sir. Call Jim Morrow as
15 my first witness.

16 MR. MORROW: All right, I'm here.

17 JIM MORROW,

18 the witness herein, after having been first duly sworn upon
19 his oath, was examined and testified as follows:

20 DIRECT EXAMINATION

21 BY MR. BROOKS:

22 Q. Okay, would you state your name, please?

23 A. My name is Jim Morrow.

24 Q. And where do you currently reside?

25 A. In Longview, Texas.

1 Q. You're out in the piney woods of east Texas,
2 right?

3 A. Yes, sir.

4 Q. Well, that's an appropriate place from which to
5 talk about prorationing, because from what I understand,
6 the east Texas field is where it all began.

7 A. Well, that could be true.

8 (Laughter)

9 Q. And you're now retired; is that correct?

10 A. Yes, sir, I'm retired.

11 Q. And were you at one time employed by the New
12 Mexico Oil Conservation Division?

13 A. Yes, sir, I was, in the 1990s.

14 Q. And during what time period?

15 A. Pardon me?

16 Q. During what time period?

17 A. It was in the 1990s, two separate times, 1991,
18 1990 and 1991, and then later in 1993 and 1994, and then I
19 did some contract work for OCD in 1995 and 1996, and then
20 again last year, the year 2000.

21 Q. Right, and that's that last assignment that I'm
22 going to talk to you about in a minute, but first of all
23 let me ask you, are you familiar with the Jalmat and Eumont
24 Pools in Lea County, New Mexico?

25 A. Yes, sir.

1 Q. And did you work with those -- did you form a
2 familiarity with those pools when you were employed by the
3 Division?

4 A. Yes.

5 Q. Okay. Those are, are they not, very large gas
6 pools?

7 A. Gas and oil, yes, sir.

8 Q. Gas and oil, correct.

9 A. Right.

10 Q. And in fact, I'm looking at a map here, and it
11 appears like the Eumont Pool, which is on the north end of
12 the play, is something like from 18 to 20 miles north and
13 south and from six to eight miles east and west, and the
14 Jalmat Pool to the south of it is more like -- seems like
15 about 20-something miles, 24, 26 miles north and south, and
16 about the same east and west. Yeah, again, about six to
17 eight east and west.

18 A. That sounds all right to me. I don't remember
19 those exact numbers, but they're large pools.

20 Q. Well -- Yes, okay. Now, you are of course
21 familiar with the concept of prorationing of oil and gas,
22 correct?

23 A. Yes.

24 Q. And was one of your responsibilities when you
25 were with the New Mexico Oil Conservation Division related

1 to the administration of the proration program?

2 A. Yes, sir, that's true.

3 Q. So you know how it works and you know all the --
4 most of the refinements. I won't say all of them, I'm not
5 sure anybody knows all of them.

6 A. Yes, sir.

7 Q. Okay. And was it 1999 or 2000 that you were
8 commissioned on a contract to do a study?

9 A. 2000.

10 Q. It was in 2000, okay. And you were commissioned
11 by the Oil Conservation Division, correct?

12 A. Yes, that's true.

13 Q. And what area were you asked to study?

14 A. I was asked to perform an analysis of the
15 proration system in the New Mexico prorated pools, gas
16 pools, in particular the Eumont and the Jalmat, and then
17 make a recommendation based on that analysis of whether
18 there is a need to continue to prorate these pools and, if
19 so, how it should be done.

20 Q. Right.

21 A. That was my assignment.

22 Q. Okay, you prepared a report, did you not?

23 A. Yes, sir, I did.

24 Q. And I am holding in my hand a report which is not
25 numbered in pages throughout, and it's fairly lengthy, so

1 it will take me a while to count the pages, and I don't
2 think these gentlemen would want to stand by while I do it,
3 but it states at the top "Memorandum", and it says, "To:
4 Lori Wrotenbery, Oil Conservation Division, From: Jim
5 Morrow, Date: October 25, 2000, Subject: Analysis of
6 Proration System - Southeast New Mexico".

7 And it has about ten pages of text -- well, no,
8 not quite that many. It has about seven pages of text and
9 a bunch of exhibits, the last of which is entitled "Monthly
10 Allowables - Southeast Prorated Gas Pools, MCF". Does that
11 sound like that's your report?

12 A. Yes, sir, that is the report, and I've mentioned
13 that that report was submitted to the Commission, to
14 Commissioners Wrotenbery and Bailey and Lee on November 8th
15 at a Commission hearing, so it should be in that record.

16 Q. Okay, very good. Well, we have made a copy of
17 your report dated October 25, 2000, Exhibit Number 5, for
18 this hearing, and so I want to discuss this with you.

19 A. Okay. Now actually, the final report was dated
20 November 6th. I'm sure that October 25 is real close to
21 it, but the one in the record, November 8th record, is
22 dated November 6th.

23 Q. Okay, well, you've straightened me out on
24 something, because I've never seen the November the 6th,
25 and this one says "Final Draft" on it, but --

1 A. Okay, that's right.

2 Q. And I think the one that we have offered in
3 evidence is a copy of this October 25th.

4 A. Probably the difference is, we took the "Final
5 Draft" off and changed the date, so I'm sure that one's the
6 same as the November 5th.

7 Q. Okay. Well, following the usual -- what appears
8 to be the usual --

9 A. November 6th, excuse me.

10 Q. Following what appears to be the usual practice
11 of the Oil Conservation Division, in contrast to the
12 courts, I will examine you about the instrument and then
13 offer it in evidence at the conclusion of my examination.

14 A. All right.

15 Q. To talk to you about the conclusions you came to,
16 I need to go back a little bit into the background of what
17 prorationing is and how it works.

18 A. Okay.

19 Q. And as I understand it, and correct me if I'm
20 wrong, prorationing is a system for allocating the
21 production of a pool among the various units within that
22 pool that are drawing gas, in this case, from a common
23 source of supply.

24 A. Yes, sir, that's right. It allocates the
25 available market to the various wells or gas proration

1 units in the pools. It gives them an opportunity to
2 produce.

3 Q. Right, and when proration originated, was there a
4 sufficient market in southeastern New Mexico, when
5 prorationing in this area originated, was there a
6 sufficient market in southeastern New Mexico for all the
7 gas that could be produced from the field, from the gas
8 fields in southeastern New Mexico?

9 A. I understand there was not, and in many pools
10 there was a single outlet, a single pipeline outlet or
11 market for the gas in the pool, rather than multiple
12 markets as there is today.

13 Q. Right. And at that time the Commission's rules
14 called for the purchaser or purchasers to come in every
15 month and nominate the amount that they could purchase from
16 the pool, and then based on that the Commission would
17 determine -- would allocate that amount among the various
18 units; is that correct?

19 A. That's correct.

20 Q. Now, when there got to be a broader market for
21 gas, did that system of nominations and monthly
22 determination of allocations fall into disuse?

23 A. Yes, it did, more or less. In 1990, in the gas
24 pools we switched to a six-month allocation instead of a
25 monthly, and we started requesting nominations and

1 producers' forecast, but the purchaser nominations more or
2 less fell into disuse and were no longer received or used.

3 Q. Well, as a practical matter in the 1990s in
4 southeastern New Mexico, whatever gas you had that was
5 reasonably close to the pipeline you could market, right?

6 A. I think that's true in the middle 1990s and the
7 later 1990s. The early 1990s there may have been some
8 tightness of the market.

9 Q. Okay, I want to establish some definitions of
10 some terms here. Proration refers to the system by which
11 production is allocated, correct?

12 A. Yes, sir, which allowables are assigned which
13 permit the wells to produce.

14 Q. Now, an allowable is the amount of gas per month
15 that any given unit can produce, correct?

16 A. Right, that's the way it's assigned, to a gas
17 proration unit, rather than to a well, since the gas
18 proration units may have multiple wells.

19 Q. Right, there may be more than one well in a unit?

20 A. Yes, sir.

21 Q. And if there's more than one well in a unit, then
22 the total production from those wells is measured against
23 the allowable for that unit, correct?

24 A. That's correct.

25 Q. And sometimes wells exceed their allowable,

1 correct?

2 A. Yes, sir.

3 Q. And that's a fairly normal fact, that's not
4 something that you go out and shut it in the next day just
5 because it's sitting there alone?

6 A. No, the rules provided a method by which they
7 could exceed the allowable and then make it up later. In
8 the southeast pools, gas proration units could exceed their
9 allowable by as much as six times. They could be
10 overproduced as much as six times their monthly allowable
11 and then make it up later.

12 Q. Right. Now, what is a marginal unit?

13 A. A marginal unit is one which is incapable of
14 producing the assigned allowable.

15 Q. And is there a formula in the rules by which a
16 nonmarginal unit may be reclassified as a marginal unit and
17 a marginal unit may be reclassified as a nonmarginal unit?

18 A. Yes, sir, there are those formulas in the rules.

19 Q. And without going into all the complexities of
20 those formulas which, thanks to another case I have
21 familiarized myself with recently, basically is it not true
22 that if a unit consistently underproduces its allowable,
23 it's reclassified as a marginal unit?

24 A. If it underproduces, it's reclassified to
25 marginal, that's correct.

1 Q. Consistently?

2 A. Pardon?

3 Q. Consistently?

4 A. Right, for a period of time.

5 Q. Right. And if it's a marginal unit, it can
6 produce all it wants to, it no longer has an allowable in
7 the strict sense of the word, that is, a maximum against
8 which its production is measured and it has to make up,
9 correct?

10 A. That's correct. The marginal units were assigned
11 shadow allowables, and if they exceeded that -- what they
12 called the shadow allowable, which was the allowable it
13 would have gotten had it been nonmarginal for a period of
14 time, then it would be reclassified to nonmarginal.

15 Q. Correct. Now, when you did this study, one of
16 the things you looked at was how many units in the Jalmat
17 and Eumont Pools -- and you looked at some other pools as
18 well, but we're only concerned with those two --

19 A. Yes, sir.

20 Q. -- one of the things you looked at was how many
21 of the units, gas proration units in the Jalmat and Eumont
22 Pools were marginal, correct?

23 A. That's right.

24 Q. And you came to the conclusion that virtually all
25 of them were, right?

1 A. Virtually all of them were underproducing, that's
2 right, underproducing their allowable, producing less than
3 their allowable.

4 Q. In fact, you found only, I believe, five pools in
5 the Jalmat and six in the Eumont, or maybe I have them
6 reversed, but --

7 A. Well, it's five GPUs in the Jalmat and six in the
8 Eumont, that's correct.

9 Q. That's what I was thinking. -- that had at any
10 time during the five-year period covered by -- or how long
11 was the period covered by your study?

12 A. All right, it was from January of 1997 through
13 March of 2000.

14 Q. All right, so it was a little over a three-year
15 period?

16 A. 1997, 1998 -- Right.

17 Q. And during that period you found only five units
18 in the Jalmat and six in the Eumont that at any time during
19 that period had, for any month, overproduced their
20 allowables --

21 A. That's right.

22 Q. -- shadow allowables, right.

23 A. Right.

24 Q. No, I believe you have somewhere in here the
25 figure of how many units there were -- there are, how many

1 GPUs there are in those pools, but I don't -- unfortunately
2 I don't have that flagged here, but it's in the hundreds,
3 correct?

4 A. Let's see if I have it here. I don't have it.
5 The wells in Jalmat was 396 in March of 2000, and wells
6 in -- producing wells in Eumont was 555 in March of 1996,
7 but I don't have the --

8 Q. The number --

9 A. -- or March of 2000, but I don't have the number
10 of GPUs in front of me.

11 Q. However, can you say, based on this study that
12 you've done and the analysis of the production of these
13 wells that virtually -- as of the time you did this study
14 in 2000, virtually all of the GPUs in the Jalmat and Eumont
15 Gas Pools were marginal?

16 A. That's right, even those eleven, the five in
17 Jalmat and the six in Eumont, were underproduced at the end
18 of the period. All the overproduction which they had
19 accumulated had been made up by March 31st of 2000.

20 Q. In fact, in the case of the Eumont, is it not
21 true that all of the instances of overproduction you found
22 in that three-year period were in the first year of that
23 three-year period, namely 1997?

24 A. That could very well be true. I don't remember
25 that exactly. I could look that up, but I'm not surprised

1 at this.

2 Q. Yeah, I believe your report will reflect that --

3 A. Okay.

4 Q. -- approximately that.

5 Now, given the way gas prorationing works, if all
6 of the GPUs are marginal does prorationing have any effect
7 on the production of gas -- on the amount of gas produced
8 in the pool?

9 A. I believe it has virtually no effect.

10 Q. So as long as that is the case, if those units
11 are all marginal, the Division could deprorate and it would
12 presumably have no effect on the amount of gas produced
13 from those figures?

14 A. I'd say that would be a true statement.

15 Q. Would it have any effect on the allocation of
16 that production among the GPUs?

17 A. Well, of course, if it was eliminated there
18 wouldn't be any allocation, so I guess to some extent it
19 would have an effect, but I don't think it would have an
20 effect no what they produced.

21 Q. Well, that's what I meant --

22 A. Right --

23 Q. -- because of the allocation and --

24 A. Right.

25 Q. Yeah, okay.

1 A. Right. Yes, sir, you're right.

2 Q. Back to what I said about where proration
3 originated, the concept was, as I understand it, that if
4 the market were not allocated among the available wells,
5 then because -- even though there wasn't a market, people
6 still had to drill wells because they had to do something
7 to preserve their leases, correct?

8 A. Well, I'm sure that would happen at times, yes,
9 sir.

10 Q. And they had to do something to prevent drainage,
11 right?

12 A. Say that again, please, sir?

13 Q. Or they might also have to drill wells to prevent
14 drainage, from what I --

15 A. Yes, sir. Yes, sir, that's true.

16 Q. And if you got a lot of uneconomic wells that
17 were drilled that couldn't sell enough gas to pay for
18 themselves, you would have premature abandonments, failure
19 to maintain wells, et cetera, correct?

20 A. Yes, sir, I assume that would be true.

21 Q. And that's one of the things that's viewed as
22 waste by the Commission in those days?

23 A. What was that again?

24 Q. That was one -- The Commission saw that as being
25 waste if you had that situation?

1 A. Oh, if you drill wells that weren't needed?

2 Q. Yes.

3 A. Yes, that would be wasteful.

4 Q. Right. In your opinion, Mr. Morrow -- Well,
5 first I'll do this the correct way.

6 Do you have an opinion, Mr. Morrow, based on your
7 experience, your training in petroleum engineering and your
8 experience in working in this area and also based on your
9 study of the Jalmat and Eumont Pools, do you have an
10 opinion as to whether or not gas proration is necessary at
11 this time to prevent waste in those pools?

12 A. I don't believe it is. I haven't done a
13 reservoir study of either pool. I have looked at
14 production and allowables, and I can see that prorationing
15 has little effect on production. I can see that production
16 has declined fairly drastically in both pools from the mid-
17 1990s until now. In Jalmat, production was roughly half in
18 2000 what it has been in the mid-1990s, and in Eumont it
19 was roughly a third what it had been in the mid-1990s.

20 So with that in mind, this lower rate of
21 production, I believe, certainly would not be wasteful
22 compared to that higher rate in the mid-1990s.

23 Q. Right.

24 A. And that higher rate was approved by the
25 Commission through increased allowables, based on requests

1 from operators and testimony by them, so that I'm assuming
2 they believed and the OCD or the OCC believed that waste
3 would not be caused by those higher rates. So I would
4 believe that the lower rates also would not cause waste.

5 Q. Thank you. Now, I realize I forgot to go through
6 the formalities here, so I'll beg the leave of the Examiner
7 to do it retroactively.

8 Mr. Morrow, have you testified before the New
9 Mexico Oil Conservation Division previously as an expert
10 witness?

11 A. Yes, sir, I believe I have.

12 Q. And have your credentials as an expert in
13 petroleum engineering been accepted by the Division?

14 A. Yes, they have.

15 MR. BROOKS: Mr. Examiner, I will ask you to
16 retroactively accept Mr. Morrow as an expert petroleum
17 engineer.

18 EXAMINER CATANACH: Any objection?

19 MR. GALLEGOS: No objection.

20 EXAMINER CATANACH: Mr. Morrow is so qualified.

21 MR. BROOKS: Thank you. With that I am going to
22 offer Exhibit 5, which is a copy of Mr. Morrow's report
23 draft, dated October 25, 2000, and since he said that he
24 submitted a subsequent report that was actually the
25 official report, I will additionally, to the extent that

1 there may be any differences, ask the Division to take
2 administrative notice of the November report, which is a
3 part of his -- part of the Division's files.

4 EXAMINER CATANACH: Okay, Exhibit Number 5 will
5 be admitted as evidence, and the Division will take
6 administrative of the November -- What is it, November 8th?

7 THE WITNESS: November 6th report, it's the
8 November 8th hearing.

9 EXAMINER CATANACH: Okay, November 6th hearing --

10 THE WITNESS: November 8th hearing.

11 EXAMINER CATANACH: November 6th draft of the
12 report that was submitted at the November 8th -- What year
13 was that, Mr. Morrow? 2000?

14 THE WITNESS: 2000.

15 EXAMINER CATANACH: Okay, we will take
16 administrative notice of that report.

17 MR. BROOKS: Pass the witness, Mr. Examiner.

18 EXAMINER CATANACH: Any questions of Mr. Morrow,
19 Mr. Carr?

20 MR. CARR: No questions.

21 EXAMINER CATANACH: Mr. Gallegos?

22 MR. GALLEGOS: Mr. Morrow, can you hear me from
23 here?

24 THE WITNESS: Yes.

25 EXAMINATION

1 BY MR. GALLEGOS:

2 Q. I just have one question. Do you agree that
3 continuation of prorationing for the Jalmat and Eumont
4 Pools is not necessary in order to prevent waste and
5 protect correlative rights?

6 A. Yes, sir, I agree with that.

7 MR. GALLEGOS: That's all I have.

8 EXAMINATION

9 BY EXAMINER CATANACH:

10 Q. In the absence of the Division promulgating any
11 other rules governing, say, well density or anything, can
12 we still eliminate prorationing without changing the other
13 rules?

14 A. That's something that would need to be looked at.
15 In the report I suggested that prorationing should be
16 continued until the OCD could schedule a hearing to
17 consider whether or not the spacing and density rules
18 should be revised in light of the elimination of
19 prorationing, and I assume that's part of the call of the
20 hearing today.

21 Q. It is, sir. And so it would be your
22 recommendation that the Division look at, say, well density
23 or some other issues in order to protect the correlative
24 rights of all the operators?

25 A. Yes, sir.

1 Q. Okay. Mr. Morrow, at the time you looked at the
2 Jalmat Pool, there were not any nonmarginal units
3 producing. Could there, in fact -- Could a unit become
4 nonmarginal at this time?

5 A. If it has the capacity to produce in excess of
6 the allowables that are assigned it could, yes.

7 Q. So through additional drilling on a proration
8 unit, a marginal unit could become nonmarginal even at this
9 point in time?

10 A. That's possible.

11 Q. Okay.

12 A. And, you know, somebody might find an area that
13 had not been previously developed and find a nonmarginal
14 producer where the density was not so great.

15 Q. Yeah. But as you testified, you have not done a
16 reservoir study, so you don't know if that scenario was
17 likely?

18 A. I don't know if it's likely, but in view of the
19 declining production over the years, I would say that it's
20 probably not probable.

21 EXAMINER CATANACH: Okay. I believe that's all I
22 have of Mr. Morrow.

23 Are there any further questions of Mr. Morrow?

24 MR. BROOKS: Nothing further.

25 EXAMINER CATANACH: Okay. I don't know, Mr.

1 Brooks, do you want -- Are we going to excuse Mr. Morrow at
2 this point or --

3 MR. BROOKS: Yes, your Honor, I would request
4 that Mr. Morrow be excused.

5 EXAMINER CATANACH: Okay, you won't need him for
6 anything else that you can anticipate?

7 MR. BROOKS: I think that covered what I need to
8 cover with Mr. Morrow, and I believe Mr. Stogner is fully
9 briefed on the case and will be able to answer any
10 questions.

11 EXAMINER CATANACH: Mr. Morrow, it appears you
12 will be excused at this point.

13 MR. MORROW: Well, thank you. I'm sorry I
14 couldn't be there, and good luck to all of you.

15 EXAMINER CATANACH: Thank you, Mr. Morrow.

16 MR. MORROW: Good bye.

17 EXAMINER CATANACH: Good bye. Very good.

18 MR. BROOKS: Okay, we'll call Mike Stogner.

19 MICHAEL E. STOGNER,
20 the witness herein, after having been first duly sworn upon
21 his oath, was examined and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. BROOKS:

24 Q. Okay, would you state your name, please, for the
25 record?

1 A. Yes, sir, my name is Michael E. Stogner.

2 Q. And where do you reside?

3 A. I reside in Torrance County, New Mexico.

4 Q. And by whom are you employed, Mr. Stogner?

5 A. The New Mexico Oil Conservation Division.

6 Q. And in what capacity?

7 A. I'm an engineer, petroleum engineer, hearing
8 examiner.

9 Q. And how long have you been so employed?

10 A. Eleven years and 19 months.

11 EXAMINER CATANACH: Eleven years, Mr. Stogner?

12 THE WITNESS: I'm sorry, 19 years, 11 months.

13 MR. BROOKS: I was going to say, I thought you
14 told me a longer time earlier.

15 MR. GALLEGOS: Nineteen months is more than a
16 year too.

17 Q. (By Mr. Brooks) Have you testified previously
18 before the New Mexico Oil Conservation Division as an
19 expert witness in petroleum engineering?

20 A. Yes, I have.

21 Q. And have your credentials been accepted by the
22 Division?

23 A. They have.

24 MR. BROOKS: I would tender Mr. Stogner as an
25 expert witness.

1 EXAMINER CATANACH: Any objections?

2 MR. BRUCE: No objection.

3 MR. GALLEGOS: You can think about that.

4 (Laughter)

5 MR. GALLEGOS: No objection.

6 EXAMINER CATANACH: There being no objection, Mr.
7 Stogner will be considered an expert witness in this case.

8 MR. BROOKS: Very good. Thank you, Mr. Examiner.

9 Q. (By Mr. Brooks) Mr. Stogner, are you acquainted
10 with the Jalmat and Eumont Pools?

11 A. Yes, I am.

12 Q. And we've gone over the size of them in testimony
13 with Mr. Morrow. Are you familiar with that map that is
14 posted on the easel over there?

15 A. I'm very familiar with that map that is posted
16 over there on the easel in front of the hearing room.

17 Q. Okay. Earlier today I accused you of drafting
18 it, and you told me that somebody else did that.

19 A. No, I cannot take credit for that map. That map
20 was begun and administered by Mr. Dan Nutter, who was chief
21 engineer at the Oil Conservation Division from the early
22 1950s until 1982, and what that map depicts is the --
23 essentially the boundaries of the Eumont and the Jalmat
24 Pool and proration units that were in existence and had
25 changed over time from the 1950s to the early 1960s, and

1 that probably depicts the proration units that existed in
2 1964 or 1965.

3 MR. BROOKS: Permission to approach the exhibit,
4 Mr. Examiner.

5 EXAMINER CATANACH: Certainly.

6 MR. BROOKS: Thank you.

7 Q. (By Mr. Brooks) This is a little hard to see
8 from a long way -- from even a short way away, but does it
9 say Eumont right here at the top?

10 A. Up on the top portion of the colored area,
11 essentially being the top half of what is depicted as a
12 single structure, is the Eumont, yes, sir.

13 Q. Is this heavy blue line that squiggles through
14 it, is that the boundary between the Eumont and the Jalmat?

15 A. Yes, sir, as it is, and I believe that still
16 holds true today. If it's not, it's only slightly changed.

17 Q. And north is at the top of the map like it's
18 supposed to be, right?

19 A. North is at the top of the map, yes, sir.

20 Q. And get us located here. Where is Hobbs?

21 A. Hobbs is towards the upper right-hand corner,
22 which would be the northeast. Now, the tip of the colored
23 area pretty muchly corresponds with a little community
24 called Arkansas Junction.

25 Q. Okay, and Eumont is partly named for Eunice,

1 right?

2 A. Eunice Monument, yes, sir.

3 Q. And the town of Eunice is down here along this
4 railroad somewhere?

5 A. I'd say about halfway down the map toward the
6 eastern side, and it should be depicted as such.

7 Q. Yeah, I'm looking for it, but it's not depicted
8 very well so you can see. The town of Jal, New Mexico, is
9 further down south, same general alignment, correct?

10 A. Yes, sir, that would be in the extreme southeast
11 corner of the state, which would be depicted in the lower
12 right-hand corner of that map.

13 Q. And each of these approximately one-inch squares
14 is a square mile, correct?

15 A. Yes, sir, that is a mylar map, and the light one-
16 inch squares depict sections.

17 Q. And has Mr. Nutter used alternate colors to
18 depict various units here, so --

19 A. He tried to the best of his ability. Like I
20 said, it changed, so sometimes the colors abut each other.
21 But there are many instances where heavy squares,
22 especially a brown color, as depicted further south in the
23 Jalmat, right in there, and they're 160-acre increments,
24 those were essentially proration units that were
25 grandfathered under an old proration order Number R-520.

1 All others that have colors, if you look closely,
2 will have an order number depicted, whether a Division R
3 order --

4 Q. Yes, there appear to be R and a number written
5 black ink in many of these units.

6 A. Those were proration units that were approved by
7 the Commission at the time, after noticed and hearing.
8 There are also depictions of NSP, which is administrative
9 orders that were administered at that time, and still are.

10 Q. Very good. And this map that we've been
11 referring to is a map that is kept by the Commission -- or
12 by the Division now in the ordinary course of its business,
13 correct?

14 A. Well, I keep it in my office.

15 Q. It's not maintained, but it's kept here and it's
16 used by the Division?

17 A. Yes, sir, I keep it in my office, and I often
18 refer to it. Many of the proration units that are depicted
19 on that map are still in effect, and even if they are not,
20 it gives you a good historical background of where to
21 start. Many of these proration units have been adjusted
22 over time, but I try to maintain the integrity of that
23 order by either mentioning it or amending the orders that
24 are mentioned on that map.

25 MR. BROOKS: Mr. Examiner, since this map is a

1 part of the records of the Division, and also since it
2 would be extremely difficult to copy, to make it an
3 exhibit, I'm going to request two things, that the Division
4 take administrative notice of it and, two, that we be
5 allowed to use it as an aid without making it a part of the
6 record of this proceeding?

7 EXAMINER CATANACH: Any objection to that?

8 MR. CARR: (Shakes head)

9 MR. GALLEGOS: No objection.

10 EXAMINER CATANACH: Okay, the Division will take
11 administrative notice of Mr. Stogner's map.

12 MR. BROOKS: Thank you.

13 Q. (By Mr. Brooks) You seem to have a great deal of
14 familiarity with the Jalmat and Eumont, Mr. Stogner. Have
15 you been working with them for quite a long time?

16 A. Since 1981.

17 Q. And that's been a responsibility that you have
18 had here at the Division, is to supervise these -- be
19 overall responsible for the prorationing in this pool
20 recently, right?

21 A. Not the prorationing, I review exceptions to the
22 well location and proration unit orders. As far being the
23 gas proration umpire, no, sir.

24 Q. Well, that function is not really being performed
25 as to these pools at this time, is it?

1 A. No, it is not.

2 Q. Did you at one time assemble a notebook of the
3 Division orders that affect the Jalmat -- You said only the
4 Jalmat Pool, correct?

5 A. Yes, sir, I did.

6 Q. And is that the notebook you assembled there?

7 A. Yes, sir, it's a three-inch loose-leaf notebook.

8 MR. BROOKS: Okay, I will submit to the Examiner
9 that all of the documents that are contained there are
10 documents that are a part of the official records of the
11 Division, and so rather than introducing that book in
12 evidence, we'll again respectfully request the Division
13 take administrative notice of the orders that it has
14 entered.

15 EXAMINER CATANACH: Administrative notice will be
16 taken of this notebook.

17 MR. BROOKS: Okay, thank you.

18 Q. (By Mr. Brooks) Now, I don't have to go through
19 with you the basic system of prorationing and the
20 definitions, because we've already talked about that and
21 Mr. Morrow has testified concerning it. But I need to go
22 over with you a little bit what the current status is of
23 the gas proration unit in these units. Now, they are both
24 still at this time prorated units, correct?

25 A. Yes, sir.

1 Q. And we no longer have monthly proration orders,
2 but they're done on a six-month basis?

3 A. That's what I understand, yes, sir.

4 Q. Now, did there come a time in the 1990s when --
5 Well, I guess I'd better go back, because I don't think I
6 covered this with Mr. Morrow. On what basis is the total
7 allowable for the pool in each of these pools allocated
8 among the gas proration units?

9 A. Per proration unit, I'm assuming you're talking
10 about the acreage factor?

11 Q. Correct.

12 A. By acreage, yes, sir.

13 Q. And only by acreage, correct?

14 A. And only acreage.

15 Q. Now, there was a time back in the late 1950s, as
16 reflected in the entries in your notebook, when the Oil and
17 Gas Conservation Commission entered an order that would
18 have put in a deliverability factor in the computation of
19 proration allowables in the Jalmat Pool, correct?

20 A. Yes, sir, that is correct.

21 Q. And that order was held to be invalid by the
22 Supreme Court of the State of New Mexico, correct?

23 A. Yes, sir. And by reference that was case Number
24 1327, Order Number R-1092-A, and that rule was void by the
25 New Mexico Supreme Court, and I'm not sure the dates,

1 exactly.

2 Q. Okay, well, I think that the *New Mexico Reporter*
3 will reflect that it was probably 1962. But anyway,
4 whatever it says, since that time prorationing has been
5 continued on an acreage factor only, correct?

6 A. That is correct.

7 Q. Now, explain what is meant by a factor of one,
8 prorationing in this pool.

9 A. A factor of one in both the Jalmat and the Eumont
10 reflect 160 acres.

11 Q. So if a pool is 160 acres within the permitted
12 tolerances of 160 acres, it's said to have a proration
13 allowable assigned to it on a factor of one?

14 A. That is correct.

15 Q. And if it's 640 acres or close enough to be
16 within the tolerances, it has a factor of four?

17 A. That is correct.

18 Q. And if it were 40 acres, it would be a factor of
19 one-fourth?

20 A. .25, yes, sir.

21 Q. Okay. Now, did there come a time in the early
22 1990s when the Oil Conservation Division adopted a minimum
23 allowable in the Jalmat and Eumont Pools?

24 A. Yes, sir, that is correct. And in fact, in
25 January of 1991, by Order Number R-8170-J, and in the

1 Eumont Pool I believe the applicant was Doyle Hartman, and
2 by Order Number R-8170-G, the Eumont was assigned a minimum
3 allowable of 60 MCF for an acreage factor one, and I
4 believe that application was by Texaco.

5 Q. So if you have a 160-acre unit now in either of
6 these pools, regardless of anything else, marketability,
7 production, deliverability, whatever, if you have a 160-
8 acre unit, its assigned allowable will be no less than 600
9 MCF per day, correct?

10 A. That is correct.

11 Q. When the Division did that, adopted that minimum
12 pooling order, were you a part of that process?

13 A. To some degree I was, yes, sir.

14 Q. Was there anybody like Mr. Carr down here beating
15 on the table saying you should not do it?

16 A. Not that I remember any beating on the table, no,
17 or any opposition. I don't remember any opposition.

18 Q. Okay, I believe the record will reflect, and the
19 Commission -- the Division's records will reflect one way
20 or the other, but I believe the record will reflect that
21 there was no opposition to the adoption of the minimum
22 proration unit -- minimum allowables at that time.

23 Okay, is there -- Going back a little bit to the
24 background, the Eumont Pool include what formations?
25 Jalmat and Eumont Pools include what formations?

1 A. Okay, the Jalmat Pool -- we'll cover the Jalmat
2 first. It's a little bit -- varies. The Jalmat Gas Pool,
3 except for an area that includes all of portions of 7, 8
4 Sections in Townships 24 South, Range 36 East, and 24
5 South, 37 East, includes, from the top of the Tansil
6 formation to a point 100 feet above the base of the Seven
7 Rivers formation. In all other areas in the Jalmat Pool
8 except for this small area, it extends from the top of the
9 Tansil formation to a point 250 feet above the base of the
10 Seven Rivers formation. So essentially it includes all of
11 the Yates formation and all of the Tansil formation and a
12 portion of the Seven Rivers formation.

13 The Eumont Pool is consistent, and it covers all
14 of the Yates, Seven Rivers and Queen formations.

15 Q. Okay, is there oil production within the
16 horizontal and vertical limits of the Jalmat and Eumont Gas
17 Pools?

18 A. Yes, there is.

19 Q. Is it generalized throughout the pools, or is it
20 in various -- in pockets, or explain what the situation is
21 there?

22 A. Most, not all, of the oil production is along the
23 western flank of both of the pools. It is either an
24 anticline or a series of anticlines, and the majority of
25 the oil production is along the western flank. However,

1 there are portions along all of the pool in which there are
2 oil wells in these formations. Mostly in the Eumont, it is
3 the Queen formation that is the oil producer. However,
4 there can be some oil pockets included in the Seven Rivers
5 and the Yates.

6 Q. Now, what is the standard gas proration unit in
7 the Jalmat, the size of the standard gas proration unit in
8 the Jalmat and Eumont fields?

9 A. They both have the same, and for a unit to be
10 standard, a gas proration unit to be standard in both the
11 Jalmat and Eumont, it is to be 640 acres and is to comprise
12 a single section, governmental section.

13 Q. Looking at that map that has the existing units
14 colored in alternate colors, I don't see many of those
15 blocks of the same color that are 640-acre sections.

16 A. That's right.

17 Q. Would it be fair to say that there are quite a
18 few more nonstandard units than there are standard units in
19 these pools?

20 A. That is very correct.

21 Q. Would it also be correct to say that the actual
22 size of the gas units varies substantially?

23 A. Substantially. It can be anywhere from 40 to
24 640.

25 Q. And what is the size of an oil unit in this area?

1 A. An oil proration unit in both the Eumont and
2 Jalmat pools are 40 acres, and that is to comprise a single
3 quarter quarter section.

4 Q. Okay, thank you. We'll go back to the
5 significance of the oil in the pool later, but I brought it
6 up at this point, just the background.

7 Now, you have reviewed Exhibit 2, which is Mr.
8 Morrow's report, correct?

9 A. Yes, sir, I have.

10 Q. And like me, you were not aware at the time you
11 reviewed it that he submitted a subsequent report, were
12 you?

13 A. No, I wasn't aware of that.

14 Q. So Exhibit 5 that's here before the Division
15 today is the one that you actually reviewed?

16 A. That is correct.

17 Q. Now, Mr. Morrow has given the opinion that
18 prorationing, as presently practiced with existing minimum
19 allowables does not have any material effect on production
20 from the Jalmat and Eumont gas pools. Based upon your
21 familiarity with those pools, as well as your review of Mr.
22 Morrow's reports and the production data from the pools,
23 which have reviewed over a longer period of time than
24 covered in Mr. Morrow's reports, do you agree with that?

25 A. I agree with Mr. Morrow's summation today.

1 Q. Thank you. And I also asked Mr. Morrow if
2 prorating had any material effect on how much gas was
3 produced from individual gas proration units, and I believe
4 it's his opinion that it had very little, probably. Do you
5 agree with that opinion?

6 A. I agree with him on that, it has very little
7 effect today in the Jalmat and Eumont.

8 Q. Okay. Now, I want to talk about two phrases we
9 hear a lot about here at the Oil Conservation Division,
10 prevention of waste and protection of correlative rights.
11 Do you agree again with Mr. Morrow -- and I'm going to skip
12 over some of the things here about the history, because I
13 asked Mr. Morrow these questions and I don't want to repeat
14 myself too much here and wear out the Examiner's patience,
15 but do you agree with Mr. Morrow that in the present market
16 situation and at the present production levels, that
17 prorating is not necessary in the Jalmat and Eumont
18 fields for the prevention of waste?

19 A. I agree with that. I don't believe gas
20 prorating -- no longer is applicable in these pools.

21 Q. For the prevention of waste?

22 A. For the prevention of waste.

23 Q. We're going to talk further about correlative
24 rights.

25 A. Yes, sir.

1 Q. With all these marginal units and the high
2 minimum allowable, would it be fair to say that what's
3 actually happening out there is that everybody's got the
4 tap open, and it's producing what it can, and so that --
5 and still not getting up to these minimum allowables?

6 A. That is correct.

7 Q. Now, talking about correlative rights, that is
8 one of our responsibilities here at the Oil Conservation
9 Division, is to protect correlative rights, right?

10 A. Yes, sir.

11 Q. And the Legislature has given us a definition of
12 the term "correlative rights"?

13 A. Yes, they have.

14 Q. And that definition is -- and I have a cheat
15 sheet here or I probably couldn't state it -- but that is
16 the opportunity afforded, so far as it is practicable to do
17 so, for the owner of each property in a pool to produce
18 without waste his just and equitable share of the oil or
19 gas or both in the pool, being so far as can be practicably
20 determined and as can be practicably obtained without waste
21 substantially in proportion that the quantity of
22 recoverable -- gas, is what we're talking about -- under
23 the property bears to the total recoverable gas in the
24 pool. Correct?

25 A. That is correct. That's in the statutes, as I

1 understand.

2 Q. Right. Well, that's a mouthful, but what it
3 means, basically, is that everyone should be able to draw
4 out of the common source an amount basically equivalent to
5 what was underneath their land to begin with as
6 recoverable. I understand it's not all recoverable, but
7 whatever is recoverable should be in proportion to what was
8 there in the first place before they started producing from
9 it.

10 A. That is correct.

11 Q. Now, in what situation -- Well, let me back up a
12 bit.

13 One of the purposes of prorationing,
14 historically, certainly as it's been practiced in other
15 states and also as it's been practiced in New Mexico
16 historically, has been to protect correlative rights; is
17 that correct?

18 A. That's correct.

19 Q. And in what situation is prorationing necessary
20 to protect correlative rights in the pool? What would give
21 rise to that need?

22 A. A large number of nonstandard proration units or
23 acreage dedications and perhaps nonstandard locations or
24 where locations were closer than normal or required by the
25 pool rules to the proration unit boundary line.

1 Q. And would it not also be true that if the wells
2 were draining a larger area than the normal proration unit
3 you would need prorationing to protect correlative rights?

4 A. That is correct.

5 Q. Now, the first situation that you described, a
6 lot of nonstandard units and strange-shaped units, that is
7 characteristic of Jalmat and Eumont Pools, right?

8 A. That is the rule in these two pools, yes.

9 Q. And even if -- Well, let me go back. The policy
10 of the Oil Conservation Division is, their interpretation
11 of our rules has been historically that in a prorated pool
12 an operator could drill as many wells as he chose to drill,
13 so long as they were at standard locations; is that
14 correct?

15 A. If there were no additional requirements within
16 the pool's rules limiting the number of wells, that is
17 correct.

18 Q. And that is the situation for the Jalmat and
19 Eumont Pools, correct?

20 A. Yes, sir.

21 Q. And the reason for that is what -- was what? The
22 reason for that interpretation?

23 A. In the Jalmat and the Eumont Pool rules, there is
24 no limitation contained within those pool rules that states
25 how many -- what the density of the wells, or the maximum

1 density or the maximum number of wells, or for that matter
2 minimum number of wells, and there was a memorandum sent
3 out by the Director back in about 1989 or something that
4 also stated that for unprorated pools a limit of one for
5 those proration units is applicable, which also verified
6 about what I just said, if the particular pool rules do not
7 state what the maximum number is, then theoretically and
8 technically you can have additional wells.

9 Q. Well, I don't understand, because if you can
10 drill additional wells on your tract, can't you go out
11 there and drill wells that will drain from other tracts and
12 produce -- an operator that drills a large number of wells
13 will produce more than his fair share, and wouldn't that
14 violate correlative rights?

15 A. If those wells produce more than the allowable
16 assigned that particular acreage factor or proration unit.

17 Q. And isn't that why the Division said you can
18 drill as many wells as you want to in a prorated unit,
19 because however many wells you've got, you still can
20 produce more than the allowable for the unit?

21 A. That is correct.

22 Q. But that doesn't work if you're dealing with a
23 marginal unit and a unit that is so far marginal that
24 however many wells you drill on it, it's still a marginal
25 unit, correct?

1 A. If that's the situation, that is correct.

2 Q. Well, the prorationing doesn't do anything to
3 protect correlative rights in that situation?

4 A. No, it does not.

5 Q. Now, based on your experience and knowledge of
6 the Jalmat and Eumont fields and the exception requests
7 you've worked on and so forth, is not that a fairly
8 realistic scenario in the Jalmat-Eumont area?

9 A. That's a very realistic scenario out here.

10 Q. In other words, while they're drilling a lot of
11 wells, or at least they're re-entering a lot of wells,
12 they're still not bucking those shadow allowables?

13 A. That's what I understand, there are no
14 overproduced pools as I know.

15 Q. Now, let us suppose that the Division were to
16 decide -- well, no, let me -- one other question before I
17 get there.

18 Assuming Mr. Morrow's conclusions are correct and
19 assuming also that there are a lot of new wells or new
20 completions being brought in in these pools, then does it
21 not appear to be a fair statement that prorationing as it
22 is currently practiced in the Jalmat and Eumont Pools is
23 not effective to protect correlative rights in those pools?

24 A. That is correct.

25 Q. Now, I said assuming there are a lot of new

1 completions within the period of time covered by Mr.
2 Morrow's report, and so let me ask you because you're the
3 one that deals with these exception requests and so forth,
4 is it not true that there are a lot of new completions
5 being made within those pools?

6 A. There are many exceptions that come through, and
7 there are many additions to existing proration units in
8 both the Jalmat and the Eumont gas pools.

9 Q. And this has been going on over the period of the
10 1990s, has it not?

11 A. Yes, and even further back than that.

12 Q. Beginning at least in the early 1990s?

13 A. Yes.

14 Q. And so what we've got -- what it appears we've
15 got, if we've got a prorationing system that is not
16 protecting correlative rights and we're relying on
17 proration to protect correlative rights, we've got a
18 mismanaged regulatory scheme; is that not a fair statement?

19 A. It's one that's deservant of review, yes, sir.

20 Q. Okay. Suppose we decided, suppose the honorable
21 Examiner and the honorable Director decided that
22 prorationing was necessary to protect correlative rights in
23 the Jalmat and Eumont Pools, what would they have to do to
24 make it effective to protect correlative rights?

25 A. To make it effective, they'd have to lower the

1 allowable.

2 Q. They'd have to lower those minimum allowables,
3 perhaps fairly substantially, right?

4 A. Yes.

5 Q. And would that significantly reduce production
6 from these pools?

7 A. Oh, yes, I think you'd see quite a bit of a
8 reduction out there.

9 Q. There would be a lot of operators who would be --
10 pull back how much they produced, would there not?

11 A. Yes, if prorationing was instituted then they
12 would be required, then, to probably shut those wells in.
13 I would visualize some overproduction occurring, yes.

14 Q. Now, the Jalmat and Eumont Pools are a fairly
15 significant contributor to the gas production in
16 southeastern New Mexico, are they not?

17 A. Yes, it is. In fact, according to the 1999
18 production records -- that was what I had as a whole --
19 both the Jalmat and Eumont contribute 10 percent of the dry
20 gas production from southeast New Mexico and 28 percent of
21 Lea County's dry gas production is attributed. And this is
22 just the gas wells and the dry gas production. That
23 doesn't include the associated casinghead gas.

24 Q. Well, it's beginning to sound to me like when
25 they're having brownouts and blackouts in California and

1 we've got these big gas pools down here, that throttling
2 back on production, if there's any alternative to it, that
3 doesn't sound to me like that's very good natural resource
4 management, would you agree with that?

5 A. I would agree with that, yes, sir.

6 Q. And yet if you don't do that, you cannot protect
7 correlative rights in these pools by prorationing, correct?

8 A. That is correct.

9 Q. That is your opinion, that's your professional
10 opinion?

11 A. That's my opinion, yes, sir.

12 Q. Is there an alternative in your opinion, is there
13 an alternative regulatory approach that you believe would
14 be effective to protect correlative rights in these pools
15 without throttling back on production?

16 A. Yes, sir, I believe there is, and there would
17 have to be.

18 Q. And just give me in general-concept terms,
19 because we're going to get to the specifics here in just a
20 second, what is that approach?

21 A. By adopting rules and regulations that address
22 well densities and well locations, while allowing the
23 spacing units that exist and even adjustments for those
24 spacing units, to allow for oil production. And also you'd
25 have to address the oil production out here in these pools.

1 But to shorten this, address the well density and well
2 locations.

3 Q. Before I go into your specific proposals, I'm
4 going to ask one other thing too. Have you made a study of
5 the trends of production in the Jalmat and Eumont Gas Pools
6 over the life of those pools?

7 A. Yes, sir, I have.

8 Q. And have you prepared Exhibits 3A, 3B, 4A and 4B
9 that were submitted with the exhibit set for this hearing?

10 A. Yes, I have prepared these four exhibits.

11 Q. Explain to us -- Exhibit 3A and 3B are prepared
12 on a -- are similar projections for the Jalmat and Eumont
13 Gas Pools, correct, respectively, right?

14 A. That is right.

15 Q. And would you explain what these drafts depict?

16 A. Okay, I started -- This is an annual production
17 report of both the Jalmat and the Eumont Gas Pool. What is
18 shown on the left-hand side is annual production, and
19 what's depicted, of course, are the years. And the latest
20 year I had was the year 2000, and I extended on out at
21 least 20 years.

22 And if you noticed, about the last eight to ten
23 years of production for both pools, I have extended or
24 extrapolated a decline curve, and roughly the Jalmat
25 decline curve comes out to about 5 percent, while the

1 Eumont is showing about a 15-percent decline. And they're
2 also on a logarithmic scale, as far as the production goes.

3 Q. All right. Now, would you explain what Exhibits
4 4A and 4B, respectively, depict?

5 A. Okay, 4A and 4B, 4A being the Jalmat Prorated Gas
6 Pool and 4B being the Eumont production, gas production is
7 depicted on the vertical axis, on the far left side, and
8 the number of producing wells on the right-hand side, and
9 this goes from January of 1993 to about the first part or
10 the first quarter of the year 2001.

11 Now, I'd like to point out to the Examiner that
12 if you look on the information or the data on the far
13 right-hand side, that's sort of a misnomer, because this is
14 prepared with incomplete production data. I think if you
15 start backwards from December of 2000, back, you're going
16 to get an accurate depiction.

17 What stands out, I believe, in 4A, we have -- the
18 number of producing wells stays pretty consistent and
19 constant while our production is declining. We have -- and
20 I have stated before, we do have lots of new Jalmat
21 completions. We also have a lot of Jalmat abandonments out
22 there. So we do have -- depicted on here is some infill
23 wells, but yet we have wells that are being abandoned.

24 If you look over at 4B, there was a large push
25 for infill drilling in 1993, and this is depicted from

1 about 1993 until 1997, you can see the number of wells have
2 increased, so has the production. But it reached a point
3 of about 575 wells, the production has declined. There
4 again, not only do we have additional wells being drilled,
5 we also have abandonments of Eumont gas completions out
6 here in this pool.

7 Q. Now, looking at Exhibits 3A and 3B, it would
8 appear that there was a substantial dip in the production
9 from these pools in the middle to late 1980s. To what do
10 you attribute that dip?

11 A. Mr. Morrow also alluded to that in his testimony
12 today. It starts about 1981 and extends to about 1990,
13 1991. That was when our demand exceeded -- well, we were
14 producing more than what we could sell. Also I attribute
15 that to our market infrastructure at that point in these
16 pools. All of the production was going west at the same
17 time that California was getting additional production from
18 Canada and other parts of the country. And by 1990 and
19 1991 we finally got a good infrastructure out there, the
20 industry did, and some of the gas now was being more
21 diverse and going back to the east.

22 That shows up really well, I believe, on the
23 Jalmat gas production. If you look at the decline from
24 about 1993 on, and if you go back to about 1972 to 1984, it
25 just sort of moves over and skews. We had a gas marketing

1 bureau chief, and I'm sure if he was here, Mr. Ron Merrett,
2 he would attribute all of this good production in 1991 to
3 his good works.

4 Q. Well, it looks like from about 1992 on in both of
5 these pools there's been a fairly steady decline in
6 production up to the present time.

7 A. That even surprised me. I mean, this is a nice,
8 steady -- well, I won't say a "nice" steady -- it is a
9 steady decline. No decline is nice, don't get me wrong,
10 but it is a very steady decline.

11 Q. And you have projected that decline out over the
12 coming years?

13 A. Yes, I have, and to no point in particular. All
14 operators have their own ideas about that. I'm just
15 offering this as some raw data, so let the operators come
16 to their own conclusions.

17 Q. Well, based on your professional experience, do
18 you think that a projection along those lines is realistic?

19 A. I think it's very realistic. I think the two
20 pools still have a lot of life left into them before they
21 deplete, fully deplete.

22 Q. But they will continue, in your opinion, probably
23 to decline?

24 A. Yes, I feel -- Yes, sir, I feel they will
25 decline, at least at these rates, if not more.

1 Q. And if the production from the pool is probably
2 going to continue to decline and we have proration with a
3 fixed minimum allowable, then there's really virtually no
4 chance that the existing proration is ever going to become
5 relevant to either prevention of waste or protection of
6 correlative rights, right?

7 A. That is correct, I don't see the market coming
8 back to where it would demand such a scheme to be enacted.

9 Q. Okay, and as a field or a pool is produced dying,
10 so that there's less production from the pool, is it
11 correct to say that the area that is drained by a well
12 tends to become smaller?

13 A. Yes, I think that's true out here as this pool --
14 It's a very mature pool, and we're still far from total
15 depletion, but we've declined to such a point that, yes, I
16 believe the drainage radius is definitely reduced out here
17 in both these pools.

18 Q. Would you think that it would be realistic to
19 suggest that the area that could be efficiently drained by
20 one well in this pool would be 640 acres?

21 A. No, that's not realistic at all.

22 Q. What about 160 acres?

23 A. Yes, definitely. I think 160 acres is very
24 applicable to the gas wells out here in this area.

25 Q. Is there not a probability that drilling wells in

1 a density greater than one per 160 acres might increase
2 production further?

3 A. Definitely, there is still a large area out here,
4 I believe, that would require as little as 40-acre spacing
5 to fully deplete the pool without interfering with the
6 other quarter quarter sections.

7 Q. Are there operators that are aggressively
8 pursuing development on 40-acre density within the Jalmat
9 Pool specifically?

10 A. Currently yes, and even in the past. In fact,
11 Order -- I believe, what, 8170-J also helped to institute
12 infill development in this pool.

13 Q. And have you recently had occasion to hear as a
14 hearing officer applications by Raptor Resources to do 40-
15 acre development in the Jalmat?

16 A. Yes, sir, in the last two months Cases 12,623,
17 12,624 and 12,625 were presented for me for essentially 40-
18 acre development in the Jalmat Pool.

19 Q. And did they make a convincing enough case that
20 you granted these applications?

21 A. Yes, sir, two have been approved, one is off my
22 desk and is pending final approval.

23 Q. Now, Raptor has a fairly large block of acreage
24 in the Jalmat, do they not?

25 A. Yes, sir, they do.

1 Q. And among the evidence that they offered, did
2 they offer evidence that recompletions of wells on a
3 density of less than 160 acres has resulted in significant
4 increases in production from their acreage?

5 A. Yes, they've got quite a bit of -- I shouldn't
6 say quite a bit. They have introduced new production by
7 infill drilling on 40-acre spacing out there.

8 Q. Now, if the acreage -- Well, let's put it this
9 way: There are a lot of small units in the Jalmat and
10 Eumont, right?

11 A. Small units below 160 acres, yes, there are.

12 Q. But the predominance are at least 160, right?

13 A. At least, yes, sir.

14 Q. Most of them are not 640?

15 A. No, there's very few 640 that's in existence out
16 there. And even the ones that are have been infill
17 drilled.

18 Q. Right. But most of them are at least 160?

19 A. That is correct.

20 Q. Now, if one was to make a case that it's
21 necessary to prorate this pool for protection of
22 correlative rights, would they base that on the existence
23 of small units, do you suppose?

24 A. Yes, that would be the only thing I think they
25 could base it on.

1 MR. BROOKS: May I approach the easel?

2 EXAMINER CATANACH: Certainly.

3 Q. (By Mr. Brooks) For example, let's say you had a
4 160-acre unit here, or a 160-acre subdivision here, and you
5 had a 40-acre unit down here, and the rest of this is a
6 120-acre unit. The guy with the 40-acre unit, if you
7 assume that he can drain 160 acres, he drills a well here.
8 Then that essentially forces the guy with this 120-acre
9 unit to drill a well up in here, a well up over in here,
10 and a well over in here, right? Because otherwise he may
11 be drained?

12 A. The way I understand it, you have depicted a
13 quarter section --

14 Q. Correct.

15 A. -- with a 40-acre tract being in the southeastern
16 portion.

17 Q. Correct.

18 A. That would indeed -- If he had a good well there,
19 that would indeed encourage the operator with the 120
20 acres, the remaining 120 acres, to drill at least one well
21 in each quarter quarter section.

22 Q. So if we were persuaded that we had to have at
23 least 160 acres to make a well efficient, then we might
24 come to the conclusion that at least there was some case
25 for prorationing within this field, right?

1 A. That is right.

2 Q. But we're actually not persuaded of that, are we?

3 A. No, we're not.

4 Q. We believe there's a fairly distinct possibility
5 that development of this area on density at least as high
6 as one per 40 acres may be justified, at least in large
7 parts of this area?

8 A. That is correct, by the number of exceptions that
9 have been granted over the years.

10 Q. Okay. Now, you had suggested that regulation of
11 well density and well spacing might well provide an
12 alternative that would enable the Division to protect
13 correlative rights in the Jalmat and Eumont without the
14 reduction in production which would necessarily be entailed
15 in effective prorationing.

16 Have you and I developed a set of proposed pool
17 rules that we think would give us a point of departure for
18 developing such a regulatory approach?

19 A. Yes, we have.

20 Q. And I call your attention to Exhibits -- the 1A
21 and 1B in my set is not numbered.

22 A. Yes, up in the top portion of both exhibits is a
23 shaded area. One is labeled 1-A for the Jalmat, and the
24 other one is labeled 1-B for the Eumont.

25 Q. And are these the proposed pool rules that we

1 have developed?

2 A. Yes.

3 Q. Are they identical with the exception of the pool
4 definition and the name?

5 A. In both instances, until you get down to Rule 2,
6 from Rule 2 on everything is identical except the Jalmat
7 and the Eumont, the words as they appear.

8 Q. Now, in Rule 3 you have a shaded section where
9 you have two "(A)"s. What is the significance of that?

10 A. Okay. I offer these two variances for review by
11 the operators. One is a very liberal well location
12 request, or a well location assignment per 160 acres, but
13 it would be applicable to the whole pool, so everybody
14 would have the chance to drill the same distance from their
15 proration unit line as this is being depicted. That would
16 afford a larger flexibility for the operators to locate
17 wells that are considered standard, and the would not have
18 to seek -- come to me for exceptions. You would probably
19 get everybody to agree that that's probably not one of the
20 best things they would like to do, is write Mr. Stogner for
21 an exception. Also it takes time on our part also.

22 I offer that as a possibility, at least for
23 review, by the operators.

24 The second alternative sets limits for oil wells,
25 and that's still 330, that has not changed. But the second

1 part of that, part (A) (2), Rule 3 (A) (2), sets
2 regulations that are clear and concise. This gets away
3 from what we presently have, which is very confusing, I'll
4 have to admit. The current Jalmat/Eumont Pool Rules, to
5 find each and every rule that is applicable to the Jalmat
6 you must go to about five -- at least five or six places.
7 That is very confusing. It's confusing for me. It's got
8 to be confusing for the operators when they come to me. I
9 still have to go back and look at them.

10 What I've tried to offer here is something that's
11 clear and concise and also -- I don't want to use the word
12 "limit", but I think I'll have to in this portion, that
13 sets the setback requirements to the outer boundary of a
14 proration unit for obvious reasons -- I'm sorry, a spacing
15 unit. Let me get away from the word GPU and proration
16 unit. Let's talk strictly spacing units. For gas spacing
17 units it sets you an applicable distance back that I think
18 is fair.

19 Also, it addresses what's the difference between
20 the outer boundary of a proration or a spacing unit and the
21 outer boundary of a quarter section? Well, it gives the
22 same thing. If the spacing unit size changes, I think it's
23 more realistic.

24 It also addresses the 330 foot for the internal
25 governmental quarter quarter section. I hope that's clear

1 in there.

2 Q. Yes. I notice also that you have a limit, 330
3 acres to a quarter quarter section even within a unit, 330
4 feet to a quarter quarter section line even within a unit.
5 Now, if people own the same -- you've got the same
6 ownership on both sides of a quarter quarter section line,
7 which after all is just an imaginary line drawn by the
8 government, why do we need to have a setback from the
9 quarter quarter section line?

10 A. To still address the issues of oil well
11 locations. A lot of these wells that are gas wells can
12 become oil wells and vice versa. You will still keep the
13 integrity of the spacing and the distance between oil
14 wells. And yes, a lot of instances that's an imaginary
15 line, but the mineral interests may be owned by two
16 different sets of parties, like one federal, one state.
17 And even though the operator has leased both areas, they
18 find themselves within 10 feet of some state land, that's
19 still a violation of correlative rights.

20 Q. Very good. One of the things that we've done
21 here also is that we have provided for people who want
22 substandard -- nonstandard units, I shouldn't say
23 substandard units -- nonstandard -- nobody wants that. For
24 people that want nonstandard units or for people who want
25 greater density down to, or up to one well per 40 acres, we

1 have provided them an opportunity to obtain that through an
2 administrative process without the necessity of coming to
3 Santa Fe for a hearing, basically if nobody objects; is
4 that correct?

5 A. Yes, basically if nobody objects, and sufficient
6 evidence -- I'm sorry, sufficient information is provided
7 that the well density, the increased well density is
8 acceptable in this situation, and also that notification is
9 followed.

10 Q. Right. Now, Rule 3 (C) addresses this issue of
11 the scientific and geological or engineering evidence,
12 right, that has to be filed with these exception requests?

13 A. 3 (C) or 4 (C)?

14 Q. 4 (C), I'm sorry.

15 A. 4 (C) addresses what I believe is acceptable.

16 Q. Now, let me be sure here I'm on the right
17 location.

18 A. Or maybe we need to look at 4 (B) --

19 Q. 4 (B) --

20 A. -- talks about exceptions to the wells --

21 Q. -- 4 (B) says what you have to -- says the proof
22 that you have to make with your application.

23 A. That is correct.

24 Q. And 4 (D) addresses the manner in which you give
25 notice?

1 A. That is correct.

2 Q. And now -- I quoted Shakespeare in a brief in
3 Colorado a little while ago and got a lot of flak from the
4 court for it, but today I'm going to quote the Bible in the
5 hearing and maybe I'll get by with it. The Bible says, if
6 the man of the house had known in what hour the thief would
7 appear he would have set a watch and he would not have
8 allowed his goods to be despoiled.

9 And is the philosophy of this scheme that if
10 everybody has notice of what their neighbors are doing and
11 they think, after they know what they're doing and why
12 they're doing it, that there's something wrong with it,
13 then they can be their own best protection against any kind
14 of improper attempt to drain them by coming down here or --
15 and telling us why we ought to do something different or
16 whatever they can do to prevent -- to bring --

17 MR. GALLEGOS: Can we have that question read
18 back? I'm just kidding.

19 MR. BROOKS: Would it be better --

20 MR. GALLEGOS: That wins the length award.

21 MR. BROOKS: Would it be better if I restated it?

22 MR. GALLEGOS: Might be.

23 THE WITNESS: Sure, go ahead and restate it.

24 Q. (By Mr. Brooks) Is the philosophy of these rules
25 that if offset operators have notice that there's a

1 proposal to drill additional wells with greater density,
2 and if they are aware of the geology on which that proposal
3 is based, then they can decide whether they think it's
4 going to injure their interests?

5 A. That is correct, and take proper action from that
6 point to work something out or object. There's all sorts
7 of possibilities.

8 Q. And is that philosophy further that that would
9 seem to be more efficient than the Division trying to make
10 a poolwide assessment of what ought to be done in a pool
11 this complex and this large?

12 A. I believe it is, yes.

13 Q. Well, I will ask you, then, my final questions.
14 Do you have an opinion as to whether or not the approach
15 developed in these rules is a viable alternative to
16 prorationing as a means of protection of correlative rights
17 in the Jalmat and Eumont Gas Pools?

18 A. Yes, I definitely have an opinion.

19 Q. And what is that opinion?

20 A. To adopt the special rules and regulations that
21 will address the management of this mature pool and both --
22 do two things: adequately protect correlative rights and at
23 the same time abolish prorationing in this pool, and at the
24 same time I think we can enjoy some simpler rules and
25 regulations for both the operators and the Division.

1 Q. And in view of the alternatives that are
2 available to the Division, as represented by these rules or
3 some appropriate modification thereof, do you believe that
4 prorating at this point would be a reasonable means of
5 adjusting correlative rights in this pool?

6 A. I don't believe it's -- No, I believe
7 prorating is no longer applicable out here. That meets
8 that stipulation.

9 MR. BROOKS: Pass the witness.

10 EXAMINATION

11 BY MR. GALLEGOS:

12 Q. Mr. Stogner, just a little bit on the
13 prorating history, and then we can get over to the
14 rules, which I think are probably the most important
15 subject, but...

16 Do you have a recall of the practices of the
17 Division when there was active supervision of the
18 prorating system?

19 A. About the prorating or about the exceptions?

20 Q. No, what were the practices when there was active
21 supervision?

22 A. Oh, okay, a proration schedule, a gas proration
23 schedule was printed, and I believe the operators were
24 notified through this means, this schedule, and also by
25 letters that they had to shut a -- There was a lot of

1 interaction between the operators and the Division, to let
2 everybody know what the production was doing.

3 Q. There was actual monitoring if the well, let's
4 say, was six times over in the southeast or 12 times over
5 in the northwest, and letters warning the operators that
6 they were overproduced and such as that?

7 A. That is correct.

8 Q. Okay. And about what was the last year that that
9 supervision actually was in practice?

10 A. I'm just guessing about 1994. 1993, 1994.

11 Q. Now, let's go right to the proposed special pool
12 rules, and let me state as I open my questioning that this
13 isn't meant to challenge these rules -- I think you
14 definitely have a good product -- but just want some
15 clarification so we make sure we all understand what we
16 have here. And let me go first to your alternative on the
17 location of the well.

18 As I understand it, in this shaded area you can
19 either have just sort of what I'd call an open rule of 330
20 feet from any boundary, or the A (2) rule, which would be
21 your 660 outer boundary and so forth?

22 A. Yes, one is more simple than the other, and also
23 closer.

24 Q. Do you see any problems in application -- the
25 administration of the more liberal rule?

1 A. From a regulatory standpoint?

2 Q. Well, and even from the field application
3 standpoint. If I'm not incorrect, you'd have the same
4 location as oil wells potentially, correct?

5 A. That is correct. This would be very similar to
6 our thinking whenever the deep gas in southeast New Mexico,
7 when we allowed infill drilling and more liberal well
8 locations. It's along those same lines. In some
9 instances, the 330 foot could be close for a drainage of
10 160 acres, and even in oil pools where we have adopted 160-
11 acre spacing, this is somewhat unusual, being this close.
12 We usually require at least 660 feet from the outer
13 boundary of any proration unit spaced on 160.

14 This also mirrors what we have in Rule 104 (B),
15 the 160-acre statewide spacing. We require 660 feet from
16 the outer boundary of the proration unit. So this varies
17 off of that, yes.

18 Q. And if we're getting down to 40-acre spacing and
19 then 330 feet, you can, you know, almost virtually be on
20 your quarter quarter line or on your lease line. I mean,
21 you can really be up against the offsetting lease.

22 A. Three hundred and -- Well, you'd be a minimum of
23 330 feet --

24 Q. 330 feet.

25 A. Yes.

1 Q. Yeah. Do you have a recommendation? Do you
2 recommend to the Examiner one or the other?

3 A. Oh, I'd recommend the first one, because that
4 would sure reduce my paperwork.

5 Q. But looking at it aside from that, aside from
6 your workload, from the standpoint of correlative rights
7 and what would be probably -- you know, more reasonable,
8 would you still recommend the 330?

9 A. Only if all of the operators agreed to it.

10 Q. So in the light of some opposition by operators,
11 then the A (2) would probably be the choice?

12 A. Yes, but I wanted to offer it out.

13 Q. All right, okay. This would allow a common -- or
14 a sharing of the location, an oil well and a gas well, I
15 would presume, the (A), the 330?

16 A. Actually, I'm glad you brought that up. The
17 Jalmat Pool has historically and has a rule currently in it
18 that acreage dedicated to an oil state proration unit
19 cannot be simultaneously dedicated to a gas spacing unit.
20 The Eumont Pool has been silent on that for many, many
21 years.

22 I do have a rule in here that will not allow that
23 to happen in either pool for oil acreage and acreage
24 dedicated -- and that's under Rule 2 (C), "Acreage
25 dedicated to a gas well in the Jalmat Gas Pool shall not be

1 simultaneously dedicated to an oil well in the Jalmat Gas
2 Pool, and the dual..." and vice-versa for Jalmot/Eumont
3 "...and the dual completion of a well so as to produce oil
4 from the Yates formation and oil from the Seven Rivers
5 formation is prohibited."

6 To make this rule similar and clarify it, I have
7 included that in here.

8 Q. Okay.

9 A. I can remind you, you can always get exceptions.

10 Q. Okay. So on a 40 occupied by an oil well, there
11 cannot be a gas well, and vice-versa?

12 A. That's right.

13 Q. Okay. Now, let's turn over to Rule 4 (A) and
14 (B). 4 (A) is your location rule, and as I read it, the
15 Applicant is required to present proof of consent or of
16 notice to all operators, and that language that I've just
17 read, then, would have one refer over to 4 (D) for the
18 notice practice, correct?

19 A. That is correct.

20 Q. Okay. Now, I thought I understood your testimony
21 to be that Rule 4 (B) as to well density also required
22 notice to offset operators. In fact, I think that was the
23 intent of the rather lengthy question of attorney Brooks.
24 But I don't see anything in 4 (B) that requires proof of
25 consent or of notice.

1 A. Okay, Rule 4 (B), let's -- First of all, Rule 4
2 (A) is for a well-location exception.

3 Q. Right, unorthodox location.

4 A. Right, and 4 (B) is an exception to the well
5 density provision.

6 Q. Correct.

7 A. Let's kind of go back --

8 Q. 4 (B), Mr. Stogner, 4 (B) is saying if you want a
9 well on less than 160 acres, this rule applies?

10 A. That is correct.

11 Q. And you have to make -- showing the various
12 evidences you -- evidentiary conditions that you mentioned?

13 A. That is right, and there's also another condition
14 where this jumps in. If you have nonstandard spacing
15 units, that will come into the development of less than one
16 well per quarter section. This also applies.

17 Q. Okay, understood. My question, then, though, is,
18 is it your intent in this rule that if an application is
19 sought for this kind of an exception, a 4 (B) exception,
20 that notice or consent is required or is not required?

21 A. Oh, it's definitely required.

22 Q. Where does it say that?

23 A. Well, get out your red pen.

24 (Laughter)

25 MR. GALLEGOS: And insert it?

1 MR. BROOKS: Well, I would suggest, Mr. Gallegos,
2 if I may, that it probably does need to be clarified, and
3 yet I believe the first sentence of Rule 4 (D) covers the
4 matter. I do agree it needs to be clarified.

5 MR. GALLEGOS: Well, and I'm not saying it needs
6 to be one way or the other, it's just that I -- the direct
7 testimony of Mr. Stogner indicated that his understanding
8 was, it did require consent or notice, and yet the language
9 doesn't call for that.

10 MR. BROOKS: What I was saying was, my
11 understanding is that the language does call for it and
12 that it's found in the first sentence of 4 (D) which says,
13 for the record, "...any exception which may be granted
14 administratively without hearing as provided by any
15 provision of this Rule 4".

16 MR. GALLEGOS: Well, and then it goes on to say,
17 "Any required proof of consent...Any required notice..."
18 and Rule 4 (A) clearly requires consent or notice. Rule 4
19 (B) is silent on the subject.

20 MR. BROOKS: To the extent there's any ambiguity,
21 I agree it should be corrected.

22 THE WITNESS: That was not my intent, to leave
23 that out. In fact, if anything, it was to make sure that
24 not only these additional requirements were met, but also
25 these requirements, and -- This is on the record, I guess I

1 goofed, but I --

2 MR. GALLEGOS: I think the author is actually Mr.
3 Brooks.

4 EXAMINER CATANACH: I'm sorry, what did you say,
5 Mr. Stogner?

6 THE WITNESS: I -- Yes, I goofed, that was not my
7 intent. And I offer these -- These are definitely going to
8 have -- And I'm also going to suggest to Mr. Catanach that
9 we hold the record open for at least four weeks for
10 everybody, the operators' review and comment. This is just
11 a model draft order for all the operators to review and
12 make comments on. That was definitely not my intent. If
13 anything, the well density exception is taken
14 -- has no restrictions on it within the location.

15 Q. (By Mr. Gallegos) Okay, and as I say, my
16 questions are meant just for the purpose of trying to be
17 sure we all understand what these rules are intended to do.

18 So let me also ask this for clarification. Then
19 you say, you know, the operator has to make a showing,
20 number (1), that "the proposed well is needed", and then
21 you have an (a), "...effectively and efficiently drain"
22 comma, (b), "to adequately protect the subject unit from
23 offset acreage or, (c) to recover.

24 Is (b) an and or an or? Doesn't it need a -- Is
25 it a separate condition? In other words, Mr. Stogner, if

1 you don't show (a) but you can show (b), have you made the
2 requisite showing?

3 A. It's intended to be an "or" situation, because in
4 some of these instances one may only apply.

5 Q. Okay, and we're going to present some testimony
6 through Dr. Van Kirk that maybe -- that suggests that there
7 should be a (d) also, another condition that might justify
8 the well. Okay?

9 Then let me just point out, in (C) (1), in the
10 fourth line, it starts at the left with "...standard gas
11 spacing..." Are you with me?

12 A. No, I'm not. Where are you at again?

13 Q. I'm on page 3.

14 A. Page 3 --

15 Q. 4 (C), subparagraph (1) --

16 A. -- subparagraph (1) --

17 Q. -- fourth line --

18 A. -- fourth line --

19 Q. -- "...standard gas spacing unit by that consists
20 of..." I think maybe just "by" should not be there, just a
21 typo?

22 A. Yes.

23 Q. Read that to yourself.

24 A. Which consists or "that consists of two, three or
25 four complete quarter sections..." By the way, that's

1 "...non-standard gas spacing unit..." --

2 Q. Uh-huh.

3 A. -- "...that consists..."

4 Q. Right. And then if you go over to page 3 [sic],
5 which is a carryover from the subparagraph (2), you have
6 some language in brackets, and probably, if I understand
7 your testimony, that should not be in the rule, right?

8 A. Okay, which one are you looking at?

9 Q. Well, it reads, "The Director may grant an
10 exception..." blah, blah, blah, and you go over to page 4,
11 no "...smaller than a quarter section..." and then in
12 brackets you have "...[quarter-quarter section(s) or
13 lots]..."

14 A. Okay, what that meant, "The Director may grant an
15 exception to the requirements of Rule 2 (A) above to
16 establish a nonstandard gas-spacing unit containing legal
17 subdivisions smaller than a quarter section..." i.e., a
18 quarter quarter section or lots.

19 Q. Oh.

20 A. What that is intended to imply and mean is that
21 we're not going to take portions of a quarter quarter
22 section, you can't just take this line running from --
23 diagonally across. It's got to be a full quarter quarter
24 section or lot.

25 Q. I get you. Okay, so it's saying if it's smaller

1 than a quarter section it still has to be a lot or a
2 quarter quarter?

3 A. Right, no metes and bounds.

4 Q. Okay. So you want it in that way, in those
5 brackets?

6 A. If anybody can clarify that even more, I will --

7 Q. All right. All right, then over on (D) --

8 A. Over on (D) as in dog?

9 Q. Right, on page 5 --

10 A. Page 5.

11 Q. -- this tells us that when you want an exception
12 location or spacing, you either get the consent of the
13 offset operators, or you give them notice. And if they
14 don't protest you can get administrative approval, right?

15 A. That is correct.

16 Q. But it doesn't say what happens if they do
17 protest?

18 A. Well --

19 Q. Presumably then it goes to hearing or something,
20 but doesn't -- We don't know that.

21 A. Don't necessarily presume that all the time.
22 There's been some applications I've gotten and parties have
23 objected, I've just out and out denied it to let them work
24 it out, or perhaps I didn't even let them take the ball
25 then.

1 Q. Okay. Well, what is your intent, because it says
2 that it can be "...granted without hearing unless a protest
3 is filed with the Santa Fe office..." blah, blah, blah,
4 "...twenty (20) days..."

5 Let's say, now, notice goes out, you don't have
6 consent, notice goes out, you get protests --

7 A. That administrative application would not get
8 approved. It can either be set to hearing -- That's my
9 intent. It's not to be ignored. It's not to be ignored,
10 it's either to be set to hearing or even set aside, but
11 definitely not an order issued on it.

12 Q. Okay, so you might agree that that could call for
13 some clarification --

14 A. I welcome --

15 Q. -- if there's a protest?

16 Okay, thank you, Mr. Stogner, that's all the
17 questions I have.

18 Oh, no wait a minute, I do have one other matter
19 that I want to take up with you, because as you know, in
20 our packet a copy of the stipulated declaratory judgment,
21 Hartman vs. Oil Conservation Division, is Exhibit 6.

22 A. Okay.

23 Q. And you're cognizant of the existence of that
24 judgment, of course?

25 A. Yeah, I think I've seen it, yes.

1 Q. Okay. Well, the point is, and I'm not belaboring
2 it, is that for these rules to go into effect, we're going
3 to need to do something about the judgment, otherwise we
4 have a conflict.

5 A. That I'm not sure. I'm just offering substitute
6 for special pool rules to eliminate proration out here.

7 Q. Okay. Well, we'll leave that as a matter, then,
8 to the legal personnel. But I think we don't have --

9 A. Or somebody other than me, yes.

10 Q. I'm not suggesting we have a problem with it,
11 it's just that if we adopt the rules and then we have this
12 judgment, we're going to have at least an ambiguity and
13 probably a conflict. So I'll deal with counsel on that.

14 Thank you, Mr. Stogner.

15 A. And along those same lines, if I may --

16 Q. Go ahead.

17 A. -- this would serve, the new rules would serve to
18 eliminate all other existing spacing and special pool
19 rules. This would be a set of rules, simplified, set aside
20 by themselves. And again I apologize for omitting that.
21 That was not my intent.

22 Q. But what you're suggesting, I think, is, there'd
23 have to be an order that says these rules are adopted and
24 all the others, this mess of five or six other rules, are
25 all terminated or superseded?

1 A. That is correct.

2 MR. GALLEGOS: Okay, thank you.

3 EXAMINER CATANACH: Mr. Carr?

4 EXAMINATION

5 BY MR. CARR:

6 Q. Mr. Stogner, I'd like to ask you a couple
7 questions about where we go from here. You have a draft of
8 rules that have been presented here today that contains an
9 alternative for paragraph 3 (A), and you indicated that it
10 was your intention to leave the record open for four weeks
11 for comment; is that correct?

12 A. That's my suggestion, yes, sir, so that these
13 rules and regulations, everybody will have -- all the
14 operators, I should say, will be -- or anybody, for that
15 matter -- to review them. And it is my intention after
16 today, is, post these on the New Mexico Oil and Gas
17 Conservation Division website so everybody can review, and
18 provide enough copies for the Division District Office in
19 Hobbs to hand out, and I welcome anybody to call or write.

20 Q. Will that be noted on the docket? I notice that
21 you sent notice of the hearing to all the operators, I
22 guess that's who it was, all operators in the pool, and no
23 draft of the rules was provided to those operators. Can
24 the docket indicate that the drafts of the rules are
25 available for interested operators?

1 A. Yeah, I don't see why not.

2 Q. And when they go out, will there be an
3 explanation what 3 (A) is?

4 A. I would welcome any comments, yes.

5 Q. Having notified all operators in the pool --
6 you've had five operators just enter appearances in the
7 case here today, and one is presenting testimony --
8 depending on the comments that are received, is it possible
9 that four weeks from today this matter could be taken under
10 advisement and rules adopted?

11 A. I'm sorry, do you want to run that by me again?

12 Q. I'm just trying to figure out where we are in
13 terms of this process. I mean, having notified all the
14 operators in the pool, you have five operators who have
15 appeared in the case and only one who's intending to
16 present testimony. And my question is, depending on the
17 nature of those comments, is it reasonable to think that
18 four weeks from now when the case comes back it might be
19 taken under advisement and rules entered at that time?

20 MR. BROOKS: Mr. Examiner, may I ask leave to
21 address that issue?

22 EXAMINER CATANACH: Yes, sir.

23 MR. BROOKS: Mr. Carr, it's my intention at the
24 conclusion of all the testimony to ask the Examiner to take
25 it under advis- -- or not to take it under advisement this

1 afternoon but to keep the record open for a period of time
2 that the Examiner thinks appropriate. We're going to
3 suggest at least four weeks, possibly longer, possibly as
4 long as eight weeks. But I think we would expect that
5 would be a decision that would be made by the Examiner, as
6 to exactly where we go from here.

7 MR. CARR: That's all I have, thank you.

8 EXAMINER CATANACH: Mr. Bruce, any questions?

9 Mr. Ezeanyim?

10 EXAMINATION

11 BY EXAMINER CATANACH:

12 Q. Mr. Stogner --

13 A. Yes, Mr. Catanach.

14 Q. -- do you know on what basis the minimum
15 allowable for the Jalmat and Eumont Pool was established?

16 A. I'm assuming you're talking about R-8170-J and -G
17 -- what do you mean the -- I guess I don't understand.

18 Q. The minimum allowable that was established by
19 those orders of 600 MCF per day, do you know, was that
20 based on some kind of engineering data, or was it an
21 arbitrary number that was proposed by the operators, do you
22 have knowledge of what it was based on?

23 A. No, I do not. Nor do I remember, for that
24 matter. I was not the hearing examiner --

25 Q. I believe I heard both cases.

1 Okay, Mr. Stogner, you testified that if the
2 Division were to lower the minimum allowable so as to
3 effectively prorate again, you might have the possibility
4 of reducing substantially the production in both of those
5 pools. Can you elaborate on that statement?

6 A. Okay, if we brought the minimum allowable down
7 to, say, 400, and with some of these wells with an acreage
8 factor of one or less, I believe then you would see some
9 production that would become overproduced, and in some
10 cases maybe six times overproduced. But that's pure
11 speculation at this point.

12 Q. The Division has not done any analysis to
13 determine whether or not it's feasible to reduce the
14 minimum allowable in the pool?

15 A. No, there has not been any reservoir work done,
16 no, sir.

17 Q. You are here today suggesting that we essentially
18 space the Jalmat and Eumont Pools on 160-acre effective
19 spacing; is that correct?

20 A. That, and also the rules encourage development on
21 160-acre increments. There's provisions in this rule, in
22 these rules, that push this development of things on 160
23 acres, as opposed to the quarter quarter section, there are
24 some notification procedures which are lessened, and --
25 because anytime you form anything less than a 160-acre -- a

1 nonstandard spacing unit of anything less than 160 acres,
2 you have essentially created the environment where infill
3 drilling on less than 160 acres is either mandatory or
4 encouraged.

5 It may not be a bad thing, but I think it needs
6 to be addressed and looked at and exceptions taken
7 properly.

8 Q. You're not suggesting that that is the
9 determining spacing in these pools; that is just a starting
10 point, as far as you can tell?

11 A. It's a starting point, and anything after that is
12 an exception in which parties then are allowed -- or
13 required to notify their offsets about what is going on,
14 yes.

15 Q. Okay.

16 A. There may be a time when we will be back in here
17 and say that 40-acre spacing is the applicable and lessen
18 the rules, but not at this time.

19 Q. Okay, what do we do with the gas proration units
20 that are out there now, that have a well density greater
21 than 160 acres? Are those grandfathered in, according to
22 your procedures?

23 A. Yes. In fact, Rule 6 (B), Miscellaneous,
24 "All existing administrative exceptions and orders in
25 effect on the issuance date of this order shall be

1 'grandfathered'..."

2 And also, that would also affect some -- these
3 instances where you have an well and a gas well on the same
4 quarter quarter section. They would have to grandfather
5 those in, I believe.

6 Q. Are there some of those in existence in the
7 Eumont?

8 A. I think there may be.

9 Q. Okay. All right, with regard to the rules, if
10 you would refer to 3 (B), for an oil well in the Jalmat and
11 Eumont Gas Pool your proposed rule says that "...no more
12 than one well per unit shall be allowed."

13 A. That is correct. Rule 3 (B), "For any 40-
14 acre...oil-spacing and proration unit..." there be "...no
15 more than one well." An exception could be granted, but it
16 would have to be after hearing.

17 Q. Why are we proposing that, Mr. Stogner?

18 A. I think encouraging or even having exceptions for
19 administrative procedures of anything less than 40, either
20 oil or gas, is not applicable out here. Nor have I seen
21 that many exceptions out here, except where there are
22 waterfloods, of course. But I haven't seen very many
23 exceptions to that rule for oil spacing out here.

24 Q. Well, let me ask you this. The Jalmat Oil Pool
25 is subject to -- it will under your proposed rule still

1 have an oil allowable and a casinghead gas allowable?

2 A. That is correct.

3 Q. So it would be treated just like any other oil
4 pool in the state --

5 A. Yes.

6 Q. -- spaced on 40 acres.

7 A. I agree with that, but the situations that could
8 occur where a well is being drilled in the same quarter
9 quarter section, and for some reason, either on purpose or
10 accidental, it comes in a gas well, then we're going to
11 have this situation where you have gas spacing and oil
12 spacing overlapping each other. And this essentially will
13 address that -- enclose that loophole, if it is a loophole.
14 I see it as a loophole.

15 Q. Okay. Let me ask you this. In terms of
16 enforcing the well-density provisions of your rules, it's
17 pretty simple and straightforward if I have a 320-acre
18 unit, for example, comprising two quarter sections, it's
19 simple to enforce that. You have one well per quarter
20 section, and that's all that's allowed.

21 A. That is correct.

22 Q. Okay, if I have a nonstandard proration unit
23 that's 320 acres that comprises, say, four quarter sections
24 down and four quarter sections across -- it's an odd-sized
25 spacing unit -- you would still be allowed to have two

1 wells in that proration unit; is that correct? You still
2 have 320 acres?

3 A. Yes, that is correct. But then you would fall
4 into a category where you are including partial quarter
5 sections, which would require additional notification.
6 We're encouraging quarter-section development. In your
7 situation there are partial quarter sections in three of
8 the quarter sections. That is still allowed here, but
9 additional notification would then be required.

10 There again, if anybody would object to something
11 like this, then I would see an instance like that that
12 would require a hearing, but I really wonder what the
13 standing by the offset would be. But everybody needs to
14 have their day in court.

15 Q. Okay, so as I understand it, I would not
16 automatically be allowed to drill a second well on that
17 nonstandard unit?

18 A. Not automatically, no.

19 Q. I would have to provide notice?

20 A. That is correct.

21 Q. So the only time you'd be able to drill a second
22 well is if you had standard quarter sections, or a third or
23 fourth well is if you had standard quarter sections?

24 A. That is correct.

25 Q. Odd-sized units, even though they have 320 acres,

1 you would still have to provide notice to offset operators?

2 A. If there are partial quarter sections involved,
3 yes. That would -- Still, no matter how you cut it, you
4 have a partial quarter section where you're going to have
5 more than one well in that quarter section. For that
6 development to occur, you have already created a situation
7 where more than one well in a quarter section is either
8 required or needed.

9 Q. If you would refer to 4 (A) for location
10 requirements, location exceptions, "The Director may grant
11 an exception to the well location requirements...
12 administratively, without hearing, when, due to unusual
13 circumstances..." Would you please explain that? What is
14 an unusual circumstance?

15 A. Oh, I've seen a lot of them, if I don't agree
16 with them whenever I get the application in. Okay, unusual
17 circumstances is the usual topography, geological
18 exceptions. Those are the unusual circumstances. This is
19 wording I stole from somewhere, and I can't remember.

20 Q. I'm not sure that it's wise to keep this wording
21 in there, Mr. Stogner.

22 A. Well, this is -- Okay.

23 Q. I mean, it's kind of ambiguous.

24 A. I wanted to send a warming out there. It better
25 be a good reason.

1 Q. Okay, 4 (B), as I understand your answer to Mr.
2 Gallegos' questions, there should be an "or" inserted
3 before the small letter (b) in that paragraph?

4 A. Or it's implied, yes.

5 Q. I'm sorry, or it's implied?

6 A. Yes, you can either insert it or imply that it's
7 there.

8 Q. So as long as you met the requirements of (a),
9 (b) or (c), you would be okay?

10 A. Yes.

11 Q. As long as you met the requirements of one of
12 those provisions you could get an exception?

13 A. That's right.

14 Q. And what about (2)? (2) is just -- Is that
15 another one, should that be (d)?

16 A. That is an "and": "and...the proposed well will
17 not violate correlative rights.

18 Q. Okay, I got you.

19 The bold writing in the bottom of that paragraph,
20 "It is further provided however that, in no event shall any
21 Eumont gas spacing unit be allowed more than one well per
22 quarter-quarter section." Now, that's administratively; is
23 that correct?

24 A. That is correct.

25 Q. Now, is there any provisions for granting an

1 excess of that at a hearing, that you envision?

2 A. That would be -- that's the intent of that. You
3 can't get an administrative exception to go past one well
4 per quarter quarter section. It would then have to go to
5 hearing.

6 Q. Okay. I want to follow up, again, on Mr.
7 Gallegos' question about when you get an application and
8 you get an objection, you said it will either be set aside
9 or set for hearing. How are you going to administer that?

10 A. Or denied.

11 Q. Okay, or denied.

12 A. Uh-huh. How would I administer it?

13 Q. How are you going to make that choice on which
14 direction to take on that application?

15 A. It would be up to the Examiner of that
16 administrative application to determine the severity of the
17 objection and what course of action might be appropriate.
18 In many instances I see an objection that could be handled
19 if the two parties got together and no need of filling the
20 docket up, or perhaps the objection would lead to the
21 applicant automatically withdrawing the application. Yeah,
22 there are still many that we set for hearing, but I thought
23 it would give us a little bit of leeway.

24 Q. But it wouldn't be up to the Applicant, at least
25 initially, which direction he would have to go in?

1 A. That's right. He would be notified that an
2 objection has been filed.

3 Q. Could he at that point request that a hearing be
4 set?

5 A. Oh, definitely, yes.

6 EXAMINER CATANACH: I believe that's all I have.
7 Are there any other questions of Mr. Stogner?

8 MR. BROOKS: Well, I just have one follow-up.

9 FURTHER EXAMINATION

10 BY MR. BROOKS:

11 Q. I think Mr. Gallegos covered this, but it was
12 definitely your intent, Mr. Stogner, was it not, that an
13 exception to the well-density regulations pursuant to Rule
14 4 (B) would require either consent or notice of all offset
15 operators; is that correct?

16 A. That is correct, and that --

17 Q. If the rules don't say that -- and after
18 reviewing it again, I believe Mr. Gallegos is correct, they
19 do not, and it was I that goofed by the way I wrote these
20 notice provisions, correct?

21 A. Well, I missed it too, and I thought I had
22 included it, but --

23 Q. That was definitely your intent.

24 A. That was definitely my intent.

25 Q. And it was not my intent to change the substance

1 of these rules when I edited them?

2 A. That's right, nor was it mine.

3 MR. BROOKS: Okay, nothing further, Mr. Examiner.

4 EXAMINER CATANACH: Okay.

5 MR. GALLEGOS: Mr. Examiner, may I have leave to
6 ask one more question?

7 FURTHER EXAMINATION

8 BY MR. GALLEGOS:

9 Q. Mr. Stogner, is there any rationale in 2 (A),
10 that standard spacing unit is 640 acres?

11 A. Yes, sir, I believe there is.

12 Q. Is there?

13 A. Because you've got to read on. "A standard gas
14 spacing unit in the Eumont Gas Pool shall be 640 acres,
15 more or less, and shall comprise a single governmental
16 section." I believe any gas pool, any pool in this state
17 needs to have some sort of set spacing.

18 And besides, this mirrors what we already have,
19 and it is not to be construed or any way misinterpreted
20 that we're downspacing. Downspacing creates a whole set of
21 problems, and nowhere do we intend that to occur. This way
22 it confirms that if you have one of these 640-acre spacing
23 units, that that is still applicable.

24 Also, if you have the amount of acreage, you can
25 form a 640-acre standard spacing unit. I think it needs to

1 be there, you need to have a start. Because who knows,
2 somebody may put three sections together and hold acreage.

3 MR. GALLEGOS: Thank you.

4 EXAMINER CATANACH: This witness may be excused.
5 Let's take a ten-minute break here.

6 MR. BROOKS: That concludes my presentation, Mr.
7 Examiner.

8 EXAMINER CATANACH: Thank you, Mr. Brooks.

9 (Thereupon, a recess was taken at 3:36 p.m.)

10 (The following proceedings had at 3:56 p.m.)

11 EXAMINER CATANACH: Okay, let's call the hearing
12 back to order.

13 MR. BROOKS: Mr. Examiner, before we -- I said
14 that I had concluded my presentation, but it's been pointed
15 out to me during the interim by my witness that I neglected
16 to offer Exhibits 1, 2A, 2B, 3A, 3B and 4 in evidence, so I
17 request permission at this time to do so.

18 EXAMINER CATANACH: Any objection?

19 MR. GALLEGOS: No objection. Don't you want to
20 offer 2 also?

21 MR. BROOKS: Let's see --

22 MR. GALLEGOS: That's your notice.

23 MR. BROOKS: Yes, I want to offer 1, 2, 3A, 3B,
24 4A and 4B. I said 1, 2A, 2B, 2, but there is not 2A and
25 -B. There is 1, 2, 3A, 3B, 4A and 4B. I've already

1 offered 5.

2 MR. GALLEGOS: No, there's 1A and 1B and 2, et
3 cetera.

4 MR. CARR: I have no objection.

5 (Laughter)

6 MR. BROOKS: 1A and 1B, 2, 3A and 3B, 4A and
7 4B --

8 MR. GALLEGOS: There you go.

9 MR. BROOKS: -- are offered in evidence.

10 EXAMINER CATANACH: I hate to repeat this, I'm
11 not sure I have it. Exhibit Numbers 1A, 1B, 2, 3A, 3B, 4A
12 and 4B will be admitted as evidence in this case.

13 MR. BROOKS: Thank you. That concludes my
14 presentation.

15 EXAMINER CATANACH: Okay, Mr. Gallegos?

16 MR. GALLEGOS: Yes, we call Dr. Craig Van Kirk to
17 the stand.

18 CRAIG VAN KIRK,
19 the witness herein, after having been first duly sworn upon
20 his oath, was examined and testified as follows:

21 DIRECT EXAMINATION

22 BY MR. GALLEGOS:

23 Q. State your name, please.

24 A. Craig Van Kirk.

25 Q. Where do you live?

1 A. Parker, Colorado.

2 Q. What's your business or profession?

3 A. Professor and head of the petroleum engineering
4 department at Colorado School of Mines.

5 Q. Dr. Van Kirk, you're a professional petroleum
6 engineer?

7 A. Yes.

8 Q. And have you previously testified before the New
9 Mexico Oil Conservation Division, the Oil Conservation
10 Commission and various other regulatory agencies and
11 courts?

12 A. Yes.

13 MR. GALLEGOS: Mr. Examiner, we ask that Dr. Van
14 Kirk be permitted to state expert opinions in this
15 proceeding.

16 EXAMINER CATANACH: Any objection?

17 MR. CARR: No objection.

18 MR. BRUCE: No objection.

19 EXAMINER CATANACH: Dr. --

20 Q. (By Mr. Gallegos) Are you acquainted with the
21 Application in this case?

22 A. Yes.

23 Q. And your understanding of it is what, Dr. Van
24 Kirk?

25 A. The Application in this case is to deprorate the

1 Eumont and Jalmat Pools and to start some new special pool
2 rules.

3 Q. What is your experience, professional experience
4 with the Eumont and Jalmat Gas Pools?

5 A. Thirty years ago when I worked for Shell Oil
6 Company, I was first introduced to the area, but not in a
7 big way.

8 Approximately 15 years ago I began working with
9 Mr. Doyle Hartman, oil operator in this area, and have
10 relatively continuously since then over about the last 14
11 or 15 years.

12 Q. All right. And more recently in the last, oh,
13 I'd say two, two and a half years, has there been occasion
14 for you to study two subjects in particular, and that is
15 the comparison of the production level of those pools to
16 the gas allowables that have been set periodically by the
17 Commission?

18 A. Yes.

19 Q. And have you also during that same period of time
20 made some studies concerning the gas migration
21 characteristics of the reservoirs that constitute those
22 pools?

23 A. Yes.

24 Q. Now, do you agree, at least generally, with
25 witness Stogner's description of what geologic formations

1 make up those pools?

2 A. Yes.

3 Q. Now, what I'd like to do to move this along is
4 have you address some exhibits you have that go to the part
5 of your testimony concerning the continuation or
6 discontinuation of prorationing for these pools, and since
7 we already have quite a bit of testimony in the record what
8 I'd like to ask you to do is just go through your exhibits
9 that you have sequentially and explain to the Examiner what
10 they show, and I think that would be exhibits 1 through 5.

11 A. Yes. And I believe, Mr. Examiner, you have a
12 copy of the exhibits?

13 EXAMINER CATANACH: I do.

14 THE WITNESS: Exhibit 1 is an excerpt from the
15 State of New Mexico Statutes, Section 70-2-16, allocation
16 of allowable production in field or pool. I think we're
17 all very familiar with that excerpt.

18 Exhibit 2 is titled "Total Jalmat Gas Pool
19 Production", and this is a history going back to 1976, up
20 to very recent months of actual production from the Jalmat
21 Gas Pool, and Mr. Stogner presented this same kind of
22 information earlier today.

23 Exhibit 3 again is for the Jalmat Gas Pool, and
24 this would be the nonmarginal acreage allocation factor
25 history since 1976. Mr. Stogner discussed this at some

1 great length earlier today, so I don't think that I need to
2 describe this or define this any more, unless you would
3 have any questions. If you would prefer that I clarify
4 this, I'll be glad to.

5 I think the most important thing would be to
6 notice on the right-hand side of this graph the solid --
7 heavy solid line represents a nonmarginal acreage
8 allocation factor, and for some years now at 18,300 MCF per
9 month. You can see that on the graph.

10 And then the actual production levels in the
11 lower right-hand portion of the curve, the average
12 production per acreage factor, wide divergence between the
13 two, the actual production much less than the allowable
14 levels.

15 Exhibit 4 is a bar chart, Jalmat Pool, 1996 to
16 August, 2000, again comparing annually the actual pool
17 production in the green little block, relative to the pool
18 allowable in the very large, very high allowable amounts,
19 again demonstrating a significant difference between the
20 allowables and the actual production.

21 Q. (By Mr. Gallegos) And do you also draw an
22 observation from that concerning market demand as compared
23 to the capability of supply from this pool?

24 A. Yes, capability is consumed. The wells are
25 producing at capacity, the gas proration units are max'd

1 out, and they're not near allowable. There market is there
2 and has been for some years.

3 Exhibit 5, then, is a very similar bar chart
4 comparison for the Eumont Pool. Exhibit 5 is very similar
5 to Number 4, but 5 is for the Eumont Pool. And the same
6 conclusion can be reached.

7 Q. Okay, do you have an opinion whether or not
8 prorationing is any longer appropriate or fitting for these
9 pools and serves any purpose in terms of preventing waste
10 and protecting correlative rights?

11 A. I'm in agreement with earlier testimony today
12 that prorationing, for some years and today, is doing
13 nothing in the Jalmat and Eumont Pools. It serves no
14 purpose.

15 Q. Okay. Let's turn your attention then, Dr. Van
16 Kirk, to the issue of any observations or opinions you have
17 concerning appropriate well spacing for these pools, given
18 the present conditions of the gas reservoirs.

19 A. Well, as I said earlier, through the years, over
20 the last 14, 15 years, I have studied this area on numerous
21 occasions for different reasons, sometimes single-well
22 studies, sometimes studies of groups of wells, 10, 20, 100
23 wells, log analysis, economic calculations, decline curve
24 analysis, reservoir simulation, forecasting futures, and
25 also considering well spacing and migration and drainage,

1 for example, 40-acre-spaced wells up against 160-acre-
2 spaced wells.

3 And as Mr. Stogner testified and as he has
4 presented in the proposed new pool rules, I believe I agree
5 with the stipulations that have been offered up in the new
6 pool rules. 160s make sense, blanket 40-acre spacing does
7 not make sense, but there are lots of opportunities out
8 here for 80s or 40s to be applied in the right place at the
9 right time, to prevent waste, to efficiently and
10 effectively drain the reservoir and to protect correlative
11 rights.

12 Q. And what is it about the pools or the formations
13 comprising those pools that in certain circumstances
14 present those opportunities?

15 A. Well, this area is typical of a lot of
16 reservoirs, a lot of big fields on earth, relatively thick
17 gross intervals of sedimentary rock with a large number of
18 different pay zones, some of the zones being highly porous
19 and permeable and other zones being tighter. So the big
20 field or the pool depletes not uniformly, and not all of
21 the areas are uniform characteristics.

22 So as the field produces as it has for so many
23 years, and down near depletion, it becomes clearer that
24 there are some locations, some places that need custom
25 design and custom wells drilled, 40s or 80s, whatever. The

1 geology is a significant factor. It's not homogeneous, it
2 doesn't have the same character every place, it's not clean
3 and highly porous and permeable every place.

4 Also the nature of the development of the field.
5 There are some gas proration units that have been produced
6 by 160s for some time and others that have had closer well
7 spacing for some time. Different drainage due to operator
8 drilling and production practices.

9 And also the fact that there are older wells.
10 Some of these wells are 67 years old out here, and their
11 existence has influenced the development and production and
12 levels of depletion in different parts of the field.

13 Also water problems, encroaching waters from the
14 natural aquifer and also from waterfloods of different
15 zones perhaps getting out of zone or pushing oil or water
16 updip into the gas formation.

17 So there's a combination of natural geology,
18 heterogeneities, and also people practices through the
19 years and operators' observations of these phenomena, and
20 also operators choosing and receiving permission to drill
21 on closer spacing or recomplete wells and produce at higher
22 rates than they had enjoyed in the past.

23 Operators in recent years have been looking more
24 carefully at the reservoir and natural geology and
25 practices than they had 10, 20, 30, 40 years ago, realizing

1 that there are some areas that require and deserve closer
2 spacing, but not every place.

3 Q. Okay. Do you have an opinion whether blanket
4 downspacing to one well per 40 acres is justified?

5 A. I have an opinion, and I --

6 Q. What is it?

7 A. -- would say it's not justified.

8 Q. Okay. In your opinion, is the case-by-case
9 approach reflected in proposed Rule 4 (B) more fitting,
10 given the circumstances of these pools?

11 A. Certainly more fitting, absolutely.

12 Q. Is there another circumstance beside the (a), (b)
13 and (c) conditions that are described in Rule 4 (B) that
14 you'd like to call to the Division's attention that might
15 be included or probably should be included in the
16 conditions that would justify denser well spacing?

17 A. Yes, I would suggest for your serious
18 consideration the insertion in 4 (B) -- and I think since
19 there's already an (a), (b), (c), I would suggest for your
20 consideration a part (d) as in David, and it would be the
21 granting of closer well spacing, reflecting some of the
22 older wells that are decades old, 30, 40, 50, 60 years old,
23 perhaps have been shut in for a while or temporarily
24 abandoned for a while, and operators spending moneys to get
25 those wells back into beneficial use should be permitted to

1 produce those wells, then, if they are brought back on
2 production, without any penalty whatsoever, certainly not
3 from prorationing, and no penalty also from the well-
4 spacing standpoint.

5 So I would suggest to you for your serious
6 consideration to consider a part (d) as in David, in 4 (B),
7 to reflect the fact that there are a lot of old wellbores
8 out there that perhaps aren't doing anything useful today,
9 but based on years of experience some of those old
10 wellbores can be brought back into beneficial use and
11 production, and if they're going to be on a 160 spacing
12 unit along with another well or two, I would highly
13 recommend that they be given serious consideration to be
14 allowed to produce.

15 Q. Are you acquainted with the Commission's Rule
16 R-9210?

17 A. Yes.

18 Q. And also are you acquainted with recent policies
19 and notices by the Bureau of Land Management to operators
20 in the southeast concerning wells that are not productive
21 but have not been plugged and abandoned?

22 A. Yes.

23 Q. Do both of those circumstances have a bearing on
24 the circumstance that you're describing?

25 A. Absolutely. In fact, my description over the

1 last five minutes or so does relate exactly to the Rule
2 9210 and the pressure for operators to do something with
3 those wells sooner rather than later.

4 And my recommendation is to have some flexibility
5 with the operator so that the can address those old-well
6 issues in a timely manner, because some of those wellbores
7 can be made to be very useful and productive.

8 Q. And rather than plugging and abandoning a
9 wellbore, instead of returning it to beneficial use, would
10 you consider that to be a factor for prevention of waste?

11 A. Absolutely.

12 MR. GALLEGOS: That's all the questions that I
13 have.

14 I move the admission of Exhibits 1 through 5,
15 Hartman Exhibits 1 through 5.

16 EXAMINER CATANACH: Hartman Exhibits 1 through 5
17 will be admitted as evidence.

18 Any questions, Mr. Brooks?

19 EXAMINATION

20 BY MR. BROOKS:

21 Q. Well just one about that last consideration that
22 you suggested, because I want to understand it fully.

23 You are suggesting that if there is an existing
24 wellbore that is capable of producing from these
25 formations, that it should be eligible for an

1 administrative exception without hearing to reduce -- even
2 if it's on an existing 160 that has an existing well on it,
3 without the necessity of showing either that it's needed to
4 effectively drain the 160 or that it's necessary to prevent
5 drainage or that it's necessary to recover additional
6 reserves that cannot be recovered from the existing well;
7 is that what you're saying?

8 A. The way 4 (B) has been presented to us in writing
9 and with Mr. Stogner clarifying it for us today, seems like
10 (a), (b) and (c) were "or's".

11 Q. Yes, I understand, they are.

12 A. I think we're all understanding that (a), (b) and
13 (c), you only had to satisfy one of those in order to --

14 Q. Right.

15 A. -- get the exception.

16 Q. And your proposed (d) would be on the same basis?

17 A. Yes, at this time yes, I would say that, yes, but
18 I'm not so positive. I haven't offered up a final clear
19 verbiage for you today, I'm just bringing up the subject
20 and describing it as many different ways as I can, waving
21 my arms as much as I can. That is the point to address,
22 but I don't offer final verbiage.

23 But I think the way you're asking the question,
24 my answer would be yes, in front of the letter (d) as in
25 David --

1 Q. Yeah.

2 A. -- the word "or".

3 Q. That was my question, was where there was an
4 existing well you would think that we should not have to
5 require showing of any -- either (a), (b) or (c).

6 A. Well, when I described this a few minutes ago, I
7 used the word "old wells". Now, you're using the word
8 "existing", and I'm not sure they're the same.

9 Q. Well, a well that has previously produced but is
10 not currently producing --

11 A. For some period of time.

12 Q. -- whether or not it's temporarily abandoned --

13 A. Yeah.

14 Q. -- or whether it's been plugged or what the
15 situation is, but where it's capable of being restored to
16 production, but it is not producing at the present time.

17 A. And honestly, I don't have a time period or an
18 age of the wells that I could tell you today that it should
19 be at least 25 years old. I can't say that today, because
20 I don't have an opinion.

21 But for example, the way you just described it,
22 if a well just had a mechanical problem a month ago and was
23 off production for a month or two and it was a new well,
24 only a couple of years old, I would not put that well in
25 the category that I've described over the last five or ten

1 minutes.

2 Q. Yes, I believe the Division considers a well
3 inactive if it's been off production for as much as two
4 years.

5 A. Okay, now I think we're talking similar
6 neighborhood. An old well that has been shut in for a long
7 time.

8 Q. Okay. Well, I would just ask you, why would that
9 be something that standing alone should entitle someone to
10 an exception, even if it's not going to produce additional
11 reserves that cannot be produced from the existing well in
12 the unit?

13 A. Well, I can't imagine why it would not produce
14 existing reserves.

15 Imagine the old well, wherever it's located, and
16 then there's another existing well someplace --

17 Q. Right.

18 A. -- some hundreds of feet way. There's lots of
19 circumstances out here, and I think plenty of evidence
20 produced today and in prior months and recent years that
21 closer well spacing does make some sense in some areas.

22 So I would say statistically, probably these old
23 wellbore locations that haven't produced anything for some
24 years, there are going to be some reserves underneath those
25 wellbores that are not going to be produced from some other

1 wellbore on that acreage, some few hundred feet away at
2 least.

3 Q. So you're saying basically that in your opinion
4 any well that -- proposed completion that would satisfy
5 your proposed (d) would probably also satisfy (c) of the
6 existing proposed rule also?

7 A. I would say it's likely a large number of them
8 would, but I would not say in every case. Personally, for
9 me to vote, I'd want to see every case.

10 MR. BROOKS: Okay, I believe that's all my
11 questions.

12 EXAMINER CATANACH: Anything else of this
13 witness?

14 MR. GALLEGOS: No questions.

15 EXAMINATION

16 BY EXAMINER CATANACH:

17 Q. Just a couple, Mr. Van Kirk. Following along
18 that same line, would your proposal be that this would have
19 been a Jalmat- or Eumont-producing well that has been
20 abandoned?

21 A. A Jalmat or Eumont well that had produced from
22 older pools in the past, and it's been idle, shut-in for a
23 long time or temporarily abandoned --

24 Q. Okay, just so I under- --

25 A. -- but not plugged and abandoned.

1 Q. Just so it's clear, now, you're not talking about
2 recompletions from wells that are deeper or shallower,
3 you're not talking about recompletions to the Jalmat and
4 Eumont?

5 A. Well, I hadn't been thinking about that until you
6 asked the question, but now that we bring that point up,
7 think about the alternatives.

8 If it truly is an old well that's been shut in
9 for a long time but had not ever produced from the Jalmat
10 or Eumont, and if there is pressure these days from BLM or
11 the State to do something with those wellbores, if they're
12 plugged and abandoned, then they would never again have any
13 potential use.

14 And that is one of the serious considerations I'm
15 suggesting for you guys today, is before the pressure is
16 put on the operators to very soon plug and abandon those
17 large numbers of wells, keep in mind that they -- I think
18 there's plenty of evidence in recent years that some of
19 these old wellbores can be put back to good use. It takes
20 some money and it takes some planning, but some of them are
21 very useful.

22 So I would suggest work carefully with the
23 operators and give them some flexibility as to before those
24 wells are forced to be plugged and abandoned, see if they
25 might have some use in the Jalmat or Eumont zones, whether

1 or not they've ever produced from the Jalmat or Eumont
2 before.

3 EXAMINER CATANACH: Okay. Mr. Gallegos, can I
4 get you guys to submit some proposed language on that --

5 MR. GALLEGOS: Yes.

6 EXAMINER CATANACH: -- so we'll know exactly what
7 you're talking about?

8 MR. GALLEGOS: Yes.

9 Q. (By Examiner Catanach) Dr. Van Kirk, were you
10 involved in the minimum allowable hearings for these pools?

11 A. Are we talking about approximately 1993?

12 Q. I believe so.

13 MR. BROOKS: 1992 and 1993.

14 EXAMINER STOGNER: 1990 and -- Oh.

15 THE WITNESS: I believe I was.

16 Q. (By Examiner Catanach) Okay. Do you recall what
17 the minimum allowables for these pools was based upon?

18 A. No, I'd have to go back in my records and files,
19 but I don't recall today. You asked the question earlier,
20 and --

21 Q. Yeah.

22 A. -- sorry, I don't know.

23 Q. Okay. Is it your opinion that lowering the
24 minimum allowables for these pools, would that not be an
25 alternative in this case?

1 A. In order to accomplish what?

2 Q. Protect correlative rights.

3 A. I'm glad you asked the question, because you
4 asked Mr. Stogner earlier, and I was hoping you'd ask me
5 too.

6 I think that kind of logic goes to, if you reduce
7 the production rates to zero on all the wells, then nobody
8 has any correlative-rights problems. So by reducing
9 production levels, you do reduce correlative-rights
10 problems. And why not go to zero, because then there will
11 be no correlative-rights problems.

12 And I think the answer is obvious, that is not
13 the direction to go. That is a waste of time and money and
14 God's given natural resources.

15 Q. Well, certainly I'm not suggesting that we reduce
16 the allowable to zero.

17 A. I appreciate, you didn't suggest anything, you
18 simply asked my opinion, and I'm telling you.

19 Q. But is it your opinion that reducing the
20 allowables to any point, is this not beneficial? It's not
21 going to do anybody any good?

22 A. It would not be beneficial, it would not do -- I
23 hate to say it wouldn't do anybody any good. It might
24 serve to financially benefit somebody, but it would not be
25 more optimum for the group of operators, State of New

1 Mexico and the citizens of the earth. That would not be
2 optimum, that would be going in the wrong direction.

3 Q. Given the alternatives that the Division has to
4 choose from at this point, is it your testimony that
5 reducing well density would be better than trying to
6 effectively prorate the pool?

7 A. Well, I think Mr. Stogner's proposal addresses
8 the issue just about just right. As I said earlier, I
9 agree very well -- I'm not sure it's 100 percent but it's
10 in the high 90s percent, I agree with Mr. Stogner's special
11 pool rule proposal that the well density approach is the
12 way to go, rather than prorationing, and with the standard
13 spacing being 160 acres, with opportunities for people to
14 request closer spacing, I believe that is the way to go.

15 EXAMINER CATANACH: Okay, I have nothing further.

16 MR. BROOKS: Nothing further.

17 MR. GALLEGOS: I have nothing further.

18 EXAMINER CATANACH: This witness may be excused.
19 You have nothing further, Mr. Gallegos?

20 MR. GALLEGOS: We have nothing further, Mr.
21 Examiner. Thank you.

22 EXAMINER CATANACH: Okay.

23 MR. BROOKS: I would like to make a brief
24 statement, not in the way of argument but just as to what
25 you're asking me to do at this point.

1 The Division considers Exhibits 1A and 1B as
2 tentative rules, and since this is a proceeding that
3 affects a large volume of acreage and a lot of operators,
4 we would suggest proceeding somewhat in the manner of
5 rulemaking than done this in judicare proceeding because it
6 applies only to a specific pool, but we would suggest as
7 Mr. Stogner did on the witness stand that we publish these
8 rules and give the industry an opportunity to comment, and
9 of course you as Examiner control the proceedings.

10 We would request, since there obviously are some
11 corrections that have to be made to the current draft, that
12 you give us a date to submit a corrective draft of the
13 proposed rules, after which they will be published to the
14 industry in an appropriate manner, and that this hearing be
15 continued until a date certain, at which time a decision
16 would be made to take the matter under advisement or
17 whatever.

18 EXAMINER CATANACH: Mr. Brooks, do you know
19 approximately how many operators we have in these pools?

20 MR. BROOKS: I would have to defer to my witness.
21 I think it's about five or six. It's not a real large
22 number, is it? Maybe I'm -- Yes, I can see it is a real
23 large number, I was mistaken. It's just that we have a
24 small number of large operators that operate a lot of
25 units, and we have a large number of small operators that

1 operate a very small number of units.

2 EXAMINER STOGNER: If it may -- Exhibit Number 2,
3 attachment "A", page 1 and 2, page 1 being the operators in
4 the Eumont Pool, page 2 being the operators in the Jalmat
5 Pool, that gives you the number and who they are.

6 EXAMINER CATANACH: Mr. Brooks, would it be a
7 substantial burden to actually send the proposed rules to
8 each of these operators in these pools by mailing?

9 MR. BROOKS: I don't see why that it would if --
10 to the extent that we have valid addresses for them.

11 EXAMINER CATANACH: Well, I believe you sent
12 notice to these operators of this hearing today?

13 MR. BROOKS: We did.

14 EXAMINER CATANACH: So I assume that --

15 MR. BROOKS: Some of them may have been returned,
16 I'm not sure, but most of them were not.

17 EXAMINER CATANACH: I think that would be
18 appropriate. I think I'd like to see the operators get
19 personal notice of what you guys are proposing, because
20 otherwise I don't know how many of them are going to be
21 aware of it or are going to look at our website and try and
22 find these. I think if we give personal notice to these
23 operators it gives them more of a chance to submit
24 comments, and I would prefer that.

25 MR. BROOKS: Okay.

1 EXAMINER CATANACH: As far as a corrected draft,
2 can you have that for me in a week?

3 MR. BROOKS: I think so.

4 EXAMINER CATANACH: And at that point I would see
5 if we could get the mailing out to these operators.

6 MR. BROOKS: Okay, would you want this to be by
7 certified mail with return receipt requested or just
8 ordinary mail?

9 EXAMINER CATANACH: How did you send notice for
10 the hearing?

11 MR. BROOKS: Certified mail, return receipt
12 requested.

13 EXAMINER CATANACH: I think that would be
14 appropriate, certified mail.

15 MR. BROOKS: Okay.

16 EXAMINER CATANACH: Also as far as the time
17 frame, you might suggest or you might advise the operators
18 that they have some time to submit comments to the
19 Division, in a --

20 MR. BROOKS: Yes, sir.

21 EXAMINER CATANACH: -- letter or on the draft
22 rules you might state that somewhere and --

23 MR. BROOKS: Did you want for us to make comments
24 due, say, a week before the continued hearing?

25 EXAMINER CATANACH: I think that would be

1 appropriate. Yeah, we can determine a time frame. I'm not
2 entirely sure at this point when to continue this hearing
3 to. I think four weeks is not sufficient.

4 MR. BROOKS: I was thinking it might be more on
5 the order of eight weeks, although I thought we'd -- Mr.
6 Stogner and I concluded to ask for at least four weeks.

7 EXAMINER CATANACH: Okay, I think four weeks is
8 not time enough, and six weeks would put it on Mr.
9 Stogner's docket, so I don't think we want that.

10 MR. BROOKS: No, I don't think so, be a slight
11 disqualification there.

12 (Laughter)

13 MR. BRUCE: Mr. Catanach, could Mr. Gallegos and
14 Mr. Carr and myself also get copies of the revised rule?

15 EXAMINER CATANACH: Certainly, we can provide you
16 with that.

17 So let's tentatively continue it for eight weeks.
18 Well, not tentatively, let's go ahead and continue it for
19 eight weeks. And as soon as you can get the mailing out to
20 the operators, you can give them a time frame which would
21 have a deadline to submit comments a week before the
22 hearing or something to that effect?

23 MR. BROOKS: Okay, and I believe that would be to
24 the September -- Would that be to the September 20 docket?
25 I guess that would be --

1 EXAMINER CATANACH: I don't have a calendar with
2 me.

3 MR. BROOKS: Maybe it's the September 4 docket.

4 MR. BRUCE: Sixth.

5 MR. BROOKS: Sixth docket. I guess it is --
6 Eight weeks is the September 6th docket. September 20th
7 would be ten weeks.

8 EXAMINER CATANACH: Okay.

9 MR. BROOKS: So the September 6th docket.

10 EXAMINER CATANACH: So September 6th, okay.

11 Okay, I think that takes care of all the
12 business. If there's nothing further, we will continue
13 this case to the September 6th docket.

14 Thank you, gentlemen.

15 (Thereupon, these proceedings were concluded at
16 4:30.m.)

17 * * *

18
19 I do hereby certify that the foregoing is
20 a correct record of the proceedings in
21 the Exam. Hearing of Case No. 12503,
22 heard by me on July 12, 2001 at TS
23 David R. Catnach, Examiner
24 Oil Conservation Division
25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL July 20th, 2001.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 2002

STEVEN T. BRENNER, CCR
(505) 989-9317