

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION COMMISSION

IN THE MATTER OF THE HEARING CALLED BY)
 THE OIL CONSERVATION COMMISSION FOR THE)
 PURPOSE OF CONSIDERING:)

APPLICATION OF NEARBURG EXPLORATION)
 COMPANY, L.L.C., FOR TWO NONSTANDARD)
 GAS SPACING AND PRORATION UNITS,)
 LEA COUNTY, NEW MEXICO)

CASE NO. 12,622

IN THE MATTER OF THE HEARING CALLED)
 BY THE OIL CONSERVATION DIVISION)
 FOR AN ORDER CREATING, CONTRACTING,)
 REDESIGNATING AND EXTENDING THE)
 VERTICAL AND HORIZONTAL LIMITS OF)
 CERTAIN POOLS, LEA COUNTY, NEW MEXICO)

CASE NO. 12,908-A

(Consolidated)

REPORTER'S TRANSCRIPT OF PROCEEDINGSCOMMISSION HEARING (Volume II: Tuesday, October 22nd, 2002)

BEFORE: LORI WROTENBERY, CHAIRMAN
 JAMI BAILEY, COMMISSIONER
 ROBERT LEE, COMMISSIONER

ORIGINAL

October 21st and 22nd, 2002
 Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Commission, LORI WROTENBERY, Chairman, on Monday, October 21st, and Tuesday, October 22nd, 2002, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
 (505) 989-9317

I N D E X

October 22nd, 2002 (Volume II)
 Commission Hearing
 CASE NOS. 12,622 and 12,908-A (Consolidated)

	PAGE
CUMULATIVE INDEX OF EXHIBITS	257
APPEARANCES	262
REDROCK WITNESSES:	
<u>JAMES BREZINA</u> (Geologist)	
Direct Examination by Mr. Kellahin	269
Cross-Examination by Mr. Carr	305
Examination by Commissioner Bailey	335
Examination by Chairman Wrotenbery	339
Redirect Examination by Mr. Kellahin	340
<u>JOHN A. WELLS</u> (Engineer)	
Direct Examination by Mr. Kellahin	345
Cross-Examination by Mr. Carr	365
Examination by Mr. Hall	379
Examination by Commissioner Lee	380
Examination by Chairman Wrotenbery	386
Redirect Examination by Mr. Kellahin	387
Recross-Examination by Mr. Carr	390
NEARBURG WITNESS (Recalled):	
<u>RICKY COX</u> (Geologist)	
Direct Examination by Mr. Carr	391
Cross-Examination by Mr. Kellahin	397
Examination by Chairman Wrotenbery	399
<u>JAMES E. BROWN</u> (Royalty Owner)	
Direct Testimony	403
Examination by Mr. Kellahin	406
REPORTER'S CERTIFICATE	418

* * *

CUMULATIVE INDEX OF EXHIBITS

Nearburg	Identified	Admitted
Exhibit 1	50	68
Exhibit 1A		(withdrawn)
Exhibit 2	54	68
Exhibit 1	-	68
Exhibit 2	55	68
Exhibit 3	-	68
Exhibit 4	-	68
Exhibit 5	-	68
Exhibit 6	-	68
Exhibit 7	-	68
Exhibit 8	56	68
Exhibit 9	37	68
Exhibit 10	-	68
Exhibit 11	91	68
Exhibit 12	60	68
Exhibit 13	-	68
Exhibit 14	60	68
Exhibit 15	-	68
Exhibit 16	-	68
Exhibit 3	99	125
Exhibit 4	101	125
Exhibit 5	102	125
Exhibit 6	111	125
Exhibit 7		(withdrawn)
Exhibit 8	115	125
Exhibit 9	116	125
Exhibit 10	119	125
Exhibit 11	120	125
Exhibit 12	194	205
Exhibit 13	193	205
Exhibit 14	241	246

(Continued...)

CUMULATIVE INDEX OF EXHIBITS (Continued)

Nearburg	Identified	Admitted
Exhibit 15	242	246
Exhibit 16	243	246
Exhibit 17	244	246
Exhibit 18	179	205
Exhibit 19	189	205
Exhibit 20	191	205
Exhibit 21	196	205
Exhibit 22	200	205
Exhibit 23	201	205
Exhibit 24	267	268
Exhibit 25	392	396

* * *

Raptor	Identified	Admitted
Exhibit 1	29	38
Exhibit 2	27	38
Exhibit 3	27	38
Exhibit 3-A	28, 30	38
Exhibit 3-B	-	38
Exhibit 3-C	33	38
Exhibit 4	28	38
Exhibit 5	27	38
Exhibit 6	27	38
Exhibit 7	34	38
Exhibit 8	31	38
Exhibit 9	32	38
Exhibit 10	32	38
Exhibit 11	-	38
Exhibit 12	36	38

* * *

(Continued...)

CUMULATIVE INDEX OF EXHIBITS (Continued)

Raptor	Identified	Admitted
Exhibit 13	34, 35	38
Exhibit 14	35	38
Exhibit 15	35	38
Exhibit 16	264	415

* * *

Redrock	Identified	Admitted
Exhibit A		
1	-	268
2	-	268
3	-	268
4	-	268
5	-	268
6	-	268
7	-	268
8	-	268
9	-	268
10	-	268
11	-	268
12	-	268
13	-	268
14	-	268
15	-	268
16	-	268
17	-	268
18	90	268
19	-	268
20	-	268
21	-	268
22	-	268
23	-	-

(Continued...)

CUMULATIVE INDEX OF EXHIBITS (Continued)

Redrock	Identified	Admitted
Exhibit B		
1	281	305
2	279	305
3	292	305
4	271	305
5	274, 301	305
6	-	305
7	-	305
8	-	305
9	22, 294	305
Exhibit C (Withdrawn)		
Exhibit D		
1	351	365
2	358	365
3	-	365
4	-	365
5	350	365
6	350	365
7	-	365
8	349	365
9	349	365
Exhibit E		
1	79	170, 253
2	144	170, 253
3	146	170, 253
4	153	170, 253
5	157	170, 253
6	163	170, 253

* * *

(Continued...)

CUMULATIVE INDEX OF EXHIBITS (Continued)

Redrock	Identified	Admitted
Exhibit E		
7	227	-
8	287	305
9	288	305

* * *

Additional submission by James E. Brown, not offered or
admitted:

Identified

"Hearing Testimony, October 21, 2002, James E. Brown, Royalty Owner, Grama Ridge E. '34' State #1"	403
--	-----

* * *

A P P E A R A N C E S

FOR THE COMMISSION:

STEPHEN C. ROSS
Assistant General Counsel
Energy, Minerals and Natural Resources Department
1220 South Saint Francis Drive
Santa Fe, New Mexico 87505

FOR NEARBURG EXPLORATION COMPANY, L.L.C.; GREAT WESTERN
DRILLING COMPANY; CL&F RESOURCES, INC.; and OVERRIDING
ROYALTY INTEREST OWNERS WAYNE NEWKUMET, JAMES D. BROWN,
BRENT HILLIARD, WENDELL CREECH and DAVID ALDERKS:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR
110 N. Guadalupe, Suite 1
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

FOR RAPTOR NATURAL PIPELINE, L.L.C.:

MILLER, STRATVERT and TORGERSON, P.A.
150 Washington
Suite 300
Santa Fe, New Mexico 87501
By: J. SCOTT HALL

FOR REDROCK OPERATING, LTD., CO.:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

1 WHEREUPON, the following proceedings were had at
2 9:00 a.m.:

3 CHAIRMAN WROTENBERY: Go back on the record.

4 And Mr. Hall, do you have some information as
5 requested by Commissioner Lee?

6 MR. HALL: Yes, Madame Chairman. Dr. Lee had
7 requested that the Commission be provided with the dates of
8 completions or specifically perforations in the Morrow
9 formation.

10 What we did was review the Division's well files
11 for each of the unit wells, and from the C-105 data in
12 there we determined that the wells were completed or
13 recompleted, apparently perforated in the Morrow formation
14 on the following dates:

15 The Grama Ridge Morrow Unit Well Number 1 in
16 Section 3, the information shows it was completed on August
17 19th, 1965.

18 The Unit Well Number 2 in Section 34 was
19 completed on March 18th, 1966.

20 The Unit Well Number 3 in Section 33 was
21 recompleted in the Morrow on December 1st, 1966.

22 The Unit Well Number 4 in Section 4 was completed
23 on June 1st, 1965.

24 In addition to that, there was a well in Section
25 10. It's the Llano Government "A" 1, was completed --

1 recompleted, rather, in the Morrow on March 16th, 1966.

2 That well was subsequently withdrawn from the unit.

3 We will prepare an exhibit consisting of all the
4 C-105 forms for each of these wells, and we'll submit that
5 as Raptor's Exhibit 16, and we would request the Division
6 take administrative notice of its own files.

7 CHAIRMAN WROTENBERY: Okay. Does that answer
8 your question?

9 COMMISSIONER LEE: (Nods)

10 CHAIRMAN WROTENBERY: Okay, thank you very much,
11 Mr. Hall.

12 And I think we're ready to hear from Redrock --

13 MR. KELLAHIN: Yes, ma'am.

14 CHAIRMAN WROTENBERY: -- Mr. Kellahin.

15 MR. KELLAHIN: There's a couple of preliminary
16 matters I need to discuss with you, the first of which
17 deals with the seismic presentation that the two different
18 groups were going to make.

19 In September when we received Nearburg's seismic
20 displays, we went in response and contracted for the base
21 seismic data, hired a geophysicist, made an evaluation of
22 the seismic data, and we were going to present that to you.

23 On Friday I received the same letter that Mr.
24 Carr came with from the seismic lawyer, indicating that we
25 could not utilize it, and we tried to think of any possibly

1 way that we could use this. And they told us no, and then
2 they told us yes, and last night they told us no.

3 So in order to avoid litigation with the seismic
4 people over this, we simply have to withdraw it. It's
5 unfortunate, I think, for both sides that you don't get to
6 see the whole story, but we simply can't do it.

7 And so I'll ask you to return to me Exhibit C and
8 get you C-1, it's in the book. And I'll get them after the
9 hearing, you don't have to fuss with it now.

10 CHAIRMAN WROTENBERY: Okay.

11 MR. KELLAHIN: So we'd like to withdraw that, and
12 we'll return all that data back to the licensing company.

13 CHAIRMAN WROTENBERY: That's Exhibit C and D-1?

14 MR. KELLAHIN: No, D is the engineering data, and
15 C should be -- I think you're looking at it.

16 CHAIRMAN WROTENBERY: It's marked C-1 in my book.

17 MR. KELLAHIN: Yeah, it's this one. C-1 is the
18 only exhibit. This is the seismic. If you'll exclude
19 that.

20 CHAIRMAN WROTENBERY: We'll go ahead and pull
21 those out while we're thinking about it. Thank you.

22 MR. CARR: May it please the Commission, I'd also
23 like the record to show that Nearburg has also withdrawn
24 the seismic data that was submitted to the Commission, and
25 it has also been returned to us.

1 CHAIRMAN WROTENBERY: Yes, thank you, Mr. Carr.

2 Okay.

3 MR. KELLAHIN: Madame Chairman, in order to avoid
4 the litigation with the seismic people, we are only going
5 to present to you the geologic interpretations that are
6 derived from data independent of any seismic evaluation.

7 And to start off, I would like to suggest that
8 everything I've submitted behind Exhibit Tab A -- which are
9 orders of the Division, correspondence from Nearburg, the
10 State Land Office, documentation in the chronology that
11 I've provided -- be admitted, and you may look through that
12 as you please.

13 And I would like to avoid talking about all those
14 pieces of paper and go straight to the heart of the
15 technical case and call my geologist, and let's talk about
16 the geology. If there's no objection, I'd like to do that.

17 CHAIRMAN WROTENBERY: Is there any objection to
18 the admission of the materials --

19 MR. CARR: May it --

20 CHAIRMAN WROTENBERY: -- under Tab A?

21 MR. CARR: May it please the Commission, we have
22 no objection to the materials behind Tab A. It addresses
23 certain matters that we didn't include in the summary that
24 we presented yesterday, and we think it should be included
25 for the purpose of completeness.

1 There is one document that we would like to add
2 and offer at this time as our Exhibit Number -- we'll mark
3 it Exhibit Number 23 [sic]. All it is is the records -- a
4 certified copy of the records from the State Land Office,
5 and it just shows the status of the spacing units in the
6 east half of this section.

7 It just is off -- This shows the dates when the
8 units were created and when they were terminated, and we
9 think that it may have some bearing after the hearing to
10 address the issues raised by Mr. Hall.

11 And I would tender to you the original, which
12 bears the seal of Ray Powell, the Commissioner, showing
13 that, in fact, are certified copies and they are admissible
14 under the Rules of Evidence as public records certified by
15 the...

16 If there is no objection, we would like to put
17 that in.

18 And with that, we have no objection to Mr.
19 Kellahin putting in Exhibit 1, the geologic presentation.

20 CHAIRMAN WROTENBERY: Okay.

21 MR. KELLAHIN: There's no objection to Mr. Carr's
22 exhibit.

23 CHAIRMAN WROTENBERY: Okay, so --

24 MR. HALL: I have no objection.

25 CHAIRMAN WROTENBERY: Thank you, Mr. Hall.

1 We'll admit into evidence the exhibits --

2 MR. CARR: And I will mark that as our Exhibit
3 24, and with your permission, I'll do that following the
4 hearing.

5 MR. HALL: 23.

6 MR. CARR: I'm sorry, 23.

7 CHAIRMAN WROTENBERY: 23, okay. Okay, first
8 we'll admit into evidence Redrock Exhibits A-1 through -22;
9 is that correct --

10 MR. KELLAHIN: That's correct, ma'am.

11 CHAIRMAN WROTENBERY: -- Mr. Kellahin?

12 And then we'll also admit into evidence Nearburg
13 Exhibit Number 23. Okay?

14 Would you like to introduce your first witness?

15 MR. KELLAHIN: Members of the Commission, Mr.
16 Brezina and I have taken the exhibits that he provided in
17 the prehearing filings. We've kept the same numbers.
18 We're going to present them in a little different order.

19 We thought after the geology you saw yesterday we
20 wanted to organize this in a way so that you could see our
21 interpretations and not be lost in what may be extraneous
22 detail.

23 So we want to focus right on what Mr. Brezina
24 thinks are the heart of the geologic issues.

25 CHAIRMAN WROTENBERY: Okay.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

JAMES BREZINA,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q. Mr. Brezina, for the record, sir, would you please state your name and occupation?

A. My name is James Brezina. I'm a consulting geologist out of Midland, Texas.

Q. How long have you been a consulting geologist?

A. Approximately 20 years.

Q. During that period of time, give us a short summary of your experience as a geologist.

A. I first started off professionally working, when I got out of college, for Superior Oil Company. Then I went to work Jake L. Hammond, which is a small independent. And then I worked for Clayton Williams Oil Company there in Midland. After that I became a consultant and independent geologist.

Q. Is the work we're about to see work that you have done personally?

A. Yes, it has.

Q. Is the data we're about to look at that forms the opinions expressed on the displays your work product?

A. Yes.

1 Q. Have you examined, to the best of your ability,
2 all the available data?

3 A. Yes.

4 Q. And based upon that presentation, you have
5 certain geologic conclusions?

6 A. Yes, I do.

7 Q. Were you retained by Redrock as a geologist after
8 the Examiner Hearing last June?

9 A. Last June of what year?

10 Q. Last year?

11 A. Last -- Yes, I have.

12 Q. So after the Examiner Hearing you were retained
13 to look at the geology?

14 A. Yes, sir.

15 Q. Okay. Have you had a chance to look at the
16 Nearburg exhibits and displays over the last several weeks
17 that those have been presented and made available?

18 A. Yes, I have.

19 MR. KELLAHIN: We tender Mr. Brezina as an expert
20 petroleum geologist.

21 MR. CARR: No objection.

22 CHAIRMAN WROTENBERY: We find him so qualified.

23 THE WITNESS: Thank you.

24 Q. (By Mr. Kellahin) Mr. Brezina, let me ask you if
25 you have formed an opinion about the gross GRE sand and how

1 it is oriented and distributed insofar as it affects
2 Section 34?

3 A. Yes, I have. If you notice, if you go to that
4 map at a later date, is that I used all the data points. I
5 even used the well in the southeast quarter of Section 34,
6 which is the Llano well. Nearburg essentially excluded the
7 use of that well. In fact, they did not prepare a gross
8 map.

9 And I used this map to help me determine a model,
10 a geological model, as what I think the environment of the
11 deposition was. And in this model, I came to the
12 conclusion it was north-south, fluvial-deltaic-type system,
13 incorporating mostly of the east half of Section 34.

14 Q. When we talk about Nearburg's nomenclature where
15 he's identified this Morrow sand stringer as a GRE sand, is
16 that the same interval we're about to see on your gross
17 isopach?

18 A. Yes, it is. For the sake of having too much
19 confusion I went ahead and incorporated some of their
20 nomenclature, and one of them is, I used that same GRE
21 nomenclature on my exhibits as their representative for
22 Nearburg exhibits.

23 Q. Let's turn to your Exhibit B-4.

24 A. B-4.

25 MR. KELLAHIN: Give us a moment to pull that out

1 of the exhibit book.

2 MR. CARR: Mr. Kellahin, is this the middle
3 Morrow GRE gross sand?

4 MR. KELLAHIN: Yes, sir.

5 Q. (By Mr. Kellahin) When you're looking for gross
6 points on the logs of these various wells to get you the
7 gross thickness of the GRE sand, what log are you looking
8 at and what response are you trying to see?

9 A. The logs I'm looking at, for the most part, are
10 the ones that has the gamma-ray logs. And what I've done
11 is, I've made a map based on the -- what I call the clean
12 sand and formulated this gross map.

13 Q. Have you honored all the data points that you
14 could find that are applicable to the GRE sand?

15 A. Yes, I have, especially the well in the southeast
16 quarter of Section 34, which is the Llano well. If you
17 notice there, it has 6 feet of sand on the gamma-ray, clean
18 sand, and that's what I used.

19 Q. Take us through the display and show us the data
20 points and how these values, then, have been contoured and
21 oriented.

22 A. Okay, let's -- We can follow the wells in Section
23 -- for instance, in Section 34 on that cross-section A-A'.
24 And when I looked at that it had zero presence of GRE sand
25 located in that well, which is the southwest quarter of 34.

1 As I go further north in Section 27 along this
2 A-A', I noted that we had 2 feet of net and 3 feet of
3 gross, based on the gamma-ray. These values here, it's the
4 second number. For instance, if when I said 2, that's the
5 net porosity map, net value of 8 percent or better. What
6 I'm contouring is the second value, on the other side of
7 the slash, is number 3.

8 And I went through all these wells out here and
9 determined, based on the gamma-ray, the net sand content,
10 just to get an orientation of this sandbody.

11 And I can continue on, if you want to, on the
12 third well. Again, the log, I mapped 19 feet of sand,
13 continue down on the cross-section again in the southeast
14 quarter of Section 34, 6 feet of sand, of gross sand, which
15 Nearburg has sort of ignored altogether. Then at the other
16 part of the cross-section, A', 7 feet of sand. And to the
17 north of this is, again, 3 feet, 4 feet and zero,
18 essentially, and to the south 2 feet of sand. Trying to
19 honor all the data points based on the gamma-ray, on the
20 gross GRE sand.

21 Q. Mr. Brezina, does your map represent what you
22 consider to be the best geologic opinion that honors all
23 the data points?

24 A. Yes, I do.

25 Q. Let's turn and compare this to the net map.

1 You've prepared a net map, have you not?

2 A. Yes, I have.

3 Q. And the net values are reproduced from the gross
4 map that does show the net values?

5 A. That's correct.

6 Q. All right, let's go to Redrock B-5. let's talk
7 about this in pieces, Mr. Brezina. Let's start with the
8 porosity cutoff, the 8-percent number.

9 A. Yes.

10 Q. Why have you utilized that number?

11 A. Since Nearburg was using that number -- and I
12 decided -- and it's a good number to use regionally out
13 here and for the Morrow, and to keep less confusion so
14 we'll be able to talk about the same thing, we're all on
15 the same page.

16 Q. So if you use that value on the log -- and on
17 what type of log are you going to try to find a positive
18 value?

19 A. Mostly the porosity, and most of these wells that
20 are out here use the compensated neutron density, and
21 there's a few wells out here that have the sonic log, and I
22 based my log evaluation at an 8-percent cutoff.

23 Q. Have you honored all the log data?

24 A. Yes, I have.

25 Q. And did you prepare this in a way that you have

1 incorporated the mud log data?

2 A. Yes, I have. If you look down here on the
3 southeast quarter of Section 34, you know, I've got mapped
4 zero feet of pay. That's based on the porosity log. But
5 what I did was incorporated the data from the mud log to
6 extend this GRE sand down to the southeast, because as we
7 get later on, we'll see the mud log indicates that we're
8 very close to a major reservoir of the GRE sand, based on
9 its porosity, based on its show and based on its drilling
10 rate.

11 Q. When you utilize the mud log and the available
12 log data, you cannot exclude, in your opinion, the fact
13 that the GRE sand extends down into the southeast quarter
14 of Section 34?

15 A. That's correct.

16 Q. Okay. When we're looking at these density
17 neutron logs, describe for me the areal extent of that
18 data's investigation of the reservoir.

19 A. It's very limited, just slightly beyond the
20 wellbore, a matter of inches. So what you're really doing
21 on the gamma-ray neutron, you're only looking at a small
22 radius around the wellbore that you're able to -- for that
23 tool to interpret and come up with a porosity value.

24 Q. How do you take the net map for the GRE sand and
25 satisfy yourself that you have oriented it in the right

1 directions?

2 A. Again, if you go back to the gross map, the gross
3 map has more of the data where you could use -- that gross
4 sand map indicates a model, it defines the geometry of this
5 sandbody. So naturally the reservoir rock inside this
6 sandbody has to line up like the main sandbody in the gross
7 sand complex.

8 Q. When we look at Exhibit B-5, you have interpreted
9 two faults on that display. There is a western fault, and
10 then there's an eastern fault line that bisects Section 34
11 generally from the northeast to the southwest. Do you see
12 those lines?

13 A. Yes, I do.

14 Q. Are those lines critical for you in determining
15 what you think to be the size and the shape of the GRE net
16 pay porosity that's produced in the Nearburg well?

17 A. No, it's not, because the faulting was post-
18 depositional, and the deposition of the sand was here, the
19 geometry of the sandbody was here, then the faulting
20 occurred afterwards.

21 Q. Let's turn to, if you have it available to you,
22 Mr. Brezina, let's look at Nearburg's Exhibit 21.

23 A. Twenty-one.

24 Q. Do you have that in front of you?

25 A. No, I don't.

1 Q. Well, let's take a minute and get one for you.

2 What I'm trying to do is get to the net map, and
3 I think it's either 21 or 22.

4 A. Yeah, this one says 22, so...

5 Q. One of those maps has got some engineering
6 numbers on it.

7 A. Right.

8 Q. But I'm trying to find the base map that Nearburg
9 used to show you the net pay orientation of the GRE pod.
10 Do you see that?

11 A. Yes, I do.

12 Q. Are we now looking at the same thing?

13 A. Pardon me?

14 Q. We're now looking at what, Nearburg --

15 A. Yes.

16 Q. We've seen just now, Mr. Brezina, how you have
17 the GRE porosity stringer, that GRE pod.

18 I want you to look at Nearburg's exhibit, the one
19 you have in front of you, and describe what in your opinion
20 you think is wrong with their interpretation.

21 A. Well, the first thing is, again, if we go to
22 reference that southeast quarter of Section 34, the Llano
23 well, he does not honor -- Nearburg does not honor any of
24 the data that comes from that well, either a mud log or
25 from the gamma-ray.

1 And it's interesting that this geologist had zero
2 and zero, other geologist had 6 feet of gross sand.

3 Another thing that's interesting is that if you
4 look at this engineering map or this isopach, is that if
5 there's a fault that travels through the north, northern
6 part of 34, like I've got it drawn, then you've essentially
7 wiped out a lot of reserves for Nearburg. And if you can
8 demonstrate a fault across there, the size of the reservoir
9 is very limited.

10 Q. With the existence of that fault through Section
11 34, it will separate out the western portion of the net pay
12 values in the GRE sand that Nearburg's using?

13 A. Yes, it would.

14 Q. And so if their engineer has taken production and
15 pressure data from the Nearburg well and has come up with a
16 volume, he'll have to contain that volume east of the
17 fault?

18 A. That is correct.

19 Q. Is that volume east of the fault on their map big
20 enough to contain the amount of gas that it needs to
21 contain in order to satisfy the engineering data?

22 A. No, it's not.

23 Q. If the fault disappears, then they can add the
24 west portion of the pod into the eastern portion, and then
25 the engineering data fits?

1 A. That's correct.

2 Q. Let's go to the fault, then. Let's start looking
3 at your structure map. That's Exhibit B-2. Give us a
4 moment to unfold our displays there, Jim.

5 A. Okay.

6 Q. Describe for us Exhibit B-2.

7 A. As you look on this map, you notice a plunging
8 dip back to the southwest. But what's most notable is this
9 two faults. You have a major fault back on the western of
10 the map, and if you look specifically between the wells in
11 Section 28 and 27, you've got a subsea depth on top of the
12 middle Morrow of a minus 10,024, and back in the southwest
13 of 27 you have a value of minus 9155.

14 Again, this is essentially the same that Nearburg
15 has documented, and I also concur.

16 We also -- I put another splinter fault that
17 comes across most of Section 34, and the reason I'm doing
18 this is, if you look up here again, look up here on the
19 northeastern portion of the map, and these are 50-foot
20 contour intervals, as you're coming down you have a rate of
21 dip about 300 feet per mile.

22 So when you get down here to the well in Section
23 26, you've got a subsea point of a minus 9063. And below
24 that, especially on the eastern portion of the map, the
25 rate of dip looks like it breaks from about 300 feet per

1 mile to about 100 to 150 feet a mile.

2 So when we go back to this well in Section 26, if
3 you go down approximately a mile, again, we're looking at
4 the Nearburg well in the southeast quarter of Section 34,
5 has a value of minus 9040, which essentially shows that
6 you've got, from that well in Section 26, at least 20 feet
7 of anti-regional dip. If you would have taken a normal
8 rate of dip that was established earlier, this well should
9 have been down 150 or 300 feet lower.

10 So something's caused a structure here that shows
11 this anti-regional dip, and I believe it's the presence of
12 this fault, and this anomaly was caused by this splinter
13 fault off this major fault.

14 Q. Let me interrupt you for a second, Mr. Brezina.
15 You're talking about the Nearburg well. You located it in
16 the southeast quarter of 34.

17 A. Oh, excuse me, I meant the Llano well in the
18 southeast quarter.

19 Q. I did that yesterday. I guess I've infected you.

20 A. The minus 9040 in the southeast quarter of
21 Section 34, that's what I meant. Because that distance
22 between that well in Section -- the well in 26, is
23 approximately a mile. And if you had a normal rate of dip,
24 then that value should be at 150 too. It should have been
25 at about a minus 9200 feet.

1 Q. Let me ask you a question, Mr. Brezina. You
2 contoured this on 50-foot intervals?

3 A. Yes, I have.

4 Q. If you did what the Great Western geologist did
5 and contoured on 100-foot intervals, this fault disappears,
6 doesn't it?

7 A. It would be hard to find it, yes.

8 Q. Okay, go ahead.

9 A. And again, you've got an anomaly here, and I
10 believe that this anomaly, this little structure, was
11 caused by a little splinter fault that came over the major
12 fault.

13 In fact, one of the prior exhibits by Nearburg,
14 by Mr. Gawloski, he also documented a fault going across
15 Section 34.

16 Q. Let's set this display aside for a moment, Mr.
17 Brezina, and let me post on the board the structural cross-
18 section. It's going to be Exhibit B-1. Go ahead and get
19 organized, and we'll put this up.

20 Let me ask you about your methodology, Mr.
21 Brezina. What is the datum point on which you have hung
22 all these lines?

23 A. You can see on this cross-section the datum is a
24 minus 9200 feet subsea.

25 Q. Is that a marker that you can consistently find

1 through the cross-section profile that you've displayed?

2 A. Yes.

3 Q. Is it hard to pick or find on the log?

4 A. No.

5 Q. Explain for us why you have chosen this
6 particular sequence of wells to display on the structural
7 cross-section.

8 A. If you look up here, it's sometimes easier to see
9 on a picture. And again if you look up here at the upper
10 Morrow, and you can see as you do on a cross-section where
11 it shows an anomalous area of the well back up here, the
12 Nearburg well, is a little high, with the Mineral well is
13 high.

14 Okay, what I'm trying to show here visually, how
15 this fault appears in relation to the cross-section. Right
16 here you can look up there and you can see the break
17 between the wells back to the west.

18 Q. Let's find the GRE sand so that we're --

19 A. Okay --

20 Q. -- visually oriented to you. Find us a way to
21 see that.

22 A. Okay, let's go to the Nearburg -- I mean the
23 Minerals well and the Llano well, and the GRE sand is at a
24 depth around 13,050 feet. I'm talking about basically this
25 sand across here, equivalent to the same GRE sand up here

1 in the Nearburg. And I've got it marked on the cross-
2 section itself, the GRE sand.

3 Q. Let's identify that for the record, now. You're
4 looking at the yellow-shaded line that corresponds to the
5 red perforations indicated on the Nearburg log?

6 A. On the Nearburg log, yes.

7 Q. And if you continue that and pick up the Llano
8 well in the southeast quarter, you can visually see the
9 relationship of that zone between the two wells?

10 A. Yes.

11 Q. Now take us to the west from the Nearburg well
12 and show us why it's not a continuation into the gas
13 storage.

14 A. Well, the -- as you can see, the gas storage
15 area, there's no evidence of the GRE sand in the west half
16 of Section 34.

17 Q. In order to explain that absence, is it necessary
18 to interpret a fault between those two wells?

19 A. No.

20 Q. Is it an explanation, though, as to the
21 separation?

22 A. The fault itself?

23 Q. Yes.

24 A. Not necessarily, because the faulting was after
25 -- post-depositional, so the --

1 Q. So what's the significance of the fault that
2 you've depicted on the display?

3 A. The significance of the fault is that this will
4 help demonstrate and show that there's a separation, a
5 break, from the west half and the east half of Section 34.
6 And also there's additional information here that can help
7 substantiate the presence of this fault.

8 It was pointed to earlier on the RFT data that we
9 had -- in the Minerals State well, essentially said that we
10 had virgin pressures on all the zones except for the "B" 2
11 zone. And so the zone here that was produced out of the
12 Minerals well right above the GRE sand showed it produced
13 -- had virgin pressure -- It's really interesting that
14 after this well essentially was flat to a well back up
15 here, the Shell well, and yet the Shell well was perforated
16 and produced 13 years prior to that and did not indicate
17 any drainage at all. And so that would indicate that two
18 separate pools...

19 Also it's interesting to note what Nearburg had
20 said, that the -- in their well, the Nearburg well, would
21 be what they call the lower "B" main sand, calculates wet,
22 is that it's structurally higher or flat to the Shell well
23 back in the southwest quarter, which indicates the presence
24 of the fault. I can't have a zone there that's wet,
25 essentially flat to another well, unless you have the

1 presence of a fault or something that separates the two
2 reservoirs.

3 Q. Your best geologic judgement is, that separation
4 is attributable to the existence of a fault?

5 A. Yes, it is.

6 Q. Mr. Gawloski at the Examiner Hearing, and then
7 again yesterday Nearburg's advancing the possibility that
8 the zones are separated from the gas storage based upon
9 some degradation of the reservoir, either a permeability
10 restriction or something, that causes the limitation of the
11 Nearburg well to affect the gas storage well. Do you
12 remember that?

13 A. No, could you -- I don't remember that, but go
14 ahead. Could you repeat the question again?

15 Q. My question is, is there an alternative
16 conclusion about the separation between the Nearburg well
17 and the gas storage well in the southwest quarter of
18 Section 34?

19 A. Yes, there is.

20 Q. There's a pressure point that separates them in a
21 particular zone?

22 A. Yes, there is.

23 Q. And they're either fault-separated, or there is
24 some permeability degradation between the two and they're
25 not connected?

1 A. That's correct.

2 Q. And whether there's a fault or not, in your
3 opinion would you add reservoir sand in the GRE zone in the
4 Nearburg well that's located in the northwest quarter of
5 the section?

6 A. No, there's no evidence that the GRE sand is
7 present in the northwest quarter of Section 34.

8 Q. You've looked at the RFT data that Nearburg has
9 presented?

10 A. Yes, I have.

11 Q. And their engineer concluded that based upon a
12 comparison of the test with the well in the southeast of
13 34, and looking directly across the gas storage line to the
14 Gas Storage Well Number 1 in the southwest quarter, that's
15 where he says the pressure has been equalized.

16 Have you studied as a geologist to try to
17 determine other possible sources for the pressure depletion
18 in the Llano well?

19 A. Yes, I have.

20 Q. And how have you gone about doing that?

21 A. Investigating all the wells in that area and see
22 if that particular zone, which they refer to as the "B" 2
23 zone, is present or productive in the general area.

24 Q. Have you prepared a supplemental map that
25 addresses that issue?

1 A. Yes, I have.

2 MR. KELLAHIN: Madame Chairman, I believe this is
3 Redrock's Exhibit E-8?

4 CHAIRMAN WROTENBERY: -8.

5 MR. KELLAHIN: Got it, E-8.

6 Mr. Brezina if you'll mark your copy E-8, and if
7 the others will do that, we can hopefully keep track of
8 these.

9 Q. (By Mr. Kellahin) Let me have you identify for
10 us what we're looking at when we see Exhibit E-8, Mr.
11 Brezina.

12 A. Okay, the cross-section here is a cross-section
13 hung on the datum of the top of the middle Morrow, and as
14 you look down here below that, what I've shaded in yellow
15 is the top of the middle Morrow "B" sand, the same
16 nomenclature that was described earlier by Nearburg.

17 And this cross-section here goes from the well in
18 the southeast quarter of Section 34, the Llano well, down
19 to the northwest of Section 10, the Government 1 "A" well.

20 Q. Let me ask you some questions.

21 A. Go ahead.

22 Q. If the Nearburg engineer is attributing this zone
23 to pressure depletion from the well in the southwest
24 quarter of 34, this would be an interpretation that would
25 give you an answer to the pressure difference, would it

1 not?

2 A. Yes, it would.

3 Q. And in looking at possible sources for that
4 communication, you've looked at the well in Section 10 that
5 I talked with Mr. Horning about yesterday?

6 A. Yes.

7 Q. And when you look at it, how have you mapped it?
8 Are they connected geologically?

9 A. Yes, it is. The well in the section southeast of
10 34, the Minerals well, is connected geologically to the
11 well in the section -- the northwest of Section 10.

12 Q. Have you compiled a package of documents from the
13 Division records and elsewhere to give us the pressure
14 information on how these might be connected?

15 A. Yes, I have.

16 MR. KELLAHIN: Madame Chairman, we propose to
17 mark and introduce this package of documents as Redrock
18 Exhibit E-9.

19 Q. (By Mr. Kellahin) Mr. Brezina, we're not going
20 to go through all these pages. Help us find the pages that
21 are important and lead us through them in a sequence that
22 makes sense.

23 A. Okay, would everybody turn to the second page,
24 please? Sundry Notices and Reports on Wells. And please
25 note on Number 8 that the GRM Unit Number 5 well, which is

1 the well we're talking about here in Section 10 on the
2 cross-section -- Notice there at the bottom -- or in the
3 middle of the page, it's highlighted right under Item
4 Number 17, "Propose to temporarily abandon storage zone
5 interval. (Perfs 12,985'-12,963')."

6 Q. When we look at this first page, do you remember
7 the discussion yesterday about Mr. Al Klaar's memo on
8 behalf of the Gas Storage people?

9 A. Yes, sir.

10 Q. Who signed off on that?

11 A. Mr. -- Same gentleman, Mr. Klaar.

12 Q. When you review the memo that he filed, does he
13 indicate in that memo that his association of the Llano
14 well with the gas storage is directly attributed to any
15 single gas storage well?

16 A. No, it's not. It just alludes to the fact that
17 -- in connection with a gas storage well. It doesn't
18 identify which gas storage well.

19 Q. I'm sorry, I think it says storage field.

20 A. Storage field, okay, excuse me.

21 Q. Now, the well in Section 10 at that point in time
22 was part of the gas storage field, was it not?

23 A. Yes.

24 Q. Let me then have you turn to the next page that
25 you want us to look at.

1 A. They go down to --

2 Q. I think it's in the back.

3 A. In the back? Yes, it is. It's --

4 Q. It's going to be page 6 of 11 --

5 A. Yes, it is, page 6 of 11.

6 Q. -- of the production report.

7 A. Page 6 of 11. Just note there on the 11th of
8 1979, year -- Excuse me, has everybody found it yet.

9 MR. KELLAHIN: It's the last set of dog ears.

10 THE WITNESS: Last set of dog ears.

11 CHAIRMAN WROTENBERY: Uh-huh.

12 Q. (By Mr. Kellahin) Go ahead, Jim.

13 A. If you go down here to the month of 11th of the
14 year 1979, go over to the cumulative gas, it made
15 approximately 2.2 BCF of gas. And what's critical, or
16 what's interesting at this time, this was the time that the
17 storage well -- at the time when the Llano had ran the RFT
18 and had a pressure at around 3573 pounds. And if you look
19 on the next page, 4 of 1983, that will give you the total
20 amount of gas that's produced out of that particular zone.
21 Then it was recompleted to another interval.

22 Q. What's the significance of this 1993 date in 4 of
23 1993 -- 1983?

24 A. Well, essentially, you're looking at 11 of 1979.
25 This well has probably produced about 95 percent of its

1 gas, and it's pretty well completed. And it's interesting
2 to note that the Llano well had a bottomhole pressure based
3 on -- bottomhole pressure test on the RFT of 3573 pounds.

4 Q. At about this time?

5 A. About the same time.

6 Q. Let's go to the third point then, Mr. Klaar
7 [sic].

8 A. Okay, let's go to the third point. It's back
9 towards the front. It's the first, second, third, fourth,
10 fifth -- about the sixth or seventh page. It should have a
11 little dog ear. Has everybody found that?

12 Q. We're dealing now, still, with the March of 1983
13 time period?

14 A. Yes, we are.

15 Q. And what does the note at the bottom tell you
16 when you go through this analysis?

17 A. It says, "This is an underground gas storage well
18 in the Morrow..." The bottomhole pressure "is now 3450
19 PSI..." And it produced approximately about 200 million
20 more of gas since 1979, so the bottomhole pressure probably
21 was pretty close of what this figure was in 1979, and which
22 the Llano well was tested with the R- -- the formation
23 tester, about 3500, 3600 pounds. These pressures are very
24 close in nature, suggesting that these -- another
25 explanation for why you have such a low pressure in the

1 Llano well is maybe attributed to a well in Section 10.

2 Q. When we look at the production from this well,
3 there's still some production that might have been
4 otherwise produced, except for what appears to be wellbore
5 damage?

6 A. That is correct. If you notice there at the
7 second part of that -- second sentence, "Barite fines have
8 ruined permeability and flow capacity." So actually this
9 well could probably have produced a significant of -- more
10 amount of gas, but it had formation -- it had damage there
11 to the formation.

12 Q. If that's true, then that well in 10 still would
13 have remaining pressure?

14 A. Yes.

15 Q. It was not taken all the way down to some
16 abandonment pressure?

17 A. That's correct.

18 Q. Let's turn to a different topic. Let's go to
19 your Exhibit B-3. It's the stratigraphic cross-section.

20 Mr. Brezina, this exhibit is your work product?

21 A. Yes, it is.

22 Q. Let's start with the datum point. Where is that?

23 A. Excuse me, the datum point?

24 Q. Yeah, for the stratigraphic cross-section?

25 A. It's the datum at the top of the middle Morrow.

1 Q. Is that any different than the datum point used
2 on the structural cross-section?

3 A. Yes, it is.

4 Q. Okay, why is it different?

5 A. This will take out the structure, and it will
6 show the stratigraphic sequence between the wells, and it's
7 easier to see, particularly at this well.

8 Q. So what you're looking for in a stratigraphic
9 cross-section is information devoid of structure and
10 structural influence?

11 A. Yes.

12 Q. And the purpose is to do what?

13 A. Well, to show the relationship of the sands or
14 the -- between the various wells.

15 Q. There would be standard geologic methods by which
16 you could examine the logs for each well, make a judgment
17 and then look at the next well and see if they were
18 linked --

19 A. Yes.

20 Q. -- or continuous?

21 A. Yes.

22 Q. How did you do that for the GRE sand?

23 A. Well, if you look up here, on the middle log,
24 which is the Nearburg well, the GRE sand is well developed.
25 And if you go immediately to the next log right next to it

1 -- it's the Minerals, Incorporated, well -- you can see
2 traces of that sand, 6 feet. And then it's easier to see,
3 then, as you go across, further east, you'll see in that
4 BTA well, oh, approximately 6 to 8 feet of sand.

5 What's interesting is, if you go west, that this
6 GRE sand is not located in the west half of Section 34.

7 Q. Identify for us on your cross-section, Mr.
8 Brezina, the zone that will equate to the information I
9 want to talk about on the mud log.

10 A. We're talking about the zone in the Minerals
11 well, and the zone approximately, if you look on the
12 electric log -- excuse me, the porosity log, gamma-ray log,
13 thirteen thousand and -- around 13,050 to around 13,056,
14 highlighted in yellow.

15 Q. Why don't you leave that exhibit out, and let's
16 pull out the mud log, which will be Redrock's Exhibit B-9.

17 Mr. Brezina, what does this mud log indicate,
18 insofar as the Llano well is concerned?

19 A. If you look down here, it's highlighted, I've
20 colored the GRE. This mud log shows that you have 6 feet
21 of sand, but a fairly good drilling break.

22 Q. Can you conclude from the mud log that the GRE
23 sand is present in the Llano "34" well?

24 A. Yes.

25 Q. What is the significance of the drilling rate?

1 A. Well, the drilling rate indicates porosity, and
2 if you -- as the drill bit drills into a better formation
3 that's got good porosity and permeability, it will take
4 less time to drill, indicating, like I said, porosity.

5 Q. Let's define the point on the mud log where we're
6 dealing with above and below the GRE sand, find that point.
7 Where is it on the log?

8 A. On the mud log?

9 Q. Yes, sir.

10 A. The top of the GRE sand, it's approximately
11 13,060 feet.

12 Q. I want you to find the data point that shows you
13 that the drilling rate was about 36 feet a minute.

14 A. Right above that -- actually, it's the drilling
15 rate over a 2-foot interval, so -- right above there where
16 drilling got hard, it was drilling approximately 36 feet
17 over a 2-foot interval, which is about 18 minutes a foot.

18 Actually, you know, 2 feet drilled 38 minutes,
19 another 2 feet drilled about 34 minutes.

20 Q. And then what happens?

21 A. Then you got into a drilling break. All of a
22 sudden you went from -- drilling from about 18 feet a
23 minute down to -- in this case it was drilling about five
24 minutes a foot. It shows you're 10 minutes over a 2-foot
25 interval.

1 So a significant drilling break, indicating a
2 significant amount of porosity.

3 Q. And that porosity is going to be associated with
4 the area that you've defined as the GRE sand?

5 A. Yes.

6 Q. Do you log and see any other drilling breaks
7 observable in the Morrow "B" sand?

8 A. Yes, I do. If you notice right above the GRE
9 sand, you have another drilling break, and someone has
10 shaded in dark pencil a significant amount of drilling
11 break. And if you notice, the GRE sand is pretty close,
12 and the drilling rate is the lower Morrow "B" main sand.

13 Q. What sand is that? Can you give us a footage so
14 we know?

15 A. Yes, the lower Morrow "B" main sand, the base of
16 that sand is -- on the mud log is at 13,056 feet. And the
17 top of that sand, based on the mud log, is twelve thousand
18 nine hundred and approximately ninety-four feet.

19 Q. How much gas was produced out of that sand?

20 A. Over four BCF.

21 Q. We talked a little bit yesterday about the fact
22 that the mud log could give you indications of lithology?

23 A. Yes.

24 Q. Describe that for us insofar as it affects the
25 GRE sand.

1 A. If you notice here on the sample description,
2 they describe sand clear to milky to white, very fine
3 grain, subangular, consolidated.

4 And if you notice, to the right of that is a
5 little bitty black box. And if you look back up here on
6 the -- indicates the porosity. So it indicates a trace of
7 porosity, heading back up here on top.

8 So the individual geologist or some sort of
9 mudlogger logs sand with visible porosity. But you also
10 notice, they also allow some additional sand with some
11 shale in a granular mixture. Well, that's second little
12 bitty small drilling break, approximately 4 or 5 feet below
13 the GRE sand.

14 When they were looking at that sand, when they
15 getting those samples, it sometimes mix. And as you can
16 see, even on the compensated neutron density, the gamma-ray
17 log just immediately to your -- joining to it, is a very
18 shaly sand. But in the GRE sand itself, it's logged
19 visible porosity.

20 Similar, if you look above, this black marker,
21 visible porosity in the lower Morrow "B" main sand.

22 Q. And that's the one that you go back up and know
23 has produced 4 BCF?

24 A. It has produced 4 BCF of gas.

25 Q. Go up to the top of that log. There's a header

1 that says percentage lithology?

2 A. Yes.

3 Q. And you go down that, and the coding changes in
4 various ways. Read the coding for me when we get down to
5 the interval that corresponds to the GRE sand.

6 A. If you notice, there is a series -- the sand
7 designation is the little dots, and the majority of that
8 interval that was logged, it's logged as sand.

9 There's a little shale, but again, that shale is
10 probably coming from above you, that little 4 feet that
11 separates you from the lower Morrow "B" main sand, from the
12 GRE sand.

13 Q. Have the technicians that are involved in doing
14 the mud log work -- have they visually seen the presence of
15 this sand at this point?

16 A. Yes, they have.

17 Q. Is there information on this mud log that deals
18 with the indication of hydrocarbons?

19 A. Yes, it has.

20 Q. Where do we do that?

21 A. If you go back up there to the top of the
22 heading, you have a chromatograph. And what it does, it
23 shows -- indicates gases being measured while they were
24 drilling, and the background gas, if you look at the scale
25 of 1000, 2000, 3000.

1 And as you -- going through the lower Morrow "B"
2 sand, main sand, you notice you had a little increase of
3 gas from about, oh, 1800 to almost 2800 units. And it came
4 back and settled down around, oh, 1700, 1800 units. When
5 we got back into the GRE sand, it appeared that we had an
6 increase of gas, based on this mud log.

7 Q. When you read this part of the log, you can see
8 correlative to the GRE sand an increase in these values?

9 A. Yes.

10 Q. How does that percentage or increased number
11 compare to the number derived when the main "B" sand was
12 crossed through, the one that produced the 4 BCF?

13 A. Well, about the time you got through the main
14 sand, if you notice, you had a decrease in your gas. It
15 looked like it broke down, back down, to, oh, around 1200
16 units and came back up to around 2000 units, came back
17 down, but it still went over 2000 units, increasing that
18 there's some gas that's coming into the form- -- into the
19 wellbore. So the GRE sand --

20 Q. The chromatograph indicates that the GRE sand is
21 equal to or not -- equal to or better than the pay in the
22 "B" sand that produced the 4 BCF?

23 A. Yes.

24 Q. When you look at the density neutron, can you
25 find that information for us?

1 A. Yes, it's the log that's immediately to your left
2 of the mud log.

3 Q. Yeah, and let's find the GRE sand.

4 A. I've got it marked, it's approximately 13,052
5 feet.

6 Q. Now, we're over on the left-hand side of the
7 display?

8 A. Yes, we are.

9 Q. Does the density neutron cross over in the GRE
10 sand?

11 A. No, it doesn't.

12 Q. That indicates porosity, does it not?

13 A. Yes, and also sometimes a gas effect.

14 Q. Is that a common signature of a thin sand like
15 this?

16 A. One of the problems when you log in a thin sand,
17 the compensated neutron takes an average porosity. So when
18 you get to the thinner sands, sometimes it averages it out
19 and you don't see a good, true porosity reading. And it's
20 also an inferred data. They run a tool down there and try
21 to measure that porosity.

22 Q. When you reviewed the Nearburg maps, based upon
23 the testimony that they presented to you yesterday, they
24 did not use the mud log in their interpretations, did they?

25 A. That's correct.

1 Q. Mr. Brezina, let's go back now to your Exhibit
2 B-5.

3 CHAIRMAN WROTENBERY: Mr. Kellahin, do you need
4 B-3?

5 MR. KELLAHIN: You may have it if it's --

6 CHAIRMAN WROTENBERY: Thank you for helping out
7 our engineer and our attorney.

8 Q. (By Mr. Kellahin) Mr. Brezina, do you have the
9 Redrock GRE net sand map before you?

10 A. Yes, I do.

11 Q. All right. Let's go through and summarize, then,
12 your geologic opinions and conclusions about this map.

13 A. Does everybody have the map there in front of
14 them?

15 MR. CARR: Tom, which map are you on?

16 MR. KELLAHIN: Going back to the first one. It's
17 that GR --

18 CHAIRMAN WROTENBERY: B-5.

19 MR. KELLAHIN: B-5.

20 Q. (By Mr. Kellahin) I want to talk about all the
21 reasons that support your conclusion that the GRE sand is
22 oriented and distributed in the manner that you've mapped
23 it. Let's start with the fact that you've included the GRE
24 sand portion down into the southeast quarter of the
25 section.

1 A. If you notice that --

2 Q. Why did you do that?

3 A. Pardon me?

4 Q. Why did you carry it down there?

5 A. Why did I carry it down there? It's based --
6 because of the mud log. You know, the electric log gives
7 you a pretty precise information, as long as the tools are
8 working properly. But the mud log itself is raw data.
9 It's drilling breaks, it shows -- It has visual porosity.

10 And the reason I extended this pod down to the
11 southeast quarter is that you have to honor those points,
12 honor that data. That mud log indicated that well is
13 nearby the gas reservoir, with the shows and everything
14 else.

15 Unfortunately the wells have been plugged. It
16 would have been interesting to perforate that log, because
17 you have a little conflict between the mud log and the
18 electric log. And I think based on that mud log that you
19 have to carry that pod down to the south, because I think
20 that minerals well is so close to the reservoir itself.

21 Q. Has your map honored all the data points?

22 A. Yes, it has. If you look at, I honored the value
23 up here on the Llano well in the southeast quarter of 6.
24 Nearburg did not include any of this data from this well.

25 Q. In your opinion, is this the most probable

1 correct interpretation of the GRE sand --

2 A. Yes, it is.

3 Q. -- the one which honors all the available data?

4 A. Yes, it is.

5 Q. How does your orientation of the GRE sand data
6 fit with the rest of the geology in this area?

7 A. I believe that these sands that are coming from
8 the north, causing a fluvial deltaic system, the
9 orientation of these sands is north and south. In fact, if
10 you look at Nearburg's exhibits, all their exhibits except
11 for one generally show a north-south orientation. Only one
12 exhibit from Nearburg shows an east-west orientation, and
13 that is on the GRE sand.

14 I believe that based on looking at all the value,
15 all the data points, this is the correct and logical
16 interpretation of the depositional sequence in Section 34.

17 Q. When Dr. Lee is looking for a control point, is
18 the Llano well a control point?

19 A. Yes, it is.

20 Q. And the Nearburg well in the northeast quarter is
21 a control point?

22 A. Yes.

23 Q. And based upon those control points, is there any
24 evidence that the GRE sand is in the west half?

25 A. No, there is not.

1 Q. Is there any evidence that it's in the northeast
2 quarter?

3 A. In the northeast quarter? Yes, it is.

4 Q. How about the northwest quarter?

5 A. Not in the northwest quarter.

6 Q. How about the southeast quarter?

7 A. Yes, it is in the southeast quarter.

8 Q. If you were going to orient a spacing unit that
9 would maximize dedication of the GRE sand to that wellbore
10 and were utilizing standard 320-acre spacing sizes, which
11 orientation would you use?

12 A. It would be the east half.

13 MR. KELLAHIN: That concludes my examination of
14 this witness.

15 We move the introduction of his exhibits behind
16 the exhibit tab that's numbered B-1 through B-9. And then
17 I have some E exhibits that I've lost track of.

18 CHAIRMAN WROTENBERY: Well, did we -- I don't
19 believe we've covered B-6 through B-8.

20 MR. KELLAHIN: He did not specifically talk about
21 them. We have them in there. They're maps of the "A" zone
22 and stuff. He's not going to talk about it. They're all
23 his documents.

24 CHAIRMAN WROTENBERY: Okay, any objection to the
25 introduction into evidence of B-1 through B-9 and E-8 and

1 -9?

2 MR. CARR: I have no objection.

3 MR. HALL: No objection.

4 CHAIRMAN WROTENBERY: Then B-1 through -9 and E-8
5 and -9 are admitted into evidence.

6 MR. KELLAHIN: We pass the witness.

7 MR. CARR: I need five minutes, please.

8 CHAIRMAN WROTENBERY: Okay, we might take a ten-
9 minute break here.

10 (Thereupon, a recess was taken at 10:13 a.m.)

11 (The following proceedings had at 10:28 a.m.)

12 CHAIRMAN WROTENBERY: I guess we're ready. Mr.
13 Carr?

14 MR. CARR: Thank you.

15 CROSS-EXAMINATION

16 BY MR. CARR:

17 Q. Mr. Brezina, let's start with the -- I'm going to
18 try and go in the same order, but I'm not sure. Start with
19 what I believe is B-4. That's the gross sand isopach map
20 on the middle Morrow GRE sand.

21 A. B-4.

22 Q. I think that's B-4. Now, if I understand these
23 maps, the numbers below each of the well spots indicated on
24 the map show the net porosity feet and then the gross
25 thickness; is that correct?

1 A. Yes.

2 Q. And would you agree with me that if you're going
3 to have producible reservoir, that you really need to have
4 net sand present at the wellbore?

5 A. To have -- Excuse me, could you --

6 Q. To have a producible reservoir in the wellbore,
7 you have to have some net sand?

8 A. Net sand as defined as what?

9 Q. Well, why don't you tell me what you mean by
10 these numbers? What is the difference, in your opinion --

11 A. Okay.

12 Q. -- between net sand and gross sand?

13 A. Net sand as indicated here, that net porosity,
14 that the -- based on the electric logs, it has 8-percent
15 porosity or better. Gross sand does not take into account
16 porosity.

17 Q. And so if you're going to have a well that you
18 can -- a producible well in this area, would you want to
19 have a well that had a net sand or a porosity in excess of
20 8 percent?

21 A. Yes, you would.

22 Q. Below that, would you expect to have producible
23 reservoir, with a porosity below 8 percent?

24 A. It varies, but generally 8 percent is good. I've
25 seen it where it does produce lower than 8 percent.

1 Q. Is this 8 percent generally a reasonable cutoff
2 that you need porosity above that to have producible
3 reservoir?

4 A. Well, I was trying to be consistent with the
5 exhibits that Nearburg has because they used 8 percent and
6 so I thought that was a reasonable one, so I used their
7 cutoff.

8 Q. And my question is, using that cutoff, do you
9 need to be above that cutoff, in your opinion, to have
10 actually a producible reservoir at the wellbore?

11 A. Above 8 percent?

12 Q. Yes, sir.

13 A. In this area, this well?

14 Q. Yes, that's what we're talking about.

15 A. Generally you like to have that, and generally
16 you should.

17 Q. Now, if we look at Exhibit B-4, it appears to me
18 that this is a gross isopach map?

19 A. Yes.

20 Q. And what you have done is, you are orienting the
21 sandbodies in a general north-south direction; is that
22 correct?

23 A. Yes.

24 Q. That's the general dip orientation of the Morrow
25 throughout this area; is that correct?

1 A. Yes.

2 Q. And if I look at this, you're actually
3 interpreting the Morrow in this area to be -- is it fair to
4 say a channelized sand? Is that what we have here?

5 A. Fluvial deltaic system, complex.

6 Q. And what this initial mapping is, is mapping of
7 the gross sands, not net sands?

8 A. Yes.

9 Q. And as you have mapped this, you have in Section
10 35 broken out what appears to be mapped as a separate GRE
11 sand. Do you see that?

12 A. Section 35?

13 Q. Yes, there's a separate small pod.

14 A. Yes.

15 Q. Is there anything that you have, any of the
16 subsurface information that you have, that would show you
17 that that portion of the GRE sand is, in fact, separated
18 from the GRE sand in the well in the northwest quarter of
19 that section?

20 A. Could you repeat the question, please?

21 Q. Is there anything that would cause you to
22 separate that pod from the rest of the GRE sand as mapped?

23 A. Yes, because I have it mapped -- my
24 interpretation is an abandoned channel, that the -- it just
25 was abandoned channel.

1 Q. Is there a cross-section that you have that shows
2 that?

3 A. No, I have not.

4 Q. You're working from just subsea information?

5 A. Sub- -- you mean subsea --

6 Q. Well data?

7 A. Well data, yes.

8 Q. You don't have a seismic line that shows the
9 channel?

10 A. No, I don't.

11 Q. You have a point -- you have data on the well
12 where you have 2 feet of gross in the northwest quarter of
13 Section 35; is that correct?

14 A. Excuse me, 35 --

15 Q. I'm sorry, you have 17 feet of gross and 2 feet
16 of net; is that right?

17 A. Yes.

18 Q. And then you come down to the one well spot that
19 you have in the little pod in Section 35, and again you
20 have 2 feet of net and 17 feet of gross, correct?

21 A. Seven feet -- 17 -- 7 feet.

22 Q. Okay, 17 there and 7 feet, I'm sorry --

23 A. Yes.

24 Q. -- up in the northwest.

25 A. Yes.

1 Q. Do you have any other information that would show
2 that channel?

3 A. No.

4 Q. This is just your interpretation?

5 A. Yes.

6 Q. If we go to Exhibit Number 23 -- I'm sorry,
7 Nearburg Exhibit Number 22 -- Do you have that before you?

8 A. Exhibit 22, yes.

9 Q. As I understood your testimony, it was your
10 testimony that this map did not honor all the data; is that
11 correct?

12 A. Honor the -- all the data, especially in the
13 southeast quarter of 34, yes.

14 Q. Now, this, if you'll look at the caption, is a
15 net isopach map; isn't that correct?

16 A. Yes.

17 Q. And doesn't a net isopach map honor net data, not
18 gross?

19 A. Yes.

20 Q. And if you look at just the net data, isn't that
21 what is actually mapped here?

22 A. Yes.

23 Q. And would you agree with me that on this
24 interpretation there is no channel that breaks off the
25 easternmost part of this pod in Section 35? This

1 interpretation doesn't show it?

2 A. This interpretation, no, it does not show that.

3 Q. And so there's just a difference here in
4 interpretation between geologists, I guess?

5 A. Yes.

6 Q. Okay. You testified that the reservoir as mapped
7 here was too small to contain the volume that you
8 anticipate is in this reservoir; is that correct?

9 A. If it's faulted, if there was a fault there.

10 Q. But if there isn't a fault?

11 A. Then it's sufficient.

12 Q. And that is, of course, assuming that the
13 engineering data is correct?

14 A. Yes, I'm just basing that on...

15 Q. Now, we were talking about the general strike of
16 the Morrow through this area, and I believe you testified
17 it's generally a north-south-running channel system; is
18 that fair?

19 A. In this area, yes.

20 Q. And if I understood your testimony, you commented
21 that even Nearburg was mapping most of the sands in a
22 north-south direction, until they got to the GRE sand. Is
23 that a fair characterization?

24 A. Well, overall, if you look at all the exhibits
25 they had, generally, you have, you know, more or less

1 north-south, except for this.

2 Q. If you have a north-south-running channel and
3 that channel hits strike-oriented sands, what happens?

4 A. When that channel hits strike-oriented sands?

5 Q. If the channel hits a marine beach or shoreline
6 or something of that nature, what will happen to that sand
7 deposit? Does it continue to run north-south?

8 A. No.

9 Q. If it's a marine sand or a shoreline deposit,
10 would that, in turn, then, run in a -- could that run in a
11 direction perpendicular to the base channel?

12 A. Yes.

13 Q. Would you go to what is marked as B-7, your total
14 Morrow sand -- gross sand isopach?

15 A. B-7?

16 Q. Yes, sir. What I have is a map that says "Total
17 Morrow Sands, Gross Sands". I'm not sure that's --

18 A. No, that -- this is -- B-7 is this map. Are
19 we --

20 Q. I've got a different number mine. Mr. Kellahin
21 and I had a heck of a time with the numbers. Mine is
22 called "Total Morrow Sands, Gross Sands". Either that or
23 B-8, which we could use.

24 A. Okay, let me look. Maybe... Okay, B-7, yes,
25 sir.

1 MR. KELLAHIN: Same thing, B-7.

2 MR. CARR: Mr. Kellahin is helping me with my
3 numbers.

4 (Laughter)

5 Q. (By Mr. Carr) All right, Mr. Brezina, if I look
6 at this map and I look at the top two tiers of sections,
7 that looks to me like a Morrow sand channel trending pretty
8 much north to south; is that right? In those north two
9 tiers of sections?

10 A. North two tiers, yes.

11 Q. Yes, sir. And then if I get into the next two
12 tiers of sections, it seems to me that in your mapping it
13 sort of breaks up at that point; is that fair to say?

14 A. What do you mean by breaking up?

15 Q. Well, does it -- It seems to not be such a direct
16 north-south channel, but we see perhaps some marine
17 shoreline influence in that area.

18 A. Not according to my interpretation, I don't see
19 that.

20 Q. You don't see a change in your mapping, the
21 northern two sections as compared to the rest of that map?

22 A. No, I don't.

23 Q. Let's go to B-5. Now, this is a net map of the
24 GRE sand.

25 A. Yes.

1 Q. It has a porosity cutoff of 8 percent.

2 A. Yes.

3 Q. We discussed that porosity cutoff a few minutes
4 ago. You have mapped a channel generally in a north-south
5 direction; is that fair to say?

6 A. Yes.

7 Q. And you did that by honoring data from the mud
8 log in the south half of Section 34. That was a key
9 element in your analysis?

10 A. Well, the gross isopach map, first, is showing a
11 geometry of the sandbody.

12 Q. And so the gross geometry or the geometry you've
13 mapped is north-south; is that correct?

14 A. Yes.

15 Q. Now, I'd like for you to go with me, and let's
16 look at the wells in this sand -- in this reservoir as
17 you've mapped it, that have net sand. Would you do that
18 with me?

19 A. Go ahead.

20 Q. Let's go to the northernmost well. I think the
21 northernmost well falls in the southwest quarter of Section
22 27; is that correct?

23 A. Yes.

24 Q. If we move to the east, where is the next well in
25 the GRE sand that has net sands?

1 A. Nearburg well.

2 Q. And so we're moving to the southeast; is that
3 correct?

4 A. Yes.

5 Q. Now, what would be the next well coming across
6 this section or this area that would have gross -- I'm
7 sorry, net sand in the GRE sand?

8 A. Based on electric logs, right?

9 Q. Based on the information you've shown.

10 A. It would be in the northwest of 35.

11 Q. So now we're moving to the east, slightly to the
12 south, from the Nearburg well?

13 A. That's correct.

14 Q. Where would be the next well that would have net
15 sand?

16 A. It depends if you want to go west or east. If
17 you go east, the closest one is there in Section 35.
18 You've also got it back in Section 33 and back in Section
19 23 to the north.

20 Q. And when you say 23 to the north, we're talking
21 about a separate reservoir two miles north, right?

22 A. Right.

23 Q. But if we look at the wells that are in the
24 immediate area of the Nearburg well, there are only four
25 with net sand; isn't that right?

1 A. In the immediate area -- Well, in the immediate
2 area it's just three. That one in 35, I've got it mapped
3 as a separate unit.

4 Q. It's closer, though, to the other wells than the
5 well in 27 is to the Nearburg well; isn't that fair to say?

6 A. The well in 35, yes, it's closer than the well in
7 Section 33 or 23.

8 Q. And so the four wells in the area with net sand
9 in the GRE trend northwest-southeast?

10 A. Well, the well in the southwest of 35, I've got
11 it mapped on a separate sand geometry.

12 Q. I understand that, but I'm not asking you how you
13 mapped it. I'm asking if it has -- if you've indicated
14 there are net sands in that well?

15 A. Yes, there are net sands in that well.

16 Q. And if we look at the wells that have net sands,
17 they trend northwest-southeast; isn't that true?

18 A. In this immediate area.

19 Q. Now, you used the information on the mud log to
20 pull this contour down into the southeast of Section 34; is
21 that correct?

22 A. That is correct.

23 Q. I think we'll go to that now and jump out of the
24 order that you used, if we could.

25 A. Whatever. Do you want a mud log now, sir?

1 Q. Yes, sir, I think so, and we'll also be looking
2 at your -- I think your stratigraphic cross-section, but
3 not initially.

4 CHAIRMAN WROTENBERY: Are we going to the mud
5 log?

6 MR. CARR: Yes, we are, please, the mud log being
7 Exhibit B-9, I believe.

8 CHAIRMAN WROTENBERY: B-9.

9 Q. (By Mr. Carr) Now, you have used this mud log to
10 establish that there is potentially producible GRE sands in
11 the south half of Section 34; is that correct?

12 A. Southeast quarter, yes, that's correct.

13 Q. And you have -- if you've looked at this -- I
14 believe you testified that when you encounter -- that you
15 had encountered drilling breaks, and that suggested to you
16 that, in fact, there were producible sands in the general
17 area; is that correct?

18 A. You have good porosity, and that in turn could
19 give you producible sands --

20 Q. And that -- Go ahead, I'm sorry.

21 A. I said just -- You have porosity, and that could
22 give potential hydrocarbons.

23 Q. Have you looked at the electric log on this well?

24 A. Are you talking about the porosity log?

25 Q. Yes, uh-huh.

1 A. Yes, I have.

2 Q. And doesn't that, in fact, show that there's only
3 a 4-percent porosity on this zone?

4 A. Four percent, well, if you look on the density,
5 the density looks like you've got, right off the bat,
6 between 4 and 6 percent --

7 Q. Okay.

8 A. -- on this log. But I'm not a log analyst, I'm
9 just looking from what I...

10 Q. But you have a relatively low porosity, do you
11 not?

12 A. That's measured by this tool.

13 Q. Okay. And if we -- Do you work with mud logs
14 regularly?

15 A. I have in the past. I'm not an expert, but it's
16 a tool that we use.

17 Q. Would you -- Would it be customary to recommend
18 that a zone be perforated from just the mud log?

19 A. I'll use it in conjunction with all the available
20 data, geological data.

21 Q. If you were working with mud logs as you go
22 through the Morrow, when you get a gas show in the well it
23 could be formation gas, could it not? I mean, that's what
24 you're thinking --

25 A. Yes.

1 Q. -- this could show?

2 It also could be drilled-up gas? Do you
3 understand that term?

4 A. Drilled-up gas?

5 Q. Gas that is released not because it's coming out
6 of the formation but because it's being broken up by the
7 drill bit. It escapes when the formation is being --

8 A. Well, you're in a field I'm not really familiar
9 with, so I don't see how I could answer that question.

10 Q. Do you understand that if you're drilling in a
11 very tight zone, that, in fact, you might be getting
12 drilled-up gas as opposed to formation gas? Or am I
13 getting beyond an area --

14 A. You're getting beyond...

15 Q. If we look at the interval on the mud log that is
16 -- that corresponds to the GRE sand, if I'm reading this
17 correctly, when we get into the GRE sand, in fact, we start
18 seeing a fairly substantial amount of shale; is that
19 correct?

20 A. Well, to me it looked like a majority of that map
21 is sand, not shale.

22 Q. If we go above that into the middle Morrow "B"
23 sand, we don't have any shale present, do we?

24 A. No.

25 Q. And that's the area from which you were talking

1 about there being substantial volumes produced from the
2 well?

3 A. Yes.

4 Q. And now as we get down into this, we do for the
5 first time start seeing shale; isn't that correct?

6 A. Yeah, it appears if you on the -- maybe shale
7 stringer is separating the two.

8 Q. And then we also in the center of the log see
9 that we start encountering brown, soft shale and granular
10 mix in the formation as well; isn't that true?

11 A. Yes, and I addressed that earlier when I said
12 it's probably related to that drilling -- slight -- a
13 little drilling break right below the GRE sand. I
14 mentioned that earlier in my testimony, that that is where
15 it's coming from.

16 Q. Now, if we would take this interval that you've
17 shown here as -- that you believe, potentially a very
18 productive interval in the GRE; is that correct?

19 A. Well, it looks very interesting. It's very
20 anomalous, you've got a good drilling break, and you've got
21 visual porosity, increase of gas. It looks favorable.

22 Q. This log has been available since it was -- I
23 guess June of 1979; isn't that correct?

24 A. I wouldn't know that because I was -- The date of
25 it? Is that what you're asking --

1 Q. Yes.

2 A. -- the date?

3 Q. Yes.

4 A. I presume so, because I've only had access of it
5 this year --

6 Q. Okay.

7 A. -- so I presume -- whatever the title is, yes.

8 Q. And what we have here is a log of an interval
9 that, if we relate it back to your isopach maps, you show a
10 zero net sand; isn't that right?

11 A. Zero, yes.

12 Q. And if we compare it to the cross-sections of the
13 area where you have mapped it, you show this sand being
14 present right below the lower Morrow "B" that has been
15 perforated and produced for a period of time, correct?

16 A. Could you repeat that again, please?

17 Q. The interval we're talking about is on the log of
18 this well. The zone that you've correlated across the
19 log --

20 A. Is the GRE? GR- --?

21 Q. Yes, the --

22 A. Yes --

23 Q. -- GRE.

24 A. -- okay. Yes.

25 Q. And that's what we're talking about with the mud

1 log?

2 A. Yes.

3 Q. And this is the log, the 1979 log?

4 A. Yes.

5 Q. And there have been five operators of that well,
6 have there not been?

7 A. I'm not sure. I'm not -- I've heard that, the
8 other people testify that, but I have not knowledge that --

9 Q. No one has ever perforated this zone, have they?

10 A. I don't know, sir.

11 Q. Do you have any perforations shown on --

12 A. No, I don't. The date I have, it did not
13 indicate it had been perforated.

14 Q. It shows that it has not been --

15 A. -- been perforated, yes.

16 Q. Let's go to the Exhibit B-2, the structure map.

17 A. B-2?

18 Q. Yes. This again is based on well data. I'll
19 give you a minute here.

20 A. B-2, right?

21 Q. Uh-huh.

22 A. Yes.

23 Q. This is based on subsurface well data?

24 A. Well, based on -- Yes, it is.

25 Q. Okay. And on this exhibit you show two faults?

1 A. Yes.

2 Q. And this was prepared by you?

3 A. Yes.

4 Q. Why did you place the fault crossing Section 34?
5 What information did you have that showed that?

6 A. Well, the anomalous well, if you look at the well
7 in Section -- the southeast quarter of Section 34, the
8 Llano well --

9 Q. Uh-huh.

10 A. -- has a subsea value at top of the middle Morrow
11 of minus 9040. And if you look back to the northeast it
12 shows anti-regional dip. If you had established a normal
13 rate of dip, you would expect that well to have been a
14 couple hundred feet lower than what it is now.

15 Q. How does it compare to the well in the southwest
16 of this section?

17 A. Southwest of --

18 Q. -- of Section 34.

19 A. Oh, it's approximately -- what is it, 59 feet
20 higher to that.

21 Q. Would the structural difference of 59 feet
22 suggest to you that there should be a fault there?

23 A. Yes.

24 Q. If we look at this map, if you go down to Section
25 9, down in the southwest quarter --

1 A. Section 9.

2 Q. -- and we look at the well in the -- it looks
3 like the southwest of the southwest at a minus 9324?

4 A. Yes.

5 Q. We go up to a well in the northeast at 9126 feet?

6 A. Yes.

7 Q. With that kind of a difference, would that
8 suggest there's some faulting in there to you?

9 A. No, the base -- This doesn't show anti-regional
10 dip.

11 Q. Okay, so it's not just the distance, it's the
12 actual dip --

13 A. Dip --

14 Q. -- you see?

15 A. -- yes.

16 Q. Now, you've mapped -- Well, as to the placement
17 of this fault, what information was available to you to
18 locate this where you did?

19 A. Based on my interpretation.

20 Q. It's almost exactly where Mr. Gawloski had placed
21 it some time ago; is that right? On some earlier exhibits?

22 A. I don't know, I don't have access to Mr.
23 Gawloski's --

24 Q. The exhibits that you discussed that were shown
25 today in this hearing were not available to you when you

1 placed the fault --

2 A. That's right.

3 Q. -- in Section 34?

4 A. That's correct.

5 Q. If we look at the way this is currently mapped,
6 this is very different from how it was mapped in 1979, or
7 do you know?

8 A. I don't know how it was mapped in 1979, I
9 couldn't comment on that.

10 Q. How much of a throw do you anticipate you have on
11 this fault?

12 A. Which fault, sir?

13 Q. The one -- the smaller fault --

14 A. -- the smaller fault --

15 Q. -- the one across 34.

16 A. You could anticipate anywhere from 50 to 100
17 feet, 125 feet.

18 Q. In your experience as a geologist, does a throw
19 of 50 to 100 feet give you enough throw to create the sort
20 of structural feature that you have shown on the eastern
21 side of that fault?

22 A. Yes.

23 Q. Then you have contoured the reservoir on both
24 sides of this fault, have you not?

25 A. Contoured, yes, I have.

1 Q. And if we go to the western side of the fault,
2 you've got 50-foot contours; is that correct?

3 A. Yes.

4 Q. And so we come -- our minus subsea depth is --
5 starting over in 33 you've shown it at a minus 9300 feet,
6 correct?

7 A. I have minus 9263.

8 Q. But if we look at the contours, you start with --

9 A. Okay.

10 Q. -- 9300 --

11 A. Yes, okay.

12 Q. -- and as we move toward the fault we come to
13 9200, then 9100. If we get over to the fault, is it fair
14 to say we're at approximately a minus 9050 feet?

15 A. I don't know. I didn't interpret that.

16 Q. But you've got a general trend here, do you not?
17 We've got a contour that's 9100 feet.

18 A. Yes.

19 Q. Wouldn't you expect that trend to continue, so it
20 would continue to move to a shallower depth as it goes that
21 direction?

22 A. My interpretation doesn't indicate that.

23 Q. But we do have 9100 feet to the west of the well
24 in the southwest quarter?

25 A. Yes.

1 Q. And if the trend that you've mapped continues,
2 that well is above 9100? In fact, you've shown it as above
3 9100?

4 A. By one foot.

5 Q. And as we continue toward the fault, is it
6 unreasonable to think that it would continue to be
7 shallower?

8 A. I don't have that data. My interpretation -- the
9 way I've got it mapped, this is the way I've got it mapped.

10 Q. But I'm asking as you've mapped it, you have no
11 -- you think it flattens out after it goes through the well
12 in the southwest quarter?

13 A. At the time, that was the interpretation I made.

14 Q. And so you think it comes up and then flattens
15 out, right at the well in the southwest? I'm just trying
16 to get your interpretation.

17 A. Well, I've got a value of a minus 900, and I was
18 just trying to make an interpretation at the time when I
19 made this map --

20 Q. Okay.

21 A. -- of what I think it was.

22 Q. And that's several hundred feet west of where
23 you've placed the fault?

24 A. Several hundred feet?

25 Q. That well is several hundred feet west of where

1 you've placed this fault?

2 A. Excuse me, I've lost your questioning, your train
3 of thought.

4 Q. We're talking about the well in the southwest of
5 Section 34.

6 A. Southwest of 34, yes.

7 Q. And you have placed a fault through 34?

8 A. Yes.

9 Q. And the well is west of that?

10 A. The well west -- Yes.

11 Q. And it's -- I'm asking, how many feet west of
12 where you placed the fault is that well?

13 A. I don't have a scale, I don't --

14 Q. You can't look at this map, you're not able to do
15 that?

16 A. Well, it's one inch to 2000 feet, so, you know,
17 what is that? A quarter of an inch or a third or an inch
18 or -- so that's -- so if it's a quarter of an inch, one
19 inch is 1000 feet, so several hundred feet.

20 Q. Okay. Now, if we go -- and at that point you're
21 adding minus 9099?

22 A. At that well point.

23 Q. If we go the other side of the fault, I'd like
24 you to look at the contours, and we come in with a 9100-
25 foot contour. Do you see that looping around?

1 A. Yes.

2 Q. The next contour toward the top of the structural
3 feature would be at 9050; is that right?

4 A. In between, yes.

5 Q. And if you take that contour and you bring it
6 around to the fault, you're at about 9050 at that point;
7 isn't that right?

8 A. Yes.

9 Q. And unless -- if this well and the formation
10 flattens out at the location of the well in the southwest
11 of the quarter, you would then have a difference of about
12 40 feet; isn't that right?

13 A. Forty feet, where did you get that?

14 Q. At the fault, due east of the fault -- due east
15 of the well in the southwest quarter.

16 A. Due east -- You lost me. Could you repeat that
17 again, please?

18 Q. At the fault on the east side where the contour
19 at 9050 feet intersects the fault as you've placed it --

20 A. Yes.

21 Q. -- that would be at a minus 9050, correct?

22 A. Yes, correct.

23 Q. On the other side of that fault line, you have
24 mapped this so there is a subsea depth of something between
25 a minus 9100 and whatever the formation continues to go to

1 as it moved toward that fault?

2 A. Yes.

3 Q. It's possible that due west -- I'm sorry, due
4 east of the well in the southwest quarter, based on your
5 mapping alone, you have virtually no throw where you have
6 placed the fault; isn't that true?

7 A. Well, you've got 9050. It looks like you may
8 have 50 feet of throw.

9 Q. But if the formation continues to rise as you've
10 mapped it west of the fault, you could have no throw; isn't
11 that right?

12 A. That's right, you could, possibly.

13 Q. And you just don't know, unless you drilled a
14 well right on that fault, correct? Right at that point?
15 You wouldn't really know --

16 A. Well, my interpretation is that it goes this far
17 north. But unless you have seismic or drilled a well, you
18 wouldn't know that.

19 Q. Do you have seismic?

20 A. No.

21 Q. Have you drilled a well?

22 A. (Shakes head)

23 Q. You're showing a fault here, and you might not
24 have any throw at that point?

25 A. I based it -- If you look up there a little

1 further north in Section 27, you've got a minus 9155, and
2 if you go to the northeast quarter of Section 34, 9086,
3 that's a little bit more than 50 feet between those two
4 wells, so you could still have a significant fault there.

5 Q. You could, but if you honor the contours as
6 you've shown them, you might not; isn't that just fair to
7 say? It's a possible interpretation?

8 A. Well, it's based on some of the well data. The
9 other one is a minus 9150. That shows, you know, 60-some-
10 odd feet. It's 14 -- 69 feet, in that area.

11 Q. Do you have any evidence that this is a sealing
12 fault?

13 A. No, I don't.

14 Q. If it's a sealing fault, in fact, you would have
15 two separate accumulations in the gas storage project,
16 wouldn't you?

17 A. Yes.

18 Q. And if it isn't, then you could have
19 communication across that fault?

20 A. But it appears from -- you know, when we discuss
21 the pressure data again, two different interpretations, and
22 that -- well, I think some of the pressure data in any
23 case, that is a sealing fault, that you have two distinct
24 reservoirs.

25 Q. And so it's your interpretation that there are

1 two separate storage reservoirs here?

2 A. Two separate pools, east half and a west half.

3 Q. What about north and south of that fault in the
4 storage project? You have two separate reservoirs, would
5 you not, based on your interpretation?

6 A. North of the fault?

7 Q. North of the fault, the minor fault, the one that
8 traverses 34. If that's a sealing fault, you have one
9 storage project north of that, would you not?

10 A. You have a pool there, yes.

11 Q. And then you'd have south of that fault a second
12 storage project; is that right?

13 A. Yes.

14 Q. And again, the exact placement of this fault, is
15 it your interpretation, you don't have any well that ever
16 cut this fault?

17 A. Yes.

18 Q. But you believe there's a fault, not something --
19 the formation falling over a structural nose?

20 A. Yes.

21 Q. Let's take a look at B-6. It's the isopach map
22 on the upper Morrow "A" sand. This is your interpretation
23 of the net sands in the "A"; is that correct?

24 A. Yes.

25 Q. You don't show the "A" being present in the well

1 in the southeast quarter of Section 34?

2 A. Yes.

3 Q. You do, however, show the "A" sands running
4 north-south, over and through the center of Section 34,
5 correct?

6 A. Yes.

7 Q. And this is your interpretation of how they are
8 located?

9 A. Yes.

10 Q. And you have -- You know, Dr. Lee yesterday was
11 concerned about how we were able to map pods with one or
12 two well spots. If we look at the reservoir in the section
13 of 34, you only have one well control point; that's the
14 Nearburg well; isn't that right?

15 A. Yes.

16 Q. And from that you've interpreted this to extend
17 north-south throughout Section 34?

18 A. Yes.

19 Q. All right. Now, from that I'd like to go to the
20 new exhibit you've presented today, the two-well cross-
21 section that you used to explain the possible drainage of
22 the GRE sand in the well in the southeast of Section 34.

23 A. Not the GRE sand.

24 Q. The injection sand, I'm sorry, the "B" sand.

25 CHAIRMAN WROTENBERY: Are we talking about E-8

1 or --

2 MR. CARR: I guess E-8, it's the one Mr. Kellahin
3 offered today, a two-well cross-section with, it looks
4 like, an isopach on the --

5 CHAIRMAN WROTENBERY: That is E-8.

6 MR. CARR: Oh, I had it EA.

7 CHAIRMAN WROTENBERY: Eight.

8 MR. CARR: That might be the new trace. I have
9 it EA and EA'.

10 Q. (By Mr. Carr) Mr. Brezina, if we look at the
11 isopach part of this map and we look at Section 34, you
12 have interpreted the reservoir available to the well in the
13 southwest quarter of that section to extend in a north-
14 south direction over the western part of the section; is
15 that correct?

16 A. Are you talking about the well in the southwest
17 quarter?

18 Q. Yes, sir.

19 A. Yes, sir.

20 Q. And you have interpreted that reservoir to run
21 that direction based on, again, one data point, have you
22 not? That well?

23 A. Yes.

24 Q. And yet you have also a data point in the
25 southeast quarter of that section, do you not?

1 A. Yes, I do.

2 Q. And you decided your interpretation is not to
3 connect those points, but to connect the well in the
4 southeast with a well two miles away south and southwest;
5 is that how you interpret it?

6 A. Yes.

7 Q. And so it's just again -- This is how you, when
8 you analyze these well points, would interpret the
9 reservoir to be located?

10 A. Yes.

11 Q. And you believe that it is appropriate to connect
12 the wells north-south on a two-mile axis and not connect
13 the wells in the same section?

14 A. Yes.

15 MR. CARR: That's all I have, thank you.

16 MR. KELLAHIN: Ma'am --

17 CHAIRMAN WROTENBERY: Let me ask, Mr. Hall, did
18 you have anything?

19 MR. HALL: No questions.

20 CHAIRMAN WROTENBERY: Commissioner Bailey?

21 COMMISSIONER BAILEY: I have a few questions.

22 EXAMINATION

23 BY COMMISSIONER BAILEY:

24 Q. I've heard very little testimony about the well
25 that is in your cross-section that's in the southwest of

1 Section 27, just to the north.

2 A. Excuse me, could I get a map right here?

3 Q. Yes. B-1.

4 A. B-1?

5 Q. Yes. And also B-5.

6 A. Which is smaller, B-5?

7 Q. B-5 is the smaller.

8 A. Okay, if you don't mind -- Okay.

9 Q. Ready? According to B-1, the GRE sand is mapped
10 into that well, which is the BTA Grama "B" well?

11 A. Yes.

12 Q. Which is on the downthrown side of the postulated
13 fault there. Can you explain to me the depositional
14 environment that would cause such an odd lobe that you had
15 to map onto that pod in order to take into account the GRE
16 sand in the well?

17 A. I just honored the points, you know. There in
18 that particular well I had 2 feet out of 3 feet. And if
19 you notice around there, you've got very little -- most
20 wells have zero feet. I was just honoring all the data
21 points, all the geological points, and tying it together.

22 Q. Yes, I'm just trying to get to the depositional
23 environment that would cause such a --

24 A. Well, you could have another meander in the
25 channel, so the thing could be bending back over and

1 heading more -- it was northwest and now it would be going
2 north. A fluvial system, a channel.

3 Have no other control in 27, so I don't know
4 where to go with it. So I just closed it off.

5 Q. Here on B-6 --

6 A. B-6?

7 Q. Yes.

8 Q. -- indicates north-south orientation --

9 A. Excuse me, I -- Could you give me a minute,
10 please? Okay.

11 Q. -- indicates north-south orientation for the
12 upper Morrow "A" sand, which is the blue sand that is up
13 there on the cross-section; is that --

14 A. The -- No, it's the yellow sand, above the blue.
15 The blue is just the top of the middle Morrow section,
16 actually a limestone. What we're mapping here is in
17 yellow, above the blue marker.

18 Q. Okay, and that sand, you say, is fluvial deltaic.

19 A. Yes.

20 Q. And the blue sand that's mapped below that --

21 A. Blue sand, ma'am?

22 Q. The blue that is indicated for the base of the
23 upper Morrow.

24 A. Oh, that's not a sand, that's just -- it's a
25 limestone. It's just -- We colored that up so it's easier

1 to see where that stratigraphic marker is, top of the
2 middle Morrow, which is -- some people call the top of the
3 clastics, which is the base of this limestone. It's not a
4 sand.

5 Q. Okay. Yesterday we heard testimony about barrier
6 sandbars that are showing up as upper coarsening of the
7 gamma-ray log. Could you point those out to me and explain
8 the depositional history of what we're going through in
9 this area, as far as fluvial deltaic --

10 A. Based on the gamma-ray?

11 Q. Yes.

12 A. I didn't make that determination. That was
13 Nearburg's geologist. I think it's very difficult, based
14 on a gamma-ray, to determine what the environments are.
15 You have so many other things to consider. You have
16 radioactive minerals that could cause you problems with the
17 gamma ray, and so I didn't use that. And I wouldn't use
18 that interpretation. So I didn't present that sort of
19 analysis to determine the depositional environments.

20 Q. So looking at the well logs that are on your
21 exhibit, you're not going to tell me the depositional
22 environments, other than just fluvial deltaic for the GRE?

23 A. Yeah, see, what I've done is, this map -- as you
24 indicated right here, and honored all the geological
25 points, and they came in a kind of north-south orientation.

1 Q. That's not what I'm asking.

2 A. Excuse me, then.

3 Q. I'm asking for the depositional environment for
4 the different sands that you're showing on your well logs.

5 A. Yeah, I don't think you can determine it from the
6 gamma-ray itself by determining -- or the coarsening -- or
7 the fining of the sands based on the gamma-ray itself. I
8 can't tell you, if you look based on this sand, if it's
9 going to be fluvial deltaic, which a better way of
10 determining -- that will help you is an SP curve, and that
11 generally helps determine -- But you just can't use one bit
12 of information, you have to gather all the geological data
13 together to determine the environmental deposition.

14 COMMISSIONER BAILEY: I have no further
15 questions.

16 THE WITNESS: Thank you.

17 CHAIRMAN WROTENBERY: Commissioner Lee?

18 COMMISSIONER LEE: (Shakes head)

19 EXAMINATION

20 BY CHAIRMAN WROTENBERY:

21 Q. Mr. Brezina, I did have a question for you about
22 whether you reviewed the record in the case that resulted
23 in Order Number R-5995. I think that's Exhibit A-5 in
24 Redrock's exhibits, and that is the order in which several
25 of the parties have noted that the Division made a finding

1 about a fault in Section 34. At least they allude to a
2 fault in the area. It's kind of hard to tell from the
3 finding exactly where the fault is.

4 Have you reviewed that --

5 A. No, I haven't.

6 Q. -- evidence in that case?

7 A. No, I haven't, other than what was presented here
8 at the hearing. Nearburg presented that earlier yesterday.

9 Q. So you don't know what kind of data or other
10 information the Division might have considered in making
11 that finding?

12 A. No, I haven't.

13 CHAIRMAN WROTENBERY: Mr. Kellahin?

14 MR. KELLAHIN: A couple of follow-up questions on
15 Mr. Carr's cross-examination.

16 REDIRECT EXAMINATION

17 BY MR. KELLAHIN.

18 Q. I want to focus on the -- I want to focus on your
19 -- Let me go back to your Exhibit B-4, Mr. Brezina. It's
20 the gross map of the GRE sand. Do you have that in front
21 of you?

22 A. Yes, sir.

23 Q. Here you're mapping the gross interval of the GRE
24 sand?

25 A. Yes, I am.

1 Q. And you've picked up the well that Commissioner
2 Bailey was talking bout in Section 34 -- I'm sorry --

3 A. It says 27.

4 Q. -- 27. 27, do you see that one?

5 A. Yes, I have.

6 Q. And you've put it on the western edge of the pod
7 as you've oriented it?

8 A. Yes, I have.

9 Q. Okay. Let's turn to your net map. Let's see if
10 I have it.

11 CHAIRMAN WROTENBERY: Which exhibit is --

12 MR. KELLAHIN: That's going to be B-5.

13 CHAIRMAN WROTENBERY: B-5, okay.

14 Q. (By Mr. Kellahin) Describe for me what causes
15 you to change the shape in the gross pod when we get to the
16 net pod.

17 A. Oh, excuse me, I've got -- I pulled out the same
18 map. I had it misfiled. What was that one again,
19 number --

20 Q. B-4 and B-5.

21 A. Yes.

22 Q. B-5 would be your net map.

23 A. Okay.

24 Q. All right.

25 A. Could you repeat the question, please, sir?

1 Q. Yeah. Follow me through or tell me the analysis
2 you take to take the gross map and refine it to the net
3 map, paying attention to the south half of 27.

4 A. Well, I use the gross map as a model. I mean,
5 that's the maximum width of the channel, maximum size of
6 the channel itself. And what I did was, I used that as an
7 outline showing where the direction was going. And then
8 from there I came down and zeroed in and was trying to fit
9 this porosity map within this model that I had established
10 earlier.

11 Q. All right. Now, when you build backwards and go
12 to the gross map, the depositional orientation of the whole
13 package is this north-south orientation?

14 A. Yes, it is.

15 Q. And when we're mapping on this kind of data,
16 we're mapping porosity, are we not?

17 A. On the porosity map?

18 Q. Yeah.

19 A. Yes.

20 Q. And when we're looking at whether the southeast
21 quarter of Section 34 has hydrocarbons in the GRE sand that
22 would be drained by the Nearburg well, you have to take
23 into consideration not only the permeability -- the
24 porosity, but the permeability as well?

25 A. Yes.

1 Q. What determines the productivity? Is it going to
2 be porosity or permeability?

3 A. Usually they work together, porosity and
4 permeability.

5 Q. Has Nearburg's exhibit worked into the analysis
6 of the permeability identified on the mud log?

7 A. No.

8 Q. Have you integrated the permeability on the mud
9 log into your conclusion?

10 A. Yes, I have.

11 Q. And is the permeability in the southeast quarter
12 in association with the porosity connected to the Nearburg
13 well?

14 A. It appears. If it's not, it's real close. I
15 think you're on the edge.

16 Q. When we talked about the Llano well in the
17 southeast of 34, Mr. Carr asked you about multiple
18 operators over the course of time.

19 A. Yes.

20 Q. Are you aware that there was mechanical
21 difficulty in that well, there's junk in the wellbore that
22 precludes access below the top of the Morrow "A"?

23 A. No.

24 MR. KELLAHIN: That concludes my examination.

25 MR. CARR: Nothing further.

1 CHAIRMAN WROTENBERY: Okay, thank you Mr.
2 Brezina.

3 THE WITNESS: Thank you very much.

4 MR. KELLAHIN: We're ready to call our
5 engineering expert, Mr. John Wells. Mr. Wells's exhibits
6 will be found in the exhibit book starting behind Exhibit
7 Tab D.

8 The first exhibit book that was presented had the
9 D exhibits, and they haven't been collated into this.

10 CHAIRMAN WROTENBERY: Then I'm in trouble.

11 MR. KELLAHIN: We'll fix it. Let me take a look
12 here, and we'll see if I can figure this out. C now
13 becomes D.

14 CHAIRMAN WROTENBERY: Ah, okay.

15 COMMISSIONER LEE: Then up to D, right?

16 MR. KELLAHIN: All of the C's are now D. His C
17 replaces this. That's what was supposed to happen.

18 What we're going to do is, we're going to go
19 through the package, the engineering things, and we won't
20 necessarily take them in sequence, but I will tell you
21 where we are.

22 CHAIRMAN WROTENBERY: Do you by any chance have
23 an extra set?

24 We can share it. That's okay, we'll share, that's
25 fine.

1 JOHN A. WELLS,
2 the witness herein, after having been first duly sworn upon
3 his oath, was examined and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. KELLAHIN:

6 Q. Mr. Wells, would you please state your name and
7 occupation?

8 A. My name is John Allen Wells. I am a principal in
9 the firm of Wells Chappell and Company in Sugar Land,
10 Texas, reservoir engineering consultants.

11 Q. Were you retained by Redrock as a petroleum
12 engineer after the Examiner Hearing to investigate the
13 engineering values being derived from the Nearburg well?

14 A. Yes.

15 Q. As part of that study, did you examine the --
16 (Off the record)

17 CHAIRMAN WROTENBERY: Go ahead, please.

18 Q. (By Mr. Kellahin) -- did you examine the data
19 available from Nearburg on the production?

20 A. Yes.

21 Q. Did you look at the pressure test information
22 supplied?

23 A. Yes.

24 Q. You heard Mr. Friesen's testimony yesterday on
25 behalf of Nearburg on his engineering work with material

1 balance and volumetrics to try to validate at least the
2 size of the Nearburg's geologic interpretation for the GRE
3 sand?

4 A. I did.

5 Q. Have you gone through a similar methodology for
6 the GRE sand pod that Mr. Brezina has prepared on behalf of
7 Redrock?

8 A. I have.

9 Q. Have you utilized the same kinds of data that Mr.
10 Friesen utilized for his work?

11 A. I believe that I have. In fact, I would agree
12 with Mr. Friesen's characterization yesterday that our
13 methodologies are very similar.

14 Q. And we've got a series of displays that in
15 September were packaged together as your engineering
16 exhibits, and they were marked C-1 through C-9?

17 A. Yes.

18 Q. When we supplemented the exhibit book, those
19 exhibits were changed, and the C exhibits were supposed to
20 have been re-numbered C-1 through C-9?

21 A. Yes.

22 CHAIRMAN WROTENBERY: D-1 through D-9?

23 MR. KELLAHIN: I can't talk.

24 THE WITNESS: Actually, it looks like T now that
25 we've --

1 MR. CARR: Mine looks like O.

2 CHAIRMAN WROTENBERY: We will mark them now as --

3 MR. KELLAHIN: Pick a letter you like.

4 CHAIRMAN WROTENBERY: -- D-1 through D-9.

5 MR. KELLAHIN: D.

6 Q. (By Mr. Kellahin) Are you okay with that?

7 A. Sure.

8 Q. And we've re-organized them a little bit, so
9 they're not quite the way they were in the book?

10 A. Right.

11 Q. Is this the kind of activity that you have
12 performed repeatedly over the years in the course of
13 exercising your profession as a petroleum engineer?

14 A. That's well within the scope of the services that
15 I perform routinely, right.

16 MR. KELLAHIN: We tender Mr. Wells as an expert
17 petroleum engineer.

18 MR. CARR: No objection.

19 COMMISSIONER LEE: What's the educational
20 background?

21 MR. KELLAHIN: Okay, I'm sorry.

22 THE WITNESS: Education?

23 Q. (By Mr. Kellahin) Yeah, where did you get your
24 degree?

25 A. I hold a bachelor of science in mathematics and

1 chemistry from Delta State University in Mississippi in
2 1971 and a master of science in physics at Mississippi
3 State University in 1973.

4 COMMISSIONER LEE: Thank you.

5 Q. (By Mr. Kellahin) Summarize for us your
6 employment experience.

7 CHAIRMAN WROTENBERY: I'll just note that we
8 accept his qualifications.

9 Q. (By Mr. Kellahin) Do you know Dr. Katz?

10 A. I studied under Dr. Katz, yes.

11 After graduate school I worked for Texaco
12 Production Research and in 1978 I was employed at
13 Intercomp, an international gas and oil consulting company
14 specializing in numerical reservoir simulation.

15 And then in 1987 I became a principal in the firm
16 of Fairchild and Wells, which is predecessor company to my
17 current Wells Chappell circumstance.

18 MR. KELLAHIN: We tender Mr. Wells as an expert
19 witness.

20 CHAIRMAN WROTENBERY: He is accepted.

21 Q. (By Mr. Kellahin) Mr. Wells, let's start at the
22 logical starting point for you as an engineer, when you're
23 given the task of examining a well such as the Nearburg
24 well and making engineering calculations so that you can
25 determine the volume of original gas in place within a

1 given area. Can you look at what was marked Exhibit D-9
2 and D-8?

3 A. Yes.

4 A. Is this the starting point?

5 A. Yes, I was retained to perform certain
6 computations as relates to the volume of gas that might
7 reside in an underground reservoir, specifically the GRE
8 reservoir. So in order to do those computations, I need
9 certain physical properties that are characteristic of the
10 gas.

11 And so what I was provided was these two
12 component analyses of the gas that was produced from the
13 Nearburg well. You can see that on these sheets that
14 they're dated June of 2000, which was in and about the
15 original completion date. So what I have here is a
16 compositional analysis of the gas, and then I have such
17 things as the gross heating value and the specific gravity.

18 So what I did was, I took these low fractions,
19 componentwise, and input those into a correlation program,
20 PVT program for gas, in order to generate the formation
21 volume factor and the gas deviation Z factor which are
22 necessary to do the subsurface volume calculations.

23 It's a little more rigorous approach than just
24 taking specific gravity of the gas and the reservoir
25 temperature. This just gives me a little more rigorous

1 computation.

2 Q. What then did you do?

3 A. So then I generated Exhibits D-5 and D-6, and
4 these are the gas formation volume factor as a function of
5 pressure, displayed on D-6. The gas formation volume
6 factor is essentially a parameter that allows us to do a
7 single-stage flash of gas that's held under pressure and at
8 temperature in the reservoir and bring that to surface or
9 sales gas conditions when we talk about standard cubic feet
10 of gas. This is the parameter that allows me to convert
11 reservoir cubic feet of gas to surface standard cubic feet.

12 And D-5, that's the so-called Z factor, the
13 deviation factor that relates gas and how it deviates from
14 the ideal gas law.

15 COMMISSIONER LEE: Why do you want to show this?

16 THE WITNESS: I'm just showing these to establish
17 that when I do my eventual calculation on reservoir volume
18 of gas and how many standard cubic feet of gas that
19 represents initially in place, or at any other pressure,
20 that I need to have this as the background to do those
21 computations.

22 COMMISSIONER LEE: Is there any physical meaning
23 of that equation?

24 THE WITNESS: No, there's no physical meaning to
25 it. That's just the relationship as a function of pressure

1 for those two parameters.

2 COMMISSIONER LEE: Thank you.

3 Q. (By Mr. Kellahin) What happens next?

4 A. So then, armed with that information --

5 Q. What information? You have at this point now
6 satisfied yourself about the correct B over G?

7 A. B_g , formation volume factor --

8 Q. And what do you --

9 A. -- and the gas deviation factor, Z factor, right.

10 Q. You've gotten that far.

11 A. I've got those now.

12 Q. Okay.

13 A. So then Mr. Brezina, Redrock's geological
14 consultant, provided me with his net sand map, which is
15 shown in my Exhibit D-1.

16 Q. Okay.

17 A. So now it's a straightforward exercise. I have
18 on here a contour display of net sand thickness, and of
19 course it's set on a scale, an areal scale. So what I did
20 here was, I overlaid a finely-meshed computation grid
21 system and digitized all of those contours. Then I
22 initialized a reservoir simulation program, essentially
23 planimetered this volume.

24 Q. So your program will allow you to planimeter --

25 A. Right, planimeter.

1 Q. -- gas volumes --

2 A. Right.

3 Q. -- within these contours?

4 A. Right. It's just a more straightforward approach
5 to determining the bulk volume initially, and then you
6 assign the porosity, which is the percent of the bulk
7 volume that represents pore space.

8 And then we assign, as noted on here, the Sw_c .
9 That's the irreducible connate water saturation. And then
10 I have to know the initial pressure at which I'm
11 initializing this system. And then the B_g , that's the
12 volume factor at that pressure and at the reservoir
13 temperature.

14 So I fill into this equation, essentially -- the
15 model really does it for me -- and the net result is, based
16 upon Mr. Brezina's distribution and areal changes in
17 thickness, and utilizing a constant 9.25-percent porosity
18 and a constant water-saturation of 27 percent, an initial
19 pressure of 6937 pounds -- and we can talk about that
20 pressure, but associated with that pressure we have this
21 formation volume factor. And so then it's a
22 straightforward exercise to just determine the amount of
23 gas that would be stored in this pod.

24 And at the last part of this exhibit my overall
25 gas-in-place calculation, as you can see, comes out to be

1 1.983 billion standard cubic feet.

2 And then based upon Mr. Brezina's location of the
3 fault, I divided this -- or computed the amount of gas that
4 would reside north of the fault and south of the fault.
5 And you can see that's broken out there. South of the
6 fault is 1.845 BCF. And then I also was able to determine
7 the number of acres south of the fault. It came out about
8 262 acres.

9 Q. Let me ask you some questions about the shape.
10 I'm going to give you Mr. Brezina's Exhibit B-9. Is that
11 Exhibit B-9 his net map on the GRE sand?

12 A. Yes.

13 Q. And that's the map that's reproduced on your
14 Exhibit D-1?

15 A. Exactly, right.

16 Q. When you look at that map, are you calculating
17 the gas in place using the zero contour line?

18 A. I'm calculating the gas in place inside of the
19 zero contour line.

20 Q. When we get to the edges of that contour line, we
21 are in areas of the pod that are having lower porosity
22 values calculated with those sands, right?

23 A. Right.

24 Q. There is gas located in those lower porosity
25 portions of the pod, are there not?

1 A. Anything inside of the zero contour line. What I
2 actually did was, I assigned just a constant 9.25-percent
3 porosity to it. Now, Mr. Brezina told me that the porosity
4 in the thicker part of this GRE pod was something higher
5 than 9.25 percent, and I'm sure there's some gradation as
6 you get towards the thinner parts of that channel. But he
7 said to use an average of 9.25-percent for the porosity.

8 Q. Well, what I'm looking for is the Llano well in
9 the southeast quarter of Section 34.

10 A. Right.

11 Q. That's in a portion of the pod that's got low
12 porosity values, but it does contain hydrocarbons --

13 A. Well, yes, I mean --

14 Q. -- the way you've mapped this?

15 A. Certainly. Yeah, I mean, there's hydrocarbon
16 inside of this zero net thickness contour everywhere.

17 Q. Are there going to be hydrocarbons outside of
18 that zero line?

19 A. Not according to this interpretation. Outside of
20 that zero line there would be no GRE sand, and therefore I
21 would not compute any gas in place, unless I was to do
22 these other pods here, which I didn't do.

23 Q. Do you agree with Mr. Brezina's interpretation
24 that it's appropriate to include the Llano well within the
25 GRE well for purposes of determining gas in place that

1 would be produced by the Nearburg well?

2 A. Well, certainly throughout my career I've worked
3 closely with geologists and petrophysicists, and it's
4 always an interpretive exercise between geologists and
5 those kinds of disciplines. But typically, if you have a
6 gross sand pick, then you don't just ignore that. You
7 know, there could be some interpretation as to whether
8 there's one foot of net in there or zero feet of net, but
9 you typically don't just ignore the fact that the sand
10 exists there.

11 So I think it's reasonable for him to recognize
12 that the GRE sand exists at that point. However, you can
13 see he's not allowed it to extend, you know, past that
14 point on a net basis, and he's -- I think he's done a
15 conservative approach by assigning actually a zero net
16 there.

17 Q. Are you satisfied that the southeast quarter of
18 Section 34 contains recoverable gas in the GRE sand that
19 will be produced by the Nearburg well?

20 A. Well, I'm satisfied that based on this
21 orientation and distribution of the GRE sand, as provided
22 to me, that there is gas in that southeast quarter section.

23 Q. When we look on your display, the D-1, on how
24 you've handled the fault, when we get on the west side of
25 that fault line --

1 A. Uh-huh.

2 Q. -- am I correct in understanding that you've
3 excluded that from the calculations?

4 A. Well, actually I've done a total calculation.
5 You can see GIP on that Exhibit D-1. That's 1.983 billion
6 standard cubic feet. That's how much I compute is inside
7 the complete pod.

8 And then I have divided that into two separate
9 computations. North of the fault is 0.138 billion standard
10 cubic feet, and south of the fault is 1.845 billion
11 standard cubic feet.

12 Q. So south of the fault line do you calculate
13 enough gas in place, original gas in place, to fit the size
14 of the reservoir that Mr. Brezina has drawn south of the
15 fault?

16 A. Well, the reservoir -- the size is what it is.
17 He provided that to me with a certain porosity, and that
18 establishes the pore space. So then it's just up to me to
19 assign the pressure, the temperature, the formation volume
20 factor, the connate water saturation, and that's just a
21 straightforward calculation as to how much gas is in that
22 pore space.

23 Q. Well, I guess I didn't ask you that right. Using
24 the P/Z analysis, you have come up with a number associated
25 which would be the estimated ultimate recovery from the

1 Nearburg well?

2 A. Well, why don't we do this --

3 Q. Isn't that what you do?

4 A. -- go to this exhibit then?

5 Q. Yeah, not just yet.

6 A. Okay.

7 Q. But that's what you do?

8 A. That can be done, yes.

9 Q. Is that what you did?

10 A. I really didn't determine an estimated ultimate
11 recoverable. I really wasn't asked to determine
12 recoverable gas.

13 Q. I'm talking about gas in place.

14 A. Yeah, gas in place, I've determined that.

15 Q. Can you use the table consistently with what it
16 shows you and show that that gas can be put in the pod that
17 Mr. Brezina drew for you south of the fault?

18 A. Right. Well, this was step one to establish,
19 based on this sand distribution, this volume of pore space,
20 how much gas would reside there at the designated pressure
21 and temperature.

22 Then what I did was, I looked to see how much gas
23 had been produced from this pod. The only production that
24 I really know about was the Nearburg well, and so that well
25 has produced -- it's documented 1 billion cubic feet of

1 gas. So in a qualitative sense you can say, just knowing
2 that, that I'm calculating 1.8 billion standard cubic feet
3 residing south of the fault. So if the well has produced 1
4 billion cubic feet, then everything is consistent so far.
5 I understand the well has additional reserves, capability
6 to produce additional gas.

7 Q. Well, what I'm trying to understand, Mr. Wells,
8 is, at the Examiner Hearing Nearburg presented an
9 engineering conclusion that apparently resulted in the fact
10 that Mr. Gawloski's pod was too big at the Examiner
11 Hearing, and when we saw the pod again yesterday, they had
12 to shrink the pod to make it fit the engineering data.

13 A. Uh-huh.

14 Q. Do you have to alter and change your pod?

15 A. No, I was provided this one depiction of this GRE
16 pod, and I have not changed the contours or changed the
17 physical properties, the porosity or anything to it. I've
18 just had one computation --

19 Q. Do you have to do that to make the gas fit?

20 A. No.

21 Q. Okay.

22 A. No.

23 Q. Show me the P/Z.

24 A. So Exhibit D-2 is a -- what we call a graphical
25 solution to the material balance equation. It just

1 demonstrates the relationship between the equilibrated
2 reservoir pressure, divided by the appropriate gas
3 deviation Z factor. And then at points where you know how
4 much gas has been produced from the reservoir, if you have
5 a pressure measurement at that distinct point, then you can
6 plot these points on the curve.

7 So what I've done here is relate it back to my
8 D-1 exhibit. I elected to assign a pressure of 6937 p.s.i.
9 as the discovery pressure of the GRE sand. And so if you
10 take that and divide it by the appropriate Z factor that I
11 get off of this relationship here as a function of
12 pressure, then that results in the distinct point that's
13 plotted on the X axis of gas production of zero, and is
14 plotted at around 6000 P/Z. So that's the first point.

15 The next distinct point that's plotted here, and
16 the next one -- there's only two more -- those are the
17 identical points that Mr. Friesen used in his analysis. I
18 believe, that to be true. The second point there is at a
19 gas production volume of 555 million cubic feet, and
20 Nearburg reported a pressure, a stabilized reservoir
21 pressure at that point, of 3057 pounds.

22 So all I've done is taken the same pressure that
23 they report and divided that pressure by the Z factor, and
24 then I plotted it at the cumulative production volume noted
25 on that date, which is 555 million cubic feet. So that

1 results in that second point moving from left to right.

2 The third point, correspondingly, occurs
3 essentially now. It's the cumulative produced volume out
4 of the well, which is slightly over 1 billion standard
5 cubic feet, and Nearburg reported a pressure, equilibrated
6 reservoir pressure, of 1562 pounds.

7 So all I've done is to take the reported
8 pressures as best as I am able to determine what they are,
9 the reported public record volumes, and I've created this
10 three-point P/Z graphical material balance equation and
11 solution.

12 Then what I've done is just -- I've essentially
13 taken the slope on the -- that's established from the last
14 two points and just extrapolated that down to zero
15 pressure, and that generally gives you an idea of what the
16 total gas in place in this reservoir was at the beginning.

17 So you can see that based on that extrapolation,
18 I would say that the reservoir should have somewhere around
19 1.6 billion cubic feet of gas in place.

20 If you reference back to the Exhibit D-1, which
21 is my volumetric calculation, you see that I came up with
22 south of the fault -- and let's assume that the -- If we
23 assume that the fault is sealing, then the pressures on
24 this well would represent only the influence seen in the
25 south of the fault volume. So the south of the fault

1 volume calculated volumetrically as 1.8 BCF.

2 The P/Z, if you do this straight extrapolation,
3 comes to 1.6. So they're in the ballpark. I didn't try to
4 -- I mean, I could have taken this -- and you can see that
5 the slope on the P/Z curve seems to be changing. There's
6 no reason it can't keep changing as time goes forward. In
7 fact, in some of these reservoirs where you have kind of a
8 heartland, hinterland kind of configuration, you have high
9 permeability, gas that will come to the reservoir -- come
10 to the wellbore initially, and that will demonstrate one
11 slope or relationship between pressure and produced volume.

12 And then later you have the low-permeability
13 hinterland-area gas that slowly begins to bleed in. So you
14 can get some reservoirs that have production profiles that
15 drop off dramatically and then begin to level off for quite
16 a period of time.

17 So I don't know what this one is going to do, but
18 what I've done is, I've just taken the conservative
19 approach and run it straight down to zero. I suspect that
20 it could -- as the well is back on production, it could
21 turn and start to flatten, and it could very well go and
22 point to my 1.8 BCF calculation and be in perfect
23 agreement.

24 Q. Mr. Wells, does your assumptions about the
25 initial pressure in the well suffer from the same

1 limitations as Mr. Friesen's calculation does?

2 A. Well, I think Mr. Friesen -- from what I've seen
3 and from what I understand, there is some uncertainty
4 associated -- What was that true initial discovery
5 stabilized reservoir pressure? I understand that he's
6 looked at numbers that range between 7100 pounds and
7 something in excess of 7500 pounds.

8 You know, if you take the depth to the midpoint
9 of these perforations, as indicated on Nearburg's exhibit
10 and you take the pressure, divide it by the depth, you can
11 come up with what we call an initial static pressure
12 gradient. And so if you use that 79 -- I believe it was
13 7900 pounds that Mr. Friesen said maybe that's a possible
14 initial pressure, that --

15 Q. Do you have those numbers?

16 A. I don't have that in front of me.

17 Q. All right.

18 A. Yeah, on Nearburg's Exhibit Number 20, Mr.
19 Friesen provided the tabular information that went into his
20 volumetric calculation. And as I understand it, he's
21 saying here that maybe we had 7100 pounds, or maybe we had
22 7922 pounds. No, wait, maybe I remember. The 7900, maybe
23 that came from the RFT test at the Llano well. Maybe
24 that's what it was.

25 But in any case, I don't know the original

1 pressure either. But if you take these two pressures and
2 divide them by the midpoint perforation depth of 13,145
3 feet, you end up with pressure gradients in excess of what
4 we would expect for normal hydrostatic pressure, and that's
5 usually around .44 p.s.i. per foot.

6 If you use 7900 pounds and divide that by 13,145
7 feet, the depth that's attributed to that pressure, you get
8 a pressure gradient of more like .6 p.s.i. per foot. Now,
9 that can happen, but it certainly indicates significantly
10 overpressure reservoirs, and there's reasons why reservoirs
11 can be overpressured or underpressured with respect to
12 normal hydrostatic.

13 But what I elected to do was to take a pressure
14 that was more close to the normal hydrostatic, but it's
15 still in excess about a .5 gradient.

16 Q. Let me ask you ways that would change the P/Z
17 profile of this slope.

18 A. Right.

19 Q. If your starting point is one where you're
20 dealing with an overpressured --

21 A. Uh-huh.

22 Q. -- above-normal --

23 A. Uh-huh.

24 Q. -- gradient --

25 A. Right.

1 Q. -- what happens to the slope?

2 A. That would just move this point up slightly right
3 here, this first point.

4 So in other words, if I took 7900 pounds and
5 divided it by the appropriate Z factor, then that starting
6 point would be a little higher here. But --

7 Q. The slope of the curve would change?

8 A. The initial slope down to the first point would
9 be different than shown right here. The second slope
10 wouldn't be affected.

11 Q. Let's look at the second slope. If you're
12 dealing with a low-porosity sand that contains gas, will
13 that change the P/Z slope at the lower end of the slope?

14 A. Yeah, I wouldn't characterize low porosity, more
15 low permeability, yeah, uh-huh, or compartmentalized gas or
16 something like that. It's not unusual to see these P/Zs as
17 they're plotted out and the well is finally depleted, to
18 see a slope change throughout the history.

19 Q. We're not going to see just a straight line,
20 necessarily?

21 A. No, not -- You typically don't see that. There
22 are very few reservoirs that are truly 100-percent
23 volumetric.

24 MR. KELLAHIN: That concludes my examination of
25 Mr. Wells. We move the introduction of his exhibits D-1

1 through D-9.

2 MR. CARR: No objection.

3 CHAIRMAN WROTENBERY: Exhibits D-1 through D-9
4 are admitted into evidence.

5 Mr. Carr?

6 CROSS-EXAMINATION

7 BY MR. CARR:

8 Q. Mr. Wells, you were an engineering witness,
9 testified for either LG&E or Raptor concerning the special
10 project rules for the gas storage project that's involved
11 in this Application; is that correct?

12 A. That's correct.

13 Q. How long had you worked for LG&E or Raptor prior
14 to starting to work for Redrock?

15 A. Well, actually, I'm retained by both
16 simultaneously.

17 Q. Are you currently employed, then, by Raptor in
18 terms of engineering services for that gas storage unit?

19 A. I'm doing some things for them, yes.

20 Q. In your work do you treat the gas storage unit as
21 two separate reservoirs or do you treat it as one project?

22 A. I'm not sure that -- I'm here in a capacity to
23 testify for Redrock on what I've done for them. I'm not
24 sure I'm at liberty to discuss my other client's findings
25 and conclusions.

1 Q. So you don't have an opinion on whether or not
2 you've got one or two pools?

3 A. Oh, I definitely have an opinion. I'm just
4 saying that I don't have a release from Conoco to discuss
5 that.

6 Q. You understand that's an issue in this case?

7 A. If you say it is, certainly.

8 Q. You've been here for the testimony, have you not?

9 A. Uh-huh.

10 Q. And you understand we're talking about a fault
11 through the reservoir?

12 A. Uh-huh.

13 Q. And that there's a question of whether that's a
14 sealing fault that runs through the storage project?

15 A. Right.

16 Q. And you will tell the Commission that you have an
17 opinion on that?

18 A. I don't think I have an opinion on the fault so
19 much as I have an opinion on the way that the individual
20 gas storage wells perform with respect to whether it's one
21 continuous communicating pool or not.

22 Q. But you're not able to share that with us?

23 A. I guess I could ask --

24 MR. HALL: Madame Chairman, let me state an
25 objection to the extent that Mr. Carr's question calls for

1 any sort of proprietary business information derived in his
2 capacity as a consultant for Conoco or Raptor. It is also
3 beyond the scope of his retention by Redrock in this case.
4 We would object on that basis.

5 MR. CARR: I would submit it's not beyond the
6 scope of this case, and if this witness can't be cross-
7 examined on what he knows about the area, then I think you
8 should strike his testimony.

9 I don't think we should be subjected to "I'll
10 tell you some things and I won't tell you others."

11 CHAIRMAN WROTENBERY: Mr. Wells, I'd request that
12 you answer the question, please.

13 Q. (By Mr. Carr) Do you operate that storage unit
14 as if it is two separate storage units?

15 A. May I ask you a question or a -- first?

16 CHAIRMAN WROTENBERY: Yes, sir.

17 THE WITNESS: Are you telling me to disregard Mr.
18 Hall's objection?

19 CHAIRMAN WROTENBERY: Mr. Hall has objected, and
20 I've overruled his objection, so --

21 THE WITNESS: Okay, okay, sorry. Go ahead.

22 Q. (By Mr. Carr) Does LG&E and Raptor operate that
23 storage unit as if it were two separate storage units?

24 A. Do they operate the storage facility, the Grama
25 Ridge storage facility, as if it were two different

1 something?

2 Q. Yes.

3 A. No, no.

4 Q. You testified in the earlier hearing about a
5 project area for the Grama Ridge Storage Unit, did you not?

6 A. A project area, okay.

7 Q. Do you recall that?

8 A. Vaguely.

9 Q. And the project area for the storage unit
10 included all of Section 34, did it not?

11 A. Well, I think maybe you're talking about the
12 testimony with regard to the unit boundary and such as
13 that?

14 Q. Well, there rules for a Grama Ridge gas storage
15 project area --

16 A. Uh-huh, okay.

17 Q. -- and you were an expert engineering witness who
18 testified for either LG&E or Raptor --

19 A. Right.

20 Q. -- oh, probably over a year ago, about what was
21 needed to protect the gas storage unit?

22 A. Uh-huh.

23 Q. Do you recall that testimony?

24 A. Yes.

25 Q. And there was a project area for which these

1 rules you were supporting were going to apply; is that
2 right?

3 A. Uh-huh, okay.

4 Q. Is that right?

5 A. Yes, I believe so.

6 Q. And that project area included all of Section 34,
7 did it not?

8 A. Right, right.

9 Q. And you testified that you considered the project
10 area one common source of supply, did you not?

11 A. I don't recall that. One common source --

12 Q. Let me hand you the transcript of your
13 testimony --

14 A. Okay.

15 Q. -- from that time.

16 A. Uh-huh.

17 Q. This was the hearing held May 21st, 2001?

18 A. Okay.

19 Q. And I've given you the testimony of John A.
20 Wells?

21 A. Yes, you have.

22 Q. That's you, is it not?

23 A. Yes, yes, uh-huh.

24 Q. And you were under oath, were you not?

25 A. Yes.

1 Q. And you told the truth at that time?

2 A. Yes, I did.

3 Q. And you were sharing with the Division your
4 understanding of the project area for this gas storage
5 unit, were you not?

6 A. Yes, I was, yes.

7 Q. Would you turn to page 72?

8 A. Seventy-two.

9 MR. KELLAHIN: Mr. Carr, do you have a copy for
10 me, please?

11 MR. CARR: No, I don't.

12 MR. KELLAHIN: No? That's all right. Hang on
13 just a minute, let me see if I can find -- Do you have a
14 copy of that transcript, Scott?

15 MR. HALL: Probably.

16 CHAIRMAN WROTENBERY: Yeah, we can share.

17 MR. KELLAHIN: Scott, why don't you sit over
18 here?

19 Q. (By Mr. Carr) Mr. Wells --

20 A. Yes.

21 Q. -- I would direct your attention to line 16 of
22 this transcript on page 72.

23 A. Yes.

24 Q. There's a question there by Mr. Hall to you?

25 A. Uh-huh.

1 Q. And the question is, "All right. Now, do you
2 understand the injection, storage and withdrawal of gas
3 within the project area to constitute what is known as a
4 common source of supply?"

5 Do you see that question?

6 A. Yes, I do.

7 Q. Would you read your answer, please?

8 A. "Yes, I do recognize that it is a common source
9 of supply, with the caveat, however, that this...gas
10 belongs to Raptor, it's non-indigenous gas, it was injected
11 and belongs to them."

12 Q. And that was your answer?

13 A. Right.

14 Q. And you did testify that Section 34 was included
15 within the project area, that at that time you considered
16 to be a common source of supply?

17 A. Well, I think what you're suggesting is that the
18 term "common source of supply" means something to do with
19 the reservoir, as opposed to what I would interpret that.
20 A common source of supply means the gas comes in to the
21 main header system of the storage facility and it goes out
22 to the wells. It's a common source of supply. It's gas
23 that Raptor buys, and it's their gas, it's their gas that
24 is injected into the reservoir.

25 Q. But this was the question and this was the answer

1 you gave on that date?

2 A. Yes, it was, certainly was.

3 Q. And the project area does include all of Section
4 34?

5 A. Yes.

6 Q. Did you also testify at that time that the
7 lateral extent of the Morrow formation was not precisely
8 known in this area?

9 A. Yes, and I still believe that.

10 Q. You're aware that there was a case some time ago
11 involving an L&B well drilled west of the gas storage
12 project?

13 A. I --

14 Q. You're not familiar with that?

15 A. No, I'm not familiar -- L&B, no.

16 Q. Are you familiar with RFT logs?

17 A. A little bit.

18 Q. Are you familiar with the fact that Llano has
19 required those in the past to confirm that people are not
20 in communication with the storage project?

21 A. I do recall seeing something about some
22 requirements that were in place early on.

23 Q. Let's go to Exhibit -- and I don't know what the
24 number of that is. It's the -- It's Exhibit 1, it's C or
25 D --

1 CHAIRMAN WROTENBERY: D-1.

2 Q. (By Mr. Carr) D-1.

3 A. My Exhibit D-1?

4 Q. Yes, sir.

5 A. Okay. And I'm just going to ask you to help me
6 understand here what you've done --

7 A. Okay.

8 Q. -- with this. D-1 is based on the geological
9 interpretation; is that fair to say?

10 A. Mr. Brezina's interpretation, certainly.

11 Q. And when Mr. Kellahin asked you if you had an
12 opinion as to whether or not this reservoir extended into
13 the southeast quarter of Section 34, to make that
14 interpretation you have to accept the geology; isn't that
15 right?

16 A. Yes.

17 Q. You're fitting engineering information within the
18 geological interpretation?

19 A. Exactly.

20 Q. And if it went some other direction --

21 A. Right.

22 Q. -- you're still working with what you get --

23 A. Right.

24 Q. -- what you get from the geology?

25 A. The only additional thing I added to that is that

1 in my experience in working with petrophysicists and
2 geologists, I do normally see that they honor the gross
3 picks on the sand, and so I don't find it inconsistent that
4 with 6 feet of gross sand that you would have the sandbody
5 extend in that direction.

6 Q. Would you agree with Mr. Friesen's testimony
7 yesterday that you have a difference in opinion on the
8 volume that we're dealing with in this case?

9 A. Well, that has to be the case, he's analyzing a
10 totally different pod than I am, yeah.

11 Q. If you had been given a different size or shape
12 pod, then your engineering work would be different? You're
13 basing this part of the work on the geology, correct?

14 A. Certainly.

15 Q. And you are also able to come back from a
16 straight engineering point of view and determine the gas in
17 place; isn't that right?

18 A. That's the P/Z curves.

19 Q. And that's what you did with the P/Z?

20 A. Right.

21 Q. Now, in your experience have you encountered
22 situations where after you did your P/Z work it didn't fit
23 comfortably within the geological interpretation?

24 A. Oh, sure.

25 Q. And then what do you do? Do you have the

1 geologist rework his map?

2 A. Well, it depends on what the goal is. I mean, if
3 the well has been produced, the gas is sold, you know, why
4 go back and do a bunch of engineering? You're done.

5 Q. But normally if you're trying to get the data to
6 mesh, to get a real handle on the gas in place --

7 A. Uh-huh.

8 Q. -- you'd then have to take another look at the
9 geology if it didn't fit the P/Z?

10 A. Yeah, well, you're right. I mean, companies that
11 have producing reserves, they have annual reserve estimates
12 done by independent agents, and they come in and they are
13 continuously updating and revising those reserve estimates.
14 That's very common in the industry, yes.

15 Q. And if -- as you go through that process,
16 interpretations change; that's fair to say?

17 A. Certainly. However, I don't think that -- Let me
18 just make sure that I'm clear on this. The well has
19 produced 1 billion cubic feet, so there would be no
20 estimate going forward that would make that number smaller
21 than it is today.

22 Q. Right, I'm talking about -- you commented on Mr.
23 Gawloski's map being larger and now being reduced in size.
24 That could be because they're trying to match the geology
25 with the engineering; isn't that right?

1 A. Sure.

2 Q. Now, if you were asked to pick a gas-in-place
3 number based on a geological interpretation or a P/Z curve,
4 which would you consider to be more reliable?

5 A. Typically, the P/Z, I guess, if I had enough
6 points I would probably rely on that more than geological.
7 On the other hand, if I only had a few points P/Z but I
8 had, you know, a dense amount of wells there and lots of
9 data that allowed me to consider the geology to be fairly
10 definitive, I might defer to that.

11 Q. So there are cases where you could adjust the P/Z
12 to match the geology?

13 A. Yeah, true.

14 Q. As well as matching the geology to the P/Z?

15 A. Vice versa, right.

16 Q. In this case, do you believe your P/Z work or the
17 geological interpretation are more reliable?

18 A. I don't know that I would characterize in this
19 case either one to be more or less reliable than the other.
20 I think that -- My conclusion here is that if I'm given
21 this pod and with this pressure and these reservoir
22 characteristics, it calculates this much volume in place,
23 then if I look at this performance information from that
24 pod, it looks like it points to the same order of magnitude
25 of gas in place. So...

1 Q. When I heard your testimony about the P/Z, the
2 initial point of the 6000-pound --

3 A. 6937, right.

4 Q. Okay, but we've plotted that on the --

5 A. Right.

6 Q. -- on the --

7 A. Uh-huh.

8 Q. -- left? How did you get that number?

9 A. How did I get the 6937?

10 Q. Yeah.

11 A. Actually, that was a number that I extracted from
12 a Nearburg reported pressure. I don't really have the
13 source for that specifically right now, but...

14 Q. And you plotted that and then have two additional
15 pressure points, is all --

16 A. Right, that's all I have --

17 Q. -- to your P/Z curve?

18 A. -- two additional.

19 Q. You have projected the gas in place using only
20 two points, not honoring all the points; is that correct?

21 A. Right, the second slope is what I've
22 extrapolated.

23 Q. Now, if you had honored all the points on the
24 P/Z, in fact, you would have come out with a substantially
25 smaller gas-in-place number, would you not?

1 A. If I had honored all three of them and tried to
2 do a best fit --

3 Q. Yes.

4 A. -- between the three points, it looks like it
5 might have resulted in maybe 1.5 or something like that.

6 Q. Do you ordinarily, in doing P/Z work, just use
7 the later points to project your curve, or do you honor all
8 points?

9 A. Well, most P/Z work that I do is -- reservoir is
10 where we have more than one well. So we'll have different
11 pressures from different wells, and as they all accumulate
12 on a single chart then, yeah, we might do some averaging or
13 something to do that.

14 Q. It is fair to say that if we had honored all
15 points on your P/Z curve, we would have gotten a smaller
16 gas in place?

17 A. That's fair to say, yes.

18 Q. And it would be smaller than what is mapped on
19 the first exhibit?

20 A. Somebody who wants to put a -- They could use the
21 first and second point only and come straight down to 1.2
22 BCF. That's certainly something somebody could do, you
23 know. It's in interpretation.

24 MR. CARR: Thank you, that's all I have.

25 THE WITNESS: Yes, sir.

1 CHAIRMAN WROTENBERY: Commissioner Lee?

2 MR. HALL: Madame Chairman, if I might briefly?

3 CHAIRMAN WROTENBERY: Oh, I'm sorry, Mr. Hall?

4 EXAMINATION

5 BY MR. HALL:

6 Q. Mr. Wells, I want to clarify one thing with you
7 in response to a question of Mr. Carr's with respect to
8 your prior testimony in Case Number 12,588, which led to
9 the adoption of special project rules for the gas storage
10 project.

11 He asked you about the common source of supply,
12 and do you understand Mr. Carr's question to be directed
13 the common source of supply within the gas storage interval
14 within the project area?

15 A. Yes.

16 Q. And at the time we weren't concerned with gas in
17 the GRE sand --

18 A. No --

19 Q. -- in our proceeding?

20 A. -- absolutely not, no.

21 Q. Completely different intervals?

22 A. Right.

23 Q. And isn't it also accurate to say that the
24 concerns LG&E and Raptor had that led to the implementation
25 of the special project rules for the unit was limited to

1 more than what's -- extended beyond just Section 34? In
2 other words, wasn't Raptor concerned that there was a
3 possibility of additional Morrow penetrations in the
4 additional sections that comprise this storage unit?

5 A. That's certainly correct. We felt like that the
6 lateral extent of the gas storage interval was
7 indeterminate, and we wanted to be protected from wells
8 being drilled into that storage gas.

9 MR. HALL: Thank you, Mr. Wells.

10 CHAIRMAN WROTENBERY: Thank you, Mr. Hall.

11 Commissioner Lee?

12 EXAMINATION

13 BY COMMISSIONER LEE:

14 Q. Well, how can you operate the gas storage without
15 knowing your boundary?

16 A. Well, it's essentially a two-well storage
17 facility. They have four wells there. Only two do the
18 injection and withdrawal. And what we try to do is keep an
19 ongoing hysteresis curve for their fall-spring inventories,
20 and we're doing periodic -- you know, semi-annual, fall-
21 spring shut-in pressure surveys. We try to make sure that
22 we've got all of the metered volumes correlated with the
23 main --

24 Q. How can you correlate without a boundary?

25 A. Well, we do a -- We essentially don't have a

1 geological interpretation that we're modeling this on.

2 We're just really doing it --

3 Q. Did you propose --

4 A. -- on performance.

5 Q. -- to do anything?

6 A. I'm sorry?

7 Q. Did you suggest to your boss to do anything about
8 your boundary?

9 A. Well, I haven't -- At this point I haven't been
10 asked to do anything with respect to --

11 Q. Where is the gas coming from?

12 A. Where does the gas come from? Off of the
13 pipeline to be injected.

14 Q. So it's a different gas from native gas?

15 A. Certainly, right.

16 Q. Then why don't you do something about it to your
17 company?

18 A. The fall-spring inventory pressures indicate that
19 the gas is being contained.

20 Q. I don't think so.

21 A. There's no -- There's no shifting --

22 Q. If you don't know the boundary, how can you know
23 where it's coming from?

24 A. Well, I mean, if a boundary exists, even though I
25 don't know physically where it is, the performance

1 information indicates that we have no lost or migrated gas.

2 Q. How do you know we don't have --

3 A. From the repeatable -- Whenever we come to the
4 same inventory two years after -- two years later, we have
5 the same metered inventory, storage gas, gas accounting
6 volume, and we reach the same pressure.

7 Q. I don't know what kind of operation this is, but
8 it's not -- certainly it's not an engineering-sound
9 operation, and I think you need to know the boundary to
10 operate the storage field. And you have a way to find it
11 out. You can test with isotope to find it out.

12 A. Yeah.

13 Q. Then why do you guys refuse to do that?

14 A. Well, first of all, Raptor just came into
15 possession of this facility. They are in process right now
16 of trying to put some procedures in place. Maybe we will
17 do some hexafluoride tracing or maybe we will do some
18 pressure transient --

19 Q. You don't need to have a tracing --

20 A. Yeah?

21 Q. -- because your gas is different from your native
22 gas.

23 Well, I'm very --

24 A. But we --

25 Q. -- disappointed by the operation.

1 Another thing is, the P/Z, I heard you say you
2 have a multi well.

3 A. A what?

4 Q. You have a multi well to do that P/Z. What kind
5 of engineering is that?

6 A. I'm sorry, a what well?

7 Q. You have two wells --

8 A. Two wells.

9 Q. -- you say you're using the P/Z curve. What's
10 the slope of this P/Z?

11 A. Are you talking about for the gas storage now?

12 Q. Yeah.

13 A. For the gas storage?

14 Q. No, no, no. I'm asking you, you made a
15 statement, this P/Z can be used for the two wells
16 simultaneously.

17 A. This P/Z?

18 Q. Yeah.

19 A. No, this has nothing to do with the gas storage.
20 This is the Nearburg well.

21 Q. You just made a statement, this P/Z, whenever you
22 have a multi-well you can use the average pressure for
23 them.

24 A. P/Z methodology --

25 Q. Yes.

1 A. -- can use for -- If the wells are in a common
2 reservoir and they appear to be, you know, performing as a
3 common reservoir --

4 Q. What's the slope of this P/Z?

5 A. What is the slope?

6 Q. Physical meaning?

7 A. I'm not sure what you mean.

8 Q. The slope of this should be reflecting the volume
9 of your reservoir.

10 A. Uh-huh.

11 Q. So the multi-well doesn't fit into the P/Z. One
12 P/Z is only for one well.

13 A. Take for example the BAML storage field outside
14 of Houston. It has 100 billion cubic feet of gas stored in
15 there. And in October they shut the reservoir in, and
16 they've just gotten through injecting. They've got 35
17 wells spread out over, you know, 50 acres. And so when you
18 shut that reservoir in, the pressure on this well in the
19 far east and the pressure on this well equilibrate within
20 two pounds, you know, in three hours.

21 So high-permeability reservoir -- all of those
22 wells -- You know, if you measure the pressure on this well
23 or this well or this well, they're all about the same
24 pressure. So I'm not sure I follow what you're saying, why
25 you would pick each individual well --

1 Q. Well, you make a statement --

2 A. -- and do a P/Z.

3 Q. -- you make a statement, you use the average
4 pressure for those two wells, which is not true.

5 A. In the gas storage reservoir?

6 Q. No, in the -- You just made a statement for this
7 particular well.

8 A. There aren't two wells, there's only one well.

9 Q. Yeah, I know, but you made a -- you can see from
10 the transcript. You say, Well, if you have two wells you
11 use the average pressure, which is a no-no.

12 A. Well --

13 Q. Well, anyway --

14 A. -- that was a question from Mr. Carr. He said,
15 if you had a bunch of points could you use an average?
16 Sure, some people run a best-fit line through there.

17 Q. Well, you can --

18 A. But if I have reason to believe that these
19 individual wells are not in a common reservoir and don't
20 reflect, you know, common pressure, I wouldn't do that, no.

21 Q. Okay.

22 A. Yeah.

23 COMMISSIONER LEE: All right, thank you.

24 THE WITNESS: Uh-huh.

25 CHAIRMAN WROTENBERY: Commissioner Lee.

EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY CHAIRMAN WROTENBERY:

Q. Which two wells is the storage unit operating?

A. It's this -- what's noted Unit Well Number 2 and 1. Number 2 is in the west half of Section 34, and Number 1 is in the west half of Section 3. Those are the two primary injection withdrawal wells.

Q. Okay. And I had one question about your GRE sand volumetrics, and I'm sorry, I think I just missed part of the discussion. What value did you use for acre-feet?

A. Well, the acre-feet -- essentially you could take the acres that I've calculated here, and it's about an average of, say, 8 or 9 or 10 feet. If it was 10 feet, just multiply 10 times those acres, and it would be --

Q. And what is the value for the acres? I'm just missing the --

A. It's the last entry on that exhibit. Acres south of the fault, 262. So you multiply that by 10 feet, it would be about 2600 acres -- acre-feet, sorry.

Q. Okay.

A. But I don't really need that number specifically.

Q. And then how many north of the fault?

A. I didn't compute that.

Q. So is the gas-in-place figure you have here just south of the fault?

1 A. The gas-in-place entry that's labeled GIP --

2 Q. Uh-huh.

3 A. -- okay, that's the total gas in place inside of
4 the complete pod.

5 Q. And that would include the acres north of the
6 fault?

7 A. That's the complete pod, north and south of the
8 fault, right. And then I've just broken that out into
9 volume north of the fault and south of the fault. So those
10 two numbers sum back up to the 1.983.

11 Q. Okay.

12 A. Do they? I hope they do.

13 CHAIRMAN WROTENBERY: Yeah, they do. Okay, thank
14 you.

15 Did you have some more, Mr. Kellahin?

16 MR. KELLAHIN: I have a couple of follow-up
17 questions.

18 EXAMINATION

19 BY MR. KELLAHIN:

20 Q. Let's talk about Exhibit D-1.

21 A. Yes.

22 Q. Chairman Wrotenbery is talking about whether she
23 can look at this and see acre-feet. You have not posted
24 acre-feet on here?

25 A. I have not posted it, no.

1 Q. Yeah. You have --

2 A. I've just posted acres.

3 Q. -- a program that calculates it and takes it into
4 consideration?

5 A. Oh, certainly. It calculates the thickness and
6 the areal extent of the reservoir, so by definition that's
7 acre-feet.

8 MR. KELLAHIN: May we supply that to you?

9 Q. (By Mr. Kellahin) You do have that on your
10 program, you can print that out and show us what it is --

11 A. Uh-huh.

12 Q. -- and she can compare it --

13 A. Uh-huh, right.

14 Q. -- to the other map? You could do that, could
15 you not?

16 A. Sure, I could do that. Uh-huh.

17 CHAIRMAN WROTENBERY: Thank you.

18 THE WITNESS: But I can tell you about what it
19 is. You could just --

20 MR. KELLAHIN: Well, let's not guess.

21 THE WITNESS: Yeah, okay.

22 Q. (By Mr. Kellahin) Now, let's go back to Dr.
23 Lee's question. I want to make sure that both of you are
24 talking about the same thing.

25 A. Yes.

1 Q. When you look at your P/Z plot, D-1 --

2 A. Uh-huh.

3 CHAIRMAN WROTENBERY: D-2?

4 Q. (By Mr. Kellahin) D-2 --

5 A. D-2, yeah.

6 Q. -- D-2, you're doing the same thing Mr. Friesen
7 is doing with taking a single well and plotting P/Z using
8 the three pressure data points for that well?

9 A. I believe I'm doing the same thing. I didn't
10 actually see his P/Z plot, but I saw his -- the points that
11 he references, and I believe we're doing the same thing,
12 yes.

13 Q. All right. You've not attempted to add the
14 Nearburg well with any other well and average or simulate
15 pressures to come up with some generalized P/Z plot?

16 A. Absolutely not.

17 Q. So that's not what you --

18 A. No.

19 Q. -- did?

20 A. No.

21 Q. Have you done that for any wellbore?

22 A. No.

23 MR. KELLAHIN: No further questions.

24 CHAIRMAN WROTENBERY: Anything else?

25 MR. CARR: One bit follow-up.

RE CROSS-EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. CARR:

Q. Mr. Wells, do you have the P/Z curve prepared by Mr. Friesen? It's Exhibit Number 21?

A. I really never saw that here.

Q. May I show that to you?

A. Sure, uh-huh.

Q. Isn't it true that one of the differences between your P/Z and Mr. Friesen's is that -- Just wait a minute here. Nearburg 21. -- is that Mr. Friesen, when he plotted the P/Z curve, did a best match of all three points?

A. His dotted red line appears to be some sort of a best-fit extrapolation, yes.

Q. And what you did was, you plotted the P/Z curve based on the last two points?

A. Yes, and I gave him my reason for doing that.

MR. CARR: Yes, that's right. Thank you very much.

THE WITNESS: Okay.

CHAIRMAN WROTENBERY: Mr. Kellahin?

MR. KELLAHIN: I'm well past done, madame Chairman.

CHAIRMAN WROTENBERY: You're well past done?

MR. CARR: May it please the Commission, I'm

1 sorry to do this to you, but when Mr. Kellahin -- if he
2 really is well past done, I do need to recall Mr. Cox for
3 very brief testimony.

4 CHAIRMAN WROTENBERY: Okay. Thank you, Mr.
5 Wells.

6 Please come on up, Mr. Cox.

7 RICKY COX (Recalled),
8 the witness herein, having been previously duly sworn upon
9 his oath, was examined and testified as follows:

10 DIRECT EXAMINATION

11 BY MR. CARR:

12 Q. Mr. Cox, could you turn to your isopach map of
13 the "B" 2 sand, which was admitted yesterday as Great
14 Western Drilling Company and Nearburg Exhibit 16?

15 A. Okay, I'm with you.

16 Q. Now, which sand are we talking about when you
17 talk about the "B" 2 sand?

18 A. The "B" 2 sand is the second sand in the
19 Minerals, Inc., Llano "34", the second yellow sand from the
20 top.

21 Q. Is that the gas storage sand?

22 A. It is the gas storage sand. It's unperforated in
23 this well.

24 Q. And you have mapped it extending across the south
25 half of Section 34; is that correct?

1 A. Yes, sir.

2 Q. You don't show that well, that sand, the
3 injection sand, extending down into Section 3, into the
4 well in the northwest quarter, do you?

5 A. That's correct.

6 Q. Have you been able to, during the night, locate
7 the log for the well in Section 3?

8 A. Yes, I did.

9 Q. And do you have a copy of that with you?

10 A. Yes, sir, I do.

11 Q. I'd like to mark this as Nearburg Exhibit Number
12 25. Do you have a copy?

13 A. I have a copy.

14 Q. On the easel I have placed Nearburg Exhibit
15 Number 5, which is our cross-section GRE-GRE'. Does this
16 cross-section show both of the wells in the south half of
17 Section 34?

18 A. Yes, sir, it does.

19 Q. And they are the two wells on the right-hand side
20 of the cross-section?

21 A. Left.

22 Q. On the left-hand side of the cross-section?

23 A. Yes, sir.

24 Q. Would you take the log for the well in Number 3,
25 go to the easel and show whether or not the sand that is

1 present in the gas storage interval is also present and
2 producible in the well in Section 3.

3 A. Sure. I'm left-handed, so Mr. Kellahin, I'm
4 going to stand in your way.

5 What I've done on this log, I've colored all of
6 yours the same. The blue limestone at the top corresponds
7 to the same blue limestone you see colored on the cross-
8 section.

9 Sandstones are colored yellow on your log
10 sections, just like they are here on the easel.

11 And this is a stratigraphic cross-section, so
12 we'll hang this log in the same position stratigraphically,
13 which would be the base of this thick blue limestone.

14 And if we look first to a correlation with the
15 Llano "34" well in the southeast of 34, we see we have a
16 sand in exactly the same position as the first sand in the
17 Llano "34" well, and it is indeed perforated in that
18 interval.

19 If we look at the second sand, the "B" 2 sand, in
20 the Llano "34" well, and then we look into the log of the
21 well in the northwest of Section 3, there is no sand that
22 corresponds to that sand, the "B" 2 sand.

23 And then if we look at the lowest sand, the lower
24 Morrow "B" main pay, the thick yellow one at the bottom, we
25 again have sand in the northwest of Section 3 that

1 correlates very well with the sand in the south half of
2 Section 34.

3 So I believe we have a very good correlation
4 between all the stratigraphic markers present, between the
5 well in the northwest of 3 and the south half of Section
6 34. And there in fact is no "B" 2 sand in the northwest
7 quarter of Section 3.

8 Q. In your opinion, could the well in the northwest
9 quarter of Section 3 have contributed in any way to the
10 pressure depletion discovered in 1979 in the well in the
11 southeast quarter of Section 34?

12 A. That would be impossible since it doesn't have a
13 reservoir in it.

14 Q. I would like you to refer to what was marked and
15 admitted today as Redrock Exhibit E-8. Have you had an
16 opportunity to review that?

17 A. Yes, sir.

18 Q. And you have seen how the isopach map has been
19 drawn to contour a reservoir from the well in the southwest
20 of Section 34 to the well in the north half of Section 10,
21 two miles away?

22 A. Yes, sir.

23 Q. And then to the left of that on the exhibit is a
24 copy of the log in Section 10?

25 A. Yes.

1 Q. Do you have an opinion as to whether or not this
2 well could be contributing to the pressure depletion that
3 was experienced in 1979 in the well in the southeast of
4 Section 34?

5 A. Well, again, I go back to my isopach map because
6 it reflects my interpretation of the petrophysical
7 characteristics in that well, based on the logs available
8 in that well, and I gave that well one foot of net sand.
9 Again, my net sand was based on a combination of a gamma-
10 ray less than or equal to 50 API units, plus a density of
11 greater than or equal to 8 percent, a porosity density log
12 greater than 8 percent.

13 So there's one foot of net sand in that well,
14 based on my mapping.

15 Q. And is it --

16 A. There's just -- There's no way. You can't drain
17 a mile and a half with one foot of that sand. And if you
18 look at the log, in Section 10 it has gas effect, a
19 crossover, but if you measure the porosity there it's very
20 low.

21 Q. Do you have an opinion as to whether or not the
22 well in Section 10 could have contributed in a pressure
23 drawdown of the well in the southeast of 34?

24 A. I don't believe it could have any significant
25 impact whatsoever.

1 Q. When you look at the isopach map and you see the
2 contours being pulled from the well in the southeast of 34
3 down to the well in the north half of 10, does that contour
4 interval go between two wells in which there is neither
5 gross nor net pay?

6 A. Yes, sir, it does.

7 MR. CARR: That's all I have. I'd move the
8 admission of Exhibit 25.

9 CHAIRMAN WROTENBERY: Any objection?

10 MR. KELLAHIN: No objection.

11 CHAIRMAN WROTENBERY: Exhibit Number 25 is
12 admitted into evidence.

13 And while I'm thinking about it, I think we need
14 to clean up our numbering on the exhibit that you
15 introduced earlier today, the copy of the records from the
16 State Land Office. I think we called that Exhibit Number
17 23, and we should have called it Exhibit Number 24.

18 MR. CARR: Twenty-four, and then our log would be
19 25.

20 CHAIRMAN WROTENBERY: And the log would be 25.
21 So just let the record reflect that what we had introduced
22 earlier today as Exhibit Number 24 is actually Exhibit
23 Number 24.

24 Mr. Kellahin?

25 MR. KELLAHIN: Thank you.

CROSS-EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. KELLAHIN:

Q. Mr. Cox, would you turn to Exhibit 16?

A. My Exhibit 16? Yes, sir.

Q. Yes, sir, the Great Western 16. This has got the Morrow "B" 2 sand in it?

A. Yes, sir.

Q. Your interpretation is that the well in 10 can be connected to the well in the southeast of 34; isn't that what you just told me?

A. No, I didn't say that.

Q. Were you not commenting on Mr. Brezina's display where he had contoured a portion of the zone to connect the Llano "34" well to this well down in the northwest of 10

A. I thought Mr. Carr asked me if I saw that on the map, and I said yes, sir, I see that.

Q. Yeah, and you don't believe it?

A. No, sir.

Q. Okay. When you look at your map, Exhibit 16, are we looking at the same interval that you've just described with Mr. Brezina's?

A. Yes, sir, based on his correlations on these wells.

Q. So we're looking at the same thing.

Look in Section 3 on your map. On the west side

1 of 3 you've got a zero line in the Shell well?

2 A. Yes, sir, a zero data point.

3 Q. And then in the east side of 3 you've got a zero
4 point on the Llano "3" State Com 1. Do you see that?

5 A. Yes, sir.

6 Q. How far is it between those two data points?

7 A. Approximately 4500 feet.

8 Q. Okay. Is that enough distance where we can
9 contour from the Llano well in the southeast of 34 and give
10 us a shape, a long, elliptical shape, that will go through
11 those two control points east west and pick up the well in
12 10?

13 A. It's physically possible, if you ignore the data.

14 Q. Well, let's look at your data, let's look at your
15 data in Exhibit 15.

16 A. Fifteen?

17 Q. Here it is. You've got them all connected.

18 A. Well, the difference is, you're looking at a
19 gross sand map over about 600 feet of combined sands,
20 individual sandbodies, and what we're talking about is one
21 sand. On both of our isopachs, we're contouring one single
22 sand. And this map represents a compilation of sands over
23 600 feet.

24 Q. Look in Section 3 on the gross map.

25 A. Yes, sir.

1 Q. What do you have deposited between the two
2 control points? Morrow "B" sand, right?

3 A. Somewhere in there, there's Morrow "B" sand.

4 MR. KELLAHIN: Okay, no further questions.

5 CHAIRMAN WROTENBERY: Commissioner Bailey, do you
6 have --

7 COMMISSIONER BAILEY: (Shakes head)

8 CHAIRMAN WROTENBERY: Commissioner Lee?

9 COMMISSIONER LEE: (Shakes head)

10 CHAIRMAN WROTENBERY: I just want to make sure
11 I'm following this well that was logged in Exhibit Number
12 25. This well is in Section 3. Is this the Gas Storage
13 Unit Well Number 1? Is this the same well as the Gas
14 Storage Unit Well Number 1?

15 MR. HALL: It is.

16 CHAIRMAN WROTENBERY: Okay, so -- And I think
17 this is the well that Mr. Wells had testified is one of the
18 wells being used actively in the gas storage unit today?

19 MR. HALL: Correct.

20 CHAIRMAN WROTENBERY: Okay.

21 EXAMINATION

22 BY CHAIRMAN WROTENBERY:

23 Q. This well is also to the southeast of the fault
24 that has been projected by Raptor --

25 A. Yes, ma'am.

1 Q. -- in its testimony here today?

2 A. That's correct.

3 Q. The other well that is being used principally in
4 the storage unit is the Well Number 2, and we've talked
5 extensively about that. It's in the southwest corner of
6 Section 34?

7 A. Right.

8 Q. And it appears on the --

9 A. -- northwest.

10 Q. -- north or west side of the fault that is --

11 A. That's correct.

12 Q. -- projected in Raptor's exhibit?

13 Okay, thanks. I just wanted to make sure I was
14 putting it all together.

15 Did you have anything else, Mr. Kellahin?

16 MR. KELLAHIN: No, ma'am, I do not.

17 CHAIRMAN WROTENBERY: Mr. Carr?

18 MR. CARR: (Shakes head)

19 CHAIRMAN WROTENBERY: Okay, so does that --

20 MR. CARR: That concludes --

21 CHAIRMAN WROTENBERY: -- the testimony?

22 MR. CARR: -- our presentation.

23 CHAIRMAN WROTENBERY: Okay.

24 MR. KELLAHIN: That concludes ours.

25 CHAIRMAN WROTENBERY: Do you wish to give a

1 closing statement, either verbally or in writing?

2 MR. CARR: I could give it either way. I would
3 prefer to do it in writing, but I am prepared to talk to
4 you --

5 CHAIRMAN WROTENBERY: I think we would be happy
6 to receive those statements in writing.

7 COMMISSIONER LEE: Before --

8 CHAIRMAN WROTENBERY: Oh, did you have something
9 else?

10 COMMISSIONER LEE: Before the witnesses go, can I
11 recap what I learned from an engineering point of view?

12 Both of them, you calculated volumetrics based on
13 your geological interpretations; is that true?

14 MR. WELLS: Yes.

15 COMMISSIONER LEE: Okay. And then your point is
16 -- one of the important things you point out is the
17 pressure communication between those zones. And from your
18 point of view it's depleted from the south?

19 MR. WELLS: Commissioner Lee, my testimony had to
20 do with the GRE pod; it's not in --

21 COMMISSIONER LEE: Well, the --

22 MR. WELLS: -- communication with anything.

23 COMMISSIONER LEE: No, no, no. I'm talking about
24 that -- they found the second well, line of wells, and they
25 found out they have a pressure depletion, and that's their

1 proof from an engineering point of view. They connect it
2 to -- that well is actually connected to the storage site.

3 MR. KELLAHIN: Yeah, now, here's the other side
4 of the --

5 COMMISSIONER LEE: The other side of the story
6 is, drainage from the south.

7 MR. KELLAHIN: No, the other side of the story
8 is, if you believe the fault where we find it, no one has
9 examined the rest of the gas storage wells to see if some
10 gas storage well, other than the well in the southwest
11 quarter, is responsible for the depletion.

12 COMMISSIONER LEE: That's if --

13 MR. KELLAHIN: As a hypothetical, you could go
14 down and pick up the well in 10 to see if that's an answer.

15 COMMISSIONER LEE: Okay. So you're saying that
16 two miles long, that strip to deplete that gas, that's one
17 possibility?

18 MR. KELLAHIN: Well, I say it's one among
19 several, and it's one. It could be any of the other wells
20 that are on the same side of the fault as the Nearburg
21 wells.

22 COMMISSIONER LEE: Any further engineering
23 significance of this case?

24 MR. CARR: Not on the engineering.

25 Geologically --

1 COMMISSIONER LEE: Yeah, I know. So thank you.

2 MR. CARR: May it please the Commission, present
3 through the hearing has been James Brown, one of the
4 overriding royalty owners. He just came up and asked if he
5 could make a brief statement.

6 CHAIRMAN WROTENBERY: Certainly.

7 MR. BROWN: Madame Chairman, I'd like to make a
8 statement as one of the --

9 CHAIRMAN WROTENBERY: You did stand up yesterday
10 and --

11 MR. BROWN: Yes, I did.

12 CHAIRMAN WROTENBERY: -- be sworn, didn't you?

13 MR. BROWN: Yes, I did. I was confused, but I
14 thought I would just in case.

15 CHAIRMAN WROTENBERY: I did notice that there
16 were --

17 MR. BROWN: The numbers were there.

18 CHAIRMAN WROTENBERY: That's right.

19 JAMES E. BROWN,

20 the witness herein, after having been first duly sworn upon
21 his oath, testified as follows:

22 DIRECT TESTIMONY

23 BY MR. BROWN:

24 MR. BROWN: Ladies and gentlemen, my name is
25 James E. Brown. I go by Jim, and I reside in Midland,

1 Texas. I'm the owner of a 3/10-of-1-percent overriding
2 royalty interest in the State of New Mexico Oil and Gas
3 Lease Number V-5683, which covers the north half of Section
4 34.

5 I'm an independent petroleum geologist by
6 profession, having bachelor's and master's degrees in
7 geology and over 33 years experience in the industry. My
8 current income is primarily derived from oil and gas
9 royalty payments. I speak to you today as one of five
10 royalty owners that were involved as a team in generating
11 the prospect that caused Great Western Drilling Company to
12 acquire an oil and gas lease in the north half of Section
13 34. This was in the December, 1999, lease sale conducted
14 by the New Mexico State Land Office.

15 Nearburg subsequently acquired an interest in
16 that lease and drilled the Grama Ridge "34" State 1 during
17 the year 2000. It was my understanding that the Oil
18 Conservation Division approved a north-half unit for that
19 well. During the 13 months that that well was on
20 production, I received about \$18,700 in royalty income and
21 paid the State about \$2500 in production taxes and income
22 taxes.

23 I generate prospects in the Permian Basin of
24 Texas and southeast New Mexico for a living. Royalty
25 payments, such as those from the State "34" well, are

STEVEN T. BRENNER, CCR
(505) 989-9317

1 extremely important to me as a source of income. I really
2 can't express to you just how distraught all five royalty
3 owners are that we spent time and money developing a
4 prospect and selling it and having clients invest over a
5 million dollars drilling and completing that well, to only
6 have apparently the State change its mind about the
7 ownership.

8 Not only has our income been stopped for the past
9 14 months, but also I'm told that our interests could be
10 diluted by a party that has an interest in a nearby well
11 that according to public records has not produced economic
12 quantities of oil and gas for over ten years. I really
13 don't understand how the State can let this happen.

14 However, my greatest concern is that the act of
15 shutting in our well over a year ago has likely reduced the
16 ultimate reserves that that well will recover. My
17 experience tells me that that well has likely been damaged
18 by this long impasse.

19 Commissioners, I respectfully ask that you allow
20 the subject well to be turned back on immediately, so that
21 no further reservoir damage will occur. I also ask that
22 the State of New Mexico honor the lease and unit that you
23 granted as a result of the December, 1999, lease sale. I
24 and the other royalty owners feel that the State of New
25 Mexico should not dilute our interest and should not

STEVEN T. BRENNER, CCR
(505) 989-9317

1 continue to prevent us from receiving our income.

2 Thank you.

3 CHAIRMAN WROTENBERY: Thank you, Mr. Brown.

4 Any questions --

5 MR. KELLAHIN: Questions for Mr. Brown.

6 CHAIRMAN WROTENBERY: -- for Mr. Brown?

7 EXAMINATION

8 BY MR. KELLAHIN:

9 Q. Mr. Brown, where do you reside, sir?

10 A. Midland, Texas.

11 Q. How long have you practiced as a geologist?

12 A. I've practiced since 1969.

13 Q. Does any of that work include New Mexico?

14 A. Yes, sir. If I may refer --

15 Q. Well, I don't want you to describe it for me. I
16 just want to know, have you practiced in New Mexico?

17 A. I have worked on prospects as an employee of a
18 corporation in New Mexico, and I have worked as an
19 independent geologist for the past three years.

20 Q. Have you ever testified before the Division
21 before?

22 A. No, I have not.

23 Q. Are you knowledgeable about their rules and
24 regulations?

25 A. Yes.

1 Q. Do you believe it's the Commission's or the
2 Division's responsibility, or it's their fault for what
3 happened to this well?

4 A. I feel that since the State of New Mexico put
5 that lease up in the December, 1999, lease sale, that yes,
6 there is a responsibility there.

7 Q. Don't you think the ultimate responsibility lies
8 with your operator, Nearburg, to become aware of the rules
9 and regulations by which he is allowed to operate in this
10 state?

11 A. Yes, sir.

12 Q. Is he in compliance with all those rules?

13 A. I think so.

14 Q. He is? What acreage dedication does he have for
15 the well?

16 A. Well, I'm aware that they now have the south half
17 and the north half of Section 34.

18 Q. Are you aware that a standard spacing unit is 320
19 acres?

20 A. I'm aware also that in the Morrow the State of
21 New Mexico allows 160s.

22 Q. And how do they do that?

23 A. I could not tell you right now, adequately in
24 this forum --

25 Q. Under Rule 101 --

1 A. -- how that happens.

2 Q. -- have we downspaced the Morrow to 160 acres?

3 A. They are applying for that, as far as I know.

4 Q. That would be an exception, right?

5 A. I assume so. I don't know.

6 Q. You've been paid all of your entire overriding
7 royalty interest you have, three --

8 A. Three-tenths of one percent.

9 Q. -- three-tenths of one percent?

10 A. That's correct.

11 Q. And Nearburg has paid you on total production,
12 and you've derived about \$18,000 worth of income from that?

13 A. That's correct.

14 Q. And then the well was shut in and they stopped
15 paying you?

16 A. That's correct.

17 Q. Did you ask them to petition the Commission to
18 allow that well to be turned on?

19 A. My group had asked -- not specifically, no --

20 Q. Okay, did you --

21 A. -- but they suspended continue -- If I may say --

22 Q. All right.

23 A. -- this has been a continuing process where it
24 was understood that soon that well would be turned back on
25 and allowed to produce.

1 Q. Well, I'm trying to understand what action you
2 took directly with the Division, or indirectly, to force
3 this issue to a hearing so this body could make decisions
4 on whether that well is turned in.

5 A. Mr. Kellahin, I think you can see that with my
6 small interest individually, it is difficult to justify
7 hiring an attorney to represent us.

8 Q. Have you figured out what overriding royalty
9 percentage Redrock would have if the spacing unit is the
10 east half of the section?

11 A. It would essentially cut my override in half.

12 Q. What would their share be? They would have a 5-
13 percent override, would they not?

14 A. That's correct.

15 Q. As an overriding royalty owner, are you in a
16 position where you can cause your operator to drill a well?

17 A. No, sir.

18 Q. And Redrock in its position as an overriding
19 royalty owner in the southeast quarter of the section now
20 force Nearburg to drill a protection well?

21 A. Not to my knowledge.

22 MR. KELLAHIN: No further questions.

23 CHAIRMAN WROTENBERY: Any questions?

24 MR. HALL: No.

25 COMMISSIONER BAILEY: I strongly encourage you to

1 come over to the Land Office and talk to our people about
2 some of the clear misconceptions you have over leasing in
3 the State of New Mexico and the relationships between the
4 lease configurations and the spacing units as determined by
5 the OCD.

6 THE WITNESS: All right.

7 COMMISSIONER BAILEY: I think it's important for
8 you to come over so that you can understand those
9 relationships and the very clear misconceptions that you
10 have.

11 THE WITNESS: All right.

12 CHAIRMAN WROTENBERY: Thank you for your
13 testimony, Mr. Brown. And likewise, we'd be happy at the
14 Oil Conservation Division to talk to you a little bit about
15 how our spacing requirements work. I can say, we're
16 chagrined that we didn't catch the problem earlier in the
17 process when we were issuing the drilling permit.

18 THE WITNESS: Was that a 320 lease that was
19 granted?

20 CHAIRMAN WROTENBERY: It was a 320 lease, but the
21 leasing and the designation of a spacing unit are separate
22 matters, and separate rules apply.

23 THE WITNESS: All right.

24 CHAIRMAN WROTENBERY: The State Land Office
25 administers the leasing. The lease does not necessarily

1 have any relationship to the designation of the spacing
2 unit.

3 COMMISSIONER BAILEY: Not in any way.

4 CHAIRMAN WROTENBERY: And so --

5 THE WITNESS: And a nonproducing well can hold
6 that east-half unit? Is that what I will learn when I come
7 to visit you?

8 CHAIRMAN WROTENBERY: No, I think we'll just talk
9 about the process -- or the staff will talk with you about
10 the process --

11 THE WITNESS: All right.

12 CHAIRMAN WROTENBERY: -- of designating a spacing
13 unit. But you're right, we should have caught the problem
14 when we issued the application for permit to drill. We
15 didn't do that, and so we did contribute to the difficulty
16 here a little bit.

17 THE WITNESS: All right. Well, I appreciate
18 your offer --

19 CHAIRMAN WROTENBERY: I'll say, though, it is the
20 operator's ultimate responsibility to --

21 THE WITNESS: Right.

22 CHAIRMAN WROTENBERY: -- work through those
23 issues, but --

24 THE WITNESS: And it is a little difficult for an
25 overriding royalty interest to have an influence without a

1 working interest.

2 CHAIRMAN WROTENBERY: I understand that as well.
3 What we will do is, as a Commission, work hard on this
4 matter to get this thing resolved and issue an order at our
5 November meeting, which is scheduled for November 22nd. So
6 you'll have our decision on the matter at that point.

7 THE WITNESS: I appreciate that.

8 CHAIRMAN WROTENBERY: Thank you very much for
9 appearing, and --

10 THE WITNESS: Thank you, I'll contact --

11 CHAIRMAN WROTENBERY: -- making your statement.

12 THE WITNESS: Thank you.

13 CHAIRMAN WROTENBERY: And we need to set a date
14 for the receipt of the closing statements.

15 How much time do you need? A couple of weeks
16 or --

17 MR. KELLAHIN: Yes.

18 CHAIRMAN WROTENBERY: -- ten days?

19 MR. KELLAHIN: That would be helpful. I have
20 Commission Hearings next week --

21 CHAIRMAN WROTENBERY: Yes.

22 MR. KELLAHIN: -- where we're going to learn
23 about coal gas.

24 CHAIRMAN WROTENBERY: So two weeks, would that --

25 MR. KELLAHIN: That would help.

1 MR. CARR: What about two weeks from Friday?

2 MR. KELLAHIN: Two weeks from Friday.

3 CHAIRMAN WROTENBERY: I just want to make sure
4 our counsel has enough time to review it and draft an order
5 for the Commission's consideration by the --

6 MR. KELLAHIN: Would you want us to --

7 CHAIRMAN WROTENBERY: -- 22nd. That would be
8 November 8th.

9 MR. KELLAHIN: Would you want us to try to submit
10 draft orders or not?

11 MR. ROSS: Always helps, but I don't know. It's
12 up to you whether you want to take the time to do that.

13 MR. KELLAHIN: Well, I will tell you, Steve
14 writes very good orders.

15 CHAIRMAN WROTENBERY: He does, we agree with
16 that.

17 MR. KELLAHIN: I'm happy to --

18 CHAIRMAN WROTENBERY: So I think if you'll just
19 send the closing statements, then we can work from that.
20 If you have any -- What you might do is, if you have any
21 particular findings or ordering provisions that you feel
22 strongly about, you might include those in your closing
23 statements.

24 MR. CARR: And yesterday morning I advised you
25 that I would like an opportunity to respond to material

1 submitted by Mr. Hall, and I'll do it by that date or
2 before so that you have that. That's --

3 CHAIRMAN WROTENBERY: Okay. Actually, if you
4 could do that within a week so that if the other parties
5 need to respond to that information --

6 MR. CARR: It's probably going to be midweek next
7 week, but that's still a week in advance. All right?

8 CHAIRMAN WROTENBERY: Okay, that sounds good.
9 That sounds good. Actually, if you could get those to us
10 by the 1st --

11 MR. CARR: We can do that.

12 CHAIRMAN WROTENBERY: -- and then that would give
13 Mr. Hall and Mr. Kellahin an opportunity to respond --

14 MR. CARR: Okay.

15 CHAIRMAN WROTENBERY: -- with their closing
16 statements on the 8th.

17 And then Mr. Hall, you also were going to put
18 together some information on the storage unit wells? Do
19 you already have that?

20 MR. HALL: I have ready for the record what we've
21 marked as Raptor's Exhibit 16. It's a compilation of the
22 C-105 data.

23 CHAIRMAN WROTENBERY: Okay. Is there any
24 objection to the admission of Raptor Exhibit Number 16 into
25 the record? Have you had a chance to look at it?

1 MR. KELLAHIN: Not by me, I have no objection.

2 MR. CARR: Not by me, no objection.

3 CHAIRMAN WROTENBERY: Okay, then Raptor Exhibit
4 Number 16 is admitted into evidence. Thank you, Mr. Hall,
5 for providing that information.

6 Is there anything else that we need to take care
7 of today?

8 Okay, then we'll take this case under advisement.

9 Thank you all very much.

10 MR. CARR: Thank you.

11 CHAIRMAN WROTENBERY: Appreciate the testimony of
12 all the witnesses.

13 MR. KELLAHIN: Would you like us to vacate the
14 room so that you can --

15 CHAIRMAN WROTENBERY: Yes, I will entertain a
16 motion at this point from --

17 MR. KELLAHIN: We'll come back and get our stuff
18 later.

19 CHAIRMAN WROTENBERY: Okay. Well, actually,
20 we'll give you a few minutes to go ahead and move your
21 stuff out.

22 Let me just ask for a motion from one of the
23 Commissioners to go into closed session to deliberate on
24 the matter before us.

25 COMMISSIONER BAILEY: I so move.

1 COMMISSIONER LEE: Second.

2 CHAIRMAN WROTENBERY: All in favor say "aye".

3 COMMISSIONER BAILEY: Aye.

4 COMMISSIONER LEE: Aye.

5 CHAIRMAN WROTENBERY: Aye.

6 (Off the record at 12:46 p.m.)

7 (The following proceedings had at 1:20 p.m.)

8 CHAIRMAN WROTENBERY: Okay, I'll entertain a
9 motion that we go back into open meeting.

10 COMMISSIONER BAILEY: I so move.

11 COMMISSIONER LEE: Second.

12 CHAIRMAN WROTENBERY: All in favor say "aye".

13 COMMISSIONER BAILEY: Aye.

14 COMMISSIONER LEE: Aye.

15 CHAIRMAN WROTENBERY: Aye. And I'll just note
16 for the record that while we were in closed executive
17 session the only matters that we discussed were the
18 consolidated Cases 12,622 and 12,908-A. We deliberated on
19 the evidence that we have heard in those cases over the
20 last two days.

21 And with that, I don't think there's any further
22 business for this special meeting of the Commission, so I
23 think -- Let's just call it adjourned.

24 COMMISSIONER BAILEY: I move we adjourn.

25 COMMISSIONER LEE: Second.

1 CHAIRMAN WROTENBERY: All in favor say "aye".

2 COMMISSIONER BAILEY: Aye.

3 COMMISSIONER LEE: Aye.

4 CHAIRMAN WROTENBERY: Aye. We're done then,
5 thanks.

6 (Thereupon, these proceedings were concluded at
7 1:21 p.m.)

8 * * *

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Commission was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL November 3rd, 2002.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 16th, 2006

STEVEN T. BRENNER, CCR
(505) 989-9317