

STATE OF NEW MEXICO
 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
 OIL CONSERVATION DIVISION

OIL CONSERVATION DIVISION
 JUL 26 AM 7:43

IN THE MATTER OF THE HEARING CALLED BY)
 THE OIL CONSERVATION DIVISION FOR THE)
 PURPOSE OF CONSIDERING:)

CASE NO. 12,683

APPLICATION OF YATES PETROLEUM)
 CORPORATION FOR COMPULSORY POOLING,)
 CHAVES COUNTY, NEW MEXICO)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID BROOKS, Hearing Examiner

July 12th, 2001

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID BROOKS Hearing Examiner, on Thursday, July 12th, 2001, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

July 12th, 2001
Examiner Hearing
CASE NO. 12,683

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESSES:	
<u>CHARLES MORAN</u> (Landman)	
Direct Examination by Mr. Carroll	6
Examination by Examiner Brooks	26
Examination by Mr. Catanach	35
Further Examination by Examiner Brooks	39
Further Examination by Mr. Catanach	41
<u>TIM MILLER</u> (Geologist)	
Direct Examination by Mr. Carroll	42
Examination by Mr. Catanach	53
<u>GEORGE FREEMAN</u> (Engineer)	
Direct Examination by Mr. Carroll	55
REPORTER'S CERTIFICATE	68

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	8	26
Exhibit 2	12	26
Exhibit 3	14	26
Exhibit 4	15	26
Exhibit 5	15	26
Exhibit 6	16	26
Exhibit 7	17	26
Exhibit 8	19	26
Exhibit 9	18	26
Exhibit 10	43	53
Exhibit 11	48	53
Exhibit 12	57	67
Exhibit 13	59	67
Exhibit 14	59	67
Exhibit 15	60	67
Exhibit 16	60	67
Exhibit 17	61	67
Exhibit 18	61	67
Exhibit 19	62	67
Exhibit 20	63	67
Exhibit 21	63	67
Exhibit 22	64	67
Exhibit 23	65	67
Exhibit 24	21	26

* * *

A P P E A R A N C E S

FOR THE APPLICANT:

LOSEE, CARSON, HAAS & CARROLL, P.A.
311 West Quay Avenue
Post Office Box 1720
Artesia, New Mexico 88211-1720
By: ERNEST L. CARROLL

ALSO PRESENT:

RICHARD EZEANYIM
Chief Engineer
New Mexico Oil Conservation Division
1220 South Saint Francis Drive
Santa Fe, NM 87501

DAVID R. CATANACH
Engineer
New Mexico Oil Conservation Division
1220 South Saint Francis Drive
Santa Fe, NM 87501

* * *

1 WHEREUPON, the following proceedings were had at
2 8:20 a.m.:

3 EXAMINER CATANACH: Call the hearing to order
4 this morning for Docket Number 23-01. I'm going to call
5 the continuances and dismissals first at this time.

6 (Off the record)

7 EXAMINER BROOKS: Okay, at this time we'll call
8 Case Number 12,683, the Application of Yates Petroleum
9 Corporation for compulsory pooling, Chaves County, New
10 Mexico.

11 Call for appearances.

12 MR. CARROLL: Mr. Examiner, I'm Ernest Carroll of
13 the Artesia law firm of Losee, Carson, Haas and Carroll,
14 and I'm here today on behalf of the Applicant, Yates
15 Petroleum, and I will have three witnesses.

16 EXAMINER BROOKS: Are there any other
17 appearances?

18 Very good. Will the witnesses stand to be sworn?

19 (Thereupon, the witnesses were sworn.)

20 EXAMINER BROOKS: Okay, you may proceed when
21 ready, Mr. Carroll.

22 MR. CARROLL: Thank you, Mr. Examiner, take me
23 just a moment.

24 EXAMINER BROOKS: The witnesses that were sworn,
25 please identify themselves for the record.

1 MR. MILLER: Tim Miller.

2 MR. MORAN: Charles Moran.

3 MR. FREEMAN: George Freeman.

4 EXAMINER BROOKS: Okay, we'll let the record
5 reflect those are the same individuals who were just sworn.

6 MR. CARROLL: Apologize, Mr. Examiner, I don't
7 move quite as fast as I have in previous appearances, but
8 I'm getting faster as I control this left side a little bit
9 more.

10 EXAMINER BROOKS: Well, that's good.

11 MR. CARROLL: All right, may I proceed?

12 EXAMINER BROOKS: You may proceed.

13 MR. CARROLL: Thank you, sir.

14 CHARLES E. MORAN,
15 the witness herein, after having been first duly sworn upon
16 his oath, was examined and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. CARROLL:

19 Q. Mr. Moran, would you state your full name for the
20 record?

21 A. My name is Charles E. Moran and I live in
22 Artesia, New Mexico.

23 Q. And by whom are you employed?

24 A. Yates Petroleum Corporation.

25 Q. And by whom are you employed?

1 A. Yates Petroleum Corporation.

2 Q. And in what capacity?

3 A. As a landman.

4 Q. Mr. Moran, have you testified previously before
5 the Oil Conservation Division and had your credentials as a
6 petroleum landman accepted?

7 A. Yes, I have.

8 MR. CARROLL: Mr. Examiner, I propose to have Mr.
9 Moran testify as a petroleum landman.

10 EXAMINER BROOKS: Very good, his credentials are
11 acceptable.

12 MR. CARROLL: Thank you.

13 Q. (By Mr. Carroll) Mr. Moran, are you familiar
14 with the Application that is before the Division at the
15 present time?

16 A. Yes, I am.

17 Q. Would you basically state what Yates Petroleum is
18 seeking to do with respect to this Application?

19 A. Yates Petroleum Corporation is seeking to force
20 pool a mineral owner that we have been unable to reach an
21 agreement with. It is complicated by the fact that there
22 is a question as to who the mineral owners are, because
23 there is a will contest involving the ownership.

24 Q. The interest that has -- I guess, who the two
25 differing parties are seeking to control, springs from a

1 deceased lawyer by the name of Dean Solsbery, does it not?

2 A. Yes.

3 Q. He was an oil and gas practitioner in the City of
4 Roswell?

5 A. Yes.

6 Q. And different members of his heirs are claiming
7 this interest?

8 A. Correct.

9 Q. And how much -- What is that interest?

10 A. The interest is a 1/16 interest in the northeast
11 quarter.

12 Q. Of what section?

13 A. Of Section 3 of Township 8 South, Range 26 East,
14 Chaves County, New Mexico.

15 Q. Now, you have prepared certain exhibits, have you
16 not?

17 A. I have.

18 Q. Would you turn to Exhibit Number 1?

19 A. Exhibit Number 1 is a plat representing the
20 proposed spacing unit for our well called the Coronet "TI"
21 Number 3. It is also the current spacing unit for our
22 already-drilled Percentage "APR" Number 1.

23 Q. All right. Actually there have been three
24 previous wells drilled within this east-half spacing unit;
25 is that correct?

1 A. Correct. The first well is the Coronet "TI"
2 Number 1, located in the northeast northeast quarter of the
3 section, 3.

4 Q. That would be the gas symbol, and it's got the
5 1-TI; is that the symbol by it?

6 A. Correct, that is it.

7 Q. All right.

8 A. Then due south, in the southeast of the
9 northeast, is where the Coronet TI Number 2 well was
10 drilled, and the spacing unit for both of those wells is
11 160 acres.

12 Q. All right. These are Abo production wells; is
13 that correct?

14 A. Yes, those are Abo producing wells.

15 Q. Now, you say the Percentage PR has also been
16 drilled in the south --

17 A. In the east half, down in the southwest of the
18 southeast, and it's represented there by the gas symbol in
19 the southwest of the southeast.

20 Q. Now, what formation is that well producing from?

21 A. I'm not positive at this point. I was going to
22 let the engineer answer that question. I know it is either
23 producing from the Ordovician, or Wolfcamp-Upper Penn,
24 which requires a 320-acre spacing unit.

25 Q. All right, that's what I was getting to. The

1 well that is being proposed to be drilled, the Coronet TI
2 Number 3, what is its proposed --

3 A. The Coronet TI Number 3 is also proposed to be
4 drilled down to the Ordovician formation, seeking other
5 possible formations on the way down that will require a
6 320-acre spacing unit.

7 Q. The site for that well is the circle symbol just
8 due west of the TI Number 2 symbol; is that correct? In
9 the northeast quarter?

10 A. Correct.

11 Q. Now, these three wells, with respect to the
12 interest that is owned by the Solsbery heirs, is it in the
13 entire east half --

14 A. No.

15 Q. -- of Section 3 or --

16 A. The Solsbery interest is only in the northeast
17 quarter of Section 3, that being Lots 1 and 2 in the south
18 half of the northeast.

19 Q. The Solsbery interest has not been force pooled
20 with respect to the TI-1, TI-2 or the Percentage well; is
21 that correct?

22 A. That is correct.

23 Q. That is also -- Yates seeks to do that with
24 respect to those three wells, in addition to the TI Number
25 3 by today's proceeding?

1 A. Yes, because we're not able to reach an agreement
2 with them for any future costs and expenses that we have
3 out there, we would like to have the ability to recoup our
4 costs and potentially get whatever penalty that we are able
5 to achieve.

6 Q. In other words, you're seeking to force pool the
7 three previously drilled wells from the date of the entry
8 of the order --

9 A. -- the order --

10 Q. -- to the future?

11 A. -- to the future.

12 Q. All right. Now, why was it that these wells were
13 drilled without seeking a force pooling or having them
14 concur in the drilling?

15 A. The history behind these wells, the Coronet TI
16 Number 1 was drilled in the early 1980s. A deal was made
17 with Mr. Solsbery when he was still alive for the drilling
18 of the well. That deal encompassed a lease that allowed
19 for a back-in after the payout of the Coronet TI Number 1.
20 Part of that agreement was that we enter into an operating
21 agreement at the time of entering back into the back-in.

22 Through time that work was never done, and until
23 last year when we started drilling up there again, we did
24 not realize this. We were able to work a deal with
25 everybody but the Solsbery interest. The ownership from

1 surface down to approximately 4900 feet is partially leased
2 and is partially a working interest pursuant to the
3 original deal for the drilling of the Coronet TI Number 1.

4 Q. Mr. Moran, basically the lease with Mr. Solsbery
5 had a few clauses --

6 A. Had a few clauses --

7 Q. -- so many feet below the depth --

8 A. -- the depth --

9 Q. -- the depth, and --

10 A. -- and --

11 Q. -- 4698 --

12 A. Yes, 4698 --

13 Q. -- is the horizon --

14 A. Yes.

15 Q. -- below which there was no lease then?

16 A. Correct, I'm correct, it is the 4698 --

17 Q. All right.

18 A. -- and that Pugh'd out.

19 Q. Now, would you turn to Exhibit Number 2? What is
20 Exhibit Number 2?

21 A. Exhibit Number 2 is an excerpt from the title
22 opinion we had prepared for the drilling of the Coronet TI
23 Number 2 well. It was an update of a title opinion we had
24 previously done for the Coronet TI Number 1.

25 Q. This title opinion is dated November 3rd of

1 2000 --

2 A. Yes.

3 Q. -- is that correct?

4 A. Yes.

5 Q. Is this when you discovered the problem with the
6 ownership in having it committed to these wells?

7 A. This was the time that we discovered the lawsuit
8 involving the difference in the ownership. We became aware
9 of the unleased interest a couple of months earlier, and
10 that was part of what prompted us to get a new title
11 opinion done.

12 Q. All right, and this shows -- On page 2 of this
13 exhibit, it -- with respect to -- Could you give us the
14 names of the two uncommitted or the two -- or groups of
15 people that are claiming an interest to whom we have given
16 notice of this hearing?

17 A. The two people -- or there's actually three
18 people that required notice, one being Roxy Burkfield, and
19 then there is a Dean Solsbery and --

20 Q. -- a Brian --

21 A. -- a Brian Solsbery. It is my understanding they
22 are his sons from the first marriage, and Roxy is a
23 stepdaughter from a second marriage.

24 Q. What you've done here is excerpted parts of this
25 title opinion, correct?

1 A. Yes.

2 Q. And on page -- it's called page 8, but it's about
3 the fourth page of our exhibit, it does have a requirement
4 that tells the story about the estate of A.D. Solsbery and
5 shows these two competing interests?

6 A. Yes, it does.

7 Q. As far -- It's your understanding that those
8 parties have an actual lawsuit filed and that a trial will
9 be sometime in the future?

10 A. Yes, I do believe it will go to trial. I don't
11 believe the parties will ever be able to solve their
12 differences.

13 Q. All right. Exhibit Number 3, would you turn to
14 that?

15 A. Exhibit Number 3 is the title opinion we had
16 prepared for the whole east half for the drilling of the
17 Percentage Number 1 in Township 8 South, 26 East, Section
18 3.

19 Q. This likewise shows the interest of the Solsbery
20 heirs, does it not?

21 A. It does. And on what is labeled as page 10 of
22 the opinion, title requirement 5.

23 Q. All right. Now, with respect to these interests,
24 Yates Petroleum has tried to reach a deal with these
25 parties in order to get them involved as working interest

1 owners in the well; is that correct?

2 A. Yes, we have.

3 Q. Would you turn to your Exhibit Number 4?

4 A. Exhibit Number 4 is my first attempt to lease the
5 interest of Roxy Burkfield upon preparing -- getting ready
6 to drill the Percentage well.

7 Q. All right. You conveyed terms, a lease and a
8 draft, did you not?

9 A. I did, I conveyed a lease term, a bonus
10 consideration of \$100 per acre and a royalty reservation of
11 a quarter.

12 Q. At this point in time, were you aware of the
13 other two Solsbery heirs?

14 A. At this point in time I was not.

15 Q. Were you able to lease this interest from
16 whatever claims Ms. Burkfield had?

17 A. I was not able to lease it.

18 Q. Would you turn to Exhibit Number 5, and what is
19 this?

20 A. Exhibit Number 5 is an additional offer to lease
21 the interest of Roxy Burkfield.

22 Q. And this occurred what date?

23 A. September 15th, 2000.

24 Q. Or is that the 25th, 2000?

25 A. 25th, yes.

1 Q. All right, and you were unsuccessful with respect
2 to this effort?

3 A. Yes.

4 Q. Would you turn to your Exhibit Number 6? What is
5 this?

6 A. Exhibit Number 6 is some field notes prepared by
7 another lady in our office. It was -- The project was
8 given to her because they felt I had irritated Ms.
9 Burkfield and was unable to work a deal with her. She was
10 not -- We had since determined it was not me, that we just
11 were unable to get a deal worked with her.

12 Q. So Ms. Floore, the -- this offer that was
13 conveyed October 6th of 2000 likewise --

14 A. -- was rejected and never accepted.

15 Q. -- had nothing that occurred.

16 Now, apparently you then learned of the Solsbery
17 brothers --

18 A. Yes --

19 Q. -- is that correct?

20 A. -- I did.

21 Q. And you've had correspondence with them; is that
22 correct?

23 A. I've had correspondence with their attorney, Lynn
24 Slade.

25 Q. All right, with the Modrall firm in Albuquerque?

1 A. Yes.

2 Q. Would you turn to your Exhibit Number 7 and would
3 you explain what that exhibit is?

4 A. Exhibit Number 7 is an attempt by me to lease the
5 interest of the two Solsbery gentlemen. Because I was
6 unable to -- One, because the well was already drilled, two
7 because I was not sure who would own it and how long it
8 would take to resolve the lawsuit, I offered them a quarter
9 royalty for a ten-year lease. The ten years was based upon
10 a guess that maybe the lawsuit would be ended within the
11 ten-year period, and thus the lease would vest upon them,
12 establishing their ownership.

13 Q. Were you able to reach any kind of agreement with
14 the two Solsberys by virtue of this offer?

15 A. I was not able to reach an agreement by this
16 offer.

17 Q. Now, you have since learned too that Ms.
18 Burkfield has an attorney --

19 A. Yes, I have.

20 Q. -- with respect to this lawsuit? And what is
21 that attorney's name?

22 A. That attorney's name is Robert Armijo.

23 Q. With the Civerolo firm in Albuquerque?

24 A. In Albuquerque, yes.

25 Q. Would you turn to your Exhibit Number 8 and

1 explain what this is?

2 A. Exhibit Number 8 is probably out of order. We
3 probably ought to do Exhibit 9 first.

4 Q. All right, Exhibit 9 is a letter dated May 18th.

5 A. May 18th. Exhibit Number 9 is my proposal of
6 drilling of the Coronet TI Number 3 well in an attempt to
7 negotiate a lease term, figure out some way to -- how to
8 account to the owners, either if they want to be a working
9 interest owner or a mineral owner under a lease. We're not
10 opposed to however they participate, we just need to get
11 something figured out so that we know how to account for
12 it.

13 Q. So by this letter you transmitted a joint
14 operating agreement; is that correct?

15 A. A joint operating agreement that we propose to
16 operate the well under. We transmitted two operating
17 agreements in the letter, one being the operating agreement
18 we have for the shallow wells that we have with all the
19 other owners that participated in the drilling of the
20 shallow wells, and the other operating agreement is the
21 operating agreement we have put together for the drilling
22 of the deep wells. That was the operating agreement
23 labeled the Percentage "APR" Number 1.

24 Q. So you have offered these parties the ability to
25 join in, at least through May 18th. You have offered them

1 to lease their interest or to join in and sign an operating
2 agreement?

3 A. Yes.

4 Q. The Exhibit 8 that we had just previously
5 identified that was slightly out of order was a letter that
6 followed four days later. It conveyed something that was
7 left out of the package that you sent?

8 A. Yes, the actual AFE that was supposed to be
9 included for the drilling of the Coronet TI Number 3 was
10 not in the package. It was mailed out on the 18th, and we
11 subsequently mailed that out on the 22nd of May.

12 Q. All right. Now, have you had contact with the
13 lawyers that are listed in these mailings?

14 A. The extent of my conversations with Mr. Armijo
15 were to confirm that he was Ms. Burkfield's attorney.
16 That's the limit of those conversations.

17 Mr. Slade and I have had a few conversations. I
18 understand what I think his clients wish to be, which are
19 mineral owners, but I can't get them to make a deal, can't
20 get them to sign any paperwork.

21 MR. CARROLL: Mr. Examiner, I would like to
22 indicate to you that Mr. Armijo has personally called me
23 with respect to this hearing to let me know he had, in
24 fact, received the documents, but -- and at the time I
25 visited with him about a week or so ago, he was not sure

1 that he was going to show up and he apparently has elected
2 not to.

3 I can tell you from looking at the record just
4 where this should shake out, is that I suspect, unless
5 there's some other problem, but if you just look at it from
6 a land-title situation, Ms. Burkfield probably does have a
7 claim to one quarter of this interest, and the two
8 Solsberys claim three-quarters. And so that's one of the
9 reasons that Yates has continued to try to do something
10 with both of them, and they just don't want to do it.

11 So we -- I think that's the reason why they -- I
12 don't think that they're opposed to doing stuff out here,
13 it's just they're not sure the amount of their interest,
14 and there's some complications and allegations of
15 malfeasance by a personal representative, Ms. Burkfield's
16 mother and stuff. And so you know, there's just a lot of
17 issues caught up, and I think that's why they have elected
18 not to. But we have had communications with them.

19 I would have you turn to Exhibit Number 24, just
20 got a little bit out of order. What is Exhibit Number 24?
21 It's a separate -- Did I give you a copy of that?

22 A. I don't think I have it, but that should be --

23 Q. It's sitting there on the --

24 EXAMINER BROOKS: I don't believe I have it
25 either.

1 MR. CARROLL: It may have gotten -- Let me get it
2 out. I wanted to pass some out here, I wasn't sure who all
3 got one. This was the compliance with Rule 1207.

4 EXAMINER BROOKS: Okay, thank you.

5 Q. (By Mr. Carroll) Would you identify for the
6 record Exhibit 24?

7 A. Exhibit 24 is a certificate of mailing and
8 compliance with Rule 207 [sic], showing that the
9 information required was mailed to the appropriate
10 attorneys representing the people who seek to force pool.

11 Q. All right. These are to the attorneys for Ms.
12 Burkfield and the attorneys for Brian and Dean Solsbery?

13 A. -- and Dean Solsbery, yes.

14 Q. Now, Mr. Moran, with respect to the proposed
15 overhead rates that Yates is doing for this well, do you
16 normally work in this area of Chaves County?

17 A. Yes, I'm currently working in this area of Chaves
18 County.

19 Q. What are the rates that Yates proposes with
20 respect to overhead, the drilling rate and the normal
21 monthly rate?

22 A. The drilling and the overhead rates are in the
23 COPAS attached to the operating agreement, and for this
24 depth of well I want to refer -- I'm thinking of the deep
25 rates, and it's not the deep for these two wells. It is --

1 Q. Page 3 of the exhibit --

2 A. Yeah --

3 Q. -- on mine.

4 A. -- right, page 3 of the COPAS, and for this depth
5 we are applying for a drilling well rate of \$4000 and a
6 producing well rate of \$400 per well.

7 Q. Is this the standard rate that's encountered in
8 this area of Chaves County for these kinds of wells?

9 A. Yes, we believe this is standard. It may be a
10 little on the low side.

11 Q. All right. With respect to, now, the -- the
12 penalty provision in the operating agreements that are
13 attached is your Exhibit 9. What are you proposing,
14 though, with respect for this well?

15 A. The operating agreement has provisions that
16 request a nonconsent penalty of 200 percent and 500 percent
17 for the drilling of the well.

18 Q. That is not in compliance with the state statute?

19 A. That is not in compliance with the state statute.
20 The state statutes would give us up to 200 percent -- our
21 cost plus the 200-percent penalty.

22 Q. And what are you asking for by virtue of this
23 Application of Yates?

24 A. And by this Application we are asking for
25 those -- to be in compliance with the state statutes, the

1 100 percent plus 200 percent, and not necessarily what is
2 proposed in the operating agreement.

3 Q. All right. Your engineers will more develop the
4 need for that --

5 A. Yes.

6 Q. -- penalty rate?

7 Now, Mr. Moran, in addition to seeking the force
8 pooling of these interests with respect to not only the Abo
9 wells but the deeper Penn-Ordovician well that is proposed
10 and the one that's already been drilled, the Percentage,
11 you have asked in you Application that a joint operating
12 agreement be approved or be adopted by the Commission for
13 this half section; is that correct?

14 A. Yes.

15 Q. Would you explain to the Examiner why that is
16 being done and the needs that you anticipate that by having
17 an actual -- the provisions of this joint operating
18 agreement without the ownership schedule or the percentage
19 of penalties being adopted by it but the terms, why do you
20 think that that will help and be an advantage to the
21 operator and also likely reduce the workload of the Oil
22 Conservation Division?

23 A. The operating agreement is an agreement that is
24 used by the industry that sets out how operations will be
25 conducted in the well. Currently with the unleased

1 interest, if we go out there and conduct an operation, the
2 parties have no agreement and thus are always subject to
3 disagreement over what goes on out there.

4 Our hope here with establishing an operating
5 agreement, that it will set forth the procedures under
6 which we can operate the well, and it is very -- These are
7 the agreements that we have with the other people out
8 there. It will simplify the work for us in that we know
9 how to account to the people and we know how to proceed
10 with noticing people when we propose to do work out there.

11 Some of the wells out there have turned out to be
12 good wells, some of the wells may require that additional
13 work be done, and spending of additional money,
14 potentially, to enhance the production. And under the
15 operating agreement there are provisions that require us to
16 notice people, but it also provides us the ability to be
17 compensated for the risks that we take without giving
18 anybody a free ride.

19 Q. Now, Mr. Moran, with respect to your last
20 statement, the problem that Yates is seeking to avoid deals
21 with the determination of when a well pays out --

22 A. Yes.

23 Q. -- and if there are future operations. The joint
24 operating agreement provides that until the last operation
25 or the drilling of the well pays out, you don't get to come

1 in on the ground floor in future operation; is that
2 correct?

3 A. Correct.

4 Q. And that -- If that's not taken care of, then in
5 essence a nonjoining working interest owner can go
6 nonconsent and then come in at a later time because of the
7 later operation?

8 A. Correct.

9 Q. And that's what Yates is trying to seek to avoid?

10 A. Yes.

11 Q. With respect to these wells, is it anticipated --
12 in particular with respect to these deeper wells such as
13 the Percentage and the TI Number 3, is it anticipated that
14 there will be operations and moving up the hole to produce
15 these other horizons that are shallower?

16 A. There is the potential to bring on additional pay
17 zones in the existing wellbore of the Percentage in the
18 future.

19 Q. And that could lead to the very problem you're
20 just discussing?

21 A. Yes.

22 MR. CARROLL: Mr. Examiner, I would move
23 admission of Exhibits 1 through 9 and Number 24 at this
24 time.

25 EXAMINER BROOKS: Okay, there can't be any

1 objection because there's nobody here to object. Exhibits
2 1 through 9 and 24 are admitted.

3 MR. CARROLL: All right, I would pass the witness
4 at this time, Mr. Examiner.

5 EXAMINATION

6 BY EXAMINER BROOKS:

7 Q. Okay, I need to clarify a few things here. I
8 think you testified to it all, but I'm not sure I have it
9 all in mind at this point.

10 There are three existing wells on the half-
11 section, correct?

12 A. There is two existing wells that are spaced on a
13 160-acre spacing, that being the northeast quarter of
14 Section 3.

15 Q. And that's the TI --

16 A. The Coronet TI Number 1 and --

17 Q. The TI Number 1 is in the northeast quarter, and
18 it's on what spacing?

19 A. 160 acres.

20 Q. And what pool is it in?

21 A. The Abo.

22 Q. Okay, and then the other --

23 A. The TI Number 2 is the second well on the spacing
24 unit, and it is also an Abo well.

25 Q. And it also is on a 160 --

1 A. 160 --

2 Q. -- spacing unit. And that one, I see, is in the
3 southeast of the northeast?

4 A. Correct.

5 Q. Okay, and then where's the third well?

6 A. The third well is -- currently existing is the
7 Percentage "APR" well down in the southwest of the
8 southeast.

9 Q. Yes, I see that.

10 A. And that is the well that requires the 320-acre
11 spacing.

12 Q. Okay.

13 A. And our Coronet TI Number 3 is proposed to be
14 drilled to a depth that will also require the 320-acre
15 spacing unit.

16 Q. Okay, where is the Coronet TI Number 3? That's
17 to be in the southeast of the southeast?

18 A. No, it is going to be in the southeast --
19 southwest of the northeast.

20 Q. Southwest of the northeast, okay, but it's going
21 to be on 320?

22 A. Yes, it will be on 320.

23 Q. And what's the proposed -- What's the objective?

24 A. We were going to drill it down to the basement in
25 search of the Ordovician, being at the bottom, the

1 Wolfcamp, the Pennsylvanian, and also the Abo, in the event
2 that we have to plug one of the other wells up in the
3 northeast quarter.

4 Q. The unleased interest is in the entire northeast
5 quarter?

6 A. It's an undivided interest in the northeast
7 quarter.

8 Q. So -- Well, now, there's this depth limitation
9 that's below 5698. You have the lease down to 5698 --

10 A. They have a original lease that allowed them to
11 back in for a working interest of 50 percent, so only part
12 of the interest in the northeast quarter down to 5600 feet
13 is leased.

14 Q. We're both misspeaking, 4600.

15 A. 4600, yes, excuse me.

16 Q. Well, it's my mistake.

17 A. Yeah.

18 Q. And are any of these wells, these existing wells,
19 under that lease?

20 A. The coronet TI Number 1 and the Coronet TI Number
21 2 are.

22 Q. Okay, so they're both covered by that lease --

23 A. Partially.

24 Q. -- and there's an unleased 50-percent back-in
25 interest?

1 A. Yes.

2 Q. And those wells have paid out, so that back-in is
3 triggered?

4 A. The Coronet TI Number 1 paid out sometime in the
5 1980s. I did not verify the date. So when we drilled the
6 Coronet TI Number 2, they had the right to participate at
7 that point.

8 Q. Right.

9 A. And the TI Number 2 has not paid out at this
10 point. It still owes over \$244,000 to pay out.

11 Q. And the new well, of course, will be on the 320?

12 A. Yes.

13 Q. Now, this interest is a 6.25 or 1/16 mineral
14 interest?

15 A. It's a 1/16 mineral interest.

16 Q. Right, okay.

17 A. On a 320, though, it drops down to a 1/32.

18 Q. Right, but it's going to be a 1/32 in the
19 northeast-quarter wells too, because they're on 160 acres,
20 but there's only 50-percent --

21 A. Correct.

22 Q. -- back-in interest?

23 A. Correct.

24 Q. Now, when we get to the penalties involved here,
25 there's some potential for confusion, because the way

1 operating agreements write them and the way the drafters of
2 the New Mexico statutes write them, they approach them from
3 a little bit different perspective.

4 A. Yes.

5 Q. When you say 200 and 500 is provided in the
6 operating agreement, are you talking that -- are you
7 talking 300, 600 in operating-agreement language or 200-500
8 in operating-agreement language?

9 A. In operating-agreement language, the operating
10 agreement is drafted for a 200, 500, in accordance -- to
11 translate that into what I perceive to be the statutory
12 language, that would be what you would be allowed to
13 receive on your tangibles, 100-percent penalty, and on your
14 intangibles a 400-percent penalty.

15 Q. Is that 100-percent -- And the reason I'm
16 concerned with this is because 100-percent, of course, is
17 less than the maximum. Now, we will ignore, obviously, the
18 500-percent, because --

19 A. Right.

20 Q. -- that will bring us way up. So the 100-percent
21 -- above our statutory cap.

22 But the 100-percent, is that -- of course, I can
23 read the operating agreement, but some of them are drafted
24 different ways -- is that on all equipment or only on
25 service equipment?

1 A. The operating agreement breaks it out into
2 separate types.

3 Q. Okay.

4 A. In the operating agreement it is 200-percent, I
5 believe, for the surface equipment, then 500-percent for
6 downhole equipment, and 500-percent for the intangibles.

7 Q. Yeah, I'm familiar with that distinction often
8 being made in --

9 A. Yes.

10 Q. -- operating agreements, which is the reason why
11 I asked you that question.

12 A. Yes.

13 Q. So the only thing that the operating agreement
14 would provide for a lesser amount than our maximum
15 statutory would be for -- Well, no, the 500 percent
16 provided in the operating agreement would cover both
17 intangibles and downhole equipment?

18 A. Right.

19 Q. Okay. The request for adopting the operating
20 agreement is interesting because it's somewhat novel and
21 seems like a pretty good approach to a problem we've been
22 dealing with here at the Commission, but of course we'll
23 hear further from you --

24 MR. CARROLL: Mr. Examiner, I understand, and I
25 will tell you that I have had some lengthy conversations

1 with Mr. Stogner --

2 EXAMINER BROOKS: Correct.

3 MR. CARROLL: -- and this was a proposal that I
4 made to him to solve some of the problems --

5 EXAMINER BROOKS: Right.

6 MR. CARROLL: -- that we're having with these,
7 you know, numerous workovers. And I will tell you, I just
8 thought we would bring it to a head and put it in an
9 application, and we did it, with respect to this.

10 We understand it's novel, and we're not trying to
11 hide the ball on it, but because there are three other
12 wells already on this half section of land, we have this
13 well, a proposed well, coming up, and we anticipate because
14 of the nature of the production that we're going to have
15 numerous workovers and recompletions, and it's going to be
16 one of these headaches for us. And as I understand from
17 Mr. Stogner, that apparently this is a problem that is more
18 often encountered in the northwest corner of the state.

19 And you know, we offer this as a solution. We
20 haven't done it before. Maybe this is the time to give you
21 a chance to take a step out and do it.

22 I also -- We know that there's a problem here,
23 because we have a model form operating agreement that we've
24 already used. It's got some terms in it that are not in
25 compliance with the statute. We would offer just to you

1 that you could strike those provisions and just utilize
2 what we're bound by statute --

3 EXAMINER BROOKS: Yeah, I would assume we would
4 have to do that --

5 MR. CARROLL: Certainly --

6 EXAMINER BROOKS: -- because we can't impose a
7 penalty larger than that provided by statute.

8 MR. CARROLL: I know that this is going to create
9 a problem because then it's also going to invite every
10 operator to come in with their own standard form of model
11 operating agreement, even though everybody uses the term
12 AAPI 610, whatever year it was adopted, you as well as I
13 know that there millions of --

14 EXAMINER BROOKS: Many --

15 MR. CARROLL: -- variations. I know that's a
16 problem.

17 But maybe for this one -- and what -- You know,
18 the basic language in the 1977 agreement as unaltered would
19 at least cover the problem that we've said that we really
20 need to be addressed, and if -- you know, we would -- any
21 kind of help -- it's like the old -- just shoot up among
22 us, we need help, you know, when you're --

23 EXAMINER BROOKS: Yes.

24 MR. CARROLL: -- the wildcat, we need some help
25 here, and maybe the Commission or Division needs to pull up

1 an industry committee and come up with a form of operating
2 agreement that you can always go back to, but that's --
3 again, that's kind of outside of the parameters of this
4 Application --

5 EXAMINER BROOKS: Yeah.

6 MR. CARROLL: -- but I just want you to know we
7 understand that there are problems with what we ask --

8 EXAMINER BROOKS: Well, it --

9 MR. CARROLL: -- and it might set some precedent
10 you might not like, but there's ways of getting around it,
11 but we'd still like some help --

12 EXAMINER BROOKS: That's correct --

13 MR. CARROLL: -- if you can --

14 EXAMINER BROOKS: -- and it certainly is a
15 problem the Division is very much aware of.

16 MR. CARROLL: I'm well aware of that too, and
17 that's why we went ahead and put this in maybe part of our
18 Application --

19 EXAMINER BROOKS: Right.

20 MR. CARROLL: -- at least to help bring some
21 attention to this --

22 EXAMINER BROOKS: Okay.

23 MR. CARROLL: -- problem that I know the
24 Examiners are being faced with more often now than they
25 have in the past.

1 EXAMINER BROOKS: Okay, well, I have no further
2 questions for Mr. Moran.

3 Mr. Stogner? I mean Mr. Catanach, sorry.

4 MR. CATANACH: I have a couple questions, Mr.
5 Moran.

6 EXAMINATION

7 BY MR. CATANACH:

8 Q. The Number 1 well was drilled in the 1980s; is
9 that correct?

10 A. Yes, in 1981 or 1982.

11 Q. And at that time the interest, the Solsbery
12 interest, that was voluntarily committed to the well?

13 A. It was voluntarily committed by Dean Solsbery
14 himself.

15 Q. Okay.

16 A. He was alive at that point, and it was leased by
17 him, and the --

18 Q. Okay. Now -- Go ahead.

19 A. -- and the provision of the agreement which we
20 made with all the mineral owners there -- they were a very
21 sophisticated bunch -- was that they be allowed to back in
22 for 50 percent upon the well payout.

23 Q. Okay. Are you seeking a penalty on the Number 1
24 well?

25 A. Only as to future operations, not for historical.

1 Q. And when you say future operations, you're
2 talking about recompletions to a different formation?

3 A. Correct.

4 Q. Is that the same for the Number 2 well?

5 A. For the Number 2 well as well.

6 Q. Okay. Your overhead rates that you proposed are
7 for the deep Ordovician test, for the new well?

8 A. Yes.

9 Q. Okay.

10 A. But they would also be the same or similar rates
11 for the Abo formations.

12 Q. Even though there's a difference in depth?

13 A. The depth we propose is from 4000 to 8000, should
14 cover the Abo formation and the -- It's the same rates for
15 both depths. Upon 8000 we increase our overhead rates, per
16 the schedule in the operating agreement.

17 Q. From 4000 to 8000 is considered the same depth?

18 A. Yes.

19 Q. In your operating agreement?

20 A. In the operating agreement.

21 Q. You first attempted to lease the interest of Roxy
22 back in September; is that correct?

23 A. Yes.

24 Q. And do you know when the Percentage well was
25 drilled?

1 A. The Percentage well was drilled -- Originally the
2 Percentage well was slated to be an Abo well, and sometime
3 around September 24th my boss determined he wanted to drill
4 a deep well, so it was right about that time -- the
5 drilling rig was moving within a week. I had about a week
6 to get her leased. That's why there was very generous
7 bonus terms and royalty, was because I had about a week to
8 get it leased.

9 The other owners, the other 15/16 in the
10 northeast quarter, received the same terms and I was able
11 to get them leased within that week. But the plans changed
12 right as the drilling rig was moving. Instead of drilling
13 an Abo well, we decided to test it deep.

14 Q. Again, when was that well drilled?

15 A. Approximately the end of September, first part of
16 October.

17 Q. Okay. So you drilled the well without having
18 committed the interest of the --

19 A. Correct.

20 Q. -- the Solsbery interest?

21 And are you seeking -- For the Percentage well,
22 are you seeking the 200-percent penalty on that well?

23 A. Only as to future operations.

24 Q. Future operations, not for the Ordovician test?

25 A. Not for the Ordovician test and not for any costs

1 that we've incurred to date, only costs that we incur from
2 this day forward.

3 Q. I believe, if I'm not mistaken, the Percentage
4 well is downhole commingled in the Ordovician and another
5 formation?

6 A. I don't know if it's -- I was going to let the
7 engineer or geologist answer that question. It is
8 scheduled for commingling --

9 Q. I think I recall --

10 A. -- we have applied for --

11 Q. -- having approved an application.

12 A. It may be approved. I'm not sure the work is
13 done yet. I haven't had time to visit with my engineer and
14 geologist.

15 There are -- The reason, besides the need to
16 produce, that there are some special lease terms, some of
17 the mineral owners in the northeast quarter are very
18 sophisticated, and they have drafted some very interesting
19 Pugh clauses which require producing all formations that
20 you can, or you lose your lease, and you only maintain the
21 existing producing formation.

22 Q. With regards to the Percentage well, how is the
23 Solsbery interest being treated in that well? Is it just
24 being held in suspense?

25 A. I had -- For accounting purposes, I have

1 attributed it all to Yates Petroleum Corporation and have
2 it set up on a payout status to determine and be able to
3 account for the money. We've treated it as a nonconsent
4 interest, and Yates Petroleum Corporation has paid all the
5 costs associated with that interest.

6 Q. Are they subject to a penalty on that --

7 A. No, it's just being tracked to determine if the
8 well has paid out, and the well did pay out in February --
9 I think the effective date, February 25th of this year.

10 Q. So they're not subject to any penalty?

11 A. No, that was just a 100-percent payout.

12 MR. CATANACH: Okay, I have nothing further.

13 EXAMINER BROOKS: Mr. Ezeanyim?

14 MR. EZEANYIM: No.

15 EXAMINER BROOKS: Okay, I just had one other
16 question clarifying what you were saying to Mr. Catanach.

17 FURTHER EXAMINATION

18 BY EXAMINER BROOKS:

19 Q. On the Percentage well, you are not -- Well,
20 first of all, going back to the older wells, you wouldn't
21 be seeking recovery of original drilling costs because
22 you'd already --

23 A. No --

24 Q. -- covered those --

25 A. -- no --

1 Q. -- pursuant to your agreement with Mr. Solsbery
2 on that --

3 A. On the Number 1 we have, on the Coronet Number --
4 TI Number 1, we have recovered all the cost. That well
5 paid out.

6 The Coronet TI Number 2 has not paid out. It
7 still owes over \$244,000 to pay out. I am not here to ask
8 for a penalty on the payout of that well, but for any
9 future work that we had to do on that well, because it's
10 not necessarily as good a well, a penalty on the future
11 costs that we incur from the date of the order forward.

12 Q. But what about the costs that you haven't yet
13 recovered?

14 A. I'm not asking for a penalty -- Other than the
15 recovery of my costs --

16 Q. You're asking for a recovery of the costs but not
17 for a penalty --

18 A. Not for a penalty --

19 Q. -- not for a risk penalty?

20 A. Not for a risk penalty.

21 Q. Okay. Now, is the same true of the Percentage
22 well, or what is the status of the Percentage well?

23 A. The Percentage well has paid itself out.

24 Q. Okay.

25 A. It paid out in February of this year.

1 Q. Must be a barn-burner, September, November --

2 A. Well, we had some very good gas prices in month
3 of November, December and January.

4 Q. Yes, I'm aware of that. Okay, very good. So
5 you're not asking for any penalty on the Percentage except
6 for future operations?

7 A. Except for future operations.

8 Q. So the penalties you're asking for would apply
9 for future operations on any of the wells and for the
10 drilling cost of the new well?

11 A. Correct.

12 EXAMINER BROOKS: Okay, anything further from
13 either of you?

14 MR. CATANACH: One more.

15 EXAMINATION

16 BY MR. CATANACH:

17 Q. Mr. Moran, are you seeking 200 percent for all
18 formations for future operations?

19 A. Yes.

20 MR. CATANACH: Okay.

21 EXAMINER BROOKS: Very good, the witness may
22 stand down. Thank you.

23 MR. CARROLL: Call Tim Miller.

24 May I proceed, Mr. Examiner?

25 EXAMINER BROOKS: You may proceed.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

TIM MILLER,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. CARROLL:

Q. Would you please state your name and address for the record, sir?

A. My name is Tim Miller, and I reside in Carlsbad, New Mexico.

Q. Mr. Miller, by whom are you employed?

A. I'm employed by Yates Petroleum Corporation.

Q. In what capacity?

A. I'm a geologist with Yates Petroleum.

Q. Have you had an opportunity to testify in the past and have your credentials as a petroleum geologist accepted by the Oil Conservation Division?

A. Yes, I have.

MR. CARROLL: I would tender Mr. Miller as an expert in the field of petroleum geology, Mr. Brooks.

EXAMINER BROOKS: He will be so accepted.

Q. (By Mr. Carroll) All right, now, Mr. Miller, you are familiar with the Application of Yates Petroleum that's presently being heard?

A. Yes, I am.

Q. And have you had occasion to work this area of

1 Chaves County for Yates Petroleum with respect to the
2 producing formations in this area?

3 A. Yes, I do.

4 Q. Did you prepare certain for presentation here at
5 this hearing?

6 A. Yes, I have.

7 Q. All right. Mr. Miller, let's turn to your
8 Exhibit Number -- and I'm not sure which one you'd prefer
9 to talk about first, since I numbered these without the aid
10 of your desires. Which exhibit, 10 or 11, would you like
11 to talk about first?

12 A. Probably ought to do the cross-section first,
13 which is Exhibit 10.

14 Q. All right, describe it for the Commission and
15 what conclusions are relevant with respect to this
16 Application.

17 A. Okay, I apologize for the large size of the
18 cross-section. I guess you can call it a tablecloth cross-
19 section. But to be able to see each well and be able to
20 see where the perfs are and the producing formation, this
21 is about the smallest we could reduce it and still be
22 legible to see all the pay zones in all the different
23 wells.

24 As the cross-section runs, on the left side to A'
25 on the right side, that is basically running, there is a

1 legend, a plat down on the lower right-hand corner that
2 shows how this cross-section is running, basically
3 trendingwise northwest to the southeast, going through the
4 different wells.

5 The first well on the left would be up at A.
6 That's the McKay oil well. That is strictly just an Abo
7 test, and you can see the two sands that it is perf'd in.
8 Those are Abo sand zones. And to date it has accumulated
9 around 283 million cubic feet of gas, and it was drilled --
10 it was completed in 1984 and has produced that much up to
11 the present.

12 Our proposed well, where the cross-section goes
13 through next, the Coronet Number 3, those are the different
14 sands up on top. The first structural top is the Abo.
15 That's where the Abo starts. And from there down to where
16 you see the top of the Wolfcamp formation, anywhere in that
17 interval you could have prospective Abo sands. And we are
18 projecting in our Coronet 3, coming over from the right to
19 the left, we would have possibly one, two, maybe three
20 different sands that we would intersect in this borehole.

21 The second well is our Coronet -- the original
22 well that was drilled out there, the Coronet Number 1, and
23 you can see the several Abo sands, it was perf'd in.
24 Yellow -- On the left side of the borehole where it's
25 colored yellow, that is just the coloring of the gamma ray

1 to show you the sand. And the right side, which is where
2 it's colored red, that is what we call a porosity log.
3 This is a porosity log called a neutron density. And the
4 red color signifies gas effect.

5 When you have separation in two curves -- and I
6 know it's hard to see on this cross-section, but you have a
7 dashed or dotted line, which is a neutron curve, and a
8 solid line, which is the density. Normally the dashed line
9 is off to the left side, the density or the solid-curve
10 line is off to the right. When they cross over, otherwise
11 they switch roles, when the dashed line goes to the right
12 and the solid line goes left, that means you have what we
13 call gas effect, or natural gas in the formation. That's
14 how you -- that's basically -- That is the main way how you
15 find if you have gas in the Abo sands, by this crossover of
16 the two lines in the neutron density.

17 As you can see, it is perf'd in two sands. And
18 down at the bottom, to date -- it was completed in 1982 --
19 it has made 457 million.

20 Now the Coronet 2, which was completed last
21 August, has several Abo sands in it. And again you can see
22 we've colored where we've completed. And you can probably
23 see a little better over here, the crossover effect, which
24 has natural gas in the sands by the red color on the
25 formation.

1 Moving down to the southeast, the Percentage
2 well, which is the deep well in the section -- basically
3 what this hearing is about -- we have several Abo sands, as
4 you can see, future recompletions. But we have completed
5 -- and I hope you don't tear my cross-sections like I'm
6 doing, but down at the bottom of the hole, right now what
7 we have been producing, which is the Penn, which is known
8 as Penn clastics, on the Percentage, and you see a colored
9 yellow, and where we have perfs those are Pennsylvania
10 sandstones that we are producing from. It's the fourth
11 well over. Okay.

12 And we are producing out of the Penn sands, and
13 from what I understand, we have got the okay from the OCD
14 to commingle it with the Ordovician, which is not colored
15 on this one, but you can see where the top of the
16 Ordovician is, there is some perfs down below at -- I think
17 that is 56-, 55- -- or actually those perfs in the
18 Ordovician are down at 5610, -20, 5630 to about -36 -- we
19 have gotten the order to commingle that with the Penn
20 sands, and we just haven't got out there and done the work
21 on it yet.

22 EXAMINER BROOKS: The Penn is not colored on my
23 copy either.

24 THE WITNESS: Oh, it isn't?

25 EXAMINER BROOKS: That's what had me confused

1 there.

2 THE WITNESS: Oh, well, I apologize for that. I
3 guess that's an oversight. I was trying to get this done
4 for the hearing. But right now this well will be producing
5 out of the Ordovician and the Penn sands.

6 The well to the right of it is the newest well --
7 Well, no, I think I'm wrong here. The well to the right is
8 a well that was drilled here very recently, and I
9 apologize, but the August, 1994, is not right. That was
10 completed in April of this year, and it basically has just
11 gone on line, is by Pecos River Operating.

12 And as you can see, it has several Abo sands
13 uphole. They're not producing right now, it will be future
14 production. They are producing out of the Ordovician,
15 which is down there at the bottom, and you can see the
16 perfs, 5670 to -77.

17 And they IP'd it -- I apologize again. We were
18 in a rush to get this done. That should be the IP. What
19 is flowing right now is 3 million cubic feet a day of gas
20 and eight barrels of oil, so it is just brand-new on line.

21 And then the last well in the cross-section is
22 just an Abo well, and it is Stevens Operating Railroad
23 State Number 1. And once again, it is producing out of the
24 Abo formation, and it has accumulated from 1984 to present
25 371 million cubic feet of gas.

1 In our Percentage well, again, we have
2 possibilities. Since we are producing out of the
3 Ordovician and the Penn sands, we have some possibilities
4 that we might be able to complete up what's known as that
5 Cisco zone, and then we might be able to try some zones in
6 that Wolfcamp interval, if the Penn sands and the
7 Ordovician, we deem that we need to have production, then
8 eventually we'll probably add Abo sands uphole.

9 So this cross section just is a generalized
10 cross-section to show the different productive intervals
11 out there, the Abo, possible production in Wolfcamp,
12 possible production in Cisco, and possible production in
13 Penn and Ordovician sands to where we are proposing to
14 drill our Cornet Number 3.

15 We have a chance to have basically an Abo-
16 producing interval, a Cisco-producing interval, a Penn
17 clastics and an Ordovician, and a Wolfcamp, basically five
18 different producing intervals in our proposed well.

19 Now, if we move along to the Exhibit Number 11,
20 which is the more manageable plat to take a look at, all
21 this plat shows us is -- Exhibit Number 11 --

22 EXAMINER BROOKS: Okay.

23 THE WITNESS: Okay, Exhibit Number 11, this plat
24 has two different types of geological maps on it. The
25 upper three are the way we view the Abo sands that trend

1 through this area, and this is what we think our Coronet
2 Number 3 well, the proposed well, where it is positioned
3 right now to drill, what we think the thicknesses of each
4 sand interval we will intersect as -- drilling it down to
5 the certain depth.

6 What we designate as A zone and B zone and C
7 zone, that's just an internal designation the way we break
8 out the Abo sands. Basically the A zone is from the top of
9 the Abo, the first 100 feet. Then the B zone is basically
10 from the bottom of where we have broken out the A zone, the
11 next about 150 feet. Then the C zone is below that,
12 basically all the way down to the top of the Wolfcamp.

13 And as you can see, starting from the left in the
14 A zone, we figure we had -- and the contour interval here
15 is basically five feet each. We basically would have,
16 where our proposed location is, around between 15 -- around
17 15-plus feet of sand in the A zone. The middle picture
18 shows that -- the way I have it mapped -- that we would
19 miss the B zone, we would have zero feet. And the right
20 side, the C zone, we figure we would have somewhere around
21 35 feet, plus or minus.

22 We try to position, at least when we're drilling
23 for Abo, we try to position the wells where we hope we can
24 hit two out of three intervals. It just ups your chances
25 for being successful in the Abo.

1 And it is colored -- The reason why the colors,
2 it's color-coded, means different thicknesses. The
3 lightest color would be the thinnest part of the sand, the
4 darker, the reddish colors, would be the thickest part.
5 Basically you can look at these as the channels, as the
6 stream flowing down basically from the northwest to the
7 southeast over the area.

8 The bottom map is a structure map, what we think
9 is happening on the Ordovician where the Percentage well
10 was drilled and where the Pecos River Operating Railroad
11 State Number 2 well was drilled. We figure we would be
12 getting updip on a node for our Coronet 1, which would
13 hopefully enhance encountering more pay in the Ordovician
14 and just being structurally updip from it. And we possibly
15 could also have Penn sands, and we could possibly have some
16 Cisco production too.

17 We have very little control out here because
18 basically in this area the Percentage 1 and the Railroad
19 State are basically the deep wells out in this immediate
20 area, so we are really doing wildcatting exploration where
21 the Coronet 1 is going to be drilled all the way to
22 basement.

23 Q. (By Mr. Carroll) Now, Mr. Miller, with respect
24 to the three wells previously drilled out here, the Coronet
25 1 and 2 and the Percentage well, there are still zones

1 within each of those wells that there may be additional
2 need for workover, recompletions; is that correct?

3 A. Yes.

4 Q. And that's why we're seeking to force pool these
5 interests from this time forward with respect to those
6 three already completed wells?

7 A. Yes.

8 Q. Now, with respect to any operations that might be
9 done, there is risk associated with those, is there not?

10 A. Yes, there is.

11 Q. In your expert opinion and based on your
12 experience working out here in this area, do you feel that
13 the maximum rate allowed by statute to 200-percent penalty
14 would be most appropriate for those kind of workover-type
15 procedures with respect to the three wells that have
16 already been completed?

17 A. Yes, I do.

18 Q. With respect to the new well, we are likewise --
19 you've said there's at least five different possible
20 productive sands that could be hit in that well; is that
21 correct?

22 A. That's correct.

23 Q. And that would -- with respect to the risk, and I
24 think based on your statements that this is really the
25 third attempt to go down that deep and obtain production.

1 Is there significant risk associated with the drilling of
2 this kind of well?

3 A. Yes, there is.

4 Q. Do you feel that the 200 percent is appropriate
5 based on your knowledge of the geology out here?

6 A. Yes, I do.

7 Q. Mr. Miller, I think, then, in your opinion as a
8 geologist, the drilling of this fourth well, the Coronet TI
9 Number 3, do you feel that it is a reasonable risk that
10 would be taken by a prudent operator to obtain production
11 and properly manage and develop his leases in this area?

12 A. Yes, I do.

13 Q. In your opinion, would the granting of this
14 Application by Yates Petroleum, would it be -- would it
15 promote the protection of correlative rights and the
16 prevention of waste?

17 A. Yes, it would.

18 Q. Mr. Examiner -- Well, let me ask you this, Mr.
19 Miller: Is there anything further that you would like to
20 tell the Examiner with respect to your area of the
21 testimony and your two exhibits?

22 A. I have no further --

23 MR. CARROLL: Okay. Mr. Examiner, I would move
24 the admission of Exhibits 10 and 11 and I would pass the
25 witness.

1 EXAMINER BROOKS: Okay, Exhibits 10 and 11 are
2 admitted.

3 I have no questions, so I'll pass the witness to
4 Mr. Catanach.

5 MR. CATANACH: Just a couple.

6 EXAMINATION

7 BY MR. CATANACH:

8 Q. With regards, Mr. Miller, to the Ordovician
9 formation, in your new well you're moving updip and -- What
10 is the geologic risk associated with drilling that well to
11 the Ordovician? Is it your opinion you're going to be
12 drilling in a better position than the Percentage well?

13 A. We are hoping, because we're moving updip, that
14 we would be drilling in a better position than the
15 Percentage. The Percentage, as you probably have heard, is
16 a very good well, but we hope that the Coronet will be
17 similar or maybe even better by structurally going updip.

18 And we could also possibly have -- And like I
19 said, we don't know out there where the Penn sands which
20 are producing a percentage, we possibly can enhance them,
21 because we'd be updip also.

22 Q. Do you have any -- Is the well control, does that
23 diminish as you go north from the Percentage --

24 A. Yes, there's basically very few wells north of
25 this. Basically what you see here on this plat is

1 basically the only control we have for any deeper
2 formations.

3 Most of the wells out in this area, that I
4 realize you don't see on the plat, they're Abo wells, so
5 they only go down either 600 to 700 feet in the Abo
6 formation or they just TD in the top of the Wolfcamp.

7 So basically above the Wolfcamp the only control
8 we have out here is our Percentage right now and our
9 Railroad State. So we obviously are projecting for our
10 Coronet 3 that we would be going updip and hopefully
11 structurally enhancing our production gas in the Ordovician
12 and Penn.

13 Q. Okay. Now, within the Penn and the -- well, the
14 Cisco and the Wolfcamp, is that basically -- are you
15 basically talking about a wildcat situation out here?

16 A. Yes, we are.

17 Q. You don't have any production within this area?

18 A. No, there's no production as of right now. So
19 we're really wildcatting for Cisco and Wolfcamp, but
20 there's a possibility, there might be, but there's no
21 production in the immediate area.

22 MR. CATANACH: All right, I have nothing further.

23 EXAMINER BROOKS: Mr. Ezeanyim?

24 MR. EZEANYIM: (Shakes head)

25 EXAMINER BROOKS: Very good, the witness may

1 stand down.

2 MR. CARROLL: We'd next call George Freeman.

3 May I proceed, Mr. Examiner?

4 EXAMINER BROOKS: You may proceed.

5 GEORGE H. FREEMAN,

6 the witness herein, after having been first duly sworn upon
7 his oath, was examined and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. CARROLL:

10 Q. Would you please state your name and address for
11 the record, sir?

12 A. I'm George H. Freeman from Artesia, New Mexico.

13 Q. How are you presently employed, Mr. Freeman?

14 A. I'm a reservoir engineer for Yates Petroleum.

15 Q. Mr. Freeman, have you ever had an opportunity to
16 testify before the New Mexico Oil Conservation Division and
17 had your credentials accepted?

18 A. No, I have not.

19 Q. Well, then let's run through your credentials.
20 Would you give the Examiner what your college education
21 consisted of, what degrees you obtained and when?

22 A. I received a BA in chemical engineering from Rice
23 University in 1978 and a master of chemical engineering
24 from Rice University in 1979. I have also been a graduate
25 student at the University of Tulsa in petroleum

1 engineering, and I'm a PhD candidate but have not finished
2 that degree yet.

3 Q. Do you have any registered status with respect to
4 any state in the area of engineering?

5 A. Yes, I'm a registered professional engineer in
6 Oklahoma.

7 Q. Have you had any employment within the petroleum
8 industry?

9 A. Yes.

10 Q. Would you advise the Examiner what that has been
11 and the areas that worked?

12 A. Uh-huh, I started working for Texaco in their oil
13 recovery research department and spent three years there
14 doing enhanced oil recovery research and development.

15 I worked for Amerada Hess Corporation, initially
16 in the special projects and unitization department, working
17 on unitization, and also carbon-dioxide planning and
18 carbon-dioxide supply for enhanced oil recovery projects,
19 and then moved to the reservoir-engineering department,
20 working in reservoir simulation.

21 Also worked for Wilbrose Butler Engineers as a
22 process engineer on oil and gas pipeline and compressor
23 station engineering projects, and have worked for Yates
24 Petroleum since August as a reservoir engineer.

25 MR. CARROLL: Mr. Examiner, I would tender Mr.

1 Freeman as an expert in the field of petroleum engineering,
2 particularly reservoir engineering.

3 EXAMINER BROOKS: Thank you, his credentials will
4 be accepted.

5 MR. CARROLL: Thank you.

6 Q. (By Mr. Carroll) Mr. Freeman, since you've gone
7 to work for Yates, have you had occasion to work in the
8 area that we're concerned with in Chaves County?

9 A. Yes, I have.

10 Q. Are you familiar with the Application that is
11 presently pending before the Division this morning?

12 A. Yes.

13 Q. Have you prepared exhibits for presentation with
14 respect to that Application?

15 A. Yes.

16 Q. All right, I would ask you to turn to Exhibit
17 Number 12. Would you identify what this exhibit is and
18 discuss the information contained thereon with the
19 Examiner?

20 A. Okay, this is a list of the -- of potential pay
21 zones in the well that we're proposing to drill, the
22 Coronet Number 3, and it also contains comments on the
23 production from these zones in nearby wells.

24 The first zone listed is the Ordovician, which is
25 a main target, which is a productive in the Percentage APR

1 Number 1 and also the Railroad State Number 2, as Mr.
2 Miller just told us.

3 Also there was a noncommercial test in the Jasper
4 ARG Fed Com Number 3, which is south of this area in
5 Section 10.

6 Q. If you refer to Exhibit Number 1, the land plat,
7 that is shown there in the northeast -- excuse me -- yeah,
8 northeast quarter of Section 10, just due south of the
9 Percentage well; is that correct?

10 A. Yes.

11 Q. All right.

12 A. The next zone is the Penn clastics, which are
13 being produced in the Percentage Number 1 and also the
14 Jasper Number 3, which is the well we just mentioned in
15 Section 10. Those are the only two nearby wells.

16 The Cisco zone is the next higher zone and has no
17 nearby production.

18 The Wolfcamp is the next zone listed, and it has
19 been tested in the Marathon State Section 2 Number 1 well,
20 which is to the east, in the northwest corner of Section 2,
21 and it was dry and abandoned in the Wolfcamp, and there is
22 no nearby production from this zone.

23 And then the last zone listed here is the Abo,
24 which is being produced in several offset wells, which I
25 have a list of several wells here, Coronet Number 1 and 2,

1 the Witter Number 1, Lauralea Number 2, Railroad State
2 Number 1, the McKay-Winston Number 1 and the Pecos Federal
3 Number 1.

4 It's already being produced from the two Abo
5 producers in this same 160-acre spacing unit, and could
6 possibly be depleted at the Coronet Number 3 location.
7 There have been some wells where the Abo did no produce in
8 commercial quantities, including the Marathon State Section
9 2 Number 1 and the Winston Number 1. The Winston Number 1
10 is in the west half of Section 3.

11 Q. All right, Mr. Freeman, would you turn to Exhibit
12 Number 13 and would identify what this exhibit is?

13 A. Yeah, this is a brief history of the Coronet
14 Number 1, located on this. The well was spudded in August
15 of 1982 and drilled to a TD of 4850 feet and perforated in
16 the Abo, acidized and fractured. It tested 1647 MCF per
17 day and has since cum'd 461 million cubic feet of gas, and
18 its current gas production rate, as of May of 2001, is 54
19 MCF per day.

20 Q. All right, and what is Exhibit 14, Mr. Freeman?

21 A. Okay, this is just a plot of the production
22 history from the same well, the Coronet Number 1, from 1982
23 to 2001, and it shows how the production rate has dropped
24 from 16 million cubic feet per month to 432 million cubic
25 feet per month.

1 Q. All right. Would you then turn to Exhibit 15 and
2 explain what this is?

3 A. Okay, this is a history of the Coronet Number 2,
4 the second well drilled on this spacing unit. It was
5 spudded in June of 2000, drilled to a TD of 4760 feet and
6 perforated in the Abo. It was fractured and then tested
7 250 MCF per day. It has since cum'd about 50 million cubic
8 feet, and its current production rate is 134 MCF per day.

9 Q. The difference between the TI 1 and the TI 2 is
10 quite significant, is it not, in terms of production
11 capability?

12 A. Yes, the Number 2 was drilled much later, I guess
13 18 years later than the Number 1, and found lower pressure
14 in the formation and produced at a much lower rate.

15 Q. The drilling of subsequent wells in this area of
16 the Abo exemplifies the risk that one encounters in
17 drilling in the Abo field, does it not?

18 A. That's right, there's a potential that the Abo
19 will be depleted in locations close to the older wells.

20 Q. All right. Would you tell us what Exhibit 16 is,
21 as this also deals with the Coronet Number 2 well, does it
22 not?

23 A. Right, it's the production history plot of the
24 Coronet Number 2 from the year 2000 to 2001 and shows that
25 the production rate has been decreasing from 7 million

1 cubic feet per month to about 30 million cubic feet per
2 month.

3 Q. All right, would you turn to your Exhibit Number
4 17 and would you explain what this is?

5 A. Okay, this is the well history of the Percentage
6 Number 1, which was spudded in September of 2000, drilled
7 to a TD of 5850 feet through the Ordovician. It was
8 perforated in the Ordovician, acidized -- well from --
9 initially from 5630 to 5636 feet, acidized, and tested at
10 615 MCF per day. It was then acidized and frac'd and
11 tested at 1.5 million cubic feet per day.

12 Then a plug was set above the Ordovician in March
13 of 2001, and the Penn clastics were perforated from 5506 to
14 5587. It was acidized and frac'd and tested 5.5 million
15 cubic feet per day and has since been producing from the
16 Penn formation. And as Mr. Miller told you, we're
17 preparing to commingle the Ordovician and the Penn
18 clastics. The approval has already been obtained but the
19 work hasn't been done yet. But cumulative production as of
20 May was 408 million cubic feet, and the current production
21 rate is 4.6 million cubic feet per day.

22 Q. All right, Exhibit 18 --

23 A. Yes.

24 Q. -- is this not a --

25 A. Yes.

1 Q. -- production plot of this well you were just
2 discussing?

3 A. That's right, and it shows that initially the
4 well was producing around 20 million cubic feet per month
5 and now is producing about 150 million cubic feet per month
6 and has a short history of about six months.

7 Q. All right, let's turn to your Exhibit 19. Would
8 you explain what this is?

9 A. Okay, this is a history of another well that I
10 mentioned previously, the Jasper ARJ Federal Com Number 3,
11 which is south of the Coronet area in Section 10. It was
12 spudded in January of 2000 and drilled to a TD of 6025
13 feet. It was perforated in the Ordovician, acidized and
14 tested, and those initial perfs, from 5990 to 5996 were
15 squeezed in June of 2000, perf'd higher Ordovician zone,
16 5906 to 5922, acidized and tested.

17 A plug was set above this -- the Ordovician
18 perfs, and then the Penn clastics were perf'd from 5574 to
19 5716. It was acidized and frac'd, and because the frac job
20 screened out, it was re-perf'd, re-acidized and re-frac'd
21 and then tested 351 MCF per day. It has since been
22 producing from the Penn clastics. Cumulative production as
23 of May is about 55 million cubic feet, and the current
24 production rate is 135 MCF per day.

25 Q. This has been a poor well, has it not?

1 A. Yes, it's fairly disappointing results.

2 Q. All right --

3 EXAMINER BROOKS: It's not producing from the
4 Ordovician?

5 THE WITNESS: No, the Ordovician is plugged right
6 now.

7 EXAMINER BROOKS: Go ahead.

8 Q. (By Mr. Carroll) Exhibit 20 is a production
9 history of this well, also a plot?

10 A. Yes, yeah, this shows several months production
11 in 2000 and 2001 from the Jasper Number 3 and varying from
12 3.6 to 9 million cubic feet per month.

13 Q. All right, if you'd turn to Exhibit 21.

14 A. Okay, this is a brief history of the Railroad
15 State Number 2, a non-Yates Petroleum-operated well in
16 Section 2 to the east, and this well was drilled -- was
17 spudded in March of 2001, this year, drilled to a TD of
18 5785 feet, perforated in the Ordovician and acidized and
19 tested 3 million cubic feet per day, April 27th.

20 Q. All right. With respect to the Ordovician
21 formation, the percentage well and this well are really the
22 only two producers in this area, are they not?

23 A. That's right.

24 Q. And with respect to the Ordovician, this is the
25 only control that's really available to determine what this

1 -- or the size or thickness of this formation in this area;
2 is that correct?

3 A. Well, except that the Jasper well was drilled and
4 did not produce commercial quantities.

5 Q. But with respect to moving north as the TI Number
6 3 is, there is no real well control available to Yates? In
7 other words, it's inferred that we're going to see the
8 Ordovician increasing in size and in the direction which
9 was shown on the exhibit given by Mr. Miller; is that
10 correct?

11 A. Right, as Mr. Miller told you.

12 Q. In other words, then, there is considerable risk
13 associated with the drilling of this TI Number 3?

14 A. Yes.

15 Q. Not only with respect to the Abo but also the
16 Ordovician?

17 A. That's true.

18 Q. Let's go ahead and finish your exhibits. Let's
19 turn to 22. What is this?

20 A. Okay, this is a history of another Abo producer,
21 which is nearby Yates-operated well, which was drilled in
22 February of 1983 to 4850 feet and was perforated in the
23 Abo, acidized and fractured, and tested 2.2 million cubic
24 feet per day. Cum gas production as of May of this year is
25 965 million cubic feet, and the current production rate

1 actually has fallen to zero recently, but may be revived
2 again.

3 Q. All right. Why don't we turn to your last
4 exhibit, Number 23? Would you explain what it is?

5 A. Okay, this is a summary of histories of other Abo
6 wells in the immediate vicinity, going out a half mile from
7 the 320-acre area that we're considering, and there are two
8 wells on this list which were dry holes in this area, the
9 Winston Number 1 and the Marathon State Section 2 Number 1,
10 both dry and abandoned in the Abo.

11 Four other wells, the Lauralea Number 2, Railroad
12 State Number 1, McKay-Winston Number 1, Pecos Federal
13 Number 1 were produced from the Abo formation, varying from
14 cums of 283 million cubic feet to 1.3 billion cubic feet,
15 and current rates varying from 16 MCF per day to 80 MCF per
16 day.

17 Q. The Abo wells in this area tend to vary quite
18 significantly in the total amount of cumulative production,
19 do they not?

20 A. Yes, they have.

21 Q. Is that another factor which must be considered
22 as a risk factor?

23 A. Yes, average wells probably produce somewhere
24 around 400 or 500 million cubic feet. Good wells might
25 produce 1 BCF, and more recently drilled wells in the Abo

1 tend to produce at lower rates and so would be expected to
2 probably produce less than the average amount for the past
3 wells.

4 Q. With respect to the drilling of the TI Number 3
5 and any future operations on the previously drilled wells
6 on this east half of Section 3, do you have an opinion as
7 whether or not the maximum penalty rate, were the Division
8 to impose one, should be applicable?

9 A. Yes, although this is a good prospect, the
10 Coronet Number 3 is a good prospective well, but there's
11 significant risk that could possibly not encounter
12 commercial quantities of hydrocarbons, and therefore the
13 200-percent nonconsent penalty would be justified because
14 of the risk in this well.

15 Q. With respect to this area and the overhead rates,
16 Mr. Moran indicated that Yates was seeking the \$4000 rate
17 for drilling wells and \$400 rate for producing wells. Do
18 you have an opinion as to whether or not that is a fair and
19 justified rate with respect to this area?

20 A. Yes, yeah, that is a standard rate for overhead
21 in this area, possibly could be low in the overall range of
22 overhead that might be charged in this type of well, and is
23 justified in this situation.

24 Q. Mr. Freeman, with respect to the -- do you feel
25 that the granting of this Application by Yates Petroleum

1 would prevent waste and protect correlative rights?

2 A. Yes, absolutely.

3 MR. CARROLL: Mr. Examiner, I would move
4 admission of Yates Exhibits 12 through 23 and would pass
5 the witness at this time.

6 EXAMINER BROOKS: Okay, Yates Exhibits 12 through
7 23 will be admitted. I have no questions.

8 Mr. Catanach, Mr. Ezeanyim?

9 Very good, the witness may stand down.

10 MR. CARROLL: Mr. Examiner, that would complete
11 the presentation of Yates Petroleum with respect to this
12 Application.

13 EXAMINER BROOKS: There being some somewhat
14 unusual requests in this case, we would be obliged, Mr.
15 Carroll, if you would present us with a proposed order.

16 MR. CARROLL: All right, sir.

17 EXAMINER BROOKS: And the Division will take Case
18 Number 12,683 under advisement.

19 (Thereupon, these proceedings were concluded at
20 9:50 a.m.)

21 * * *

22 I do hereby certify that the foregoing is
23 a complete record of the proceedings in
the Examiner hearing of Case No. 12683,
heard by me on July 12, 2001

24 David K. Brooks, Examiner
25 Oil Conservation Division


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL July 13th, 2001.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 2002

NEW MEXICO OIL CONSERVATION DIVISION

EXAMINER HEARINGSANTA FE, NEW MEXICOHearing Date JULY 12, 2001 Time 8:15 A.M.

NAME	REPRESENTING	LOCATION
Tim Miller	Yates Pet Corp	Artesia
Chuck Moran	YATES PETROLEUM CORP	ARTESIA
Mona Binion	McElvain O & G	Denver
Emmet Zander	Lowe Perm Hous & Perm	Artesia
Bill Jan'um	Self-	Carlsbad
Michael Feldewert	Holland + Hart	Santa Fe
Jack Rose	Beach Expl	Midland, TX
John Stenble	McElvain O & G	Denver, CO
Harvey Taylor	self	Carlsbad
William F. Gray	Holland + Hart LLP	Santa Fe
George Freeman	Yates Pet. Corp.	Artesia
Carl Bloodworth	SW Royalties, Inc.	Midland
Jim Bruce	—	SF
WAG: SoBs	McKay Oil Corp	Roswell

NEW MEXICO OIL CONSERVATION DIVISION

EXAMINER HEARINGSANTA FE, NEW MEXICOHearing Date JULY 12, 2001 Time 8:15 A.M.

NAME	REPRESENTING	LOCATION
H. M. Hume. Mary Walta	X/OSECO Corp NOSECO Corp.	Reio, NY SF
Charles Brock	Brock Exp.	Midland, Tx.
Robert Hinson	Brock Eval.	Midland, Tx
Mona Binion	McElvain	Denver, CO