

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)

CASE NO. 12,709

APPLICATION OF MELROSE OPERATING)
COMPANY TO EXPAND ITS ARTESIA UNIT)
WATERFLOOD PROJECT AND AMEND DIVISION)
ADMINISTRATIVE ORDER WFX-768,)
EDDY COUNTY, NEW MEXICO)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

September 6th, 2001

Santa Fe, New Mexico

01 SEP 20 AM 10:11

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, September 6th, 2001, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

September 6th, 2001
Examiner Hearing
CASE NO. 12,709

	PAGE
EXHIBITS	3
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>ANN E. RITCHIE</u> (Landman)	
Direct Examination by Mr. Kellahin	7
Examination by Examiner Catanach	20
<u>ROBERT LEE</u> (Engineer)	
Direct Examination by Mr. Kellahin	24
Examination by Mr. Feldewert	52
Examination by Examiner Catanach	53
REPORTER'S CERTIFICATE	68

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	9	52
Map	9	52
Economics	29	52
Reserves	26	52
Green Tab	31	52
NMOCD - C 108	12	52
Past Orders	29	52
Exhibit 2	18	52
Exhibit 3	18	52

* * *

A P P E A R A N C E S

FOR THE DIVISION:

DAVID BROOKS
 Attorney at Law
 Energy, Minerals and Natural Resources Department
 Assistant General Counsel
 1220 South St. Francis Drive
 Santa Fe, New Mexico 87505

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
 117 N. Guadalupe
 P.O. Box 2265
 Santa Fe, New Mexico 87504-2265
 By: W. THOMAS KELLAHIN

FOR BP AMOCO PRODUCTION:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR
 110 N. Guadalupe, Suite 1
 P.O. Box 2208
 Santa Fe, New Mexico 87504-2208
 By: MICHAEL H. FELDEWERT

* * *

1 WHEREUPON, the following proceedings were had at
2 9:50 a.m.:

3 EXAMINER CATANACH: Call the hearing back to
4 order, and at this time I'll call Case 12,709, which is the
5 Application of Melrose Operating Company to expand its
6 Artesia Unit Waterflood project and amend Division
7 Administrative Order WFX-768, Eddy County, New Mexico.

8 Call for appearances in this case.

9 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
10 the Santa Fe law firm of Kellahin and Kellahin, appearing
11 on behalf of the Applicant, and I have two witnesses to be
12 sworn.

13 EXAMINER CATANACH: Additional appearances?

14 MR. FELDEWERT: Mr. Examiner, Michael Feldewert
15 with the law firm of Holland and Hart and Campbell and
16 Carr, appearing on behalf of BP Amoco Production, and I
17 have no witnesses today.

18 EXAMINER CATANACH: Okay, will the two witnesses
19 please stand to be sworn in?

20 (Thereupon, the witnesses were sworn.)

21 MR. KELLAHIN: Mr. Examiner, we've organized the
22 exhibit book in such a way that we've simply marked the
23 book Exhibit 1. It will have subdivided tabs that will
24 allow us to identify the individual portions of Exhibit 1
25 as we go through that.

1 I have two witnesses to present to you this
2 morning. One is Mrs. Ann Ritchie. She specializes in
3 handling processing of filings and applications on behalf
4 of industry companies, with the Oil Conservation Division,
5 and as a consultant to Melrose she has compiled the data
6 that's submitted in the C-108.

7 She's done that in association with Mr. Tony
8 Beilman who's the principal of Melrose, and in addition
9 with the help of Mr. Robert Lee who's a petroleum engineer
10 and a consultant to Melrose.

11 We're going to have her authenticate the
12 documents, describe for you the details she's gone through
13 in assimilating the data for the area of review.

14 And then we'll have Mr. Lee describe and identify
15 for you the project area. And we're going to focus our
16 attention this morning to looking at wells that may
17 potentially be considered problem wells and have Mr. Lee's
18 recommendations to you as to what, if any, remedial action
19 is necessary.

20 You may recall that this case was filed in a
21 piecemeal fashion at one time with various administrative
22 applications, the last of which was processed by the
23 Division some time ago. And in that processing Mr. Mark
24 Ashley was responsible for looking at a certain portion of
25 the unit. He had issued what we have described as

1 Administrative Order WFX-768. We're here to report to you
2 on the status of that order and what Melrose has done
3 concerning that order.

4 What we decided to do is to move back from the
5 administrative processing and give you an entire
6 presentation on these proposed additional injection wells
7 and a comprehensive review of wells within the area of
8 review so that you would have the chance to talk to Mr. Lee
9 about this problem before you have to review it and make
10 your decision.

11 So that's our proposed plan of presentation, Mr.
12 Examiner, and with your permission we'll call Mrs. Ann
13 Ritchie.

14 EXAMINER CATANACH: You may proceed.

15 MR. KELLAHIN: Mr. Examiner, there is a
16 population of these wells that is in the Empire Abo Unit.
17 That unit is operated by BP Amoco. Mrs. Ritchie examined
18 all available public documents, was not satisfied that she
19 had a comprehensive database, particularly to identified,
20 measured and calculated cement tops for wells operated by
21 BP Amoco.

22 We're here to express our gratitude to BP Amoco
23 for assisting us, in providing us internal documents and to
24 help us verify cement tops for those wells, and they have
25 continued to cooperate and assist us in this effort.

1 ANN E. RITCHIE,
2 the witness herein, after having been first duly sworn upon
3 her oath, was examined and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. KELLAHIN:

6 Q. Mrs. Ritchie, for the record would you please
7 state your name and occupation?

8 A. My name is Ann Ritchie, and I am manager and
9 owner of West Texas Oil Reports in Midland and have been in
10 that capacity for the past 26 years in association with my
11 father who is a registered petroleum engineer for over 40
12 years.

13 Q. You conduct your business principally in Midland?

14 A. Yes.

15 Q. That's your office? And that work includes
16 examining documents at the Oil Conservation Division in
17 Hobbs, is it?

18 A. Hobbs, Artesia --

19 Q. So all of southeastern New Mexico is within --

20 A. Yes.

21 Q. -- the area of your expertise and operation?

22 A. Yes.

23 Q. All right. Describe for us what your
24 relationship is with Melrose Operating Company.

25 A. I was contracted by Melrose to prepare all

1 documents and data necessary to file the Form C-108 for the
2 expansion of their waterflood project with the Artesia
3 Unit.

4 Q. Is this a document, the Division Form C-108, with
5 which you have had past experience and involvement in
6 compiling and submitting that type of document?

7 A. Yes, it is.

8 Q. And have you done so in this case?

9 A. Yes, I have.

10 Q. Describe for us the efforts you've gone through
11 to compile the information for submittal of the Division
12 Form C-108.

13 A. We initially took the area of review for 18
14 wells, the half-mile radius, and got all of the scout
15 tickets for each and every well that was drilled in that
16 area. We obtained the plugging reports for any wells that
17 have been plugged within that area and submitted that with
18 the initial Application.

19 Q. Can you estimate the approximate time in which
20 you began your work for Melrose examining the database for
21 the wells in the area of review? How long has this taken

22 A. It's taken twelve months.

23 Q. The exhibit book, let's turn to that. Is this an
24 exhibit book that you have organized?

25 A. Yes.

1 Q. Let's open the exhibit book, we've marked it as
2 Exhibit 1. There is a foldout map. Do you see the foldout
3 map in the divider, in the divider section? Would you take
4 that and unfold it, please? Let's talk about it for a
5 minute.

6 Is this a map that was prepared under your
7 direction and supervision?

8 A. Yes, it is.

9 Q. Have you satisfied yourself to the best of your
10 knowledge that it accurately depicts the information
11 displayed?

12 A. Yes, I have.

13 Q. Let's talk about the information. What is
14 portrayed on this display by the red dashed line? What is
15 that?

16 A. This is the half-mile radius that comprises each
17 of the half-mile radiuses for each of the wells that are
18 applied for and designated with a red triangle.

19 Q. The red outline cloud, if you will --

20 A. Yes.

21 Q. -- is one that is generated by taking multiple
22 half-mile-radius circles --

23 A. Right.

24 Q. -- around each of the proposed injection wells,
25 and then you have covered all that area with this area of

1 review?

2 A. Yes, sir, better said.

3 Q. Okay. Within the area of review, what type of
4 wells are shown on the plat?

5 A. Basically, it is all of the -- the majority of
6 the Artesia Unit wells, which -- and then also the Amoco
7 Empire Abo wells.

8 Q. Okay.

9 A. That is the vast majority of the wells, of the
10 approximately 210 wells that are located.

11 Q. Set the map aside, turn to the exhibit book --

12 A. Okay.

13 Q. -- and go beyond the geologic reference document
14 and look at the very next page.

15 A. Yes.

16 Q. Do you see the very next page?

17 A. Yes.

18 Q. What is this extracted from?

19 A. This is extracted from the unit agreement for the
20 Artesia Unit.

21 Q. Within this page, then, there's identified the
22 unitized formation; do you see that?

23 A. Yes.

24 Q. When we go back to the plat, have you, to the
25 best of your ability, accurately identified and located any

1 wellbore that penetrates to or through the unitized
2 formation?

3 A. Yes, sir.

4 Q. In addition, there's some well symbols I'd like
5 you to identify.

6 A. Okay.

7 Q. There are some well symbols identified with blue
8 circles, a blue dot and then a red triangle.

9 A. Uh-huh.

10 Q. What are those?

11 A. Currently -- There are numerous current injection
12 wells. The blue dot signifies the wells that are contained
13 within our current Application. There are four pilot
14 areas. One pilot area that was approved by WFX-768 is in
15 Section 3, and that is identified by the red triangle and
16 the blue triangle and the blue dot.

17 Q. For purposes of this Application, then, we are
18 directing the Examiner's attention to the approval of
19 injection wells, additional injection wells, for the
20 Artesia Unit, that are shown with the red triangle?

21 A. Yes, we are.

22 Q. That's the focus or the topic of the
23 presentation, correct?

24 A. That's correct.

25 Q. In addition, there are a number of smaller blue

1 triangles within the unit. What do those represent?

2 A. These are current injection wells that are
3 already in the waterflood project.

4 Q. For example, in Section 35, if we look down in
5 the southeast quarter --

6 A. Uh-huh.

7 Q. -- and then look in the northeast of the
8 southeast, there's a Melrose 20 well?

9 A. Yes.

10 Q. That appears to have an injection well symbol
11 associated with it?

12 A. That's correct.

13 Q. And it's a currently approved injection well?

14 A. That's correct.

15 Q. All right. So when the Examiner looks at all the
16 blue triangles, he's looking at wells that are already
17 approved for injection within the unitized interval?

18 A. That's correct.

19 Q. The additional injection wells are the conversion
20 of existing wells, are they not?

21 A. Yes, and there is one well that's plugged, that
22 we anticipate drilling out and converting to injection.

23 Q. Okay, let's go back to the exhibit book. If
24 you'll turn to the yellow tab in the exhibit book that's
25 marked "C-108", the compilation of information within this

1 portion of Exhibit 1 are documents prepared by you?

2 A. Yes, they are.

3 Q. Am I correct in understanding that this will
4 substitute in its entirety for the C-108 that was filed
5 originally with the Application?

6 A. Yes.

7 Q. So when the Examiner commences his review of the
8 project, this is the revised C-108 that he should utilize?

9 A. That is correct. And we have deleted the wells
10 that were permitted by Administrative Order WFX-768.

11 Q. Okay, let's --

12 A. We have not deleted that from our map, or any of
13 the wells that have been reviewed.

14 Q. Beyond the C-108 there's another orange tab that
15 says "Past Orders"?

16 A. Uh-huh.

17 Q. You included in this portion of the exhibit book
18 what type of information, Mrs. Ritchie?

19 A. Particularly any order that had anything to do
20 with the Artesia Pool, the Artesia Unit, prior operators
21 that had operated in the Artesia-Queen-Grayburg-San Andres
22 Waterflood area.

23 Q. Let's turn through those pages until you find the
24 copy of Administrative Order WFX-768.

25 A. Okay.

1 Q. This was the order issued by the Division on
2 November 28th. I referred in my opening comments that this
3 was the administrative order processed by Mr. Ashley.

4 A. That is correct.

5 Q. That's your understanding?

6 What did Mr. Ashley require?

7 A. Initially, I submitted the entire Application,
8 which involved four pilot areas. He -- In looking at the
9 numerous wells that were involved to be reviewed in the
10 process, he asked that we break it down into Pilot Area 1,
11 2, 3 and 4. And so this WFX-768 essentially deals only
12 with the Pilot Area 1.

13 Q. Pilot area is just a matter of convenience in
14 terms of how to process this originally under Mr. Ashley's
15 suggestion?

16 A. Well, and it also ties into the reservoir
17 engineer's proposed --

18 Q. -- sequence of development?

19 A. That's correct.

20 Q. Okay. What did Mr. Ashley require?

21 A. He required that -- Being that wells Number 22
22 and 28 were already permitted by prior permits, we had
23 anticipated possibly adding to the perforated interval in
24 the two wells. He suggested and we agreed that we would
25 leave those wells with their existing permit. And so in

1 the process of permitting wells 23 and 29, he required that
2 we do remedial work on the Melrose Artesia Unit 12, the
3 Melrose Artesia Unit 13, and provide data on the BP Amoco
4 Empire Abo G Well Number 38 in order to bring all those
5 wells into compliance.

6 Q. All right. The two wells controlled by Melrose
7 are the Artesia Unit wells?

8 A. Yes.

9 Q. And any problem existing in those wellbores has
10 been remediated by the fact you've converted them to
11 injection and, in doing so, have cured any flaw?

12 A. Yes, they have had squeeze jobs with cement
13 circulated to surface on both wells.

14 Q. What's happened to his requirement for the BP
15 Amoco-operated Empire Abo Unit G Well 38?

16 A. I submitted a sundry notice, which gave the
17 calculations, and wellbore diagram, showing the cementing
18 method that was used when the well was initially completed.

19 Q. That documentation immediately follows the
20 administrative order?

21 A. Yes, it does.

22 Q. And that's documents you have filed with the
23 District Office?

24 A. Yes, I have.

25 Q. What's your conclusion about the information you

1 have subsequently submitted on that well?

2 A. I believe we're in compliance with all of the
3 orders that are contained in the Administrative Order 768.

4 Q. Let's turn back to the beginning portion of the
5 C-108, Mrs. Ritchie. We've got the cover sheet which you
6 have executed. Let's turn past that, and you have provided
7 certain well data for the Examiner concerning the area of
8 review?

9 A. Yes.

10 Q. You have done this with the assistance of certain
11 technical individuals, have you?

12 A. Yes, I have.

13 Q. And who are those individuals?

14 A. Particularly Kay Maddox, Robert Lee and Tony
15 Beilman.

16 Q. All right, and who are those individuals?

17 A. Kay Maddox is a geologist, who is a research --
18 she is a wellbore researcher. I need a better word than
19 that. But anyway, she's very good at identifying wells,
20 particularly through research of subsurface libraries and
21 OCD.

22 Robert Lee is a reservoir engineer.

23 And Tony is a field engineer.

24 Q. All right. And with the assistance of all those
25 experts, then, you have compiled the C-108.

1 A. Yes.

2 Q. Have you collectively agreed upon, on page 2, an
3 identification of any potential fresh water?

4 A. Yes.

5 Q. And do you have an opinion, with the assistance
6 of those experts, as to where that fresh water may be
7 expected to be encountered?

8 A. Yes. It actually -- In applying for subsequent
9 applications to drill, the recommendation has been for a
10 depth to be protected to approximately 350 foot. Our
11 latest -- We have submitted a documentation pertaining to a
12 water well located, I believe, in Section 2, that the
13 owner, the surface owner has indicated the depth to be
14 approximately 180 feet.

15 Q. Okay. So when the Examiner is comparing the
16 setting depths of surface casing and cementing, then your
17 data research shows the production interval could be at 180
18 feet, and there's some indication that there's water
19 present down to 350 to 400 feet?

20 A. Yes, which I presume would come from log data.

21 Q. Following that page, there is a tabulation of
22 names and addresses. What does this represent?

23 A. These are all the people that are operators
24 within our bubble area, our half-mile radius as designated
25 on our map.

1 Q. Okay. I'm going to show you a certificate of
2 mailing -- it's marked as Exhibit Number 2 --

3 A. Uh-huh.

4 Q. -- and the question is, does this list that I'm
5 about to show you include, to the best of your knowledge,
6 all the offset operators within the area of review and the
7 owners of the surface for any injection well?

8 A. Yes, these are all the offsets to the best of my
9 knowledge.

10 Q. Okay. Subsequent to sending out Exhibit Number
11 2, did you subsequently acquire additional information to
12 let you know that there were operators omitted from the
13 first list that now needed to be notified?

14 A. Yes.

15 Q. What is Exhibit Number 3, then?

16 A. We subsequently needed to notify Vintage
17 Drilling, Louis Dreyfus and Devon Energy.

18 Q. With that supplemental notification, are you now
19 satisfied, to the best of your knowledge, all appropriate
20 parties have been notified pursuant to Rule 108?

21 A. Yes.

22 MR. KELLAHIN: Mr. Examiner, you'll note that
23 these last three companies were not sent notice until
24 August 30th. We would recommend that you continue this
25 case following our presentation to the September 20th

1 docket, which would allow those three parties the
2 appropriate 20-day period in which to file an objection,
3 should they have any, and if they do so, we'll be back on
4 the 20th to address that issue.

5 EXAMINER CATANACH: Okay.

6 Q. (By Mr. Kellahin) Following the notice list --

7 A. Okay.

8 Q. -- what is then shown in the filing under the
9 C-108?

10 A. This is a listing of the wells that we are
11 currently filing for permission to include in the expansion
12 project.

13 Q. And the well numbers on this list correspond to
14 the well identification numbers for those injectors shown
15 on the plat?

16 A. Yes, they do.

17 Q. Okay. Lastly, Ms. Ritchie, after you've
18 extracted the locator map from the pocket inside the front
19 page, there is a tabular list of data that is some 19 pages
20 long. What does this represent?

21 A. This should contain each and every wellbore that
22 is within the bubble area, the half-mile radius of review
23 for the 14 wells that are contained in this current
24 Application.

25 Q. It is this 19-page document that you had Mr.

1 Robert Lee examine to determine his engineering opinions
2 about any potential problem wells?

3 A. That is correct.

4 MR. KELLAHIN: All right, that concludes my
5 examination of Mrs. Ritchie, Mr. Examiner. I would like to
6 withhold introduction of Exhibit 1 until I have the rest of
7 the pages authenticated by Mr. Lee, but that concludes my
8 presentation of Mrs. Ritchie's testimony.

9 EXAMINER CATANACH: Okay. Mr. Feldewert, do you
10 have any questions of this witness?

11 MR. FELDEWERT: No, Mr. Examiner.

12 EXAMINER CATANACH: Just a couple.

13 EXAMINATION

14 BY EXAMINER CATANACH:

15 Q. Ms. Ritchie, the Artesia Unit is currently
16 operated totally by Melrose?

17 A. Yes, sir.

18 Q. And you are currently actively waterflooding this
19 unit?

20 A. Yes, sir.

21 Q. With regard to WFX-768, you did present a
22 documentation on the -- the terms of that order were
23 complied with --

24 A. Yes, sir.

25 Q. -- as far as the remedial work?

1 A. Yes. I have not -- I believe it's Well Number 12
2 I have not -- Let's see, on Wells Number 23 and 29 for the
3 mechanical integrity test, they were witnessed by the
4 District OCD field personnel. I have not received the
5 stamped copy back from them. I may have it in my office.

6 Also on the data that was submitted for the
7 Empire Abo G-38, I have not received the approved copy back
8 on that. So I have submitted my copy.

9 Q. Okay. On the Number 12, on the Artesia Unit
10 Number 12, on the sundry report --

11 A. Uh-huh.

12 Q. -- you show that the cement bond log was run and
13 the cement was found to be at surface; is that correct?

14 A. Yes, sir, and that was submitted to the District
15 Office, the bond log.

16 Q. So no remedial work was done on that well, except
17 for the cement bond log?

18 A. The squeeze job was performed, and the cement job
19 report should be behind it.

20 Q. Okay.

21 A. Yeah.

22 Q. And again, on the Empire Abo Unit G-38 --

23 A. Uh-huh.

24 Q. -- is it your testimony no work was done on that
25 well?

1 A. No, sir, not by Melrose.

2 Q. Okay, but you believe it's in compliance with the
3 terms of the order?

4 A. Yes, sir.

5 Q. Okay. Mr. Lee may go into more of that? Okay.

6 A. Yes.

7 Q. Now, as far as the pilot areas are concerned, is
8 Melrose actually going to develop this waterflood in pilot
9 areas, one area at a time?

10 A. It is my understanding it will be Pilot Area 1,
11 then 2, then 3, then 4.

12 Q. Can you identify which is Pilot Area 1 and 2 and
13 3 and 4?

14 A. I'll have to go back to my submission to Mark
15 Ashley.

16 Okay, Pilot Area 1 contained -- the usage for
17 injection, the injection pattern, the injection wells to be
18 utilized would be Wells Number 22, 23, 28 and 29.

19 Pilot Area 2 would be to convert or maintain
20 Wells Numbers 10, 11, 12, 13, 2 and 3. The purpose is to
21 inject and monitor production from Wells 70, 69 and 73.

22 Pilot Area 3 would be to convert or maintain
23 Wells 34, 36, 54 and 57, to inject or monitor production
24 from Well 55 and subsequent wells to be drilled.

25 Pilot Area 4 would be to maintain or convert

1 Wells Number 16, 17, 18 and 19, to monitor production from
2 Well Number 83 and subsequent wells to be drilled.

3 Q. Okay. Ms. Ritchie, do you know how many
4 producing wells you currently have in the unit?

5 A. I don't. Robert Lee does, I believe.

6 Q. Okay.

7 A. There is active drilling going on at this time.
8 And during the year, from the time this Application was
9 initially submitted, I believe there have been four wells,
10 two wells subsequently drilled.

11 EXAMINER CATANACH: Okay. Mr. Kellahin, the way
12 this Application is styled, you're seeking the amendment of
13 Administrative Order WFX-768. Can you explain --

14 MR. KELLAHIN: Well, when it was originally
15 filed, we believed that we were going to ask you for an
16 amendment to delete the BP Amoco-operated well.

17 It now appears, from what Mrs. Ritchie has
18 submitted to you, that all we need to have you do is to
19 reflect in the order of this case that we have satisfied
20 the requirements of that administrative order.

21 EXAMINER CATANACH: Okay.

22 Q. (By Examiner Catanach) Ms. Ritchie, did you say
23 that there was a water well in this area?

24 A. Yes, sir.

25 Q. And is that --

1 A. Let me see if I can get you the right page.
2 After all the wellbore diagrams should be, if you can flip
3 over about 20 pages, the blue and green. Are you at the
4 blue and green? There they are --

5 Q. Okay.

6 A. -- at the end of that. The next page is the
7 water well, the BJ Services water analysis on that well.

8 Q. Okay, and where is that well located? Should I
9 ask Mr. Lee?

10 A. Yes, I'm sorry.

11 MR. KELLAHIN: Okay, that's all I have of this
12 witness. She may be excused.

13 MR. KELLAHIN: Mr. Examiner, we'll call Mr.
14 Robert Lee.

15 ROBERT LEE,
16 the witness herein, after having been first duly sworn upon
17 his oath, was examined and testified as follows:

18 DIRECT EXAMINATION

19 BY MR. KELLAHIN:

20 Q. Mr. Lee, would you please state your name and
21 occupation?

22 A. Robert Lee, I'm a petroleum engineer consulting
23 for Melrose, right now, Melrose Oil Company.

24 Q. And where do you reside, sir?

25 A. I live in Midland, Texas, now.

1 Q. On prior occasions, Mr. Lee, have you testified
2 before the Division as a reservoir engineer?

3 A. Yes, I have.

4 Q. Have you as part of your duties as a consultant
5 for Melrose Operating Company analyzed the wellbores within
6 the area of review identified by Mrs. Ritchie in her filing
7 of the Division Form C-108?

8 A. Yes, I have.

9 Q. And based upon that review, do you have certain
10 recommendations, opinions and conclusions concerning those
11 wellbores?

12 A. Yes, I do.

13 MR. KELLAHIN: We tender Mr. Robert Lee as an
14 expert petroleum engineer.

15 EXAMINER CATANACH: Mr. Lee is so qualified.

16 Q. (By Mr. Kellahin) Mr. Lee, let's turn to the
17 exhibit book and orient the Examiner as to the formations
18 within the unitized interval --

19 A. Uh-huh.

20 Q. -- that are the topic of this project. And if
21 you'll take the regional geologic display, help us
22 understand the intervals that you have examined for
23 purposes of waterflooding within the Artesia Unit.

24 A. The unit boundaries cover the Grayburg-San
25 Andres, and in this localized area there are unique names

1 to some of the sands. If you look at the far left-hand
2 column here, under the northwest shelf, under the Grayburg,
3 we see that the Grayburg is broken up into three intervals,
4 the Loco Hills, the Metex, the Premier, and then into the
5 San Andres with the Lovington there at the top of the San
6 Andres. And these are the primary zones of interest in
7 this Application.

8 The primary zone that has been flooded to date
9 out in this field is the Premier, with some scattered
10 completions in the Loco Hills and Metex.

11 Q. Give us some general background on how the unit
12 area was produced under the primary phase of production.
13 What were they withdrawing?

14 A. Okay, if you turn to the "Reserves" section, I
15 have a --

16 Q. It's the pink tab that says "Reserves"?

17 A. Yes, the pink tab that --

18 Q. Let's turn to that --

19 A. -- says "Reserves".

20 Q. -- and behind that tab let's talk about what's
21 happened in the unit in terms of recoveries.

22 A. Yes. Actually, the initial well that was drilled
23 in this unit was drilled back in 1926. This sheet of paper
24 here breaks down the reserves by development, by primary
25 operations, current operations, which is the existing

1 flood, and our proposed operations.

2 What I draw your attention to is that under the
3 primary operations from 1926 to when the flood started in 7
4 of 1965, the unit had recovered 1.1 million barrels of oil
5 and at that time had about a half million barrels left, for
6 an ultimate recovery of 1.6 million barrels.

7 The waterflood was initiated in July of 1965.
8 From that point in time until now, the unit has recovered
9 almost 3 million barrels, 2.9 million barrels, and has
10 remaining reserves of 180,000 barrels for an ultimate
11 current recovery of 3.1 million barrels.

12 The waterflood has recovered an incremental 1.5
13 million barrels, which gives us a secondary-to-primary
14 ratio of a little less than one to one.

15 Q. What do you propose to do under this next phase
16 of operations for the unit?

17 A. What we're going to do is to infill drill the
18 well, the unit, from the current nearly 40-acre spacing
19 down to 20-acre spacing, collapse our flood pattern down.
20 We're going to drill 35 wells, we're going to convert 41
21 wells to injection. Melrose is going to spend a little
22 over \$13 million to do all this, and we hope to recover an
23 incremental 4 million barrels from this unit, giving us a
24 total ultimate recovery from the unit of about 7.2 million
25 barrels.

1 Q. The proposed operation for these injection wells
2 that are the subject of this hearing will include the
3 opportunity for the operator to select any interval within
4 the unitized formation for the injection of water?

5 A. Yes, that's correct. Like I said, the bulk of
6 the development in the flooding of the unit up to this
7 point in time has come out of the Premier interval.
8 There's been some scattered completions, some limited
9 injection into the Metex and the Loco Hills and the
10 Lovington. It's our plan to open up all the intervals and
11 flood all these intervals, increasing the vertical as well
12 as the horizontal sweep efficiency of the reservoir.

13 Q. Would you unfold your area of review map for me
14 so I can ask you some questions? Is there any structural
15 component to the reservoir such that as you move through
16 the reservoir you have to recalculate what is going to be
17 the top and the bottom of the unitized interval?

18 A. Yes, there is. From the southern end of the
19 unit, the formations dip to the north. And so the tops of
20 the Loco Hills and all these would be moving updip as you
21 move to the north.

22 Q. Have you taken that geologic event into
23 consideration as you analyze the wells in the area of
24 review so that as you measure and calculate tops of cement,
25 you know where you are in relation to the top and the

1 bottom of the unitized interval?

2 A. Yes, I have.

3 Q. Let's turn to Exhibit Book 1, and if you go
4 behind the first tab it says "Economics". Describe for us
5 the costs associated with this proposed project.

6 A. This is a sheet where we break down what the \$13
7 million will be spent upon. We anticipate drilling 35
8 wells at \$230,000 apiece; recomplete quite a few zones out
9 here, 72 zones in 44 different wells at \$45,000 apiece;
10 we're going to convert 40 wells, 41 wells, at \$30,000
11 apiece; add to the existing facilities with additional
12 pumps, tankage; we're going to have injection lines move
13 the water to the wells; and a half a million dollars of
14 miscellaneous costs, for a total of a little over \$13.5
15 million.

16 Q. Let me direct your attention now, Mr. Lee, to the
17 matters associated with the Administrative Order WFX-768.
18 If you'll look behind the orange tab that has "Past Orders"
19 in it --

20 A. Uh-huh.

21 Q. -- if you go about halfway back, you're going to
22 find the administrative order.

23 A. Okay.

24 Q. Just ahead of the administrative order is a one-
25 page summary sheet?

1 A. Yes.

2 Q. Would you look at that?

3 A. Uh-huh.

4 Q. Are you familiar with this information?

5 A. Yes, I am.

6 Q. Describe what Melrose has done in relationship to
7 that administrative order.

8 A. One of the -- This is the page that shows the
9 required what I will call stipulations and what was done to
10 bring that compliance about.

11 One of the stipulations was to squeeze the
12 Artesia Unit Well Number 12 that was performed, and we've
13 got cement to surface on that well.

14 Same thing on the Artesia Unit Well Number 13,
15 that well was also squeezed and had cement circulated to
16 surface.

17 The other issue was to provide evidence that the
18 BP Amoco Empire Abo Unit G 38 has a top of cement greater
19 than 1700 feet. And in the list of wells, the 20-page
20 document there, I have a calculated top of cement for that
21 well to be 1545. I think that the wellbore diagram that
22 was submitted was calculated showing cement to surface.
23 That was because a different efficiency factor was used for
24 the cement, and we will get into that in greater detail as
25 we proceed with testimony.

1 Q. Let me direct your attention back to the C-108.
2 There's the tabulation of wellbore data that Mrs. Ritchie
3 identified as being in the front pocket. It's some 19
4 pages long. Are you familiar with that tabulation?

5 A. Yes, I am.

6 Q. In fact, you assisted to a substantial degree in
7 the preparation of the data that's shown here, have you
8 not?

9 A. Yes, I was.

10 Q. All right, I'm going to set that aside for a
11 moment, and let's subdivide it in such a way that we can
12 talk to Examiner Catanach about the various types of wells
13 in the area of review and your conclusions and
14 recommendations as to how to handle those various types of
15 wells --

16 A. Uh-huh.

17 Q. -- in order to allow injection to take place in
18 the proposed injection wells.

19 A. Okay.

20 Q. To start that conversation, if you'll go behind
21 the green tab, let's look at the first display. And we are
22 about to look at a whole bunch of displays that represent
23 your work product, are we not, Mr. Lee?

24 A. That's correct.

25 Q. Let's start with the first spreadsheets. It says

1 "Half Mile Well Radius" --

2 A. Uh-huh.

3 Q. -- and they're numbered from page 1 down through
4 page 20, correct?

5 A. Yes.

6 Q. How was this tabulation different from the one
7 submitted in the front-pocket part of Exhibit 1?

8 A. Okay, it's basically almost a re- -- It's a
9 regurgitation of this data, with some additional columns on
10 it.

11 Q. Let's address yourself to the additional columns.
12 Where do we find them on the spreadsheet?

13 A. If you look at the fifth column from the right,
14 you'll see a 100-percent number. Next to that, to the
15 right of it, there's 75 percent and 50 percent. To the
16 left of the 100-percent column, you'll see a column that
17 says Measured TOC.

18 What I did on the original 19-page document that
19 was in the front of your folder, I went through and
20 calculated the tops of cement for all these wells, and I
21 utilized a 75-percent efficiency factor, except for wells
22 that utilized a cement called HYS-400. That was a high-
23 yield cement, and I handled that differently than I did
24 wells where it just said well was cemented with X barrels
25 of cement. And that is what is reflected on the original

1 19-page document.

2 What we show in these three columns will be the
3 tops of cement if you use 100-percent efficiency, the 75-
4 percent efficiency, which is on this sheet, or if you use a
5 50-percent efficiency for the cement volume generated from
6 -- in cement in the wellbores. Other than that, the data
7 is the same.

8 Q. The filing with the C-108 also provides the
9 Examiner with the total depth of the well in the far-right
10 column?

11 A. Yes, it does, the original has TD on it, and this
12 well, we left the TD column off to give us a little more
13 room so you can see it without a magnifying glass.

14 Q. So that would be the difference, then. If he
15 wants to know the total depth he can go back to the pocket
16 part. If he wants to see what happens with the calculation
17 of the cement volumes using various percentages of
18 efficiency, you've done that for him?

19 A. That's correct.

20 Q. All right. Let me ask you this, sir. The
21 Division practice or custom is to generally apply a 50-
22 percent reduction in the volume calculation --

23 A. -- uh-huh.

24 Q. -- for wells as a margin to satisfy themselves
25 that they have reduced the volume enough to account for any

1 loss of volume or materials in wellbores in which you do
2 not have the ability to measure the top.

3 A. Okay.

4 Q. What do you consider to be an appropriate
5 percentage of reduction in the volume calculation that's
6 suitable for these population of wells in the Artesia Unit?

7 A. For the wells in this area, I'd lean more towards
8 the 75- to 80-percent efficiency factor. And we have some
9 data to support that.

10 Q. All right, let's turn to the data that supports
11 your conclusion that a 75-percent efficiency number is the
12 appropriate one to use. How do we find that information?

13 A. If you go to the end of the -- after page 20 in
14 the folder, flip that over, there's a table there that is
15 called "Wells that pumped cement with a measured TOC which
16 are not HYS 400 or using a DV tool..."

17 Q. All right, let's take a moment and make sure
18 everybody's got that.

19 A. Okay.

20 Q. There are two displays back to back, very much
21 like -- One deals with the HYS-400 cement --

22 A. Yes.

23 Q. -- the next one deals with those wellbores that
24 didn't utilize the high-yield cement?

25 A. That's correct.

1 Q. You're looking at that one that doesn't deal with
2 the high-yield cement?

3 A. That's correct, and there's nine wells on that
4 list.

5 Q. All right, why have you selected these nine
6 wells?

7 A. These are wells where we had a measured top
8 cement, either with a bond log or through a temperature
9 survey. Somehow the top of cement was known, and they did
10 not utilize a DV tool, and they weren't utilizing the high-
11 yield cement volumes. So by using these wells we're trying
12 to come up with some sort of empirical efficiency factor
13 for the wells in this area.

14 And what this table shows is, out of the whole
15 population of wells, we had nine wells that had a top of
16 cement that was cemented with just -- as the scout ticket
17 would say, just cement.

18 And the way the table works, I've got the TD of
19 the well listed, the number of sacks of cement utilized and
20 where the measured top of cement located. From that, by
21 subtracting the top of cement from the TD, I can tell you
22 how many actual feet of cement was created from that volume
23 of cement pumped.

24 The cubic foot is just the volume that was
25 utilized between the hole size and the casing size.

1 Q. So in the first row for the EAU 35 --

2 A. Uh-huh.

3 Q. -- the actual volume created by this process is
4 fifty-five hundred --

5 A. -- and fifty-nine feet, yes, sir.

6 Q. All right. Then what did you do?

7 A. Okay, then in the next column over I took an
8 average cement yield -- and the yield that I used in these
9 calculations was 1.32 -- took that yield times the hole
10 size, you know, the cubic-foot difference in annular
11 volume, by how many sacks were pumped, and came up with a
12 number of how many feet you would calculate that cement to
13 generate.

14 And then in the next column over I calculated a
15 percentage of those two volumes, the number actually
16 created and what you would calculate to create.

17 And in this first well the well actually created
18 5559 feet. I calculated that it should have generated 4923
19 feet.

20 Q. In addition, you have not applied any kind of
21 efficiency percentage to the 4900 feet?

22 A. That's correct.

23 Q. If you use the Division practice of dividing that
24 in half, by calculation, then, you'd only had about 2500
25 feet?

1 A. That's correct.

2 Q. And the known volume in this wellbore as actually
3 measured is twice that?

4 A. That's correct.

5 Q. All right.

6 A. I followed that procedure down for all of these
7 wells, and you can see over there that the range of
8 efficiency varies from 47 percent to 124. But I averaged
9 all of the wells that we had here and came up with an
10 average efficiency of 88 percent.

11 But for the use of the -- calculating our top of
12 cement for a C-108, instead of using the 88 I backed it on
13 off to the 75 percent. So that's why we feel like maybe
14 the 50-percent number may be a little harsh in this area
15 where we do have some data on some of these wells.

16 Q. Let me direct your attention now, Mr. Lee, to the
17 topic of those wells that utilize the high-yield cement.
18 Do you have a table to illustrate those?

19 A. Yes, I do, that's the next table over. Some of
20 these wells utilized a product -- it was a BJ product
21 called HYS-400. It was a cement that was used in the mid-
22 1960s -- maybe even the early 1970s, because it was still
23 in some of the BJ handbook manuals -- that had a very high
24 yield. It had a yield of 7.3 cubic feet per sack, whereas
25 the yield that I used on the other wells was 1.32.

1 Generally, according to the completion reports
2 here, the cement was pumped and then followed with
3 generally what they called 4-percent Incor., where they're
4 mixing some gel in with it. And according to the -- I
5 believe it was the Halliburton book, 4-percent Incor.
6 generates a yield of 1.88 cubic feet per sack.

7 I was able to find five wells out of the 200
8 wells that utilized HYS cement where I had a known measured
9 top of cement. And by taking those five wells I do the
10 same thing where I calculate a percent efficiency. I
11 actually know how many feet was generated, how much feet
12 was generated. Then I calculate how much I say should have
13 been generated.

14 What's the difference? I kind of came up with a
15 range of 64 percent to 57 percent, and then I used
16 actually, on my tables, I would use generally a 55-percent
17 efficiency on any well that had the HYS-400 cement.

18 Q. Is the 20 pages of data for the area-of-review
19 wells coded in such a way that Examiner Catanach can find
20 the wells associated with the high-yield cement?

21 A. Yes. On those wells that utilize the high-yield
22 cement, I made a notation by the well, and if you just look
23 at even the first page, the second well down, you can see
24 where I say, you know, 5 1/2 cemented with 170 sacks
25 HYS-400 -- or actually I just said HYS -- and 150 sacks of

1 4-percent Incor. And then over in my calculated TOC
2 column, you can see on that particular well, the Amoco D
3 42, I calculated a top of cement of 1550 feet, using the
4 55-percent efficiency.

5 Q. All right, let's go through and categorize the
6 various wells in the area of review. Approximately how
7 many total wells are contained within the area of review?
8 Do you remember?

9 A. I believe Ann said about 210.

10 Q. Okay.

11 A. It's a bunch.

12 Q. Let's go to the various spreadsheets that you've
13 constructed so we can subdivide these into categories and
14 address the various categories and talk about what are
15 identified as potential wells that you need to comment on.

16 Let's start -- My next display is captioned at
17 the top. It says "BP Wells". Is that your next display?

18 A. Actually, my next one is HYS wells, but we can
19 go --

20 Q. All right, let's do it in whatever order that
21 you've analyzed this. I'm not sure the exhibit books are
22 exactly the same.

23 EXAMINER CATANACH: Where are you at, Mr.
24 Kellahin?

25 MR. KELLAHIN: I'm following Mr. Lee's 20 pages

1 of summary where he's broken out with the efficiencies. My
2 next display is captioned "BP Wells".

3 EXAMINER CATANACH: I'm there.

4 MR. KELLAHIN: Okay.

5 THE WITNESS: Okay? There too.

6 Q. (By Mr. Kellahin) What have you intended to
7 direct our attention to, Mr. Lee, by this one page that
8 says "BP Wells"? What's this?

9 A. This is a list of wells that, as I was going
10 through the data available from the scout tickets from the
11 OCD office in Artesia, the data that Kay had gathered --
12 these are the wells that even after knowing what type of
13 cement was ran and any other particulars available on the
14 completion reports still did not appear to have enough
15 cement in the wellbore to cover the zone of the injection
16 interval.

17 We contacted BP, and they had a contract engineer
18 go to the Hobbs office and pull up some additional data and
19 was able to demonstrate that all of these wells have cement
20 sufficient to cover the injection intervals now. Generally
21 what had happened is, either they had a bond log that
22 wasn't available to the Commission or they may have
23 subsequently squeezed a well that was not reported in the
24 scout ticket information or that we didn't pick up at the
25 Commission.

1 Q. This one-page sheet, then, is the compilation of
2 data with the assistance of the BP Amoco engineer,
3 utilizing their own internal records to then calculate what
4 is either the measure or the calculated top of cement?

5 A. That's correct.

6 Q. Are you satisfied that based upon that data the
7 wells on this sheet are adequately cemented in such a way
8 as to isolate the unitized interval from any hydrocarbon-
9 producing formation or from any shallow freshwater source?

10 A. Yes, I am.

11 Q. Let's turn to the next display, and the next
12 display I have deals with HYS-400 cement.

13 A. Okay.

14 Q. Do you have that sheet?

15 A. Yes, I do.

16 Q. All right. Identify and describe where this came
17 from and what it tells you.

18 A. Okay, this is a copy of the data from the BJ
19 handbook on the HYS-400 cement, and what I want to point
20 out here -- I think I should have highlighted it in your
21 book, Mr. Examiner -- what the yield is, this is where I
22 get my 7.3 yield number for the HYS-400. And it just gives
23 some of the properties of the well and mixing properties.

24 Q. Who's BJ?

25 A. BJ Hughes Service Company that cemented several

1 of these wells out here in the 1960s.

2 Q. This is out of their technical manual that tells
3 you how to do the calculation?

4 A. Exactly, this is out of their technical handbook.

5 Q. All right, sir. Let's turn past that, and the
6 next display I have is two pages, at the top of which it's
7 identified as the "HYSWELLS".

8 A. That's correct.

9 Q. What does this represent?

10 A. This is where I've gone through the 20-page
11 document and pulled out all the wells that we know pumped
12 HYS-400, putting it on one sheet so that you can see the
13 calculations of where the tops of cement are, wells where
14 we know that we've circulated or have measured tops on
15 them.

16 And right now my recommendation is that there's
17 no action necessary on these wells, because the tops of
18 cement appear sufficient to cover the injection interval.

19 Q. Okay, let's set those two pages aside, Mr. Lee,
20 and then we get to three pages that are captioned "Old
21 wells".

22 A. Yes.

23 Q. What are you intending to convey to us by this
24 category of wells?

25 A. These are wells -- As I said earlier, the first

1 well out here was drilled in 1926. These are all wells
2 that were drilled in the 1920s. And somehow over the past
3 75 years, Mr. Gum has let some of this information not be
4 found down there in the Division Office. There's nothing
5 in the files on these wells. We've searched the Melrose
6 files, they don't have anything on the wells that they
7 operate.

8 And this is just a list of wells where, in some
9 cases we don't even know what casing was ran, sacks of
10 cement pumped or anything like this. And what we would
11 propose -- But several of these wells have been plugged,
12 and you can see that under the "Type" or "Status", they've
13 been P-and-A'.

14 And what we would suggest on these wells is to
15 run a bond log and determine the actual top of cement. And
16 if the cement does not cover the injection zone, Melrose
17 then would go in -- and the bulk of the wells that are
18 still active or inactive are Melrose wells, most of them
19 are going to be utilized in the flood in some capacity.
20 But --

21 Q. For those wellbores that Melrose has control, you
22 have a course of recommended action for those wells?

23 A. That's correct.

24 Q. What are you going to do about wells that you
25 don't operate or control?

1 A. There's not much we can do.

2 Q. But they're as listed as wells where we don't
3 have data?

4 A. Let me look here.

5 Q. For example, on the bottom of page 2, the second
6 one up from the bottom, this Maloney-Chambers well, says
7 it's P-and-A'd. We don't have any data on it, right?

8 A. That's correct.

9 Q. All right.

10 A. That's correct.

11 Q. Well, we'll just have to defer to the Examiner to
12 decide how he wants to recommend we handle those wellbores,
13 I guess.

14 And what else can you do, Mr. Lee?

15 A. We would -- Well, like I said, on the wells that
16 they control, we want to see where the top of cement is and
17 take care of that situation. But on the other wells,
18 particularly these P-and-A'd wells, we're going to have
19 some evidence showing, you know, data that we believe that
20 the -- even though that we don't know where the casing is
21 or the cement used -- data that we believe that it does
22 protect the fresh water and prevents migration of fluids
23 within that wellbore.

24 And there's one of those wells that creates a
25 problem too, but we'll discuss that once we get there.

1 Q. So at this point, Melrose as operator would have
2 a substantial burden and perhaps the inability to achieve
3 compliance if it's required to take action --

4 A. Absolutely.

5 Q. -- on wells that are beyond its control?

6 A. That's correct.

7 Q. Let's turn to another topic. Let's turn to
8 whether or not you have examined in the population of wells
9 to identify any well that potentially does not have
10 adequate surface casing or cement to isolate that wellbore
11 so that fresh water is protected. Do you have a table that
12 shows those types of wells?

13 A. Well, we did late last night.

14 Q. It didn't get in your book. How about those two
15 sheets?

16 A. Okay.

17 Q. All right, sir, I've handed you a two-sheet table
18 that's identified as what, sir?

19 A. This identified as wells without surface pipe.

20 Q. And that's your work product, is it not?

21 A. Yes.

22 Q. You've gone through all these wells, and these
23 are the ones that pop up to have potential concerns about
24 surface pipe?

25 A. That's correct.

1 Q. All right.

2 A. And on this -- to help you locate them, we put
3 what page they were on and a little bit of information on
4 the various wells. These wells don't appear to have had
5 surface pipe ran, and we have recommended action for each
6 of these wells, these eight wells on this list.

7 And the first well, the N.G. Phillips, we feel
8 like no action is necessary. That well has been plugged.
9 We feel like it's adequate to protect the fresh water.

10 The Marbob Walker 2 well has cement to surface.
11 We feel like there's no action to be taken there.

12 The Melrose Number 11, the calculated top of
13 cement is at 900 feet, protects the fresh water, it's above
14 the injection interval, so no actions there.

15 The Well Number 44, I think it also had a
16 calculated top of cement, didn't have it on the comment.

17 But there's still three wells that are shown to
18 be inactive that we don't have any information on. The
19 very last well is plugged. On those three wells, what we
20 would propose -- once again, these are Melrose wells so the
21 operator is able to deal with them -- we would go out and
22 dig out the wellhead and see if there is any surface pipe
23 present. If there is surface pipe there, then we make the
24 assumption that the fresh water will be protected.

25 The second page of that section on wells without

1 surface pipe, you know, if we find out that there is no
2 surface pipe there when you dig down around the wellhead
3 and no surface pipe, then what we would propose is to run a
4 bond log and see where the top of cement is and see if it
5 protects the injection interval, make sure it covers our
6 injection interval. And if it does, we feel like, then,
7 the fresh water is protected. And if it doesn't, then we
8 would treat it as a well that didn't have the injection
9 interval covered, we'd squeeze cement across there to cover
10 that injection interval.

11 Okay, on Well Number 44, looking back at my
12 handy-dandy list of wells, the calculated top -- or
13 actually the measured top of cement in that well was 1512.
14 the well had been squeezed with cement and a temperature
15 survey was run showing the top at 1510. I think it's 1512,
16 but it's 1510.

17 Q. All right, we've got 1510, and that's the
18 measured top --

19 A. Yes.

20 Q. -- and the Melrose 44 well is going to be on page
21 16, I believe, instead of 17, so that's the only correction
22 I see.

23 All right, let's turn your attention, Mr. Lee, to
24 a different topic. Let's deal with the population of wells
25 in the area of review that have been plugged and abandoned.

1 A. Okay.

2 Q. When we look through that population, do you see
3 any wellbores that have not been plugged in such a way as
4 to isolate the unitized interval from any potentially
5 productive hydrocarbons in other formations?

6 A. What we see is that these wells -- all except for
7 one that we could not find a plugging report on -- all
8 these wells have been plugged, and we believe the plug to
9 be sufficient to protect any migration of injection fluid
10 into fresh water or any other productive zones.

11 Out in this particular area where we are with our
12 unit there doesn't appear to be any higher productive zones
13 in our unit area there, once you get out of our Loco Hills
14 or once you get out of our unitized interval, up the hole.

15 Q. You currently conduct injection operations in the
16 unitized interval in proximity to plugged and abandoned
17 wells?

18 A. That's correct.

19 Q. That's been going on for how many years now?

20 A. Almost 40 years.

21 Q. And have any of those wells been problem wells up
22 to now?

23 A. No, they have not.

24 Q. Let's direct your attention to the one well for
25 which there was no plugging report. You've got an

1 individual spreadsheet --

2 A. Uh-huh.

3 Q. -- and it's captioned "Plugged wells with
4 issues", and it shows the Maloney-Chambers well.

5 A. Yes, it does.

6 Q. What are you showing and what are you
7 recommending?

8 A. This is a well that was -- it looks like it was
9 drilled and probably plugged back in the 1920s.

10 Q. Let's find it on the locator map --

11 A. Yes.

12 Q. -- the area-of-review map. Show us where that
13 well is.

14 A. It's going to be over here in Section 4, in Unit
15 Letter H. There in the southwest portion of that quarter
16 section it says Maloney-Chambers on the well. As you can
17 see, it's almost out of my area of review. It's 400 feet
18 away from the edge of my half-mile radius.

19 On this particular well we would submit that no
20 action is required on this well because, one, we are almost
21 outside of the area of review. This is an area, as you can
22 see, where there's no other producing wells, so it's a
23 tight, nonproductive area of the reservoir and not a part
24 of this current phase of the project. But eventually there
25 will be producing wells that would be drilled between the

1 proposed injection well, which would be 44 and 57, and the
2 Maloney-Chambers Number 1.

3 Q. Those wells aren't shown on this display, are
4 they?

5 A. No, they're not. Yeah, this is just, you know,
6 knowing what the future of the grand scheme of the project
7 will be.

8 Q. Let me make sure I understand.

9 A. Okay.

10 Q. The closest injection well to the Maloney-
11 Chambers would be the Melrose 44 --

12 A. That is correct.

13 Q. -- and the Melrose 57?

14 A. That's correct.

15 Q. All right.

16 A. And the 44 is an active injection well now, and
17 has been since 1967, and it's been injecting for, like I
18 say, nearly 40 years, and there has not been any problem
19 there at this time.

20 Q. Is the timing of the Melrose 57 to the south such
21 that you'll have additional producers between that injector
22 and the Maloney-Chambers well at the time you commence
23 injection into the Melrose 57?

24 A. Probably not, no. The additional producers would
25 be drilled, once these pilot areas prove up the success of

1 the infill drilling of the project. And once that occurs,
2 then further development would take place, but eventually
3 in the long-term plan there would be a producer between
4 those two injectors and that plugged well.

5 But still, like I said, the Number 44 is an
6 active injector now, and we have no problems there.

7 Q. Let me direct your attention, Mr. Lee, to the
8 last category.

9 A. Uh-huh.

10 Q. To provide the Examiner an opportunity to not to
11 look at all 200 wells individually --

12 A. Uh-huh.

13 Q. -- have you given him a spreadsheet that shows
14 the wells that are affected, should he disagree with your
15 opinion about the appropriate efficiency --

16 A. Yes.

17 Q. -- of the calculation?

18 So if he chooses to reject your conclusion and go
19 with a 50-percent cutoff, what wells then become problem
20 wells?

21 A. The list where at the top of the page it says
22 "50% risked". There's seven wells that would drop out
23 where the top of cement wouldn't cover the injection
24 interval if we use a 50-percent efficiency factor instead
25 of the 75.

1 Q. And it's your recommendation not to use the 50-
2 percent reduction in the volumetric calculation?

3 A. That's correct.

4 Q. And based upon your analysis, the appropriate
5 reduction percentage to use in the volumetric calculation
6 is again what, sir?

7 A. Seventy-five.

8 MR. KELLAHIN: That concludes my examination of
9 Mr. Lee. At this point, Mr. Examiner, we would ask you
10 permission to admit Melrose Operating Company's Exhibits 1,
11 2 and 3.

12 EXAMINER CATANACH: Exhibits 1, 2 and 3 will be
13 admitted as evidence.

14 Mr. Feldewert?

15 MR. FELDEWERT: I just have one question, or
16 maybe two.

17 EXAMINATION

18 BY MR. FELDEWERT:

19 Q. Mr. Lee, that last exhibit, I don't have that in
20 front of me, but of the seven wells that dropped out if you
21 use a 50-percent --

22 A. Yes.

23 Q. -- were any of -- it appears that none of those
24 wells are any of Amoco's Empire Abo Unit wells?

25 A. That's correct.

1 Q. Okay. So it's your testimony today that all of
2 the Amoco Empire Abo Unit wells within your bubble area
3 pose no risk to fresh water or other hydrocarbon-producing
4 zones by virtue of your project?

5 A. Based on my examination and calculations, yes.

6 MR. FELDEWERT: Okay, thank you.

7 EXAMINATION

8 BY EXAMINER CATANACH:

9 Q. Mr. Lee --

10 A. Yes.

11 Q. -- the seven wells that you discussed that do not
12 have top of cement, did you actually use as the -- if the
13 cement covered the top of the injection zone, or was that
14 the top of the injection zone for those thrown out, or did
15 you use some footage above the injection zone?

16 A. I looked at the top of the injection zone.

17 Q. Okay, so if the cement was at the top of the
18 injection zone, then they did not appear on this list? If
19 it was at or above?

20 A. That's correct. That's correct, that's correct.
21 These are the wells where the top of cement would be below
22 the top injection interval, would be below the Loco Hills.

23 Q. Would you recommend that we do not use any kind
24 of safety factor above the top of the injection zone to
25 have cement in these wells, or would you recommend that if

1 you have cement right at the top of the injection zone it's
2 adequate?

3 A. I see. There needs to be some coverage of some
4 sort, and generally if my calculations showed 10 to 15, 20
5 feet of coverage, I called that good, that's a well I'm not
6 going to have to go in and stimulate or anything, as far as
7 containing the fluids within that zone. And one of my
8 reasons for that gets back to the issue that that top of
9 cement, whatever it is today it's been that way for the
10 last 40 years, and we're in the midst of an injection
11 project that's been going on for the last 40 years. That's
12 a fact.

13 And it's also a fact that we have a freshwater
14 well out there -- you'd asked Ann where it was; I'll tell
15 you. It wasn't on this map. Actually, when I go out to
16 the State Engineer's website they show no freshwater wells
17 within the area, but we did a visual field inspection and
18 found one lone windmill out there. It's over here by Well
19 Number 89 in Unit Letter J, Section 35, kind of down in the
20 southwest southwest corner, pretty much right next to the
21 Well Number 89 that Melrose has, or that wellspot Number
22 89.

23 And as we look at the water analysis that we've
24 got from that well -- and there's no other freshwater wells
25 out there -- and as we look at the water analysis, it has

1 fluorides about 4800. The man uses it to water his cattle
2 with. The thing's been going on for 40 years, so if there
3 has been a problem out there, we should have seen it.

4 And so like I said, if I'm calculating my top of
5 cement and I'm showing the zone to be covered, even though
6 minimally or marginally, based upon the evidence I have
7 here, I have to say that we're protecting the fresh water.

8 Also, you're going to have surface pipe in these
9 wells. Except for the few on our list here where we show
10 that we don't have surface pipe, all those were protected.
11 There's about three that are unknown quantities out there
12 right now. But still, we feel like we're protecting the
13 surface, the fresh water, based upon the facts.

14 Q. Okay, let's talk about what your knowledge is
15 regarding past problems out there. Do you know if we have
16 seen any waterflows in any of these wells?

17 A. No, I don't. I -- No, I don't, and I don't know
18 the history of casing leaks or things of that nature
19 either.

20 Q. So when you say you haven't seen any evidence,
21 you just don't know if there's any evidence of problems out
22 there?

23 A. That's correct. But I do know my freshwater well
24 is still 4800.

25 Q. Have you been involved in any recent drilling

1 operations out there?

2 A. I have not.

3 Q. Okay, so you don't know if any of these potential
4 zones that water may migrate into is charged up at all?

5 A. No, I don't. In talking with Mr. Beilman, Tony
6 has not indicated that he's experienced any problems, at
7 least he hasn't told me, but I don't know that for a fact.

8 Q. Okay. Now, you say this has been going on for 40
9 years, but you're actually going to change things up,
10 you're going to add new injection wells, you're going to
11 perforate, I assume, injection wells in zones that may have
12 not been perforated before, so you're going to change an
13 awful lot of things out there; is that correct?

14 A. Well, we'll change some things. All the zones
15 that we will be perforating have been perforated to some
16 degree in scattered areas, not as much of a blanket as what
17 we're going to propose. But with some of that original
18 work from those scattered recompletions, that really kind
19 of opens this thing up to the potential of having a lot
20 more reserves out of those upper zones, Loco Hills and
21 Metex.

22 Q. Now, is it the Metex that's the most prolific or
23 the Premier?

24 A. The Premier --

25 Q. The Premier.

1 A. -- was the main interval, and that's what
2 everything is completed in out there, is the Premier.

3 Q. Okay, and the Premier is the --

4 A. It's at the bottom of the Grayburg.

5 Q. Okay, it's at the bottom.

6 A. Yeah.

7 Q. So in some of these injection wells that you plan
8 to convert or work on, you're going to add perforations
9 above the Premier?

10 A. That's correct, in the Metex and Loco Hills.

11 Q. Okay, so -- What's the footage difference between
12 those intervals, Mr. Lee? Between, say, the Loco Hills and
13 the Premier? Is that very much or --

14 A. Well, I think it's a couple hundred feet. I have
15 a -- let's see here, I have a log to look at. This
16 particular well, the Loco Hills, came in at about 1900
17 feet, and the Premier is about 2420, so it's about 500 feet
18 from my top of the Loco Hills down to the top of the
19 Premier.

20 Q. Now, when you determined whether or not the
21 cement was above the injection zone, you did use the Loco
22 Hills --

23 A. Absolutely.

24 Q. -- the top of the Loco Hills?

25 A. That's correct, I used the Loco Hills.

1 Q. Let's talk about the fresh water out here. Now,
2 you say there's only one freshwater well.

3 A. That's correct.

4 Q. And do you know what depth that is?

5 A. Not exactly. In talking to the rancher, he
6 believes it's about 180 feet. Like I said, the State
7 Engineer had no information on this well, and the State
8 Engineer on their website show no fresh water anywhere in
9 this area.

10 Q. So you don't know whether or not the fresh water
11 that's present in this area -- is it continuous over the
12 whole unit or is it scattered? You don't know?

13 A. I don't know.

14 Q. Tell me about potential producing zones above the
15 Grayburg and the Queen. Is the Seven Rivers, Yates, are
16 those zone productive in this area?

17 A. The Yates is not. There is some Seven Rivers
18 production, I think it's in 27-34. I'm not exactly sure
19 where those wells are located at. I believe that there are
20 some shallower horizons producing over there. There's not
21 anything here that we're producing out of.

22 Q. Is that Seven Rivers gas production or oil
23 production?

24 A. It's oil, thick oil. I think it's around 700 or
25 800 feet.

1 Q. What is your assessment of any risk involved in
2 this water getting into a Seven Rivers zone or a Yates zone
3 and causing any harm to those producing formations?

4 A. Well, like I said, I believe the cement will
5 contain the water into the injection interval, so water
6 shouldn't be able to get up into the Seven Rivers.

7 And you know, that's also -- sometimes we look at
8 this as though -- and you have to look at where the water
9 may potentially go, but these zones are historically very
10 tight, and they won't even produce unless you frac them.
11 So if you have a well that did have water get back in
12 there, I guess I'd really question how much would even --
13 without a lot of pressure, would even go into an unfrac'd,
14 unstimulated interval in these type Permian sands.

15 Q. Okay, on the P-and-A'd wells, you're recommending
16 that no action be taken on the Chambers well?

17 A. Yes, sir.

18 Q. And that's based on the fact that -- Go ahead.

19 A. I'm sorry, it's almost -- It's 400 feet short of
20 being outside of my radius of investigation. It's in a
21 very tight, nonproductive part of the reservoir, and it
22 just hasn't presented a problem at this point in time. We
23 don't believe that additional injection into the upper
24 zones or conversion of the 57 would adversely affect it.

25 Q. Do you know at this point where the producing

1 well is going to be located?

2 A. What I had proposed to Melrose in my development
3 plan would be that the producing well be about halfway in
4 between the 44 and 57, and halfway between those wells and
5 the Unit Letter I -- I mean in the section line. So it
6 would be kind of in the east -- kind of in the northwest
7 quarter of this quarter section, which would be Unit Letter
8 L, so it would be kind of like a triangle there, because
9 the well is here and then the producer over here.

10 Q. Okay, now you say you've proposed that. There's
11 no definite plans to drill that well at this point?

12 A. That's correct, it hasn't been staked.

13 Q. Wells without surface pipe, you've identified
14 three wells that you propose to dig up the wellhead, check
15 for surface casing and if surface casing is present you
16 would assume that the water is protected?

17 A. Yes.

18 Q. Is it your experience out here that generally --
19 or what percentage of the surface casing was cemented on
20 these wells?

21 A. Based on our sheet here, almost -- probably 99,
22 98 percent. There were -- I think I found one well where
23 they had the surface pipe set, and it was included on this
24 list. I think that well may have been subsequently
25 P-and-A'd.

1 Q. So that would be a fairly safe assumption, to
2 assume that it was cemented?

3 A. Yes.

4 Q. Okay. On the old wells that you've identified,
5 now, did you identify -- how many of those wells?

6 A. There were 21 of those wells. Nine of those have
7 been P-and-A'd, and 12 are either listed as inactive or
8 active.

9 Q. Okay, and you did identify some that you would
10 run a bond log on?

11 A. Yes, and the reason for that is, some of them
12 showed where they had casing set, at what depth, but none
13 of them showed the sacks of cement pumped. I take that
14 back. There was one well that showed the -- had sacks of
15 cement, and there was another well that was squeezed and
16 has a temperature survey on it. But the bulk of them
17 didn't report the sacks of cement used. So on those wells
18 what we would propose is to run a bond log, determine where
19 that top of cement is, and squeeze enough cement to cover
20 the injection interval adequately.

21 Q. Which of these wells are we talking about, Mr.
22 Lee, on these --

23 A. I'm sorry.

24 Q. -- there are --

25 A. Okay, the wells that you'd probably want to do

1 something with are listed as inactive. If they're
2 P-and-A'd, we feel like they're taken care of. If they're
3 listed there as the status being active or inactive, these
4 are the wells that we need to check out and have a bond log
5 ran on them.

6 Q. So I've got about ten of those?

7 A. Yes, sir.

8 Q. Okay. The other category, the BP wells --

9 A. Yes.

10 Q. -- now, you've got some additional data that you
11 got from BP Amoco?

12 A. Yes, we did. And this is a table that was really
13 kind of more for my own education here. It's where I was
14 keeping track of wells where I had concerns with -- and for
15 your purposes it may not adequately -- it doesn't
16 adequately express why I was concerned, because I had
17 calculated tops of cement over there which were very low,
18 and as I got additional data from BP and saw that they
19 either had a top or they circulated cement, I deleted out
20 my number of my calculated top and input the actual
21 measured top or the current top.

22 Q. So you're confident with the additional
23 information you got from Amoco that these wells are not a
24 problem?

25 A. That's correct.

1 Q. When I go through this and I find a cement top
2 that is -- What is the range of the injection zone? Is
3 it -- What's generally the top and bottom of the injection
4 zone?

5 A. Yeah, let's see if we have anything above 1900
6 feet. It looks like about -- Mr. Examiner, I don't -- it
7 looks like about 1900 feet is the highest point of the Loco
8 Hills, and most of them are down below that.

9 Q. Okay.

10 A. And it, like I say, varies across the field.

11 Q. One of the problems I can see when I go through
12 this is, if I look at a top of the cement on a particular
13 injection well, I'm not going to be able to identify where
14 the top of the injection zone is.

15 A. Okay, I can help you with that. I've got a stick
16 diagram that I created of all the Artesia Unit wells where
17 I've marked the top of the Loco Hills, the Metex, the
18 Premier, where I have it by depth and how that varies
19 across the field. Let me make you a copy of this, and --

20 Q. That would be very helpful.

21 A. -- that way you don't have to rely upon your
22 extraordinary powers to discern.

23 Q. Great. Let me ask you about the -- The WFX Order
24 768 had a reference to a -- on the G 38 well --

25 A. Yeah.

1 Q. -- Mr. Ashley had put a reference in there to
2 1700 feet. Do you know why he put 1700 feet in there?

3 A. No, I do not. I was really kind of brought in
4 after Ann had been dealing with Mark on that, and I'm not
5 sure exactly where the 1700-foot number came from with
6 Mark.

7 Q. Okay.

8 A. And Ann may know that.

9 MS. RITCHIE: I never knew why. I think he
10 was --

11 MR. KELLAHIN: Hang on, wait.

12 Q. (By Examiner Catanach) Okay, let me ask you
13 about the HYS-400 cement that you talked about.

14 A. Yes.

15 Q. Do you know how the compressive strength compares
16 to conventional Class C or anything else, or do you know
17 what the properties of this cement are?

18 A. Nothing other than what is shown on the BJ
19 handbook, and I tried to get some manuals, additional
20 brochures. I tried to get ahold of the -- I got ahold of
21 the petroleum museum. They keep a lot of older records
22 and, you know, stuff that's donated to them, and they did
23 not have anything. I found this -- You know, actually it
24 was an old BJ hand that I was talking with. He looked back
25 in one of his old handbooks and found this.

1 I don't know what the -- how the compressive
2 strength ultimately gets to. If -- You know, according to
3 this table the compressive strength, you know, is probably
4 not as much as the other cements that are used, but I don't
5 know what its ultimate compressive strength is.

6 Q. Do you know why it was used out here?

7 A. To cover the injection interval out here.
8 Whenever BP Amoco was -- or ARCO at that time or the
9 various operators were drilling these wells back in the
10 1960s, they were aware that this shallow horizon was there
11 and producing, and they knew they had to cover it with
12 cement. And so that was the product that was used at that
13 point in time to do so.

14 Nowadays they're using DV tools set at about 3000
15 feet, moving cement across the injection interval. But
16 that wasn't done in the 1960s.

17 Q. Mr. Lee, do you have an opinion as to whether
18 this HYS-400 cement has sufficient properties to adequately
19 protect these wells from fluid migration?

20 A. Well, I -- Once again, I believe that it does.
21 Otherwise over the last 40 years we would have seen
22 problems with water flows at the surface and things of that
23 nature. It's probably not what you and I would like to use
24 today, but it looks like that it is adequate from that
25 standpoint, that their project's been going on for a long

1 time and there doesn't seem to be a lot of problems that
2 have occurred because of it.

3 EXAMINER CATANACH: Okay, I have nothing further
4 of this witness.

5 MR. KELLAHIN: With your permission, we would
6 like to continue the case to September 20th, and we'll have
7 Mr. Lee duplicate the stick cross-section so that you can
8 see where the top is as it moves from the reservoir. If
9 there is some other way we can display his data off of his
10 database to save you the effort of trying to find a
11 calculation, we'd be happy to do that.

12 If in your judgment there needs to be a minimum
13 overlap of the Grayburg despite the absence of production
14 above the Grayburg, let us know and we will generate that
15 list for you, so we want to accommodate or minimize the
16 efforts you have to devote to this project. So if there's
17 questions, we will try to answer them for you.

18 EXAMINER CATANACH: Okay, we might want to let
19 Ms. Ritchie answer the question that she -- that was posed
20 earlier.

21 MR. KELLAHIN: Would you stand so you can be
22 heard, Mrs. Ritchie?

23 MRS. RITCHIE: This is from correspondence in the
24 process of providing data to Mark Ashley and his subsequent
25 reply to me. He did fax to me a proposal, a proposed

1 permit, and within it he did state that it would be
 2 necessary to determine the top of cement when the 5-1/2-
 3 inch casing string is above approximately 1700 feet, and I
 4 do not know where he came up -- or where he determined that
 5 benchmark at 1700 feet.

6 EXAMINER CATANACH: Okay, thank you, Ms. Ritchie.

7 Mr. Kellahin, in the meantime you might be
 8 working on a draft order that would focus on what Melrose
 9 has proposed today in terms of which wellbore they propose
 10 to work on and what they propose to do with that, just so
 11 that's clear on the record, that would probably be helpful
 12 to me.

13 MR. KELLAHIN: All right, we'll certainly do
 14 that.

15 EXAMINER CATANACH: Okay, with that we'll
 16 continue this case, 12,709, to the September 20th hearing.

17 (Thereupon, these proceedings were concluded at
 18 11:30 a.m.)

19 * * *

20
 21 I do hereby certify that this is a
 22 complete and correct record of the proceedings in
 the Ex. 12709, heard by me on September 6, 1978 at 2:01.

23 Daniel P. Catanach Examiner
 24 Oil Conservation Division
 25

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL September 9th, 2001.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 2002