

STATE OF NEW MEXICO
OIL CONSERVATION COMMISSION

IN THE MATTER OF:)
THE HEARING CALLED BY THE)
OIL CONSERVATION DIVISION)
TO CONSIDER:)

Case No. 10344

APPLICATION OF COLLINS & WARE, INC.)
FOR AN UNORTHODOX GAS WELL LOCATION,)
CHAVES COUNTY, NEW MEXICO.)
-----)

REPORTER'S TRANSCRIPT OF PROCEEDINGS

DIVISION HEARING

BEFORE: DAVID R. CATANACH, Examiner

August 8, 1991

11:30 a.m.

Santa Fe, New Mexico

This matter came on for hearing before the Oil
Conservation Division on August 8, 1991, at 11:30 a.m.
at the conference room, State Land Office Building, 310 Old
Santa Fe Trail, Santa Fe, New Mexico, before Susan G.
Ptacek, Certified Court Reporter for the State of New
Mexico.

FOR: OIL CONSERVATION
DIVISION

BY: SUSAN G. PTACEK
Certified Court Reporter
CSR No. 124

I N D E X

August 8, 1991

Commissioner Hearing

Case No. 10344

PAGE

APPEARANCES

4

COLLINS & WARE WITNESSES:

BILL SELTZER

Direct Examination by Mr. Carr

5

Cross-Examination by Mr. Bruce

9

Examination by Mr. Catanach

10

HERBERT E. WARE, III

Direct Examination by Mr. Carr

12

Direct Examination by Mr. Bruce

17

Redirect Examination by Mr. Carr

22

Examination by Mr. Catanach

23

Examination by Mr. Stovall

24

Recross Examination by Mr. Bruce

26

Redirect Examination by Mr. Carr

26

Recross Examination by Mr. Bruce

26

CHARLES KNIGHT, JR.

Direct Examination by Mr. Carr

27

Cross-Examination by Mr. Bruce

33

Examination by Mr. Catanach

34

BHP PETROLEUM WITNESSES:

WILLIAM J. MORRIS

Direct Examination by Mr. Bruce

35

Cross-Examination by Mr. Carr

42

Redirect Examination by Mr. Bruce

55

Recross Examination by Mr. Carr

56

Examination by Mr. Catanach

57

Examination by Mr. Stovall

59

JERRY LONG

Direct Examination by Mr. Bruce

61

Examination by Mr. Stovall

64

CLOSING STATEMENTS

66

REPORTER'S CERTIFICATE

73

* * *

1	E X H I B I T S	
2	COLLINS & WARE EXHIBIT	ADMTD
3	1	9
4	2	9
5	3	9
6	4	17
7	5	17
8	6	33
9	7	55
10	BHP PETROLEUM EXHIBIT	
11	1	42
12	2	42
13	3	64
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

A P P E A R A N C E S

FOR THE DIVISION: ROBERT G. STOVALL, ESQ.
General Counsel
Oil Conservation Commission
State Land Office Building
310 Old Santa Fe Trail
Santa Fe, New Mexico 87501

FOR COLLINS & WARE: CAMPBELL, CARR, BERGE & SHERIDAN
Attorneys at Law
BY: WILLIAM F. CARR, ESQ.
110 North Guadalupe
Santa Fe, New Mexico 87501

FOR BHP PETROLEUM: HINKLE, COX, EATON, COFFIELD &
HENSLEY
Attorneys at Law
BY: JAMES G. BRUCE, ESQ.
500 Marquette, N.W.
Albuquerque, New Mexico 87102

* * *

1 MR. CATANACH: Call Case 10344.

2 MR. STOVALL: Application of Collins & Ware, Inc., for
3 an unorthodox gas well location, Chaves County, New Mexico.

4 MR. CATANACH: Appearances in this case.

5 MR. CARR: May it please the Examiner, my name is
6 William F. Carr with the law firm Campbell, Carr, Berge &
7 Sheridan of Santa Fe. I represent Collins & Ware, Inc.,
8 and I have three witnesses.

9 MR. CATANACH: Other appearances.

10 MR. BRUCE: Mr. Examiner, my name is Jim Bruce from
11 the Hinkle law firm of Albuquerque, representing BHP
12 Petroleum Americas, Inc. I have possibly three witnesses.

13 MR. CATANACH: Will all the witnesses or possible
14 witnesses please stand and be sworn?

15 (The witnesses were duly sworn.)

16 BILL SELTZER,
17 the Witness herein, having been first duly sworn, was
18 examined and testified as follows:

19 DIRECT EXAMINATION

20 BY MR. CARR:

21 Q. Would you state your full name for the record,
22 please?

23 A. Bill Seltzer.

24 Q. Mr. Seltzer, where do you reside?

25 A. I reside in Midland, Texas.

1 Q. By whom are you employed and in what capacity?

2 A. I'm employed by Collins & Ware, Inc., as a land
3 consultant.

4 Q. Have you previously testified before the Oil
5 Conservation Division and had your credentials as a
6 petroleum landman accepted and made a matter of record?

7 A. Yes, I have.

8 Q. Are you familiar with the application filed in
9 this case on behalf of Collins & Ware?

10 A. Yes.

11 Q. Are you familiar with the area that is the
12 subject of this application?

13 A. Yes.

14 MR. CARR: Are the witness's qualifications
15 acceptable?

16 MR. CATANACH: They are.

17 Q. (By Mr. Carr) Would you briefly state what
18 Collins & Ware seeks in this case?

19 A. Collins & Ware seeks an application for an
20 unorthodox gas well location to be located 330 feet from
21 the south line and 990 from the east line of Section 14,
22 Township 8 South, Range 27 East, Chaves County, New Mexico.

23 Q. What is the primary objective in this well, do
24 you know?

25 A. To test the Montoya formation.

1 Q. What are the well location and requirements in
2 effect for Montoya formation in this area?

3 A. It would be 1980 and 660.

4 Q. Have you prepared certain exhibits for
5 presentation here today?

6 A. Yes, we have.

7 Q. Would you identify what has been marked as
8 Collins & Ware Exhibit No. 1; identify this and review it,
9 please?

10 A. Exhibit No. 1 is a land plat indicating the
11 ownership of the acreage around the proration unit. The
12 proration unit being the south half of Section 14, along
13 with wells -- proposed wells of Collins & Ware being 330
14 from the south line, 990 from the east line; a Hadley well
15 in the southwest southwest of Section 13, which is located
16 660 from the west, 660 from the south line; and the BHP
17 legal located in Section 24, being 660 from the north line
18 and 990 from the west line.

19 Q. What does the double circle indicate in the
20 northeast quarter of Section 23?

21 A. That is what we understand that BHP had proposed
22 a well location 660 -- I believe it was 660 out of the
23 north and east line of that section.

24 Q. Are there any of these wells that have been
25 drilled at a standard location?

1 A. No, no wells have been drilled at a standard
2 location.

3 Q. Let's move to Exhibit No. 2. Could you identify
4 that and review it for the examiner?

5 A. Exhibit No. 2 is a topog map showing a lake on
6 the ranch up here in the southeast corner of the southwest
7 -- southeast corner of the section. The proposed
8 unorthodox location of 330 from the south line, 990 from
9 the east line, and a location that we originally had
10 administrative approval located 660 from the south line,
11 990 from the east line, that location falls at the edge of
12 this rancher's lake. And I was informed this morning that
13 the rancher feeds his cattle 120 feet south of this lake,
14 and he says he will not allow to us drill a location --
15 drill a well at that location up there. It would interfere
16 with his feeding.

17 Q. Could you just generally summarize the reason
18 the well cannot be drilled at either the original proposed
19 or standard location?

20 A. I think our geologist will show that standard
21 location would not effectively drain the formation.

22 Q. And the reason that you have moved to the 330
23 location from that location originally proposed is based on
24 primarily topographical conditions?

25 A. Yes.

1 Q. Has notice of today's hearing been provided as
2 provided by the Oil Conservation Division rules?

3 A. Yes.

4 Q. Is Exhibit No. 3 a copy of an affidavit with
5 attached notice letters to BHP and Hanrad providing notice
6 as required by the division?

7 A. They are.

8 Q. Were Exhibits 1 through 3 either prepared by
9 your or compiled under your direction?

10 A. Yes.

11 MR. CARR: At this time, Mr. Catanach, we move the
12 admission of Collins & Ware Exhibits 1 through 3.

13 MR. CATANACH: Exhibits 1 through 3 will be admitted
14 as evidence.

15 MR. CARR: That concludes my examination of
16 Mr. Seltzer.

17 MR. CATANACH: Mr. Bruce.

18 CROSS-EXAMINATION

19 BY MR. BRUCE:

20 Q. Mr. Seltzer, looking at Sections 13, 14, 23 and
21 24, who owns the minerals under those sections?

22 A. Which ones?

23 Q. Sections 13, 14, 23 and 24.

24 A. It's either the state or the federal government.

25 Q. So the surface owner, the rancher you talked

1 about, does not own the mineral rights?

2 A. No, he does not.

3 Q. I'm sure you're aware, Mr. Seltzer, that the
4 mineral estate is the dominant estate?

5 A. Yes, I am, Mr. Bruce.

6 Q. Looking at your Exhibit No. 2, what do the green
7 lines indicate?

8 A. The green lines are a fence line of the
9 rancher's.

10 MR. BRUCE: That's all I have, Mr. Seltzer.

11 EXAMINATION

12 BY MR. CATANACH:

13 Q. Mr. Seltzer, you said that you previously had
14 approval from the division for the 660, 990 location?

15 A. Yes, we had.

16 Q. I assume that notice of that location was given
17 to BHP as well?

18 A. Yes, they waived that -- gave us a waiver at
19 that location. Everybody gave a waiver on this,
20 Mr. Catanach, all around that thing, on that administrative
21 approval; and Mr. Stogner issued that order.

22 Q. Now, you've testified that the 660, 990, that
23 was at a location where the rancher feeds his cattle?

24 A. Yes. I would like also to point out -- you
25 notice coming from the south here, there is a road coming

1 up there? Look on the left-hand side -- on the left-hand
2 side of that road you see a blue line? He has a water line
3 running parallel to that road all the way up there that
4 feeds that lake. The location of 330 and 990 falls in that
5 bar ditch right on top of that water line, and we're
6 prepared to -- with his permission -- to move that water
7 line and move that road.

8 Q. Any move to the east or west of the proposed
9 location at 660 from the south -- 660 from the south, if
10 you move east or west in either direction, that would --
11 then geology would come into play?

12 A. Correct.

13 Q. Okay. Is there any compromise possible between
14 the 660 and 330 location from the south? Between the 330
15 in the south and 660 from the south, is there --

16 A. Geological wise?

17 Q. Pardon me?

18 A. You're talking about geology?

19 Q. Topographic, as far as the rancher.

20 A. We haven't considered moving in between there.

21 MR. CATANACH: I believe that's all I have.

22 MR. CARR: At this time we call Mr. Ware.

23 HERBERT E. WARE, III

24 the Witness herein, having been first duly sworn, was
25 examined and testified as follows:

DIRECT EXAMINATION

BY MR. CARR:

Q. Would you state your full name for the record, please?

A. Herbert E. Ware, III.

Q. Where do you reside?

A. In Midland, Texas.

Q. Mr. Ware, by whom are you employed and in what capacity?

A. I'm employed by Collins & Ware, Inc. I'm a full time geologist.

Q. Have you previously testified before this division?

A. No, I have not.

Q. Could you summarize your educational background and then review your work experience for Mr. Catanach?

A. I've obtained a bachelor of science degree in geology from the University of Texas in Austin, and after that I went to work for N. Brad Bennett, Incorporated, as a full-time geologist for six years. I'm presently employed at Collins & Ware, Inc., for the last four months.

Q. During your work experience with Bennett and now with Collins & Ware, has geographical area of responsibility included southeastern New Mexico?

A. Yes, it has.

1 Q. Are you familiar with the application filed in
2 this case on behalf of Collins & Ware?

3 A. Yes, I am.

4 Q. Have you made a geological study of the area?

5 A. Yes, I have.

6 Q. Are you familiar with the proposed well?

7 A. Yes, I am.

8 MR. CARR: We tender Mr. Ware as an expert witness in
9 petroleum geology.

10 MR. CATANACH: He is so qualified.

11 Q. (By Mr. Carr) Mr. Ware, have you prepared
12 certain exhibits for presentation here today?

13 A. Yes, I have.

14 Q. Would you refer to what has been marked as
15 Collins & Ware Exhibit No. 4, identify this and review it
16 for the examiner?

17 A. This is a structure map on top of the Montoya
18 formation. Our proposed location is 330 from the south
19 line, 990 from the east in Section 14 of Township 8 South,
20 Range 27 East. In this part of Chaves County we've found
21 that the Montoya formation is productive along north-south
22 faulted anticlinal features, and the BHP Puffer State in
23 Section 24, located in an unorthodox location, 660 from the
24 north line, 990 from the west line, was a successful
25 Montoya test.

1 By well control in this area we have established
2 a faulted anticlinal bounded on the east by a north-south
3 fault, and on the north by a northwest-southeast trending
4 cross fault. We feel that at our proposed location that we
5 can run structural on strike to the BHP well, and
6 efficiently drain the reserves within our proposed
7 proration unit, which is the south half of Section 14.

8 Other recent activity in this area, BHP has sent
9 notice of drilling an unorthodox location in the northeast
10 quarter of Section 23, located 660 from the north line, 660
11 from the east line.

12 Q. If I look at this map, all the wells in this
13 particular Montoya pool are at unorthodox locations; is
14 that correct?

15 A. This is correct.

16 Q. The area that you have shaded in brown on
17 Exhibit No. 4 indicates what?

18 A. Is what we have established as what we believe
19 is a productive interval within this faulted anticlinal
20 feature.

21 Q. Is it typical for the Montoya formations to be
22 small formations like this?

23 A. Yes, sir, it is. That's why wells are drilled
24 in unorthodox locations to obtain the highest structural
25 position available.

1 Q. In preparing this exhibit what information did
2 you utilize?

3 A. I used basically well control in the area and
4 some seismic data that was obtained -- that BHP had used to
5 come up with their -- to establish the faults in the area.

6 Q. Now, if you were to move the proposed well 330
7 feet to the north, from a geologic point of view what would
8 that do to this prospect?

9 A. I feel like it would be highly risky. It would
10 be extreme high risk, and as Mr. Seltzer pointed out
11 earlier, it would also -- it would also come across that
12 rancher's tank that he feeds his cattle at.

13 Q. Where would it actually place the well in regard
14 to the fault that runs northwest-southeast across the south
15 half of 14?

16 A. Based on this structure map, I feel like it
17 would fall probably right on top of the fault, if not on
18 the downthrown side of it.

19 Q. Let's go now to Exhibit No. 5, which is your
20 cross section -- there is, incidentally, a trace of this
21 cross section on Exhibit No. 4, is there not?

22 A. Yes, there is.

23 Q. Would you review that for Mr. Catanach?

24 A. Basically what the cross section shows is that
25 -- it is a north-south cross section from Section 13, which

1 is shown on the downthrown side of the fault to the Puffer
2 State, BHP's well, in Section 24 to the proposed location
3 and on down dip into Sections 23 and 26.

4 What the cross section basically is showing is
5 we feel like we're going to be running on strike to the BHP
6 Puffer State; and, as you can see, from the south is the --
7 at the down dip direction you can see the Pennsylvanian
8 formation -- I mean the Mississippian formation trending as
9 you come up on structure.

10 Q. Now, this proposed well is projected to be at
11 the top of the structure?

12 A. We feel like it is. We feel like it is the
13 structurally highest position available within our
14 proration unit; therefore we are protecting our correlative
15 rights.

16 Q. At this structural position do you believe that
17 you will be able to effectively and efficiently drain the
18 reserves that are under your tract?

19 A. Yes, I do.

20 Q. And if you moved this location to a, say,
21 standard location in the southwest quarter of Section 14,
22 what would that do to your ability to produce the reserves
23 under your tract?

24 A. I feel like the southwest quarter of this
25 section is a very highly risky position to drill this well.

1 Also, according to my interpretation, I feel that it would
2 not obtain the highest structural position available,
3 therefore BHP would be draining into our . . .

4 Q. If you're at that lower structural position,
5 what do you see ultimately would happen to that well?

6 A. It would ultimately go to water.

7 Q. When it goes to water, would there still be
8 reserves left under this section, under the south half of
9 Section 14?

10 A. Yes, sir, I believe so.

11 Q. Will Collins & Ware call an engineering witness
12 to discuss penalty considerations in this case?

13 A. Yes, they will.

14 Q. Were Exhibits 4 and 5 prepared by you?

15 A. Yes, they were.

16 MR. CARR: At this time, Mr. Catanach, we move the
17 admission of Collins & Ware Exhibits 4 and 5.

18 MR. CATANACH: Exhibits 4 and 5 will be admitted into
19 evidence.

20 (Collins & Ware Exhibits 4 and 5 were
21 received in evidence.)

22 MR. CARR: That completes my direct examination of
23 Mr. Ware.

24 CROSS-EXAMINATION

25 BY MR. BRUCE:

1 Q. Mr. Ware, if you drilled at an orthodox location
2 in the southwest quarter, what would be the structural
3 position?

4 A. I feel like you would be down dip to where you
5 could obtain the highest --

6 Q. What is your estimate of the structural position
7 for your proposed well?

8 A. I'm sorry.

9 Q. What is the depth?

10 A. 6440 -- you mean our TD; is what you're asking?

11 Q. The top of the Montoya at your proposed
12 location. I'm looking at your Exhibit No. 4.

13 A. What do I feel like it would be?

14 Q. Yes.

15 A. Minus 2450.

16 Q. Isn't there a location, looking in the southwest
17 quarter, about, say, somewhere around 1980 from the south
18 and west lines that would also be about minus 2450?

19 A. It could be but I don't have it on my map.

20 Q. Why not?

21 A. I didn't draw it. I didn't see it that way.

22 Q. You've got 50-foot intervals, don't you?

23 A. Yes, I do. But according to the slope that I
24 was using, I don't see that it could obtain that height
25 because of the orientation of the fault.

1 Q. You have a 25 -- minus 2500-foot line?

2 A. Yes, I do. I have a 2450 line on the other side
3 of that over in Section 24 that runs up into Section 14.

4 Q. You can use the same spacing between the lines
5 -- you're using equal spacing there -- it would be about a
6 2450 location, wouldn't there?

7 A. Not under the interpretation that I drew up
8 there. I guess there could be. I mean I'm not -- this is
9 just my interpretation. I feel like that would be a
10 riskier location anyway, based upon lack of well control in
11 that area.

12 Q. You mentioned all the wells are unorthodox in
13 this pool. There is really only one well in this pool,
14 isn't there?

15 A. Yes.

16 Q. That's the BHP well?

17 A. Yes, sir.

18 Q. It was discovered before.

19 A. It's the only one producing out of Montoya
20 formation, too.

21 Q. Did you shoot your own -- does Collins &
22 Ware shoot their own seismic?

23 A. Yes, I did.

24 Q. Was that done before or after you obtained
25 approval for the prior nonstandard location?

1 A. It was after.

2 Q. That didn't change your geological
3 interpretation, did it?

4 A. No, it did not.

5 Q. If you could drill a well on the southwest
6 quarter and have about the same structural position as your
7 proposed well, in your opinion would that well drain all
8 the reserves under the south half of Section 14?

9 A. Well, I'm not a reservoir engineer, but I
10 suppose if you could get a high enough structural position,
11 you could drain a good portion of the reserves under there.
12 It would be -- then you would be getting into a -- well, a
13 bit of a discrepancy between the BHP well and the well you
14 would be drilling up there, as far as who is draining what.

15 Q. According to your interpretation you could also
16 have a -- drill a well and have a chance of hitting a
17 productive well if you just moved to the west and north
18 somewhat and stayed in the southeast quarter, couldn't you;
19 say 660 feet from the south line and move it further to the
20 west?

21 A. Yes, but you would be losing structural
22 position.

23 Q. Mr. Ware, you said that the faults were mainly
24 north-south in this area. The main faults you rely on are
25 really more of east-west faults, aren't they?

1 A. Well, this -- cross fault basically, the
2 northwest-southeast direction, but that it's off the main
3 fault -- I was referring to the major trends of the faults
4 in this area are north-south, and that's what you find
5 further south in the Diablo field, Race Track and Four
6 Ranch.

7 Q. Are your fault locations based on your seismic?

8 A. They were based on basically BHP's prior seismic
9 interpretation that they came up with. They noted these
10 faults, and then it was proven by their well that they
11 drilled in Section 24 that the faults existed.

12 Q. Your subsequent seismic didn't change that
13 interpretation?

14 A. I'm sorry.

15 Q. You said you conducted seismic -- this map was
16 drawn before Collins & Ware did its own seismic?

17 A. Yes, it was.

18 Q. So your seismic did not change the
19 interpretation?

20 A. No, it did not.

21 Q. That was based on BHP's seismic?

22 A. This is basically the map we proposed to the
23 commission when we were wanting to drill our 660 location.

24 Q. Well, if it was -- if you used it for the 660,
25 why change locations?

1 A. Well, he felt like the 660 location was too
2 risky of a location to drill, and also because of what we
3 found out through the rancher.

4 MR. BRUCE: I have nothing further, Mr. Examiner.

5 MR. CATANACH: Mr. Carr.

6 REDIRECT EXAMINATION

7 BY MR. CARR:

8 Q. Mr. Ware, did you shade -- indicated the pool
9 boundary on your Exhibit No. 4, it only underlies three
10 proration units; isn't that correct?

11 A. Yes, sir.

12 Q. In your opinion is there any standard location
13 in this pool that could effectively drain the reserves from
14 the pooling?

15 A. No, sir, there is not.

16 Q. I'm just trying to understand your testimony.
17 Do you have an opinion as to whether or not you could
18 efficiently drain the south half of 14 with a well at a
19 standard location?

20 A. Not according to my interpretation.

21 Q. Why is that?

22 A. I don't feel like you can obtain the highest
23 structural position in the southwest portion of Section 14,
24 and that is the only possible orthodox location that you
25 could drill here to obtain the highest structural position.

1 Q. It's not an unorthodox location?

2 A. Yes, sir.

3 MR. CARR: That's all I have.

4 EXAMINATION

5 BY MR. CATANACH:

6 Q. Mr. Ware, do you know if there is a gas water
7 content in this?

8 A. No, sir, I -- from log interpretations we
9 calculated up what we thought might be just because we saw
10 a pretty huge difference between -- at about the subsea
11 level of minus 2550 what we felt like probably -- we would
12 encounter water below that. We feel like that's part of
13 the south boundary.

14 MR. STOVALL: That's the blue line?

15 THE WITNESS: Yes, sir.

16 Q. (By Mr. Catanach) In terms of drilling a well
17 at the structurally lower position, what are the
18 consequences besides that it may water out quicker than a
19 well at a higher structural position? Is that the only --

20 A. You would be leaving additional reserves within
21 the formation under our proration unit.

22 Q. What is the BHP well in Section 24; is that a
23 pretty good producing well?

24 A. I don't believe it's been hooked up on line yet.
25 They just potentialized it for, I believe, 7 million a day.

1 Q. Is there any Pennsylvanian potential at that
2 location?

3 A. I haven't done any actual geology with the
4 Pennsylvanian. We were looking at that as a possible
5 secondary objective here, but not something -- based on the
6 production in the area we don't feel like it would be an
7 economical test just to go Pennsylvanian.

8 MR. CATANACH: I believe that's all I have.

9 MR. STOVALL: I just have a couple of questions.

10 EXAMINATION

11 BY MR. STOVALL:

12 Q. that sort of brownish tan color, what is the
13 significance of that?

14 A. That's what we feel like is productive within
15 the Montoya formation.

16 Q. If I look at your proposed location -- you kind
17 of covered up your 2450 contour line with your red square.

18 A. Yes, sir.

19 Q. But if I looked at that, how would that compare
20 to, say, a structural position over towards the left just
21 up to the northwest of where your -- the number 2500 is,
22 you've got your upthrown, downthrown, how does that compare
23 structurally to a location right about, say, at the top of
24 the right leg of the U?

25 A. Well, that's what Mr. Bruce was asking earlier.

1 Q. I know. I didn't quite understand your answer
2 to that. I want it more specific.

3 A. Well, I feel like that you can't get that
4 structural height over there based on the orientation of
5 the fault. It appears so, I guess, by what I have drawn
6 here, but I don't feel -- I feel like it would be a risky
7 situation, and I wouldn't recommend to drill that well.

8 Q. If I look at the map, a substantial portion of
9 the reservoir in this proration unit is actually under the
10 southwest quarter, isn't it?

11 A. About half of it I would say, yes, sir.

12 Q. Would this well at your proposed location get
13 all the gas from there?

14 A. I believe so, yes, sir.

15 Q. Do you know anything about the topography of the
16 southwest quarter?

17 A. It's low also.

18 Q. I mean talking about the surface?

19 A. Yes, sir. It's low. Topographic map shows
20 that.

21 Q. Well --

22 A. There is a low over to the west.

23 Q. What does that mean? What is the significance
24 of that as far as --

25 A. I don't understand.

1 Q. Is it a drillable location on the surface is
2 what I am asking?

3 A. I suppose so. We haven't visited with the
4 rancher or anybody about that.

5 MR. STOVALL: No further questions.

6 MR. BRUCE: One more.

7 RECROSS EXAMINATION

8 BY MR. BRUCE:

9 Q. If Collins & Ware's well is approved, would it
10 object or consent to a similar offsetting BHP location in
11 Section 23?

12 A. I do not have the authority to answer that
13 question.

14 Q. Are there any other witnesses here who have the
15 authority to answer that question?

16 A. I don't believe so.

17 REDIRECT EXAMINATION

18 BY MR. CARR:

19 Q. Mr. Ware, just to see if I understand your
20 testimony; if you move from the proposed unorthodox
21 location to the west, do you lose structural position?

22 A. I believe so, according to my map.

23 MR. CARR: That's all I have.

24 MR. BRUCE: Can I ask one more?

25

RE CROSS EXAMINATION

BY MR. BRUCE:

Q. How much structural position would you lose according to your map?

A. 50 feet, 30 feet, somewhere in there.

Q. What are you basing that on? You have a 2500-foot line and there are positions that you can drill that are minus 2500 feet?

A. What I am saying -- okay. At our proposed location I feel like we can be as high as -- from what I see here -- probably minus 2450. The highest spot I feel like we can get over here is anywhere between minus 2500, but not quite at 2450. So it can be anywhere from 50 feet to 10, or even beyond that. I don't know. I don't have the control over in that area to make that.

MR. BRUCE: That's all I have, Mr. Examiner, finally.

MR. CATANACH: Witness may be excused.

MR. CARR: At this time we call Mr. Knight.

CHARLES KNIGHT, JR.,
the Witness herein, having been first duly sworn, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. CARR:

Q. Would you state your name for the record, please?

1 A. Charles Knight, Jr.

2 Q. Where do you reside?

3 A. Midland, Texas.

4 Q. By whom are you employed and in what capacity?

5 A. I'm an engineer for Collins & Ware.

6 Q. You are a full-time employee of Collins & Ware?

7 A. Yes, I am.

8 Q. Have you previously testified before this
9 division?

10 A. No, I have not.

11 Q. Would you review your educational background and
12 then summarize your work experience for Mr. Catanach?

13 A. I graduated with an engineering degree from
14 Texas Tech University. I worked seven years with Amoco
15 Production Company in Hobbs and Houston, and three years
16 with Philmont Oil located in Midland, and approximately a
17 year and a half consulting work before this becoming a
18 full-time employee with Collins & Ware.

19 Q. In all of these various positions have you --
20 has your area of responsibility included southeastern New
21 Mexico?

22 A. Yes, sir.

23 Q. Are you familiar with the application filed in
24 this case on behalf of Collins & Ware?

25 A. Yes, I am.

1 Q. Have you made a that study of the area?

2 A. Yes.

3 Q. Are you familiar with the proposed well?

4 A. Yes, I am.

5 MR. CARR: At this time we tender Mr. Knight as an
6 expert witness in petroleum engineering.

7 MR. CATANACH: He is so qualified.

8 Q. (By Mr. Carr) Mr. Knight, what have you been
9 asked to testify to in this proceeding?

10 A. I've been asked to testify about drainage and if
11 a penalty is asked to be imposed, what that penalty may be.

12 Q. First, do you believe that a well at this
13 location should have its production restricted?

14 A. No, I do not.

15 Q. Why is that?

16 A. If you refer to Exhibit 4, looking at the
17 reservoir area shaded in brown, you can see that the area
18 under Section 14 is greater than the area under Section 23
19 and the area under Section 24. Assuming three wells in the
20 reservoir, it's my opinion that a well in Section 14 would
21 not drain any more than the reservoir area under Section
22 14.

23 Q. And your assumption is based on the fact that
24 BHP will in fact drill in the northeast in 23?

25 A. Yes, it is.

1 Q. Let's go to your Exhibit No. 6. If, in fact,
2 the division decides to impose a penalty on this location,
3 could you review this exhibit and explain how you believe
4 that penalty should be imposed?

5 A. Exhibit 6 shows a location that was previously
6 approved, 660 from the south, 990 from the east, and also a
7 location that we propose 330 from the south, 990 from the
8 east. I've drawn 320-acre drainage radius circles around
9 each the locations, and stippled in the difference between
10 of the two, as far as what encroachment you have additional
11 into BHP Petroleum's acreage. This amounts to 31 acres out
12 of the 320, giving you a penalty of 9.7 percent.

13 Q. Now, you use as the basis for the original
14 circle a location 660 from the south line, 990 from the
15 east line?

16 A. That's correct.

17 Q. Why did you use that location as the original
18 location?

19 A. That location had been approved, and the
20 location of the BHP producing well, the Puffer No. 1, is at
21 a similar location, 660 from the south, 990 from the west
22 line.

23 Q. Why did you use 320-acre drainage circles?

24 A. That is the proration unit size.

25 Q. You then placed the second well at the proposed

1 unorthodox location?

2 A. That's correct.

3 Q. What you have done to get your recommended
4 penalty is perimeter the additional drainage area on the
5 offsetting tract?

6 A. That's correct.

7 Q. The actual drainage area extends beyond the
8 reservoir boundary, does it not?

9 A. Yes, it does.

10 Q. And it extends beyond the boundary to the south
11 and to the west?

12 A. That's correct.

13 Q. It also extends beyond the boundary to the north
14 and the east?

15 A. That's correct.

16 Q. In your opinion, is this a reasonable way to go
17 about imposing a penalty on the well?

18 A. I believe it's reasonable.

19 Q. Will a penalty proposed using this method also
20 account for the additional drainage that is gained to the
21 tract to the south and east in Section 24?

22 A. That's correct.

23 Q. As well as the acreage in the south?

24 A. Not only Section 23 but 24 also.

25 Q. Now, against what do you recommend this penalty

1 be applied?

2 A. Against deliverability.

3 Q. And how would that be determined?

4 A. Annual tests.

5 Q. And would those tests -- would you recommend
6 they be witnessed by the Oil Conservation Division?

7 A. Yes, I would.

8 Q. Would you have any objection to BHP also being
9 notified and given an opportunity to witness those tests?

10 A. No, I would not.

11 Q. What effect, in your opinion, would there be of
12 penalizing this well beyond the recommended rate?

13 A. I believe it would impose an economic burden on
14 the well such that we may not be able to drill the well.

15 Q. What would be a penalty above the recommended
16 penalty due to drainage of reserves from the south half of
17 14?

18 A. I'm sorry. I didn't hear the question.

19 Q. If a penalty in excess of the 9.7 percent shown
20 on Exhibit 4 were imposed on the well, what impact would
21 that have on drainage from the south half of 14? What
22 impact would it have on the correlative rights of Collins &
23 Ware?

24 A. I believe a penalty in excess of the recommended
25 9.7 would in fact allow BHP to produce some of the reserves

1 residing under in the Collins & Ware leasehold in Section
2 14.

3 Q. Do you believe that approving the application of
4 Collins & Ware and imposing a penalty of 9.7 or less would
5 protect correlative rights of the interest owners in this
6 pool?

7 A. Yes, I do.

8 Q. Would you further -- do you have an opinion
9 whether or not it would prevent the waste of hydrocarbons?

10 A. I believe it would prevent the waste, if it
11 would allow a well located at this location.

12 Q. Was Exhibit No. 6 prepared by you?

13 A. Yes, it was.

14 MR. CARR: At this time, Mr. Catanach, we move the
15 admission of Collins & Ware Exhibit No. 6.

16 MR. CATANACH: Exhibit No. 6 will be admitted as
17 evidence.

18 MR. CARR: That concludes my direct examination of
19 Mr. Knight.

20 CROSS-EXAMINATION

21 BY MR. BRUCE:

22 Q. Mr. Knight, if Collins & Ware drills this well,
23 do you think it will deviate in any particular direction?

24 A. I don't know of any such deviation.

25 Q. Now, if the BHP well in Section 23, which is

1 noted on this exhibit, is not drilled, will Collins &
2 Ware's well drain the acreage in Section 23?

3 A. It's possible.

4 Q. Have you made an estimate of -- looking at
5 Mr. Ware's Exhibit No. 4, did you make an estimate of the
6 -- based on his map the number of productive acres under
7 Section 14?

8 A. Not the exact amount, no.

9 Q. Do you have a rough estimate?

10 A. No, I don't even have a rough estimate, just a
11 graphical representation. You can see that there's by far
12 many more acres of reservoir area under Section 14 than in
13 either the 23 or the 24.

14 Q. Looking at it, there's roughly -- maybe 140 to
15 160 productive acres?

16 A. I think the 140 would be closer.

17 MR. BRUCE: I have nothing further of Mr. Knight.

18 EXAMINATION

19 BY MR. CATANACH:

20 Q. Mr. Knight, have you calculated the gas reserves
21 at all underlying any of the tracts?

22 A. No, sir.

23 MR. CATANACH: That's all I have. The witness may be
24 excused.

25 MR. CARR: Mr. Catanach, that concludes our direct

1 presentation.

2 MR. CATANACH: Do you need a couple of minutes?

3 MR. BRUCE: Could you give me two minutes?

4 (At 12:10 p.m. a recess was taken.)

5 MR. CATANACH: Let's go on the record.

6 MR. BRUCE: I call Mr. Morris to the stand.

7 WILLIAM J. MORRIS,

8 the Witness herein, having been first duly sworn, was
9 examined and testified as follows:

10 DIRECT EXAMINATION

11 BY MR. BRUCE:

12 Q. Would you state your full name?

13 A. William J. Morris.

14 Q. What is your occupation and who are you employed
15 by?

16 A. I'm a petroleum geologist working for BHP
17 Petroleum.

18 Q. Have you previously testified before the OCD as
19 a geologist and had your credentials as an expert accepted
20 as a matter of record?

21 A. Yes.

22 Q. Are you familiar with the geology of the area at
23 issue in this case?

24 A. Yes, I am.

25 MR. BRUCE: Mr. Examiner, I tender Mr. Morris as an

1 expert geologist.

2 MR. CATANACH: He is so qualified.

3 Q. (By Mr. Bruce) Mr. Morris, would you please
4 refer to your Exhibit 1, and describe its contents for the
5 examiner?

6 A. This is a structure map on the top of the
7 Montoya dolomite. The acreage colored in yellow is that
8 which is controlled BHP. The brown outlined area is the
9 proration unit asked for by Collins & Ware. The proposed
10 location is shown by an arrow in the very southeast part,
11 and we also show on there the closest orthodox location.
12 The well in Section 24 is the BHP No. 1 Puffer State well,
13 which we drilled and completed in February of this year, in
14 the Montoya formation. That well has potential for
15 approximately 8 million cubic feet of gas per day. Within
16 the last two weeks we've got that well on line, and it has
17 been producing about 2 to 3 million a day.

18 The other wells colored blue have been
19 productive from the Penn Classic formation.

20 Q. In your opinion did BHP take quite a risk in
21 drilling this well?

22 A. BHP took considerable risk in drilling between
23 three wells, one in Section 13, colored blue, one in
24 Section 23, that is also colored blue, and there is a dry
25 hole in Section 24 that is approximately 1980 from the

1 north and from the west line, that also -- all three of
2 those wells entered the Montoya formation, and were
3 considerably lower than the well that we drilled.

4 Q. What is indicated by the red area on your map?

5 A. That is the area that we interpret to be the
6 productive area for the Montoya reservoir in this prospect.

7 Q. And what is the outline of the red area on the
8 south or southwest; what do you interpret that as? Is that
9 the gas-water content?

10 A. From the well that we drilled I would say that
11 there is -- I have made a gas-water content determination
12 of minus 2541. It could be a little bit lower than that.
13 You know, it's an approximation.

14 Q. And would you agree with Mr. Ware that
15 structural position is important to the dolomite?

16 A. Very much so.

17 Q. Would you, please, then move on to Exhibit No. 2
18 and describe its contents for the examiner?

19 A. That is the outlined area that we believe is the
20 productive area of the reservoir. We show the main
21 controlling faults on there by the large black lines, and I
22 have drawn in the minus 2550 contour, which is the
23 approximate gas/water contact for this reservoir.

24 Also in the corner of each of those sections of
25 -- showing the number of acres that are colored red. They

1 are in the shaded red area. In Section 14 there are 20
2 acres, and Section 23 is 45 acres; and Section 24 we seek
3 202 acres, and 24 acres of potential reservoir in
4 Section 13.

5 Q. Would you please go down -- in the lower
6 left-hand corner of that map there are some calculations.
7 Would you describe what those are, describe the basis for
8 those numbers?

9 A. Okay. These are some of the methods of penalty
10 that the state has used in the past, and the number 1 down
11 there is the distance method; whereby the -- the orthodox
12 location in this particular case is 660 from the south, and
13 1980 from the east, and the proposed location is 330 feet,
14 too close to the line, and the 990 feet from the west line
15 is -- another 990 feet. If you divide those by the
16 orthodox standards and multiply them together, you'd come
17 up with an allowable factor of 25 percent, which would be
18 -- amount to a 75-percent penalty.

19 The number two case is just based on the
20 drainage area. I've taken -- I've assumed that if
21 Collins & Ware drills their well, that they will drain all
22 of the acreage in Section 14 and 23, which totals 65 acres.
23 Their acres is 20 -- is 20 acres out of the total 65. If
24 you use just a drainage method of a penalty, you would give
25 them an allowable of 30 percent or 70-percent penalty.

1 If you combine the two methods -- that's shown
2 in section three, which I feel is a very fair method -- you
3 would multiply the .25 times .3 and come up with a .075
4 allowable factor, or a 92-and-a-half percent penalty.

5 If you consider a full reservoir basis -- that
6 example is shown in example number 4 there -- Collins &
7 Ware would have 20 acres out of a total 291 acres. That
8 would be an allowable factor of .07 or 93-percent penalty.

9 And if you base it on a proration unit method,
10 Collins & Ware has 20 acres of potential reservoir out of a
11 320-acre proration unit, which would mean that they would
12 be allowed to produce .06 of that or a 94-percent penalty.

13 Q. In your opinion, Mr. Morris, if a penalty is
14 assessed against Collins & Ware, should it be assessed
15 against the well's ability to produce?

16 A. Yes, I do.

17 Q. And how often do you think the well should be
18 tested to assess the penalty?

19 A. They should be tested monthly or every three or
20 four months.

21 Q. Now, Collins & Ware's witnesses discussed a
22 proposed BHP well in the northeast quarter of Section 23.
23 Will that well be drilled?

24 A. That well was -- the location on that well was
25 sought in response to Collins & Ware's unorthodox location

1 to north of us, and we just wanted to get proceedings going
2 on that in case they got their well drilled, that we could
3 protect ourselves on our acreage.

4 Q. So if their well was drilled without any
5 penalty, then BHP may well seek approval for an offsetting
6 well; is that correct?

7 A. That's absolutely correct.

8 Q. Would BHP prefer not to drill that well?

9 A. Absolutely. That would be an economic waste
10 actually, because we can produce all that with our well.

11 Q. Will Collins and Ware's well deviate in your
12 opinion?

13 A. Yes, I believe the well's drilled on a structure
14 took a deviation in an up-dip direction, so that -- I would
15 believe that their well would deviate toward our well, so
16 they would be even closer to the lease lines.

17 Q. Even though -- assuming Collins & Ware's well --
18 current proposed location is slightly down dip from BHP's
19 well, could it produce at rates comparable to those of
20 BHP's well?

21 A. Yes, I believe it could.

22 Q. Looking at Collins & Ware's Exhibit No. 4,
23 Mr. Morris, in looking at the southwest quarter of Section
24 14, based on that, are there some standard locations
25 available that Collins & Ware could drill that would be

1 approximately structurally the same as its proposed
2 location?

3 A. Yes, I believe there are. It looks like a
4 location probably 660 or 990 from the west line, and
5 approximately 1650 or so from the south -- I guess that's
6 not quite orthodox, but it would be considerably further
7 from our location and much more acceptable to us. There
8 would be no interference.

9 There is a location about 1980 from the west and
10 1650 from the south line that would be a good orthodox
11 location to drill. Based on their interpretation, it
12 should be as high or not any more than 20 or 30 feet lower
13 than the location that they are proposing.

14 Q. You were here and you heard Mr. Ware testify,
15 did you not?

16 A. Yes, I did.

17 Q. Although I wasn't quite certain, I guess he was
18 saying that his outline of productive acreage in the
19 southwest quarter of Section 14 may be speculative.

20 A. Yes, I think mine is much more realistic in this
21 case.

22 Q. If Mr. Ware is right and that is speculative,
23 there is substantially a smaller amount of productive
24 acreage in Section 14 than he outlines?

25 A. Absolutely. He's -- he testified to the amount

1 of risk that was drilling over there, and Collins & Ware is
2 not prepared evidently to take that risk.

3 Q. Were Exhibits 1 and 2 prepared by you or under
4 your direction?

5 A. Yes, they were.

6 Q. In your opinion is the denial of Collins &
7 Ware's application -- or the granting of the application
8 with the substantial penalty on production the only way to
9 prevent waste and protect the correlative rights?

10 A. Yes, I do.

11 MR. BRUCE: Mr. Examiner, I tender BHP Exhibits 1
12 and 2.

13 MR. CATANACH: Exhibits 1 and 2 will be admitted as
14 evidence.

15 MR. BRUCE: Pass the witness.

16 CROSS-EXAMINATION

17 BY MR. CARR:

18 Q. Mr. Morris, let's go to your Exhibit 1. The
19 area that you have shaded red on this exhibit is what you
20 believe, based on your geologic interpretation, to be the
21 productive limits of the reservoir?

22 A. That is correct. And I'd like to point out that
23 I failed to say on the first part of the -- is that our
24 interpretation is also based on several lines of seismic
25 data through that area that gives us some pretty good

1 control for the structural attitudes on the north-south and
2 east-west direction.

3 Q. Did you construct the map using the seismic
4 alone, or did you also integrate well information?

5 A. We used both of them.

6 Q. If I look at this exhibit, you have a fault
7 running across the south half of Section 14, sort of
8 parallel to the southern boundary about 330 feet north of
9 it; is that right?

10 A. That is correct.

11 Q. What seismic line did you use to pick the
12 orientation of that fault?

13 A. We have our BHP line 91-9 that goes straight up
14 through -- pretty close to our well in Section 24 and the
15 well in Section 23. You can see an "X" just above the
16 2900?

17 Q. Yes.

18 A. That is a fault cut -- excuse me -- that is the
19 fault cut on the seismic line. I misinformed you. That
20 was the wrong line. But "Y" goes through Section 14 -- "A"
21 is through 14 and down through our well in Section 24.
22 That acts as a fault cut on that line.

23 And prior -- previously I had that fault angling
24 more to the south. Subsequent to Collins and Ware's first
25 unorthodox location application in here, they shot some

1 seismic data, and that data went through the well in
2 Section 23 and up through Section 14. They had to permit
3 us, so we knew the direction of that line. So I had to
4 believe, since they wanted to move their well from 660 to
5 330, that they believed the fault was between there
6 someplace, and that is why I drew that fault in an
7 east-west direction across there.

8 Q. Let me just hand you what I am going to mark,
9 when I can get the stamp, as Collins & Ware Exhibit No. 7,
10 and ask you if this a -- if you're familiar with this
11 particular structure map?

12 A. Yes, I am.

13 Q. In fact, the initials -- the name at the bottom,
14 "B. Morris," that's actually you, is it not?

15 A. That's correct.

16 Q. What this shows is -- if we look at the south
17 half of Section 14, there is what you were referencing a
18 minute ago when you said you had previously indicated the
19 fault coming down more towards the southeast?

20 A. Exactly; I was referring to this map that we
21 previously made.

22 Q. You haven't seen these -- the seismic line that
23 Collins & Ware shot; right?

24 A. That's correct.

25 Q. You're just assuming that because they moved

1 their location, and that's the only new information that
2 you have that's caused you to move the fault in this
3 fashion?

4 A. That is correct.

5 Q. If that fault isn't placed -- I mean, you don't
6 have anything other than the assumption for the placement
7 of the fault as you have?

8 A. That's right.

9 Q. In fact, it might be south of there or might be
10 north of there; isn't that right?

11 A. It would be hard pressed to move it to the north
12 I would say.

13 Q. Do you have anything -- any control,
14 information, other than just inference you have drawn from
15 the application of Collins & Ware that would tell you
16 whether to place it as you originally did or further north?

17 A. I just have the knowledge that they shot that
18 seismic data. Based on my experience, you know, I believe
19 my interpretation is a lot more valid.

20 Q. Without having seen the line?

21 A. Well, yes, absolutely.

22 Q. Now, you have indicated on this the closest
23 orthodox location on this exhibit.

24 A. That is correct.

25 Q. Is there, in your opinion, based on your work,

1 never orthodox location in the south half of 14 from which
2 reserves from this pool could be produced?

3 A. Based on my interpretation, no.

4 Q. In fact, no orthodox locations have ever been
5 proposed for this pool; isn't that right? Has anyone
6 proposed an orthodox location?

7 A. I don't believe they have.

8 Q. Your Puffer is not at an orthodox location, is
9 it?

10 A. No, it's not.

11 Q. And the reason you -- were you involved in the
12 selection of that location?

13 A. Yes, I selected that location.

14 Q. You were attempting to be structurally high,
15 were you not?

16 A. Exactly. We had the seismic data, as we see
17 from our first map that we -- and that is why we want to
18 get on the structurally highest point.

19 Q. Why do you want to be structurally high?

20 A. Because that's where the gas is going to
21 migrate.

22 Q. Do you happen to know what the reservoir drive
23 mechanism is in the reservoir?

24 A. No, I do not.

25 Q. You believe, though, that you need to be

1 structurally high to produce the reserves?

2 A. Absolutely.

3 Q. I think you testified that a well in a lower
4 structural position drilled by Collins & Ware might be able
5 to produce, even though down dip, a comparable rate. Was
6 that your testimony?

7 A. Yes, I believe so, if it's at the same reservoir
8 pressure, which I have no reason that it could not be.

9 Q. Do you have an opinion as to how long that well
10 would produce? Would it have as long a producing life
11 being down rather than higher structurally?

12 A. I do not know.

13 Q. Let's go to Exhibit No. 2. If we -- I believe I
14 understood your testimony to be the well that was proposed
15 in the northeast of Section 23 was really a protection well
16 for BHP?

17 A. Exactly.

18 Q. If BHP -- do you know whether or not if BHP does
19 not drill a well in 14 at all it would -- I'm sorry. If
20 Collins & Ware didn't drill a well at all in 14, would BHP
21 go forward with further development in Section 23?

22 A. We would not probably immediately drill that
23 location that we are seeking. We might -- after we've
24 produced our well in Section 24, get a better handle on
25 what we feel the reservoir extent is and everything, we

1 might drill on an unorthodox location there. It's
2 possible.

3 Q. The information -- I gather from that statement
4 from what the Puffer No. 1 produces might cause you to
5 amend what you consider to be the extent of the reservoir?

6 A. That is possible, sure.

7 Q. Now, if -- you've tested the well, I gather?

8 A. We've been producing it for something like the
9 last 10 days, something like that.

10 Q. Do you have an opinion as to whether or not that
11 well would in effect drain the reserves from the northeast
12 quarter of Section 23?

13 A. I don't know that I'm really qualified. I would
14 presume that it is an up-dip well, and as long as that is
15 connected, yes, it would drain it.

16 Q. The same would be true with whatever production
17 there is under the southeast of 14, if there is no well?

18 A. Sure.

19 Q. Now, we have your penalty recommendations. Are
20 you recommending any one of these?

21 A. I think any of the bottom three would be very
22 appropriate in this case. They're pretty close together.

23 Q. The reason you're concerned about this is the
24 drainage that could occur from a Collins & Ware well; isn't
25 that correct?

1 A. That is correct.

2 Q. You had no objection to a well at 660 from the
3 south line of 14 and 1990 from the west; isn't that
4 correct?

5 A. That is correct.

6 Q. Isn't the reason for that that it was the same
7 distance out of that common corner as your Puffer No. 1?

8 A. Yes, that is part of the reason.

9 Q. If we go to the first method that you've set
10 here, the distance method, when you -- the first factor
11 would be 330 over 660. That's because it's 50 percent
12 closer in fact than the rules provide to the south line?

13 A. Yes, sir.

14 Q. Then you multiply that by 1990 over 1980, and
15 you're again factoring that in for what reason?

16 A. That's 50 percent too close to -- it's 50
17 percent too close to the lease line, and what the state
18 regulations allow.

19 Q. And yet you are actually 990 off that common
20 boundary; isn't that right? You are 990 from the -- BHP is
21 990 off the west line of Section 24; correct?

22 A. Yes, the BHP well is.

23 Q. And you're concerned about drainage, but you
24 think a well on an east-west axis the same distance off,
25 say, the east line of 14 ought to be further penalized 50

1 percent?

2 A. Yes, the state sets the regulations. I do not
3 set them.

4 Q. So we're just going to look at the state
5 regulations?

6 A. Yeah, we --

7 Q. I just want to understand where you're coming
8 from, even though you're 50 percent closer on that axis?

9 A. We brought that through the state, and they gave
10 us permission.

11 Q. Let's go now -- with a waiver, I believe, is
12 that correct, from Collins & Ware?

13 A. I believe that's so. I'm not positive on that.

14 Q. Now we look at the drainage area. That's your
15 second factor; correct?

16 A. Correct.

17 Q. Back on No. 1, you're not concerned that there's
18 going to be additional drainage advantage gained on BHP by
19 a well equidistant from the common boundary between the two
20 tracts, are you?

21 A. The reason I included it is because there is
22 such a small amount of reservoir on their acres --

23 Q. I'm talking about number 1. If you're worried
24 about drainage, you're not concerned that they're going to
25 gain a drainage advantage, are you, when they're the same

1 distance off the common section line that you are?

2 A. I'm just showing that as an alternate method of
3 penalty.

4 Q. If we look at the drainage area calculation,
5 which is the second one, that is based on the 20 acres that
6 you show productive in the southeast of 14; correct?

7 A. Yes.

8 Q. And if that fault line is at some other
9 location, and, of course, that number would change?

10 A. Absolutely.

11 Q. When we get productive information on the Puffer
12 No. 1, or additional information from drilling in the
13 southeast of 14, that line could move?

14 A. That's right.

15 Q. Number 3 is one of the ones you think would be
16 satisfactory. That is actually just multiplying the first
17 two, isn't it?

18 A. Exactly.

19 Q. So to accept number 3, we also have to accept
20 this interpretation of this fault running across 14?

21 A. Yes.

22 Q. And we'd also have to -- to protect -- we'd have
23 to protect BHP from drainage by well 990 off the east line
24 of 14 --

25 A. That's right.

1 Q. -- when BHP is 990 off the west line of 24?

2 A. Yes.

3 Q. Now we look at the reservoir area. That's your
4 fourth factor.

5 A. Correct.

6 Q. That's 20 acres that -- again, that's dependent
7 on the placement of the fault?

8 A. Yes.

9 Q. And then dividing that by the 291. What is
10 that?

11 A. That is the total productive area shaded in red
12 on that map.

13 Q. So do you believe it would be appropriate to
14 limit the production from this well because of the 24 acres
15 in the southwest of 13?

16 A. I didn't consider that. I think --

17 Q. What about --

18 A. -- whoever operates and owns that that they need
19 to consider that.

20 Q. What about the 45 acres that you show in the
21 northeast of 23; that's a factor that you considered,
22 correct, in imposing this penalty?

23 A. Right, absolutely.

24 Q. If a well is drilled in northeast of 23, would
25 BHP be agreeable to penalizing its production from that

1 well based on the number of productive acres in that
2 proration unit as compared to the total productive acres in
3 the pool?

4 A. I think to be fair to Collins & Ware that we
5 would have to accept a comparable penalty, whatever that
6 may be.

7 Q. There is no such comparable penalty imposed on
8 the well in the northwest of 24?

9 A. No, that was a wildcat well and BHP took all of
10 the risk in discovering this reservoir.

11 Q. Nonetheless you're saying that should not --
12 that wouldn't be appropriate if it's a wildcat well?

13 A. At the time the state did not see any reason to
14 penalize it, so no.

15 Q. Are you saying that you don't think this kind of
16 a penalty approach doesn't apply to anything but
17 development wells?

18 A. That is for the state to decide.

19 Q. We go to your proration method, and that's 20
20 acres of 320.

21 A. Correct.

22 Q. You're just looking at the south half of 14?

23 A. Absolutely.

24 Q. All we're doing here is again accepting because
25 you place the fault running across the south half?

1 A. Absolutely.

2 Q. Did you in any of these calculations measure the
3 additional drainage area that could be gained on any of the
4 BHP-operated tracts by virtue of the orthodox location?

5 A. I'm not clear on what you're asking.

6 Q. You saw Mr. Knight's proposed penalty, did you
7 not, a few minutes ago?

8 A. Yes, I did.

9 Q. You understand that to be based on the
10 additional number of acres that would be drained on BHP
11 tracts by virtue of moving the location? Did you
12 understand that?

13 A. Yeah, I believe I did. Yes.

14 Q. Did you make any similar kind of calculation?

15 A. Because they moved the well to the south and
16 stuff.

17 Q. Yes. To determine how many additional acres
18 might be drained by virtue of that movement?

19 A. No. I didn't see where that applies at all.

20 Q. And didn't you testify that your real concern,
21 however, was the additional drainage that they would gain
22 on you by virtue of the unorthodox location?

23 A. Yes, they would be a lot closer there,
24 absolutely.

25 MR. CARR: That's all I have.

1 MR. BRUCE: I have followup questions, Mr. Examiner.

2 MR. CARR: I would like to move the admission of
3 Collins & Ware Exhibit No. 7.

4 MR. CATANACH: Collins & Ware Exhibit 7 will be
5 admitted as evidence.

6 (Collins & Ware Exhibit 7 was
7 received in evidence.)

8 REDIRECT EXAMINATION

9 BY MR. BRUCE:

10 Q. Looking at that Exhibit No. 7, Mr. Morris, this
11 was the map that was used -- submitted to the OCD to gain
12 administrative approval of the Puffer well in Section 24,
13 was it not?

14 A. Yes, it was.

15 Q. Do you consider this map substantially different
16 from BHP's Exhibit No. 1?

17 A. Not really. It's just the placement of the
18 fault, as Mr. Carr has clearly pointed out.

19 Q. And this map, Exhibit No. 7, was, of course,
20 drawn before the Puffer well was drilled?

21 A. That is correct. That was our interpretation
22 prior to drilling of the well.

23 Q. Looking at the east-west fault or
24 north-northeast, south-southwest fault, do you have some
25 confidence in the orientation of that fault?

1 A. All we know is that the well in section 13 is
2 downthrown to our well, and we have a fault cut on that
3 Puffer -- on that seismic line that goes
4 northwest-southeast. So we know it goes in an easterly
5 direction, east-west direction.

6 Q. Looking at Collins & Ware's proposed well, if
7 BHP didn't drill in Section 23, in your opinion would the
8 well in Section 14 drain most of that acreage?

9 A. Yes, I believe it would drain all of it.

10 Q. So moving that location could well -- from 660
11 to 330 from the south line could have a substantial effect
12 on Section 23, could it not?

13 A. It would have -- it would drain more of that
14 acreage for sure.

15 Q. Now, looking at Mr. Ware's Exhibit No. 4 again,
16 if Mr. Ware is correct and there is substantial productive
17 acreage in Section 14, southwest quarter of Section 14,
18 would BHP's Puffer State well necessarily drain the
19 southwest corner of Section 14?

20 A. I believe that substance is so far that it
21 probably would not drain it all. I'm not really qualified
22 to answer that.

23 MR. BRUCE: I have nothing further, Mr. Examiner.

24 RECROSS EXAMINATION

25 BY MR. CARR:

1 Q. I guess I have one more question concerning the
2 first penalty factor shown on Exhibit No. 2. If I look at
3 that, you've got your first factor being 330 over 660.
4 Each of these factors -- that as a 50-percent penalty based
5 on the fact that it's 50 percent closer than the standard
6 location?

7 A. Exactly. In a north-south direction.

8 Q. And then a north-south direction, if in fact it
9 was 165 feet off the line, then I guess there would be a
10 75-percent penalty?

11 A. Yes, that is correct. They would be encroaching
12 on us 50 percent more.

13 Q. If it was drilled right on the line, then there
14 were a hundred percent penalty, I guess?

15 A. They should not be allowed to drill on the line.

16 Q. One foot off the line still it would approach
17 100-percent penalty.

18 A. Yes, it would approach a hundred percent.

19 Q. Yet a well at that location would still be
20 draining a substantial portion of the reserves off its own
21 tract, wouldn't it?

22 A. Yes, and the tract to the south.

23 MR. CARR: That's all I have.

24 EXAMINATION

25 BY MR. CATANACH:

1 Q. Mr. Morris, is it my understanding that you
2 really don't have any geologic evidence to substantiate the
3 location of your fault going through Section 14?

4 A. Just the knowledge that Collins & Ware shot a
5 seismic line through their proposed location, and they --
6 after they shot that seismic line, they moved their
7 location 330 feet south. That's telling me that they felt
8 the 660 location was too risky to drill and wanted to move
9 to the south.

10 Q. Their seismic line was shot east-west, right
11 along their --

12 A. They shot, I believe, three seismic lines in
13 this area. One was pretty much a north -- a
14 northeast-southwest line that goes through the well in
15 Section 23, goes up through the proposed location, which I
16 believe would be the 990/660 location. I can't be exact on
17 that. I just know the orientation of the line through 23,
18 and it went right into that direction. Typically these
19 lines are shot in a straight line direction and stuff, so
20 -- I believe they just wanted to get closer to a safer
21 location. Like I said, my original interpretation shows
22 all of Section 14 to be nonprospective.

23 Q. Your original interpretation being Exhibit
24 No. 7?

25 A. Exactly.

1 Q. Shows what now?

2 A. There to be no reservoir in the Montoya in
3 Section 14. That there was a considerable risk in --
4 because they shot their line, that's why I moved basically
5 that east-west fault a little to the north, showing some
6 reservoir on their acreage.

7 MR. CATANACH: I have no further questions.

8 EXAMINATION

9 BY MR. STOVALL:

10 Q. So if your interpretation is right, it doesn't
11 matter where they drill the well, does it?

12 A. If my original interpretation is right, that's
13 right. There is considerable risk. I guess I believe that
14 if they believe their interpretation that they have that
15 much reservoir under theirs, they should be allowed to
16 drill at an orthodox location, which ought to be good,
17 based on their interpretation. Why should they be crowding
18 us if they believe all of the west part of Section 14 is
19 viable?

20 Q. Your penalty proposal is basically a geometric
21 progression of multiplying fractions by fractions to get
22 the smallest possible fraction you can come up with, isn't
23 it?

24 A. Those are some of typical methods that the state
25 uses and stuff. That's basically what I based my methods

1 on.

2 Q. So what you're suggesting is you take one method
3 and multiple it times another method so that you can
4 increase the percentage penalty; is that right?

5 A. No, that's not really what I'm doing there. All
6 I'm saying is the distance --

7 Q. Isn't that what that number is?

8 A. Yes, it is, a combination of both of them. I
9 think that is a fair way of doing it because there is such
10 a small percentage of the reservoir on their lease. That
11 the -- the distance method alone does not really --

12 Q. How would you recommend that they -- that that
13 method be applied if in fact your original interpretation
14 of the fault were wrong? How much reservoir would you give
15 them at that point?

16 A. Based on my original interpretation, you know,
17 maybe there's one or two acres that might be prospective on
18 theirs.

19 Q. Why don't you use that -- plug that number in
20 here instead? Would that not work, the penalty would be
21 even greater?

22 A. Well, sure, sure. These are just suggestions to
23 the state what we feel would be fair to us. We feel like
24 they're really encroaching upon our acreage and our
25 reservoir. He were granted approval for 660/990, which we

1 were being very generous, we felt.

2 Q. I guess I do have a serious question which you
3 don't need to answer. As Mr. Carr pointed out, you're
4 asking for a penalty on a well which is the same distance
5 from the common boundary as yours, but I guess that's your
6 interpretation to ask for what you can get.

7 A. Sure, sure. I'm making the things as positive
8 for us as I can. I think that's . . .

9 MR. STOVALL: I don't have any further questions.

10 MR. CATANACH: Witness may be excused.

11 JERRY LONG,
12 the Witness herein, having been first duly sworn, was
13 examined and testified as follows:

14 DIRECT EXAMINATION

15 BY MR. BRUCE:

16 Q. Would you please state your name for the record?

17 A. My name is Jerry Long.

18 Q. Where did you reside?

19 A. I live 2709 Bristol Lana Drive, Roswell, New
20 Mexico.

21 Q. What is your occupation?

22 A. I'm a petroleum consultant.

23 Q. And who have you been retained by in this case?

24 A. I've been retained by BHP petroleum.

25 Q. What type of work do you do for BHP Petroleum?

1 A. I do applications to drill, right of ways,
2 things like that.

3 Q. Are you familiar with the topography of the area
4 of the well at issue in this case?

5 A. Yes, I am.

6 MR. BRUCE: Mr. Examiner, I don't intend to qualify
7 Mr. Long as an expert, just as practical knowledge of the
8 topography of the area.

9 MR. STOVALL: He is so qualified.

10 Q. (By Mr. Bruce) Mr. Long, would you look at BHP
11 Exhibit No. 3 and identify it for the examiner, state what
12 it shows?

13 A. Is this No. 3?

14 Q. Yes, sir.

15 A. This exhibit shows the 990/660 location and the
16 990/330 location, and it shows the standard location for
17 south half dedication.

18 Q. That standard location is that square over on
19 the southwest of the southeast quarter of Section 14?

20 A. Yes.

21 Q. Looking at the two nonstandard locations, there
22 is a little dashed line drawn just to the north of the
23 990/660 location. Would you describe what that is?

24 A. This area is a sand duney plains, sloping
25 slightly to the west, and the dashed line there outlines a

1 shallow depression which may contain water at times of high
2 precipitation.

3 Q. Now, I think Mr. Seltzer testified that this was
4 not quite the -- the first proposed location was not quite
5 in that depression. It was kind of on the shoreline, if
6 you will. Disregarding Mr. Seltzer's comments about the
7 rancher's objections, is there anything topographically
8 which forbids the drilling of the well at the 660/990
9 location?

10 A. In my opinion there would be no problem with the
11 drilling location at that point. It might require as much
12 as five-foot of fill in one corner.

13 Q. To build a well pad?

14 A. Yes.

15 Q. Have you been out in the southeast quarter of
16 Section 14?

17 A. Yes, I have.

18 Q. That road that's indicated as stopping at the
19 lake, what does that road do?

20 A. That road does not stop there. It's the access
21 road for the temporarily abandoned well in the northeast
22 quarter of Section 23, and that access road crosses that
23 depression.

24 Q. So really, in your opinion, this low spot itself
25 would not affect the 660/990 location; is that correct?

1 A. That is correct.

2 Q. And is Exhibit 3 just a copy of the USGS
3 topographic map?

4 A. Yes, with five-foot contour intervals.

5 Q. Were the little circles and squares drawn on it
6 by you?

7 A. Yes.

8 MR. BRUCE: Mr. Examiner, I have no further questions
9 of the witness, and move the admission of the BHP Exhibit
10 No. 3.

11 MR. CATANACH: Exhibit No. 3 will be admitted as
12 evidence.

13 (BHP Exhibit No. 3 was admitted
14 in evidence.)

15 MR. CARR: I have no questions.

16 MR. STOVALL: I have a question.

17 EXAMINATION

18 BY MR. STOVALL:

19 Q. You're talking about the depression -- I assume
20 you're talking this depression we've been referring to, is
21 the one just north of the northmost circle?

22 A. Yes.

23 Q. You said that that road services the well in the
24 northeast quarter of section 23?

25 A. Yes.

1 Q. It comes up from the south to get there, doesn't
2 it?

3 A. There is a road coming from the south but the
4 access is actually from the north.

5 Q. Where does it go?

6 A. There is a road -- from this depression the road
7 goes northwest towards the railroad track, and then
8 southwest paralleling the railroad track back to the county
9 road. And that is the road that was used by BHP to drill
10 their well, and I'm sure it was the road that was used to
11 drill the other well.

12 Q. You understand that little depression is not
13 used in the stock tank by the rancher?

14 A. I noticed it looks like a feeding area. The
15 road crosses the depression.

16 Q. Do you know if there is a water line coming up
17 from the south on that road to put water in there?

18 A. There is a water line paralleling the
19 north-south road. I do not know where it goes to, but I
20 know when we laid out the pipeline right of way for BHP
21 that they asked us to protect the water line, so I know
22 there is one there.

23 MR. STOVALL: No further questions.

24 MR. CATANACH: I don't have anything else.

25 MR. BRUCE: That concludes my presentation,

1 Mr. Examiner.

2 MR. CATANACH: The witness may be excused. Counsel,
3 want to submit brief closing statements?

4 MR. BRUCE: Very briefly, Mr. Examiner. I've got a
5 couple of different geological interpretations, but I
6 believe Collins & Ware's Exhibit No. 4 shows that they have
7 standard locations available to them in the southwest
8 quarter of Section 14, and therefore the application should
9 be denied. We believe Collins & Ware is merely applying to
10 get near BHP's well. As Mr. Long just testified, there is
11 really no topographic reason for moving the well to the
12 south, and further, the mineral lessee has a right to use
13 that 660/990 location regardless of the rancher's
14 objections.

15 Correlative rights means the opportunity of the
16 owner of a lease to produce his equitable share of gas in a
17 pool substantially in proportion to the quantity of
18 recoverable gas under his property as compared to the total
19 recoverable gas in the pool. We believe BHP's geology,
20 these numbers can be obtained from their exhibit and
21 support a substantial penalty in the range of 70 to 95
22 percent on the Collins & Ware well. This penalty should be
23 based on the well's ability to produce as tested three to
24 four times a year.

25 If a penalty is -- a substantial penalty is not

1 produced -- is not assessed against the well, unfair
2 drainage will occur as against BHP's property; and if the
3 well is approved without a penalty, BHP will be compelled
4 to seek approval of a similar offsetting well in the
5 northeast quarter of Section 23, and as Mr. Morris
6 testified, this would cause economic waste and BHP does not
7 want to be put in that position.

8 In short, because of Collins & Ware's own
9 geology this application should be denied.

10 MR. CATANACH: Mr. Carr.

11 MR. CARR: May it please the Examiner, Collins & Ware
12 is before you seeking authority to develop the south half
13 of Section 14 in the Montoya formation. Mr. Bruce and I
14 agree this is a correlative rights case, and we're asking
15 you to give us an opportunity to produce without waste our
16 fair share of the reserves in the pool.

17 One thing both sides agree, apparently, is that
18 there is some producible reserve under 14. Collins & Ware
19 presented a structure interpretation which shows that there
20 is a substantial area we believe contains producible
21 reserves. BHP I guess agrees that there is something
22 there. They seem to think -- take the position we must
23 know something they don't know, so they're going to move
24 their fault to show there are some reserves. Well, I will
25 tell you, we think we do know something they don't. We've

1 got reserves there, and we're asking you to let us produce
2 them.

3 Both of the geologists before you admit that
4 maximum structural position is essential if you're going to
5 efficiently and effectively produce the reserves. For that
6 reason Collins & Ware stands before you trying to place the
7 well at the best possible structural position, so there
8 wouldn't be reserves left in the reservoir that will then
9 be drained and produced by BHP.

10 This is a two-dimensional reservoir. When you
11 look at the case, you have to keep that in mind. When you
12 evaluate the location of the well, we submit you must also
13 consider that.

14 We have come before you and recommended that
15 based on our interpretation we believe no penalty in fact
16 is appropriate. Now Collins & Ware is coming forward with
17 a development plan. BHP is coming forward with a reaction,
18 a possible well in Section 23. Our position is that well
19 simply is -- if we drill our well and establish what we
20 believe we will establish, that we have substantial
21 recoverable reserves. Then they must take advantage of the
22 opportunity to protect their own correlative rights and go
23 forward and drill a well in 23 or let those reserves
24 actually be drained.

25 We've come forward and we have proposed a

1 penalty factor based on drainage from offsetting
2 properties, additional drainage that is gained by virtue of
3 the unorthodox location, and we had the only penalty that
4 addresses that before you. The penalty would be about 9.7
5 percent. We believe anything in excess of that penalty
6 would, in fact, impair correlative rights, for it would
7 authorize the drainage from our tract to the properties
8 operated by BHP.

9 It's interesting when you look at BHP's case.
10 First of all, based on the data which is essentially the
11 same data they had before them when they drilled their
12 Puffer No. 1, they concluded that there was no reservoir
13 under the south half of 14. Now they've changed it. They
14 virtually admit that it's just because they think we know
15 something they don't they've arbitrarily run a fault about
16 parallel to the south line of Section 14 and parallel
17 thereto.

18 Then they come in and they say, "Yes, we are
19 proposing penalties to you, Mr. Catanach, to protect
20 ourselves from drainage. That's our concern." Look at the
21 penalties they've proposed. The first one to protect them
22 from drainage suggests you impose a penalty -- 50 percent
23 of the penalty being based on the fact that we're the same
24 distance from the common boundary that they are. I submit
25 to you that that is absolutely absurd if the concern is

1 what they say it is, to protect them from drainage.

2 If we look at 2 through 5, the remaining
3 recommendations, all of those are based on the placement of
4 a fault which is arbitrary, based on a guess because they
5 think we know something they don't because we have seismic
6 data in our possession that they do not. Using any one of
7 those formulas is likewise absurd, and no matter how you
8 multiply it, or stack them one on top of the other, what
9 they're doing in effect with penalty saying, "Well, you may
10 know that you have reserves, but if you drill that well,
11 we're going to ask the OCD to impose a penalty which makes
12 it impossible for you to produce them because we have a
13 well in the reservoir, the Puffer No. 1, that will drain
14 the whole blasted thing." They stand before you and they
15 say they're concerned about drainage. Well, if the concern
16 here is drainage, the only penalty formula proposed to you
17 is the one that is based on additional acreage that will be
18 drained by virtue of the proposed unorthodox location.
19 That's the penalty proposed by Mr. Knight, and that is 9.7
20 percent.

21 If you enter an order approving the location and
22 imposing that penalty, you will protect correlative rights,
23 prevent waste, and you will let us go forward with an
24 opportunity to produce our fair share of the reserves in
25 this pool.

1 MR. STOVALL: Before you take it under advisement, I
2 would like to take this opportunity to -- primarily for
3 informational purposes -- to advise the parties to this
4 case of -- regarding a rather sensitive issue, and that is
5 the discussion of the dominant mineral right versus the
6 subservient surface right with respect to the rancher's
7 pond. Assuming for the moment, and not accepting the
8 argument, but rather assuming there is a stock pond and
9 feeding area there, I think you all as operators are well
10 aware that if the BLM doesn't want you at a location for
11 whatever reason, they pretty well can keep you out.

12 We have a strong interest that has been
13 exhibited in this state with respect the protection of fee
14 owners' surface rights as well, and I will just tell you
15 that I recommend to the division in all these cases such as
16 this that to the extent that the topographical
17 considerations of the surface owner, such as agricultural
18 considerations, are a factor to be considered in a surface
19 location, even though there is no specific law stating that
20 as such -- there may be some day -- the industry needs to
21 be aware of that, and it's for your information that is a
22 valid consideration, assuming the factual evidence as
23 submitted that -- private ownership surface considerations,
24 including agricultural, livestock, feeding, watering, et
25 cetera, are valid and a consideration, not necessarily

1 controlling, but a thought process in the determination of
2 an unorthodox location.

3 That's not a controlling statement in this case;
4 it's informational only. This is primarily a geologic
5 case. But I think it's important that both the industry
6 and the rest of the world know that the OCD does recognize
7 this as a valid concern, and I have nothing further.

8 MR. CATANACH: There being nothing further in this
9 case, Case 10344 will be taken under advisement.

10 (Whereupon, the hearing was concluded at the
11 approximate hour of 1:10 p.m.)

12 * * *

1 STATE OF NEW MEXICO)
) ss.
 2 COUNTY OF SANTA FE)


3 REPORTER'S CERTIFICATE


4
 5 I, Susan G. Ptacek, a Certified Court Reporter and
 6 Notary Public, do HEREBY CERTIFY that I stenographically
 7 reported the proceedings before the Oil Conservation
 8 Division, and that the foregoing is a true, complete and
 9 accurate transcript of the proceedings of said hearing as
 10 appears from my stenographic notes so taken and transcribed
 11 under my personal supervision.

12 I FURTHER CERTIFY that I am not related to nor
 13 employed by any of the parties hereto, and have no interest
 14 in the outcome thereof.

15 DATED at Santa Fe, New Mexico, this 18th day of
 16 October, 1991.

17
 18 My Commission Expires:
 19 December 10, 1993


 SUSAN G. PTACEK
 Certified Court Reporter
 Notary Public

20
 21 I do hereby certify that the foregoing is
 22 a complete record of the proceedings in
 the hearing of Case No. 10344,
 heard by me on August 8, 1991.
 23 
 24 David R. Colantoni, Examiner
 Oil Conservation Division
 25