

NEW MEXICO OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
STATE OF NEW MEXICO
CASE NO. 10429

IN THE MATTER OF:

The Application of Yates
Petroleum Corporation for
an unorthodox gas well location,
Eddy County, New Mexico.

BEFORE:

MICHAEL E. STOGNER

Hearing Examiner

State Land Office Building

December 19, 1991

REPORTED BY:

DEBBIE VESTAL
Certified Shorthand Reporter
for the State of New Mexico

ORIGINAL

A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

SANDERS, BRUIN, COLL & WORLEY, P.A.
600 United Bank Plaza
400 North Pennsylvania Avenue
Roswell, New Mexico 88202-0550
BY: DAMON RICHARDS, ESQ.

I N D E X

Page Number

Appearances

2

WITNESSES FOR THE APPLICANT:

1. ROBERT H. BULLOCK

Examination by Mr. Richards

5

2. D'NESE FLY

Examination by Mr. Richards

10

Examination by Examiner Stogner

8

Examination by Mr. Stovall

20

Certificate of Reporter

22

E X H I B I T S

Page Marked

1		
2		
3		
4	Exhibit No. 1	7
5	Exhibit No. 2	8
6	Exhibit No. 3	8
7	Exhibit No. 4	11
8	Exhibit No. 5	12
9	Exhibit No. 6	14
10	Exhibit No. 7	14
11	Exhibit No. 8	15
12	Exhibit No. 9	16

13
14
15
16
17
18
19
20
21
22
23
24
25

1 EXAMINER STOGNER: Call the next case,
2 No. 10429.

3 MR. STOVALL: Application of Yates
4 Petroleum Corporation for an unorthodox gas well
5 location, Eddy County, New Mexico.

6 EXAMINER STOGNER: Call for
7 appearances.

8 MR. RICHARDS: Damon Richards, Sanders,
9 Bruin, Coll & Worley, P.A., Roswell, New Mexico,
10 on behalf of Yates Petroleum Corporation. We
11 have two witnesses.

12 EXAMINER STOGNER: Any other
13 appearances?

14 Will the witnesses, please, stand to be
15 sworn.

16 (The witnesses were duly sworn.)

17 ROBERT H. BULLOCK

18 Having been duly sworn upon his oath, was
19 examined and testified as follows:

20 EXAMINATION

21 BY MR. RICHARDS:

22 Q. Would you state your name and address.

23 A. My name is Robert Bullock, and I work
24 for Yates Petroleum Corporation in Artesia, New
25 Mexico, as a petroleum landman.

1 Q. How long have you worked there?

2 A. For 12 years.

3 Q. Have you previously testified before
4 the OCD, and have your credentials been approved
5 and made a matter of record?

6 A. Yes.

7 MR. RICHARDS: We submit Mr. Bullock as
8 a qualified expert landman.

9 EXAMINER STOGNER: Mr. Bullock is so
10 qualified.

11 Q. (BY MR. RICHARDS) Are you familiar
12 with the Yates Albert AJA No. 1 well?

13 A. Yes.

14 Q. Where is it located?

15 A. It's located in Section 21 of Township
16 20 South, Range 24 East. The footage is 660
17 north and east.

18 Q. This well is located 660 from the east
19 line and 660 from the north line. Is that an
20 orthodox well location for a Canyon well?

21 A. For a Canyon well, yes, it is.

22 Q. Now, you started drilling this well and
23 as you went through the Canyon formation, you
24 only achieved about nine foot of pay. So you
25 decided to go on down to the Morrow formation; is

1 that correct?

2 A. That's correct.

3 Q. Do you think that you can make a well
4 in the Morrow formation?

5 A. Yes.

6 Q. Explain the reason for your application
7 here.

8 A. The application is to be able to
9 produce our orthodox gas well in an unorthodox
10 location.

11 Q. In the Morrow formation what are the
12 standard setbacks?

13 A. It would be 660 from the sideline, 1980
14 from the end zone.

15 Q. And this one is not 1980?

16 A. That's correct.

17 Q. That's the reason we're before the
18 Commission today?

19 A. Yes.

20 Q. Have you examined the county, federal,
21 and state records to determine the offset
22 operators and the offset ownership?

23 A. Yes, I have.

24 Q. I refer you to Exhibit No. 1. Can you
25 describe that exhibit?

1 A. We have color-coded it. The orange
2 color denotes the proration unit for the Albert
3 AJA No. 1, being the east half of 21. The yellow
4 color indicates Yates Company's ownership in the
5 offset sections -- yellow being Yates Company
6 owns 100 percent of that acreage in yellow.

7 The blue color denotes Santa Fe Energy
8 and Yates Petroleum Corporation owning that
9 acreage fifty-fifty. The green color denotes
10 Santa Fe Energy Resources owning two-thirds,
11 Yates Petroleum Corporation owning one-third of
12 that acreage down to -- from surface to 9440.

13 Q. It's my understanding that Yates is the
14 operator of all the offset locations?

15 A. That's correct.

16 Q. I refer you to Exhibit No. 2, which
17 appears to be a notice sent to Santa Fe Energy
18 Resources, Inc., along with the return receipt
19 certificate; is that what that is?

20 A. Yes, that's correct.

21 Q. Showing that they did receive notice of
22 the application today?

23 A. Yes.

24 Q. Did you receive a response from them?

25 A. Yes, we did. That would be Exhibit 3,

1 response noted from them.

2 Q. What does that say?

3 A. They agreed to allowing us to produce
4 the well at the unorthodox location subject to a
5 condition. That condition is noted there with
6 the asterisk. It says essentially that Santa Fe
7 agrees to this unorthodox location and in turn
8 Yates will consent and waiver on any unorthodox
9 location that they might propose on the west half
10 of Section 15, which is an offset.

11 Q. And the second page of Exhibit 3 states
12 the same thing; is that correct?

13 A. That's correct.

14 Q. Has Yates agreed to those conditions?

15 A. Yes, they have.

16 Q. Were there any other working interest
17 owners after your examination of county records
18 that should have received notice other than Santa
19 Fe Energy Resources, Inc.?

20 A. No. We think that covered who should
21 have been notified.

22 Q. And there's nobody here to oppose this
23 application?

24 A. No.

25 Q. In your opinion will approval of this

1 application be in the best interests of
2 conservation and the prevention of waste?

3 A. Yes.

4 MR. RICHARDS: Do you have any
5 questions of this witness?

6 EXAMINER STOGNER: I don't have any
7 questions of Mr. Bullock at this time. I may
8 after the next witness however.

9 MR. RICHARDS: That will be fine.

10 EXAMINER STOGNER: Do you have any
11 questions?

12 MR. STOVALL: No.

13 MR. RICHARDS: D'Nese.

14 D'NESE FLY

15 Having been duly sworn upon her oath, was
16 examined and testified as follows:

17 EXAMINATION

18 BY MR. RICHARDS:

19 Q. Will you state your name and address,
20 please.

21 A. My name is D'Nese Fly. I live in
22 Artesia, New Mexico.

23 Q. What is your present employment and
24 position?

25 A. I work for Yates Petroleum as a

1 petroleum geologist.

2 Q. How long have you been a geologist?

3 A. For ten years.

4 Q. Have you previously testified and been
5 qualified as an expert witness before the OCD?

6 A. Yes, I have.

7 Q. Are you familiar with the geology in
8 connection with this application?

9 A. Yes, sir.

10 MR. RICHARDS: We submit D'Nese Fly as
11 an expert geologist.

12 EXAMINER STOGNER: Ms. Fly is so
13 qualified.

14 Q. (BY MR. RICHARDS) As part of your
15 duties at Yates, have you mapped the geological
16 structures of the South Dagger Draw Upper
17 Pennsylvanian Pool?

18 A. Yes.

19 Q. Would you refer to Exhibit 4, identify
20 it, and describe it, please. And while you're
21 doing that, describe the characteristics of the
22 Canyon formation for us.

23 A. Well, the Dagger -- South Dagger Draw
24 Pool produces out of a dolomite with floccular
25 and fractured porosity, which produces oil, sour

1 gas, and a brackish water.

2 Exhibit 4 here is the first exhibit
3 that I'm going to submit in showing that the
4 Albert AJH No. 1 and why it was set up to be
5 drilled as a Canyon Upper Pennsylvanian
6 reservoir -- excuse me, why it was proposed to be
7 drilled as a Canyon well in the South Dagger Draw
8 Field.

9 This exhibit is an isopach map done up
10 before the Albert was drilled. And we were
11 hoping to encounter about 40 feet or so of the
12 dolomite reservoir itself. These contour
13 intervals here are on 50-foot intervals.

14 Q. Now, this map was prepared before the
15 well was drilled; is that correct, or this is to
16 show the --

17 A. That's correct.

18 Q. -- Canyon formation before?

19 A. Uh-huh.

20 Q. Okay. When you actually drilled into
21 the Canyon formation, what did you discover?

22 A. Well, while drilling through the
23 Canyon, we did a mud-logging analysis, which is
24 shown here in Exhibit No. 5. And as we drilled
25 through here, we analyzed the drill time, the

1 samples, and the gas shows. And we came to the
2 conclusion since there was just not enough here
3 to produce an economic Canyon dolomite well.

4 Q. Okay. And then what's the second page
5 of Exhibit 5?

6 A. The second page is a portion of the
7 neutron density curve, which proved also. We did
8 not stop and log the well. This was done later.
9 We made our decision off the mud log, but it also
10 shows that we have just stringers of dolomite and
11 not a very large reservoir.

12 Q. About how much pay did you have there?

13 A. Oh, I estimated about nine feet of
14 clean pay.

15 Q. Have you attempted completions in the
16 Canyon that had approximately nine to ten feet of
17 pay?

18 A. Yes. To the north of this well, about
19 a mile-and-a-half in Section 4, I think it's in
20 Unit I of 20-24, we encountered nine feet of
21 dolomite in the Canyon. The name of this well is
22 the Mimosa AHS Fed. No. 1. And we perforated it
23 and stimulated it, but it only gave up 17 Mcf per
24 day and just was not considered economic. This
25 well tended to even look a little more

1 pessimistic than the Mimosa well.

2 Q. Okay. Would you, please, describe
3 Exhibit No. 6 then.

4 A. Let's see, Exhibit 6, this is the same
5 map as Exhibit No. 4 except it is done after the
6 Canyon well was drilled, the Albert was drilled.
7 And it shows that the feathered edge of the
8 dolomite reservoir has been pulled back to the
9 east. My contours in the previous map were a
10 little more optimistic without having the control
11 there.

12 Q. After reviewing this information, was
13 it your expert opinion that you should not
14 complete in the Canyon formation?

15 A. Yes, sir.

16 Q. And you drilled on down to the Morrow
17 formation?

18 A. That's right.

19 Q. Can you go over Exhibit No. 7 with us?

20 A. Okay. Exhibit 7 here is a combined
21 isopach map and structure of the Albert AJH No. 1
22 before it was drilled.

23 The solid lines are the isopach
24 contours showing the varying thicknesses of the
25 Morrow clastics with the contour interval being

1 20 feet. The dotted lines are the structural
2 contours on the top of the Morrow clastics with
3 the interval set at 100 feet.

4 And experience in northern Eddy County
5 has shown that wells along the nose, or the axis,
6 of these Morrow clastic thicks have a better
7 chance of encountering Morrow sand bodies, which
8 are capable of producing an economic volume of
9 gas.

10 Q. Would there have been actually a better
11 location to drill a Morrow well?

12 A. Yes. If you note the small dot to the
13 south of the Albert location, which would be 1980
14 from the north, 660 from the east in Unit H
15 there, this would have been an orthodox location
16 for the Morrow and a better location, a better
17 potential for hydrocarbons had this been our main
18 objective.

19 Q. What was your main objective?

20 A. The main objective was the Canyon
21 dolomite.

22 Q. You did drill on down to the Morrow.
23 And looking at Exhibit 8 -- is a log -- can you
24 describe that log.

25 A. Uh-huh. Exhibit 8 here is a portion of

1 the neutron density log covering the Morrow
2 clastics. The correlated log shows the Morrow
3 clastics interval and the top of the Morrow
4 clastics used on the previous two maps.

5 In addition, Dst information is shown
6 along with log calculations. Earlier on the logs
7 and Dst information indicated that the well would
8 probably pay out in the Morrow section.

9 Q. In your expert geological opinion,
10 should this well be completed in the Morrow?

11 A. Yes.

12 Q. Look at Exhibit No. 9, identify it, and
13 describe it for us, please.

14 A. Okay. This is an after-map, which is
15 similar to the one that was shown in Exhibit No.
16 7, except now we have the data point from the
17 drilled Albert, and it changed the contours
18 nearby.

19 The Albert point data point caused the
20 Morrow clastics thick to be moved to the south
21 and slightly to the east, which still would have
22 made that orthodox location for the Morrow in
23 Unit H a better location had it been the main
24 objective.

25 Q. Okay. Can you summarize the Yates'

1 request?

2 A. Uh-huh. To sum this up, the location
3 was originally picked as a standard location
4 based on the conditions believed to be prevailing
5 in the Canyon dolomite.

6 When no potential for the Canyon
7 production was found in the drilling of this
8 well, the decision was made to deepen it to the
9 Morrow clastics. So the old standard location
10 for the Canyon well then became a nonstandard
11 location for the Morrow clastics gas well.

12 So it's this nonstandard location that
13 Yates is seeking approval.

14 Q. In your opinion will the approval of
15 this application be in the best interests of
16 conservation and the prevention of waste?

17 A. Yes, sir.

18 MR. RICHARDS: Do you have some
19 questions?

20 EXAMINER STOGNER: Well, I tell you
21 what, I do have some questions, but I need
22 some -- I think well history data would be in
23 order, Mr. Richards. Should Ms. Fly or Mr.
24 Bullock be better prepared to answer those
25 questions?

1 MR. RICHARDS: Ms. Fly.

2 THE WITNESS: If it's on production.

3 EXAMINATION

4 BY EXAMINER STOGNER:

5 Q. Well, when was the well drilled and at
6 what depth was the primary --

7 A. The well was drilled, the Albert was
8 drilled in October, early November. We probably
9 cut pay in early November of this year.

10 Q. When you're talking about cutting pay,
11 in the Canyon?

12 A. In the Canyon, yes, sir. I think it
13 was spudded around the 15th or so of October,
14 maybe a few days later, of 1991.

15 Q. And when was the decision made to go
16 down deeper into the Morrow?

17 A. It was made just shortly after we
18 drilled through the Canyon within a few hours.

19 Q. And what was the Td of this well?

20 A. We Td'd at, oh, probably 9200. Let's
21 see, I have the exact Td. 9264.

22 Q. And what is the base of the Canyon?

23 A. The base of the Canyon would be at a
24 depth of 7468 of what would be the dolomite
25 interval that we call the base of the Canyon.

1 That would be the base of my dolomite interval.

2 Q. So as far as completion techniques for
3 the two wells, if they would have been drilled
4 separately, there are no changes in the surface
5 or intermediate casing or any such as that, is
6 there?

7 A. No, sir.

8 Q. Also the well No. 1, was that Mark
9 Foster, was it? That shows to be --

10 A. Saltwater disposal? Oh, the one to the
11 south?

12 Q. It had produced from the Morrow at one
13 time.

14 A. Yes, sir, it did. It made about, I
15 think, 130 Mcf is what it cum'd at. 123 Mmcf,
16 I'm sorry. And it was plugged, and I'm not sure
17 of the plugging date on that one.

18 Q. I believe it was around 82. I'm not
19 sure myself, but --

20 A. Okay.

21 Q. -- in looking over the ad for this
22 particular application.

23 So this well was also further away from
24 that, which made it a good decision at that time
25 to go on down to the Morrow, was it not?

1 A. Yes, sir.

2 EXAMINER STOGNER: Okay. I don't have
3 any other questions of Ms. Fly at this time.

4 BY MR. STOVALL: Basically one minor
5 one. EXAMINATION

6 BY MR. STOVALL:

7 Q. Looking at your later Morrow map,
8 Exhibit 9 --

9 A. Okay.

10 Q. -- you moved your contour lines,
11 structure contours, to the east a little bit; is
12 that correct?

13 A. Yes, sir.

14 Q. And it looks like the 5300 line got
15 left out or the 52 -- the 100-foot interval, and
16 I don't see the 5300 line. I'm just curious.
17 Does it take a dip down?

18 A. You're right. No. That should be 5300
19 in there, and they did not put it. I assume --

20 Q. In other words, somewhere between 51
21 and 54, there should be two lines. It's a little
22 shallower than it appears here?

23 A. That's right. They labeled the 5200
24 line, which more than likely, should be my 5300
25 line there. And they forgot to put in the 5200

1 contour interval.

2 Q. Does that affect anything?

3 A. No, sir.

4 Q. You made your opinions based on what
5 you thought should have been on the map; right?

6 A. Yes. On my original map they're there.

7 MR. STOVALL: I see. I was just
8 curious. That's all I've got.

9 EXAMINER STOGNER: If there's nothing
10 else, I'll take this case under advisement.

11 (The proceedings were concluded.)

12

13

14

15

16

17

18

19

20

21


22

23

24

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 10429,
heard by me on 19 December 1991.

 Examiner
Oil Conservation Division


1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4 COUNTY OF SANTA FE) ss.
5

6 I, Debbie Vestal, Certified Shorthand
7 Reporter and Notary Public, HEREBY CERTIFY that
8 the foregoing transcript of proceedings before
9 the Oil Conservation Division was reported by me;
10 that I caused my notes to be transcribed under my
11 personal supervision; and that the foregoing is a
12 true and accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a
14 relative or employee of any of the parties or
15 attorneys involved in this matter and that I have
16 no personal interest in the final disposition of
17 this matter.

18 WITNESS MY HAND AND SEAL DECEMBER 27,
19 1991.
20
21

22 
23 _____
24 DEBBIE VESTAL, RPR
25 NEW MEXICO CSR NO. 3