

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING)
CALLED BY THE OIL CONSERVATION)
DIVISION FOR THE PURPOSE OF)
CONSIDERING:) CASE NO. 10541

IN THE MATTER OF CASE 10541 BEING
REOPENED

REPORTER'S TRANSCRIPT OF PROCEEDINGSEXAMINER HEARING

BEFORE: Michael E. Stogner, Hearing Examiner
Jim Morrow, Hearing Examiner

February 17, 1994

Santa Fe, New Mexico

This matter came on for hearing before the
Oil Conservation Division on February 17, 1994, at
Morgan Hall, State Land Office Building, 310 Old
Santa Fe Trail, Santa Fe, New Mexico, before Deborah
O'Bine, RPR, Certified Court Reporter No. 63, for the
State of New Mexico.

ORIGINAL

MAR 21 1994

CUMBRE COURT REPORTING

P.O. Box 9262

Santa Fe, New Mexico 85704-9262

(505) 984-2244 FAX: 984-2092

I N D E X

February 17, 1994
Examiner Hearing
CASE NO. 10541

PAGE

APPEARANCES

3

COLLINS & WARE'S WITNESS:

REX HOWELL

Examination by Mr. Carr

5

Examination by Examiner Stogner

17

Examination by Mr. Kellahin

24

REPORTER'S CERTIFICATE

31

E X H I B I T S

ID ADMTD

Exhibit 1

6

17

Exhibit 2

8

17

Exhibit 3

9

17

Exhibit 4

10

17

Exhibit 5

13

17

Exhibit 6

16

17

CUMBRE COURT REPORTING

P.O. Box 9262

Santa Fe, New Mexico 85704-9262

(505) 984-2244 FAX: 984-2092

A P P E A R A N C E S

FOR THE DIVISION: ROBERT G. STOVALL, ESQ.
General Counsel
Oil Conservation Commission
State Land Office Building
310 Old Santa Fe Trail
Santa Fe, New Mexico 87501

FOR CHEVRON, CAMPBELL, CARR, BERGE &
COLLINS & WARE, SHERIDAN, P.A.
RAY WESTALL P.O. Box 2208
OPERATING, INC.: Santa Fe, New Mexico 87504
BY: WILLIAM F. CARR, ESQ.

FOR FORTSON KELLAHIN AND KELLAHIN
OIL COMPANY: 117 N. Guadalupe
Santa Fe, New Mexico 87501
BY: W. THOMAS KELLAHIN, ESQ.

CUMBRE COURT REPORTING

P.O. Box 9262

Santa Fe, New Mexico 85704-9262

(505) 984-2244 FAX: 984-2092

1 EXAMINER STOGNER: Call next case,
2 reopened 10541.

3 MR. STOVALL: In the matter of Case 10541
4 being reopened pursuant to Division Order No. R-9773,
5 as amended, which order promulgated special pool
6 rules and regulations for the East Herradura
7 Bend-Delaware Pool in Eddy County, New Mexico.

8 EXAMINER STOGNER: Call for appearances.

9 MR. CARR: May it please the Examiner, my
10 name is William F. Carr with the Santa Fe law firm,
11 Campbell, Carr, Berge & Sheridan. I represent
12 Chevron, USA Production Company, Collins & Ware,
13 Inc., and Ray Westall Operating, Inc. I have one
14 witness.

15 EXAMINER STOGNER: Are there any other
16 appearances?

17 MR. KELLAHIN: Mr. Examiner, I'm Tom
18 Kellahin of the Santa Fe law firm of Kellahin and
19 Kellahin, appearing today on behalf of Fortson Oil
20 Company. I do not have a witness.

21 (Witness sworn.)

22 EXAMINER STOGNER: Thank you, Mr. Carr.
23 You may proceed.

24 REX HOWELL,
25 the witness herein, after having been first duly

CUMBRE COURT REPORTING
P.O. Box 9262
Santa Fe, New Mexico 85704-9262
(505) 984-2244 FAX: 984-2092

1 sworn upon his oath, was examined and testified as
2 follows:

3 EXAMINATION

4 BY MR. CARR:

5 Q. Will you state your name for the record,
6 please.

7 A. Yes, sir. My name is Rex Howell.

8 Q. Mr. Howell, where do you reside?

9 A. Houston, Texas, sir.

10 Q. By whom are you employed?

11 A. Today, I'm employed by Collins & Ware and
12 Ray Westall Operating.

13 Q. In what capacity are you employed?

14 A. I'm a consulting petroleum engineer.

15 Q. Have you previously testified before this
16 Division?

17 A. Yes, sir, I have.

18 Q. At the time of that prior testimony, were
19 your credentials as a petroleum engineer accepted and
20 made a matter of record?

21 A. Yes, sir, they were.

22 Q. Were you the engineering witness who
23 testified for Collins & Ware and Ray Westall in both
24 of the prior hearings concerning special rules for
25 this pool?

CUMBRE COURT REPORTING
P.O. Box 9262
Santa Fe, New Mexico 85704-9262
(505) 984-2244 FAX: 984-2092

1 A. Yes, sir, I was.

2 Q. Are you familiar with the East Herradura
3 Bend-Delaware Pool and the status of the efforts of
4 the operators in this pool to develop data to support
5 permanent pool rules?

6 A. Yes, sir, I am.

7 MR. CARR: Mr. Stogner, are the witness's
8 qualifications accepted?

9 EXAMINER STOGNER: They are.

10 Q. (BY MR. CARR) Mr. Howell, would you
11 briefly state the purpose of your testimony at this
12 hearing here today?

13 A. The purpose of our testimony here today is
14 to present evidence to allow a permanent gas-oil
15 ratio limit of 10,000:1 cubic feet per barrel to be
16 set for the East Herradura Bend-Delaware Oil Pool.

17 Q. Have you prepared certain exhibits for
18 presentation here today?

19 A. Yes, sir, I have.

20 Q. Could you refer to what has been marked
21 for identification as Collins & Ware Exhibit No. 1,
22 identify this, and review it for the examiner,
23 please.

24 A. Yes, sir. Exhibit No. 1 is a map of the
25 Herradura Bend-East Delaware Oil Pool, showing the

1 December 1993 production data. On this map, I have
2 shown, color-coded in orange, the 32 wells that have
3 been completed and are currently producing in the
4 Delaware formation.

5 There are two wells that have been
6 completed but now have been converted to saltwater
7 disposal. There are two wells that are now being
8 completed, Fortson Oil Company's well No. 9 in Unit B
9 of Section 36, and Santa Fe Energy's well No. 3 in
10 Unit G of Section No. 2.

11 In addition, there are 13 future locations
12 also shown on this.

13 What are plotted by each one of the
14 current producing wells is the December 1993
15 production data from C-115's. The first number is
16 oil production in barrels of oil per day, water
17 production in barrels of water per day, and the third
18 number is gas-oil ratio in Mcf per barrel.

19 I might review, just alphabetically, there
20 are a total of eight operators in the field. The
21 name of the operators and the number of wells that
22 they operate are Bird Creek Resources has one well;
23 Chevron has four wells; Collins & Ware has one well;
24 Fortson Oil Company operates ten wells; Hanley
25 Petroleum operates four wells; Santa Fe Energy has

CUMBRE COURT REPORTING
P.O. Box 9262
Santa Fe, New Mexico 85704-9262
(505) 984-2244 FAX: 984-2092

1 three wells; Ray Westall has eight wells; and Harvey
2 E. Yates Company has one well.

3 The discovery well for the Herradura
4 Bend-East Delaware Field was Amoco's State GO well
5 No. 1, which is located in Unit E of Section 2. This
6 well was recompleted from the Bone Springs to the
7 Delaware in 1996 -- in 1986. To date the well has
8 produced about 11,000 barrels of oil and has been
9 recently converted to saltwater disposal.

10 Q. Let's now go to Collins & Ware Exhibit No.
11 2, the C-115 production data. Could you review this
12 for Mr. Stogner?

13 A. What this is is just, again, a list by
14 operator, lease, well numbers, and location is the
15 December C-115 data showing barrels of oil, barrels
16 of water, in Mcf. And then I've converted over into
17 daily production by dividing by 31 to show barrels of
18 oil per day, barrels of water per day, and gas-oil
19 ratio for each well and for the total pool.

20 Looking at the gas-oil ratios, the lowest
21 gas-oil ratio is 1220 cubic feet per barrel, which is
22 the fifth well from the top, which is Chevron's
23 Lentini 5 well, which is located in Unit F of Section
24 1. The highest gas-oil ratio is greater than
25 100,000:1, which is Fortson Oil Company's well No. 3

1 located in Unit K of Section 36.

2 Other wells that have higher gas-oil
3 ratio, Fortson Oil's Pinnacle State No. 1 well has a
4 9,600 cubic feet gas-oil ratio, and the No. 4 well
5 has an 18,160 cubic feet per barrel of gas-oil
6 ratio. And then going down to Santa Fe Energy's
7 Warthog 2 State No. 1 well, it has a gas-oil ratio in
8 December of 57,890 cubic feet per barrel.

9 Overall, in December of 1993, the gas-oil
10 ratio from the pool will average 4,835 cubic feet per
11 barrel.

12 Q. And you anticipate that the 4,835:1 GOR
13 will increase over time?

14 A. Yes, sir, I believe over time it will
15 increase.

16 Q. And you will address that with subsequent
17 exhibits?

18 A. Yes, sir, that is correct.

19 Q. Let's move now to Exhibit No. 3, the pool
20 performance curve. Would you review that, please.

21 A. What I've shown on this curve are three
22 curves, showing the total pool production, barrels of
23 oil per day shown with the squares, barrels of water
24 per day shown with the diamonds, and the gas-oil
25 ratio shown with the triangles.

1 The scale for the oil and water production
2 is over on the left-hand side in thousands of barrels
3 per day. You can see that the oil production peaked
4 at 841 barrels of oil per day in December of 1992, a
5 slight decline until about July of '93, and then it
6 started increasing up to the current level of 813
7 barrels of oil per day in December of 1993.

8 This increase in production was due to
9 drilling of additional wells, workovers, and
10 installation of larger lift equipment. You can see
11 that the water production has steadily increased
12 throughout the life of the pool, and in November of
13 1993, produced a total of about 3,730 barrels of
14 water per day.

15 Looking at the gas-oil ratio, you can see
16 it peaked at a little better, almost 16,000 cubic
17 feet per barrel in September of 1992 and has declined
18 to the current level of 4,835 cubic feet per barrel
19 in December of 1993. This decline over this period
20 of time is primarily due to depletion of the
21 production, gas production only, from the Westall
22 zone.

23 Q. Let's move now to the structure map,
24 Collins & Ware Exhibit No. 4. Would you identify
25 this and then review this for Mr. Stogner.

1 A. Yes, sir. What this is is a structure map
2 contoured on top of the Westall sand in the Herradura
3 Bend Pool. Again, color-coded in orange are the
4 Herradura Bend-Delaware producers, are colored on 32
5 of those wells. The proposed locations are colored
6 in yellow, and there's 13 of those wells.

7 You'll recall at previous hearings, we
8 discussed the geology of the area and stated that the
9 production was from the Brushy Canyon section of the
10 Delaware. Using local nomenclature, the primary
11 producing formations were the Collins sand, the
12 Westall sand, and the Brantley sand. These three
13 zones occur from depths of about 5,900 to a depth of
14 about 6,250 feet.

15 Now, the middle zone of these three is the
16 Westall zone. And we have found by production data
17 and confirmed by production logs and temperature
18 surveys that all the production from this Westall
19 zone is gas only. It's not a gas cap. It's a gas
20 only zone. And since the oil zones above it, the
21 Collins sand, and the oil zone below it, the Brantley
22 sand, requires stimulation to get commercial
23 production, when you stimulate these two oil zones,
24 you get in communication with this Westall gas zone,
25 and, subsequently, you produced at high gas-oil

1 ratios.

2 What this map shows is that the highest
3 structure of the Westall zone is in the southeast
4 quarter of Section 35, the southwest of Section 36,
5 the northwest of Section 1, and the northeast of
6 Section 2. And generally this area contains the
7 majority of the gas-productive interval, which
8 correlates to the higher gas-oil ratio wells which
9 were shown in Exhibit No. 1.

10 Q. What we have here is, in fact, a very
11 complex reservoir?

12 A. Yes, sir, it is a very complex reservoir,
13 and there are anomalies that exist in this
14 reservoir. For example, the Fortson well No. 3,
15 which is the highest gas-oil ratio well in the field,
16 the top of the Westall zone, and that well is at
17 2,969. This well has been very interesting over the
18 life of it. The Westall zone and this well tested
19 only water. It tested water at the rate of 17-1/2
20 barrels of water per hour. And the gas production is
21 now currently coming from the zone above even the
22 Collins pay sand.

23 The next highest gas-oil ratio well is the
24 Fortson well No. 4, which is producing most of the
25 gas production from the zone above the Collins sand,

1 which communicated during fracture treatment of the
2 well.

3 Depending on how the wells are produced
4 and so forth, the gas-oil ratio can vary from well to
5 well over the life of the wells.

6 Q. Let's go now to Exhibit No. 5. Exhibit
7 No. 5 is your pool and lease gas-oil ratio plot.
8 Could you review the information on this exhibit for
9 Mr. Stogner?

10 A. Yes, sir. There's lots of curves on this
11 plot, but what I've shown with time from April of
12 1992 through December of 1993 is the producing
13 gas-oil ratio for the eight leases and for the pool.

14 The pool average is shown with a dotted
15 curve, started out the first pool production was in
16 June of '92, and you can see the dotted line peaked
17 at a gas-oil ratio, producing gas-oil ratio average
18 for the pool of 15,733 cubic feet per barrel in
19 September of 1992.

20 And it showed a steady decline; in fact,
21 in August of '93, reached a level of 8,924 cubic feet
22 per barrel. And then in May of '93, it jumped up to
23 11,580 cubic feet per barrel, which was due to
24 completions of wells on the Santa Fe Energy lease and
25 Hanley's Union 35 lease, and since then, it has

1 declined to 4,835 cubic feet per barrel.

2 The gas-oil ratio for the pool was
3 primarily controlled by production from Westall's
4 Santa Fe federal lease. That gas-oil ratio for the
5 lease with time is shown plotted with the solid
6 squares. You can see this lease got up to a
7 producing gas-oil ratio of about 25,000 cubic feet
8 per barrel in October of '92, and it is currently
9 declined down to about 5,000 cubic feet per barrel.

10 Another high gas-oil ratio lease is Santa
11 Fe Energy's Warthog State lease. This is shown with
12 the open squares. You can see the gas-oil ratio
13 peaked at about 47,000 cubic feet per barrel in June
14 of 1993, and it is also declining. It's down to
15 about 35,000 cubic feet per barrel.

16 The amount of gas production from these
17 two leases are representative of the amount of the
18 Westall gas zone that's exposed in each one of the
19 producing wells on this lease. The majority of the
20 gas zone is contained in these two leases here, but I
21 might point out that you can see that the gas-oil
22 ratios from other wells in the field, predominantly
23 the Bird Creek RML No. 1, which is located a long
24 ways from the gas zone in here. The gas-oil ratio
25 has steadily increased from about 1,200 cubic feet

CUMBRE COURT REPORTING
P.O. Box 9262
Santa Fe, New Mexico 85704-9262
(505) 984-2244 FAX: 984-2092

1 per barrel up to 5,000 cubic feet per barrel.

2 Q. What is the location of that well?

3 A. That well is located in Section 26, Unit M
4 of Section 26.

5 So the high gas production, it's been a
6 combination of two things out in this field. One is
7 the amount of the Westall gas zone that is in
8 communication with oil zones, but also the fluid
9 characteristics of the two oil zones in here.

10 This is almost a volatile crude that is
11 being produced from these oil zones. It's 43 degrees
12 API. The initial solution gas-oil ratio was in
13 excess of 1,200 cubic feet per barrel. The oil
14 formation volume factor is in excess of 1.6 to 1.

15 So my calculations indicate that just from
16 the oil zone only, that the gas-oil ratio will
17 increase and actually average about 7,500 cubic feet
18 per barrel over the life of the reservoir. That's
19 just from the two oil zones. And if you add into it
20 the production from the Westall only gas zone, the
21 average gas-oil ratio over the life of the field
22 should average about 9,500 cubic feet per barrel.

23 The presence of the Westall gas zone and
24 the projected high gas production from the oil zones
25 is the basis for recommending the 10,000:1 gas-oil

1 ratio limit for the field.

2 Q. Let's move now to your Exhibit No. 6.
3 Could you just identify that?

4 A. Yes, sir. What Exhibit No. 6 is, it's a
5 three-page exhibit. The tabulation of the production
6 data for the first page is the total pool. The
7 second page is the first four leases in the pool.
8 And the third page is the last four leases in the
9 pool. It just shows the oil production, water
10 production in Mcf by month since April of '92, and
11 then a daily average for those.

12 Q. Are you prepared to make a recommendation
13 to the Examiner concerning the establishment of
14 permanent pool rules for this pool?

15 A. Yes, I am.

16 Q. What is that recommendation?

17 A. I recommend that the permanent gas-oil
18 ratio limit for this pool be set at 10,000 cubic feet
19 per barrel.

20 Q. Mr. Howell, in your opinion, will
21 permanent rules for the East Herradura Bend-Delaware
22 Pool including a provision for a 10,000:1 gas-oil
23 ratio, be in the best interest of conservation, the
24 prevention of waste, and the protection of
25 correlative rights?

1 A. Yes, sir, it will.

2 Q. Will approval of this application and the
3 establishment of these permanent rules result in the
4 recovery of hydrocarbons that otherwise will not be
5 produced?

6 A. Yes, sir, it will.

7 Q. Were Exhibits 1 through 6 prepared by you?

8 A. Yes, sir, they were.

9 MR. CARR: At this time, Mr. Stogner, we
10 move the admission of Collins & Ware Exhibits 1
11 through 6.

12 EXAMINER STOGNER: Exhibits 1 through 6
13 will be admitted into evidence.

14 MR. CARR: That includes my direct
15 presentation of this witness.

16 EXAMINATION

17 BY EXAMINER STOGNER:

18 Q. Mr. Howell, are any of these wells
19 nonmarginal or capable of meeting either the
20 casinghead allowable or their oil allowable at this
21 tune?

22 A. No, sir, there are none capable of that at
23 the current time.

24 Q. Do you visualize in the future any of
25 these proposed wells that might bump that casinghead

1 allowable?

2 A. From the formation or from the reservoir,
3 as I understand it, in the proposed location, I doubt
4 if any of these wells in the future will bump the
5 limit of it, no, sir.

6 Q. That sort of leads me up to my next
7 question. And just thinking about it, should a
8 casinghead gas allowable reflect the actual GOR, the
9 average GOR, or should it be positioned such that
10 perhaps the best well expected in there, the GOR that
11 would given the pool, the production would meet
12 that. Do you have any thoughts on that?

13 A. Well, sir, I would say probably the
14 average gas-oil ratio for all the wells in the
15 field. And, for example, I just quickly calculated
16 it a while ago, I think the average gas-oil ratio to
17 date, taking the total gas production and the total
18 oil production, the average for the field has been
19 about 9,400 cubic feet per barrel.

20 This correlates real close to what I
21 calculate the average gas-oil ratio is going to be
22 over the life of the field, about 9,450. So I think
23 the average is probably what I would say would
24 probably be a representative figure for the field.

25 Q. So the GOR should adequately reflect what

1 is actually being produced as opposed to being an
2 artificial limit per se in this particular instance
3 on a good well that could produce whatever its
4 maximum casinghead gas allowable would be?

5 A. Yes, sir, I think so. I think it would
6 show in this case, it probably reflects what has been
7 produced and what I believe will be produced in the
8 future, yes, sir.

9 Q. You were talking about the oil in the
10 Collins sand and the oil in the Brantley sand?

11 A. Yes, sir.

12 Q. Do both of those average about 43 API, are
13 they very similar, or is one more like 47 and the
14 other one down to about 41 or 39?

15 A. No, sir, I think the lowest we found is
16 41.8, and the highest is 45. So they're both real
17 close to the same thing.

18 Q. What do you feel the driving mechanism is
19 in the Collins sand and that Brantley sand interval?

20 A. Solution gas drive only.

21 Q. And, again, what portion of the Delaware
22 are these Collins, Westall, and Brantley sands in?

23 A. In the Brushy Canyon.

24 Q. In the Brushy Canyon?

25 A. Yes, sir.

CUMBRE COURT REPORTING
P.O. Box 9262
Santa Fe, New Mexico 85704-9262
(505) 984-2244 FAX: 984-2092

1 Q. Is that the predominant member of the
2 Delaware that's being produced in this pool?

3 A. Yes, sir. To my knowledge, probably
4 essentially all of the production is coming from the
5 Collins. There's a couple wells that have
6 communicated up higher, but the majority of it is
7 from those three sands, which are Brushy Canyon.

8 Q. In your study out there, and you touched
9 upon it, and I'm going to work on that a little bit,
10 as far as the other members of the Delaware member,
11 being the Cherry Canyon and the Bell Canyon, have
12 they been adequately tested, in your opinion, to show
13 that they're nonproductive?

14 A. Oh, no, sir. In fact, I think they are
15 productive. The Fortson well No. 3, the current
16 production from that is from a zone in the Cherry
17 Canyon, and I believe it's Ray Westall's well No. 5
18 is being produced from a zone in the Cherry Canyon.

19 Of course, you know, it's the easiest and
20 the best way to start is from the bottom of the
21 reservoir and work up. And that would be the
22 Brantley and then coming up to the Collins. And most
23 of these wells have been confined in there. But from
24 mud logs and from electric logs, there are many, many
25 zones capable, or appear to be capable of producing

1 oil and gas up the hole. That will be tested. Of
2 course, with oil prices like they are right now, I'm
3 not sure exactly when we will be doing those
4 workovers, but there are other zones up the hole that
5 will be productive oil and gas.

6 Q. That's what concerns me about this. How
7 are those higher members or shallower members, what
8 kind of drive mechanism do you see there? Would the
9 gas-oil ratio set at 10,000:1 harm those particular
10 intervals at this point?

11 A. Well, no, sir. Of course, we don't have
12 any production history for me to confirm that, but
13 it's my belief that based on the regional production
14 in the area, what I've looked at from the mud logs
15 and the electric logs in this area here, all of these
16 Delaware sands are going to be solution gas drive.

17 And, in my opinion, some of them will be
18 high gas-oil ratio production, and some of them
19 won't, but, in my opinion, a gas-oil ratio limit of
20 10,000:1 will not detract from the ultimate
21 recovery. Of course, that's opinion because we don't
22 have any production from them yet in this particular
23 field.

24 Q. But you're basing this opinion on your
25 knowledge of the Delaware around this area?

1 A. That's correct, sir.

2 Q. How long have you been working in the
3 Delaware out there with the Delaware production?

4 A. A long time. I started out with Amoco and
5 Levelland, which was working this area in 1958.

6 Q. So you're very familiar with the Delaware,
7 how the Delaware trend is?

8 A. Well, I've been exposed to it. I'm not
9 sure I'm familiar with it, but I've sure been exposed
10 to it.

11 Q. I don't have a regional map in front of
12 me. Is this particular pool in the center of the
13 Delaware Basin area, or is it on the fringes?

14 A. Can I look at my geologist and ask him?

15 EXAMINER STOGNER: Sure.

16 GEOLOGIST (Unidentified): It's more
17 towards the center than the fringes.

18 EXAMINER STOGNER: You could look at him,
19 but I didn't want him to answer the question.

20 MR. STOVALL: According to your geologist,
21 what's the answer to the question?

22 THE WITNESS: More in the center of the
23 pool.

24 Q. (BY EXAMINER STOGNER) And I guess that's
25 what I was leading up to. In your experience out

1 there, taking into account some of the fringe pools
2 or the fringe areas as the Delaware meets the reef
3 out there, as opposed to the production in more the
4 center of the Delaware, that's what I was getting at,
5 and that's what I kind of wanted from you is --

6 A. Yes, sir. Of course, Collins & Ware has
7 been quite active over there in the recent past. I'm
8 drilling in the Delaware out there, and I'm familiar
9 with other fields that they have tested, not only
10 Cherry Canyon but up into the Bell Canyon, and we're
11 finding similar types of production characteristics
12 up here, oil production, gas-oil ratios that varies
13 from low to high. And most all of them do have the
14 common thing of having pretty high water production.

15 I do not think that is a water-drive at
16 all. I think it's just mobile water in the
17 formation.

18 Q. Do you know if the Fortson No. 3 and the
19 Ray Westall No. 5 well that you mentioned of having
20 perforations in the upper areas of the Delaware
21 member outside the Brushy Canyon, are there any other
22 wells -- have you done an extensive study on the
23 perforations?

24 A. Not to my knowledge. Of course, I'm
25 pretty familiar with the Fortson well, the Ray

1 Westall and the Collins & Ware, but none of the other
2 wells have, the other operators. What I'm going on
3 is the completion data reported to the Commission.
4 And all those wells are confined to Collins sand and
5 lower.

6 Q. Are these wells on pump?

7 A. Yes, sir.

8 Q. All of them?

9 A. Yes, sir.

10 EXAMINER STOGNER: Any other questions of
11 this witness?

12 MR. CARR: I have no further questions of
13 this witness.

14 EXAMINER STOGNER: Mr. Kellahin, I'm
15 sorry, I forgot about you.

16 MR. KELLAHIN: Yes, sir. Points of
17 clarification, Mr. Examiner.

18 EXAMINATION

19 BY MR. KELLAHIN:

20 Q. Mr. Howell, when we last visited this
21 reservoir before the Division back in October of '92
22 before Examiner Stogner, I believe, you were the
23 witness on behalf of the proponents of the GOR
24 increase?

25 A. Yes, sir, in October of '92, and also I

1 believe it was in July of '93, there was another
2 hearing.

3 Q. Help me remember. I think we discussed
4 whether or not there was reservoir data, particularly
5 PVT data by which we could determine what the
6 solution gas-oil ratio was for the reservoir.

7 A. Yes, sir. At the time Mr. Fortson was
8 collecting PVT data. He collected it on the Pinnacle
9 State well No. 10. I have observed that data.
10 Again, it is a data point. The analysis that I gave
11 you, the gas-oil ratio of 1,200 was based on the PVT
12 analysis of that well.

13 As you know, or maybe you don't know, that
14 well had to be a recombined sample because you cannot
15 get representative bottomhole samples from these
16 wells without stimulation. And when you stimulate --

17 Q. That's not important to my question, Mr.
18 Howell. What I want to know is do we have data from
19 which we have determined, to the best of your
20 engineering judgment, what the solution GOR is for
21 the reservoir?

22 A. Yes, sir, the PVT data on the No. 10 well.

23 Q. That was what, 1,200 to 1?

24 A. 1,220 cubic feet per barrel.

25 Q. Is that a sample taken from that portion

1 of the reservoir that would have been exclusive of
2 the gas zone, I think you've called that the Westall
3 sand?

4 A. Yes, sir. Looking at the location of that
5 and where it is in the structure, cross-section on
6 that, that is mostly, should be the gas-oil ratio
7 from just either the Collins and/or the Brantley
8 sand, not the Westall.

9 Q. Set apart the Westall sand for a moment.
10 When you look at Delaware solution gas-oil ratios,
11 then, that 1,200:1 would be typical of what we've
12 seen in other Delaware oil pools, isn't it?

13 A. I believe that's correct, yes, sir.

14 Q. As a reservoir engineer, what, in your
15 opinion, is the purpose of having a maximum gas
16 allowable in an oil pool?

17 A. The purpose of having an engineered,
18 studied, maximum gas-oil ratio is to allow the
19 reservoir to be used so that the maximum recovery of
20 hydrocarbons can be achieved.

21 Q. Part of that process is to limit or
22 control gas withdrawals from an oil pool so that we
23 don't waste the gas drive in the reservoir; right?

24 A. I believe the majority of the studies will
25 show that on the solution gas drive oil ratio, that

1 they are not sensitive to rate production or gas-oil
2 ratio production.

3 Q. What happens if you have a high GOR well
4 in a 40-acre offset to a low GOR well, is there going
5 to be any adverse consequences as those two wells
6 complete for oil reserves?

7 A. Well, sir, it will depend on the
8 permeability of the formation and the drainage area.
9 I think, from my observation of performance in this
10 thing, that the wells are not draining more than 40
11 acres at all out here, and I am very doubtful if they
12 are even draining 40 acres. And I think that can be
13 -- I think there's performance data that truly
14 suggests that they are probably not draining 40 acres
15 adequately.

16 Q. You've answered my concern. One of the
17 things we worry about in oil reservoirs is setting
18 the gas cap allowable such that there's not
19 correlative rights impairment as the operators
20 compete for those oil reserves between the wells?

21 A. Yes, sir, but this is not a gas cap.

22 Q. I understand that. Is the Westall gas
23 zone unique for this particular pool?

24 A. I believe it is. I believe it is. I'm
25 not aware of a gas zone of this magnitude being

1 located between two oil zones.

2 Q. And the fact that it is difficult, if not
3 impossible, for the operators, even if they want to,
4 because of the stimulation, to keep from
5 communicating their wells into that Westall gas zone,
6 we're going to see higher gas rates out of this pool?

7 A. Oh, I think that's right, yes, sir.

8 Q. Based upon your study, do you have an
9 engineering opinion as to whether or not it is
10 appropriate to maintain the 10,000:1 GOR?

11 A. Yes, sir, I believe it is appropriate.

12 Q. Your tabulation here shows that I think
13 the producing GOR for the pool is just short of
14 5,000:1?

15 A. That was for December of '93 only, yes,
16 sir.

17 Q. And as these wells get older in the life
18 of the depletion of the reservoir, that gas-oil ratio
19 is going to climb?

20 A. That will increase, yes, sir.

21 Q. You have a cushion of about, I guess,
22 5,000:1 now, a margin, if you will, that we're not
23 currently utilizing?

24 A. On December data only, yes, sir, that's
25 correct.

1 Q. But, in your opinion, that's not in excess
2 of what's appropriate for the reservoir as we
3 continue to deplete that reservoir?

4 A. No, sir, it's not.

5 MR. KELLAHIN: Thank you, Mr. Examiner.

6 EXAMINER STOGNER: Thank you, Mr.

7 Kellahin. Mr. Carr, any redirect?

8 MR. CARR: No redirect, Mr. Stogner.

9 EXAMINER STOGNER: Any questions, Mr.

10 Stovall? If not, then I'll take this case under --

11 MR. CARR: Mr. Stogner, Chevron has asked
12 that I read a very brief statement into the record.

13 The statement goes: "Mr. Examiner,
14 Chevron USA Production Company, pursuant to its
15 current drilling program for the East Herradura Bend-
16 Delaware Field has completed four wells, is currently
17 drilling one well, and has staked seven wells, all in
18 Section 1, Township 23 South, Range 28 East, Eddy
19 County, New Mexico, which lies on the southern margin
20 of the East Herradura Bend-Delaware Field.

21 The economics of this drilling program
22 were developed based on a continuation of the
23 temporary GOR allowable of 10,000:1. The negative
24 impact of substantially lower GOR would jeopardize
25 continuation of this drilling program. Therefore,

CUMBRE COURT REPORTING
P.O. Box 9262
Santa Fe, New Mexico 85704-9262
(505) 984-2244 FAX: 984-2092

1 Chevron requests that the OCD adopt the existing
2 temporary rules as permanent rules for the field."

3 I have nothing further in this case.

4 EXAMINER STOGNER: Mr. Kellahin, do you
5 have anything further?

6 MR. KELLAHIN: No, sir.

7 EXAMINER STOGNER: Does anybody else has
8 anything further in reopened Case 10541? If not,
9 then this case will be taken under advisement.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CUMBRE COURT REPORTING
P.O. Box 9262
Santa Fe, New Mexico 85704-9262
(505) 984-2244 FAX: 984-2092

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)

) ss.

COUNTY OF SANTA FE)


I, Deborah O'Bine, Certified Shorthand Reporter and Notary Public, HEREBY CERTIFY that I caused my notes to be transcribed under my personal supervision, and that the foregoing transcript is a true and accurate record of the proceedings of said hearing.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL, February 28, 1994.

Deborah O'Bine

DEBORAH O'BINE
CCR No. 63



I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 10541 (Reopened) heard by me on 17 February 1994.

[Signature], Examiner
Oil Conservation Division

CUMBRE COURT REPORTING

P.O. Box 9262

Santa Fe, New Mexico 85704-9262

(505) 984-2244 FAX: 984-2092

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
CASE 10,541

EXAMINER HEARING

IN THE MATTER OF:

The consolidated Application of Bird Creek
Resources, Fortson Oil Company and Ray Westall
Operating, Inc., for special pool rules, Eddy
County, New Mexico

TRANSCRIPT OF PROCEEDINGS

BEFORE: MICHAEL E. STOGNER, EXAMINER

STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO
October 1, 1992

A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico 87504

FOR APPLICANTS BIRD CREEK RESOURCES AND RAY WESTALL
OPERATING, INC., AND FOR HARVEY E. YATES COMPANY:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.
Attorneys at Law
By: WILLIAM F. CARR
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208

FOR FORTSON OIL COMPANY, BASS ENTERPRISES PRODUCTION
COMPANY, AND HANLEY PETROLEUM, INC:

KELLAHIN & KELLAHIN
Attorneys at Law
By: W. THOMAS KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265

FOR SANTA FE ENERGY OPERATING PARTNERS, L.P.:

HINKLE, COX, EATON, COFFIELD & HENSLEY
Attorneys at Law
By: JAMES G. BRUCE
218 Montezuma
P.O. Box 2068
Santa Fe, New Mexico 87504-2068

* * *

1	I N D E X	
2		Page Number
3	Appearances	2
4	Exhibits	4
5	RANDALL L. HARRIS	
6	Direct Examination by Mr. Carr	7
7	Cross-Examination by Mr. Kellahin	21
8	Cross-Examination by Mr. Bruce	28
9	Examination by Examiner Stogner	30
10	Examination by Mr. Stovall	35
11	Further Examination by Mr. Kellahin	40
12	Further Examination by Mr. Stovall	41
13	REX HOWELL	
14	Direct Examination by Mr. Carr	42
15	Cross-Examination by Mr. Kellahin	55
16	Cross-Examination by Mr. Bruce	62
17	Examination by Examiner Stogner	63
18	RANDALL L. HARRIS (Recalled)	
19	Examination by Examiner Stogner	65
20	Certificate of Reporter	70
21	* * *	
22		
23		
24		
25		

E X H I B I T S

APPLICANT'S EXHIBITS:

Exhibit 1	9
Exhibit 2	11
Exhibit 3	11
Exhibit 4	15
Exhibit 5	16
Exhibit 6	19
Exhibit 7	55

* * *

1 WHEREUPON, the following proceedings were had
2 at 10:35 a.m.:
3
4
5
6

7 EXAMINER STOGNER: Call the next case, Number
8 10,541.

9 MR. STOVALL: The consolidated Application of
10 Bird Creek Resources, Fortson Oil Company and Ray
11 Westall Operating, Inc., for special pool rules, Eddy
12 County, New Mexico.

13 EXAMINER STOGNER: Call for appearances.

14 MR. CARR: May it please the Examiner, my
15 name is William F. Carr, with the Santa Fe Law firm
16 Campbell, Carr, Berge and Sheridan. I would like to
17 enter my appearance in this case for Applicants Bird
18 Creek Resources and Ray Westall Operating, Inc.

19 Initially, I would like to request that
20 Fortson Oil Company be dismissed as an applicant. I
21 would like to withdraw my appearance for Fortson so
22 that Mr. Kellahin can substitute his appearance for
23 Fortson Oil Company.

24 EXAMINER STOGNER: Fortson Oil Company will
25 be dismissed from -- as being an applicant but not a

1 participant in this particular proceeding.

2 MR. CARR: That is correct.

3 EXAMINER STOGNER: Any other appearances?

4 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin
5 of the Santa Fe law firm of Kellahin and Kellahin,
6 appearing on behalf of Fortson Oil Company, Bass
7 Enterprises Production Company, and Hanley Petroleum,
8 Inc.

9 EXAMINER STOGNER: Any other appearances?

10 MR. BRUCE: Mr. Examiner, my name is Jim
11 Bruce from the Hinkle law firm in Santa Fe. I'm
12 representing Santa Fe Energy Operating Partners, L.P.
13 I have no witnesses.

14 MR. CARR: And Mr. Stogner, I would also like
15 to enter my appearance for Harvey E. Yates Company.

16 MR. STOVALL: But they're not an applicant.

17 MR. CARR: They're not an applicant.

18 EXAMINER STOGNER: Are there any other
19 appearances, interested parties, working-interest
20 owners, land owners that would like to be a part of the
21 record?

22 If not, would the witnesses please stand to
23 be sworn?

24 (Thereupon, the witnesses were sworn.)

25 EXAMINER STOGNER: Mr. Carr?

1 RANDALL L. HARRIS,
2 the witness herein, after having been first duly sworn
3 upon his oath, was examined and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. CARR:

6 Q. Would you state your name and place of
7 residence?

8 A. Yes, my name is Randall Harris. I reside at
9 Lake Arthur, New Mexico.

10 Q. Mr. Harris by whom are you employed and in
11 what capacity?

12 A. I'm employed by Ray Westall Operating,
13 Incorporated, as geologist and exploration manager.

14 Q. Have you previously testified before the Oil
15 Conservation Division and had your credentials as a
16 geologist accepted and made a matter of record?

17 A. Yes.

18 Q. Are you familiar with the Application filed
19 in this case on behalf of Ray Westall and Bird Creek
20 Resources?

21 A. Yes, I am.

22 Q. What is the relationship of Ray Westall and
23 Bird Creek in this area?

24 A. We're both operators within the East
25 Herradura Bend-Delaware field.

1 Q. And what is the interest of Fortson Oil
2 Company in the area?

3 A. Fortson is also an operator within the East
4 Herradura Bend-Delaware.

5 Q. Have you made a geologic study of this pool?

6 A. Yes, I have.

7 MR. CARR: Are the witness's qualifications
8 acceptable?

9 EXAMINER STOGNER: Any objections?

10 MR. KELLAHIN: No.

11 EXAMINER STOGNER: Mr. Harris is so
12 qualified.

13 Q. (By Mr. Carr) Mr. Harris could you state
14 what Bird Creek and Westall seek with this Application?

15 A. We ask for special pool rules for the
16 Herradura Bend East Delaware Pool, for a special
17 gas/oil ratio of 10,000 to 1, temporarily for six
18 months.

19 Q. Will this tenth-month period permit you and
20 other operators to develop data which you can bring
21 back to the Commission at that time and at that time
22 have a better handle on the characteristics of this
23 field?

24 A. Yeah, six months should be adequate time to
25 gather the additional data, drill a few more wells, and

1 at that time we should review the producing
2 characteristics of the wells.

3 Q. Have you prepared exhibits for presentation
4 here today?

5 A. Yes, I have.

6 Q. Would you refer to what has been marked as
7 Applicant's Exhibit Number 1, identify that and review
8 it for the Examiner?

9 A. Exhibit Number 1 is a land plat that shows
10 the current pool boundaries. It also indicates the
11 discovery well. That is triangle in the northwest
12 corner of Section 2, discovered -- drilled by Amoco,
13 called the GO State Number 1. It's currently operated
14 by Bird Creek.

15 Q. When was this pool created?

16 A. The pool was designated 3-14-86, by R Order
17 8179 and subsequently extended by R Order 9709.

18 Q. Mr. Harris, I think initially it would be
19 helpful if you would refer to this exhibit and review
20 for the Examiner the interest positions of the various
21 parties who have appeared in this case.

22 A. Ray Westall's interest is in Section 35, the
23 east half, which we currently have drilled and
24 completed the Santa Fe's 1 through 4. We have drilled
25 the Santa Fe 5, and we're waiting on completion, and

1 are currently drilling Santa Fe Number 6.

2 Bird Creek has the Section 26 -- that's to
3 the north -- and in that they have one well producing,
4 the RML Number 1. They also have other parts of
5 Section 2 to the south, including the discovery well,
6 the GO.

7 Fortson Oil Company has Section 36, of which
8 they have drilled five wells to date. The first well
9 has been completed, 2 and 3 are in the process of
10 completion, and 4 and 5 are waiting on completion.

11 Bass Enterprises has Section 25, would be to
12 the northeast of the map. Section 25 is also within
13 the Big Eddy Unit. They operate no Delaware wells in
14 that section as of yet. I believe they have staked
15 some locations, but as far as I know they have not been
16 approved.

17 Santa Fe Energy owns selected tracts in
18 Section 2, and they have no drilling wells at this
19 point. I believe they have staked a location. I'm not
20 aware if it's approved yet either.

21 Heyco also has acreage in Section 2 with no
22 wells, and Hanley Petroleum has the west half of
23 Section 5 with no producing Delaware wells.

24 Q. Now, this pool, you indicated, was approved
25 in 1986. There has, however, been recently a flurry of

1 development that is really outside of the current
2 designated pool boundary but within a mile of that
3 pool; is that right?

4 A. That is correct, yes.

5 Q. Why are you seeking an increase in the
6 gas/oil ratios for the pool?

7 A. Our wells are currently curtailed due to the
8 GOR under statewide rules of 2000 to 1. We need 10,000
9 to 1 just to be able to produce liquids out of the
10 formations.

11 Q. And what are the current allowable
12 limitations for the wells in this pool?

13 A. Pool designations below 6000 feet, oil
14 allowable of 142 barrels of oil a day per well, and
15 284,000 MCF at 2000 to 1.

16 Q. Mr. Harris, I'd like you to refer now to your
17 Exhibits 2 and 3. I think we should refer to these
18 together, the structure map and the cross-section.

19 If you would start with your structure map,
20 identify the -- basically what it shows in the trace
21 and then go into the cross-section.

22 A. Exhibit 2 is a structure map on top of the
23 Westall sand. I'll explain the name in a moment. It
24 also shows the Delaware completions, proposed well
25 locations, and a trace, A to A prime, of the cross-

1 section of Exhibit 3.

2 Q. Okay, let's go at this point to the cross-
3 section.

4 A. Exhibit 3 is a cross-section, A to A prime,
5 which incorporates the Bird Creek RML Federal Number 1,
6 Section 26, through the Ray Westall Santa Fe 1, to the
7 Ray Westall Santa Fe 3, Fortson Oil Pinnacle State
8 Number 1, and then back to the discovery well of Bird
9 Creek Resources State GO Number 1.

10 The names that have been given these
11 formations, being the Collins, the Westall, the
12 Brantley and the Bird Creek Sands, are not official
13 names. They're strictly localized. I believe it was
14 Collins and Ware who have designated these names, but
15 other than that they have no significance.

16 All sands are within the Brushy Canyon of the
17 Delaware formation.

18 Q. Okay, let's start with the well on the left,
19 and if you could just move across to this cross-section
20 for the Examiner.

21 A. Most of the wells have been completed. In
22 fact, all of the wells to date have been shot, acidized
23 and frac'd in the Brantley sand. And most of the
24 wells, being the Santa Fe's Number 2 and 4, and the
25 Pinnacle State Number 1 of Fortson, has also been

1 completed in the Collins sand.

2 To date, no well has been actually perforated
3 within the Westall sand.

4 On physical examination of samples and log
5 calculations, we determined that the Westall sand was
6 probably very gassy, and we were not at this point
7 willing to have a high gas content.

8 After we perforated and completed the Well
9 Number 1 and Well Number 3, we experienced extremely
10 high GOR's, ranging from 10,000, 20,000 to 1. We ran
11 production logs, and those are the logs beside the
12 Santa Fe Number 1 and beside the Santa Fe Number 3.
13 These production logs include a flowing temperature
14 survey, a shut-in temperature survey, and an ohm-
15 impedance log.

16 What these indicate to us, on the flowing
17 temperature, we have a cooling effect from the Westall
18 sand behind pipe to the Brantley perforation, which
19 simply means we've communicated on frac or acid and
20 completed into that sand inadvertently.

21 The ohm-impedance log shows that the top
22 three or four perforations in each of these wells are
23 producing 100 percent of the gas. From that we can
24 deduce that gas is actually coming from the Westall
25 sand, behind the pipe and into the bore hole of the

1 perforations of the Brantley sand.

2 Additionally, the shut-in temperature survey
3 shows a cross-flow. The cross-flow is occurring from
4 the Westall sand to the Brantley sand on the wells
5 being shut in.

6 This leads us to believe that the Westall
7 sand itself is a higher pressure, it is isolated from
8 the Brantley. It is not a gas cap, for if it was a gas
9 cap the pressures would be the same and you would not
10 have any cross-flow.

11 We have another indication that it is a
12 totally separate sand and that is our shale barriers
13 above the Westall sand and below the Westall sand.
14 Above it, it's very consistent, 10 to 15 feet. And
15 below, between it and the Brantley, a consistent 8 to
16 10 feet thick. So it is an isolated individual gas
17 sand.

18 Q. So what you have is a gas sand between two
19 oil zones?

20 A. Yes, we have a gas sand between two oil
21 zones.

22 Q. How do you actually complete and fracture
23 these wells?

24 A. We completed these, what we consider a very
25 typical low-rate, low-volume frac: eight barrels a

1 minute, 18,000 gallons total.

2 Q. So there was nothing unusual about the way
3 you actually completed the wells that caused you to
4 communicate into what you have designated the Westall
5 sand?

6 A. That's correct.

7 Q. If we look at the structure map, does
8 structure play any real role in explaining the gas/oil
9 ratios that you're experiencing in these wells?

10 A. No, sir, the structure plays very little, if
11 any, role at all.

12 If a gas cap was to truly exist in the
13 Brantley or the Collins sand, we should see evidence of
14 it as we go updip. Our two highest updip wells are the
15 discovery well, the GO, and the Bird Creek RML, and
16 they are both low GOR's.

17 Q. And so basically what you have -- Your
18 structure map is simply a map showing the limited
19 extent of the Westall sand?

20 A. Yes, you can infer a limited extent to the
21 Westall sand itself.

22 Q. Could you identify for Mr. Stogner what has
23 been marked as Applicant's Exhibit Number 4?

24 A. Exhibit Number 4 are flow-rate data sheets,
25 field reports performed by Celtic Services on Ray

1 Westall Santa Fe's 1 through 4.

2 Q. And is Exhibit Number 5 that data, just
3 presented in tabular and graphic format?

4 A. Yes, it's the field data that has been
5 extrapolated to hourly and daily rates.

6 Q. All right. Let's go to Exhibit Number 5, and
7 I would ask you to review first the tabular information
8 on the Santa Fe Federal Number 1, and then explain to
9 Mr. Stogner what you believe they show.

10 A. The information that we have gathered --
11 Actually, what this chart is, is the incremental flow
12 rate in time and the volumes of oil and gas and water
13 produced during that incremental flow, and it's been
14 extrapolated out into per hour per day and eventually
15 to our GOR per MCF barrel. Choke sizes are all in
16 64ths through 10 through 32.

17 What we see is, we -- typically what we see
18 -- find out where I am here -- is that the smaller the
19 choke size, the higher the GOR.

20 In fact, as you choke these wells back, you
21 can produce zero oil -- zero fluids total, and just
22 gas.

23 Q. So eventually you can lose, by choking it
24 back, the potential to produce any oil from the
25 formation?

1 A. Yes, by choking it back you produce no oil
2 from the formation at all.

3 Q. Okay. Well, let's go to the graph for the
4 Santa Fe Number 1, the next page on Exhibit Number 5,
5 and could you review for Mr. Stogner what this shows?

6 A. Yes, this is a chart based on barrels of oil,
7 barrels of water and MCF gas per daily rate.

8 The gas is stabilized. It apparently does
9 not have any -- It produces independently of the oil
10 and gas -- or oil and water in the formations.

11 As you can see the gas chart, it's
12 irrelevant. If you're producing on a 32/64 or an
13 18/64, you'll produce approximately 800,000 MCF per
14 day.

15 However, oil varies widely from 180 down to
16 20 or 30 barrels per day. Exactly the same with the
17 water: a high of 600 barrels a day down to a low of 70
18 barrels a day.

19 So gas is being produced independently of the
20 oil and water in the formations.

21 Q. Now, behind this graph you also have tabular
22 and graphic presentations for the other Santa Fe wells?

23 A. Yes, the Santa Fe's 2, 3 and 4.

24 Q. Now, the Number 4 doesn't perform quite like
25 the first three, does it?

1 A. No, the Number 2 does not perform.

2 Q. And why is that?

3 A. This test data on the Number 2 was performed
4 approximately two days after completion, and I think
5 the well was just too new to get a stabilized
6 performance.

7 Q. Mr. Harris, based on your field and geologic
8 study, do you have an opinion on whether the gas/oil
9 ratios that you're experiencing could be related to the
10 existence of a gas cap in the reservoir?

11 A. Based on field data and geologic information,
12 the GOR cannot be related to a gas cap.

13 Typically in a gas cap, the GOR will not
14 change with the varying size of the choke. Ratios of
15 oil and gas will remain the same; only the volumes will
16 change.

17 Q. In your opinion, what will happen to the
18 ability of the operators to produce the reserves in
19 this field if you are required to produce under current
20 statewide rules?

21 A. Under the current rules, our rates would
22 definitely be curtailed, and ultimately I believe that
23 reserves would be left in the ground as you're not
24 being able to produce the oil until you have depleted
25 some of the -- perhaps the oil in place in the Collins

1 and Brantley sands.

2 Q. Would that result in waste, in your opinion?

3 A. That would -- definitely in waste.

4 Q. What would be the impact of approval of this
5 Application on the correlative rights of interest
6 owners in the pool?

7 A. There will be no impact if approved.

8 If not approved, and without the higher GOR,
9 we'll actually be denied an opportunity to produce our
10 share of the oil reserves in the Brantley and Collins
11 sand zones.

12 Q. Is Exhibit Number 6 a copy of an affidavit of
13 mailing confirming that notice of today's hearing has
14 been provided to those individuals identified on
15 Exhibit A?

16 A. Yes, sir.

17 Q. And to whom was notice sent?

18 A. Notice was sent to all operators in the pool
19 and all operators of wells in the Delaware formation
20 within a mile of the pool.

21 Q. Are there any unleased mineral owners within
22 the pool boundary?

23 A. No.

24 Q. If this Application is approved, when would
25 you request that the rules become effective?

1 A. Well, we are currently shut in on wells 1, 3
2 and 4. We'll be finished drilling well number 6 pretty
3 rapidly, and completion of number 5.

4 So we would request a ruling as expeditiously
5 as possible.

6 Q. Would an effective date of those Rules of
7 October 1 be satisfactory for your purposes?

8 A. Yes, sir.

9 Q. Will the Applicants in this case also be
10 calling an engineering witness to review that portion
11 of the case?

12 A. Yes.

13 Q. Were Exhibits 1 through 6 either prepared by
14 you or compiled under your direction?

15 A. Yes, sir.

16 MR. CARR: At this time, Mr. Stogner, we
17 would move the admission of Applicant's Exhibits 1
18 through 6.

19 EXAMINER STOGNER: Exhibits 1 through 6 will
20 be admitted into evidence.

21 MR. CARR: And that concludes my direct
22 examination of this witness.

23 EXAMINER STOGNER: Thank you, Mr. Carr.

24 Mr. Kellahin, your witness.

25 MR. KELLAHIN: Thank you, Mr. Examiner.

CROSS-EXAMINATION

BY MR. KELLAHIN:

Q. Mr. Harris, let me find out from you the data that you had available to you from which to reach your conclusions about the source of the gas being produced in the well.

Let's start with the Santa Fe Federal 1.

A. Yes, sir.

Q. Second well on the cross-section. Perforated only in the Brantley sand?

A. Yes, sir.

Q. What type of logs did you have for that well?

A. We ran a CNL FDC dual micro.

Q. Any other logs?

A. A cement bond log, case log.

Q. The production evaluation logs shown in the left margin?

A. Yes, sir.

Q. What type of log was this?

A. This was a temperature -- flowing temperature, shut-in temperature, and ohm impedance.

Q. Do you develop data from this log with a spinner survey, or is that a different procedure?

A. It's a different procedure.

Q. Did you run a spinner survey on this well --

1 A. No, sir.

2 Q. -- to determine the source of production?

3 A. The ohm impedance determines the source of
4 production. It is the same basic type log.

5 Q. Is the relevant portion of the production log
6 what I see next to the density log shown on the display
7 for that log?

8 A. Yes.

9 Q. Did you run any frac height logs or frac
10 height information to determine how far you may have
11 propagated fractures out of the Brantley sand?

12 A. No, but this survey gives you the same end
13 result. It does show you from where production is
14 coming from. So you can assume that if your production
15 is coming from up the hole, that you have actually
16 treated -- fractured into that zone, yes.

17 Q. We haven't actually perforated the Westall
18 sand in any of the Ray Westall wells in the east yet?

19 A. No.

20 Q. The information available for the Federal 1
21 well tells you the likely source of the gas is going to
22 be the Westall sand?

23 A. Yes, sir.

24 Q. When you look at the other three wells, 2, 3
25 and 4, have you the same type of data for each of those

1 wells?

2 A. Yes, we performed the temperature -- flowing
3 temperature/shut-in temperature logs on the Number 2
4 and the Number 4.

5 And yes, the results are basically the same,
6 although we have completed also in the Collins sand, so
7 we have direction-of-flow difference. The Number 4
8 flows up through the Collins sand, and the Number 2
9 flows down to the Brantley sand. That's the only
10 significant difference.

11 Q. The Number 4 well is the only one that is
12 also perforated in the Collins sand?

13 A. No, the Number 2 is also.

14 Q. Number 2?

15 A. Yes, Number 2 and 4.

16 Q. 2 and 4 in the Collins sand, as well as the
17 Brantley sand?

18 A. Yes.

19 Q. And the 1 and 3 are only in the Brantley
20 sand?

21 A. That's correct.

22 Q. What do your cement bond logs tell you about
23 the adequacy of the cement?

24 A. Our cement bond logs are showing virtually a
25 hundred percent bond through this entire section. We

1 do not lose bonding till we get approximately 100 feet
2 above the Collins.

3 We have tried everything to date to stay out
4 of the Westall sand.

5 Q. Have you taken any fluid samples and
6 submitted them for PBT analysis --

7 A. Not, sir.

8 Q. -- on any of the production?

9 A. No.

10 Q. You don't have any PBT data to work with?

11 A. No.

12 Q. Your conclusion of the data thus far is that
13 we're not seeing a gas cap in either the Brantley sand
14 or the Collins sand?

15 A. That's true.

16 Q. That the likely source of the gas is going to
17 be the inadvertent communication into the Westall sand?

18 A. That's correct.

19 Q. Do you have sufficient production data on any
20 of your wells to project ultimate recoveries for any of
21 these wells?

22 A. No, sir. We have production of the 1 and 3,
23 which are the first two wells, for approximately six
24 weeks before we shut them in.

25 Well Number 4, we have approximately three

1 weeks of production. That is not adequate enough time
2 to come to any conclusion on ultimate recoveries at
3 all.

4 Q. In looking at the tabulation of data on
5 Exhibit Number 5, have you and your technical people
6 formulated an opinion about the optimum choke setting
7 at which to most efficiently produce any of these
8 wells?

9 A. Oh, yes.

10 Q. Okay, what is the choke setting that you
11 would recommend?

12 A. It varies per well. For optimum, we have --
13 Since this, we have gone out there and played a little
14 more than this actual test data.

15 Q. Let's just take a for instance. Take the
16 Number 1 well and find for me the optimum choke setting
17 that maximizes the oil production and, conversely,
18 minimizes the gas production.

19 A. That would be a choke setting of 22/64, a gas
20 flow rate of 864,000 a day, 156 barrels of oil. That
21 would be optimum.

22 Q. And there's some flexibility in that, you can
23 go to 24?

24 A. That's true, yes, 22, 24. However, that
25 would be overproducing under the 142 barrels a day

1 allowable for the depth bracket, so --

2 Q. At that choke setting?

3 A. At that choke setting.

4 Q. Are you limited by the oil rate or the
5 gas/oil ratio?

6 A. Both. We are limited to 142 barrels of oil a
7 day in the depth bracket of the pool. So no, you could
8 not produce that at 156 barrels a day on the 22/64.
9 You would have to be somewhere between 20 and 22 to get
10 stabilized production.

11 Q. Under the current 2000-to-1 gas/oil ratio,
12 what's the maximum oil rate you can achieve for this
13 well?

14 A. Very little. About 18 barrels a day, if I
15 remember correctly.

16 However it's almost physically impossible on
17 every well except our Number 1 to produce oil at a GOR
18 of 2000 to 1.

19 Q. What is the 10,000-to-1 ratio justification?
20 What's the reason for seeking that level of gas/oil
21 ratio?

22 A. That is the level of which we determined on
23 these tests that we're able to produce a sustained
24 amount of liquid and keeping the gas at a minimum.

25 As we increase the choke size, of course, the

1 gas does not increase, but the oil volume does, and
2 thus overproduction would occur.

3 Q. For instance --

4 A. Plus water will also come in. We have to
5 protect the formation from the invasion of water. The
6 more we open the chokes up, the more water you produce.
7 That's not good.

8 Q. Using your most efficient choke setting and
9 using a 10,000-to-1 gas/oil ratio, what is your
10 equivalent oil rate?

11 A. Our equivalent oil rate on all four wells
12 combined is approximately 100 barrels of oil per day.

13 Q. Per well?

14 A. Per well, at 10,000 to 1. We will be
15 underproducing the 142, but the choke settings are so
16 touchy that if we were to try for more oil we also --
17 It's not uniform. In other words, we don't go from 100
18 barrels a day to 110 to 120. We jump from 100 up to
19 200 barrels a day in one choke setting.

20 So it becomes a matter of playing with the
21 wells individually to establish their optimum rate.

22 Q. What happens if you use a 5000-to-1 gas/oil
23 ratio? What do you see?

24 A. At 5000 to 1, as you can see on every well
25 but Number 1, you're physically -- Again, you're

1 physically limited that you cannot even produce the
2 wells at 5000 to 1. Or you are able to produce them,
3 but you're overproducing at an extremely high rate.
4 Such as the Number 1, at 5000 to 1, which you could
5 establish, you would be producing 168 barrels of oil
6 per day.

7 On the Number 2, the lowest you can get is
8 6.9 -- or 6900 to 1, but you're producing 456 barrels
9 of oil a day, definitely overproducing.

10 Q. Do you have data from which you are able to
11 conclude what the bubble point of the reservoir is?

12 A. I would have to defer that to our engineer.

13 Q. As well as the solution gas/oil temperature?

14 A. Yes, yes.

15 MR. KELLAHIN: Thank you, Mr. Examiner.

16 EXAMINER STOGNER: Thank you, Mr. Kellahin.

17 Mr. Bruce?

18 CROSS-EXAMINATION

19 BY MR. BRUCE:

20 Q. Mr. Harris, do you have any pressure data,
21 bottom-hole pressure data?

22 A. Bottom-hole pressure data just from our shut-
23 in surface pressures.

24 Q. And what is that?

25 A. Our shut-in surface pressures --

1 Q. Yes.

2 A. -- vary from 2000 to 2400 pounds.

3 Q. And I think you said that the 1 through 4
4 wells are producing, right? Or capable of producing?

5 A. They're capable of production, yes.

6 Q. And each -- What are they producing at, each
7 well?

8 A. Each well?

9 Q. Yes.

10 A. We have -- Each well is averaging
11 approximately 100 barrels of oil per day, and anywhere
12 from one -- the low side is the Number 1 well,
13 producing 800,000 a day in gas, to the high side of our
14 Number 3, 1.4 million.

15 Q. So the GOR has varied pretty much from well
16 to well?

17 A. No, as a matter of fact the GOR is pretty
18 well stable at about 11,000 to 1, except for the Number
19 1 well, and that is somewhat lower, 9000 to 1.

20 Q. Which well was that? The Number --

21 A. The Number 1.

22 MR. BRUCE: That's all I have, Mr. Examiner.

23 EXAMINER STOGNER: Thank you, Mr. Bruce.

24 Mr. Carr, any redirect?

25 MR. CARR: Nothing further, Mr. Stogner, on

1 redirect.

2 EXAMINATION

3 BY EXAMINER STOGNER:

4 Q. In referring to your Exhibit Number 3, the
5 Brantley sand, let me make sure I'm understanding this
6 right. What is the reservoir mechanics and the
7 reservoir energy, just the Brantley sand alone?

8 A. We're assuming that the Brantley sand is
9 combination solution gas and water drive.

10 Q. If we run from this Westall sand, what would
11 the -- would the 2000-to-1 limit be satisfactory to
12 produce just the Brantley sand, without the induction
13 of this Westall sand gas coming in?

14 A. That is up to speculation at this point. I
15 would assume probably not, sir. Most Delaware Brushy
16 Canyon fields do exhibit a higher GOR than 2000 to 1.

17 What we have seen, East Loving, which is to
18 the south of us, it apparently is approximately 5000 to
19 1. The Avalon field to the north is 4000 or 5000 to 1.
20 So I think that's generally what we see in the Brushy
21 Canyon formation.

22 Q. Do you know where the oil/water contact is
23 out here?

24 A. No, sir.

25 Q. It's foreseeable that there's some wells out

1 here without the influence of the Westall sand, I would
2 assume?

3 A. Yes.

4 Q. And increasing the GOR limit for those wells,
5 which would go along with increased GOR, is there a
6 possibility that we may see a more premature water
7 influx into the oil zone?

8 A. I don't believe so. We have two updip wells
9 currently, both Bird Creek, and on full production --
10 and on pump, they do not exhibit any abnormally high
11 GOR.

12 Q. What is the medium between the Westall sand
13 and that Brantley sand? What are we looking at?

14 A. We're looking at shale, shale and tight
15 sands.

16 Q. So we have the channeling down of the sand
17 through -- I believe you said perforations and then
18 through -- Well, how about the cement behind the pipe?
19 Is that also an influence?

20 A. Probably not. We have excellent bond from
21 the Westall through the Brantley, so we have
22 communicated probably between the cement and the
23 formation.

24 Q. And that was done after fracturing?

25 A. Yes. Well, we assume after fracturing or

1 after acidizing. There would not have been a
2 communication before we acidized or frac'd, no.

3 Q. Do you know what the extent this Westall sand
4 -- On the cross-section you show it to be somewhat
5 limited.

6 A. To the north and south, yes, it is limited.

7 Q. How about to the east and west?

8 A. To the east it does not occur in the west
9 half of Section 35, in the Hanley well. And to the
10 west it has not been -- or -- yeah, to the -- east, it
11 has not been determined yet.

12 Q. What's the characteristic of that Westall
13 sand gas production? Is it high volume, low pressure?
14 High pressure, low volume?

15 A. High pressure. We see the high pressure from
16 two factors: the shut-in of the wells, which is
17 definitely abnormal for Brushy Canyon Delaware, and
18 from our shut-in temperature survey we do see cross-
19 flowing from that zone to the lower Brantley sand.

20 So we can assume there's fairly high
21 pressure. You're not able to put a particular amount
22 on it because you are cross-flowing.

23 We assume this dries gas, with very little
24 liquid in it.

25 Q. What would -- well -- You think one well

1 could drain if it was perforated in that Westall sand,
2 just to drain that sand off, since it is of some --
3 appears to be of somewhat limited extent? Alleviate
4 the problem instead of --

5 A. It's possible. Drainage pattern on a
6 Delaware gas sand, as far as I know, has never been
7 written where I could have read any results of it.

8 I don't know what the extent of drainage
9 would be.

10 Q. Well, you have some indication that it's
11 coming in out of these fractures.

12 Okay, you have some of the Collins sand, I
13 believe, in that Pinnacle State Number 1?

14 A. Yes.

15 Q. At least on the cross-section. That is
16 perforated.

17 What's the driving mechanism for that
18 particular sand interval?

19 A. We believe that is also solution gas.

20 Q. No water drive?

21 A. We could assume a water drive. Most Delaware
22 sands do have a water drive.

23 However, we have not found the downdip limit
24 of this sand as of yet.

25 Q. So it's my understanding that without the

1 induction of the Westall sand gas and -- either into
2 the Brantley sand or the Collins sand, that the 10,000-
3 to-1 GOR ratio will not affect the overall production
4 on these two reservoirs?

5 A. No. We believe that, hopefully in six
6 months, that the Westall sand pressure will have come
7 down enough to be equivalent to the Brantley or the
8 Collins or both, to where the GOR will come down.

9 Q. What would be the danger during the six-month
10 period of putting a perf into the Westall sand
11 directly?

12 A. There would be no danger at all.

13 Q. Other than the additional cost?

14 A. That would be correct, yeah, other than the
15 additional cost.

16 Q. At the end of the six-month period, if the
17 Westall sand appeared to be losing its pressure and
18 volume to a sufficient amount, do you think a lower GOR
19 would -- could be given to this pool?

20 A. Yes, sir.

21 EXAMINER STOGNER: Any other questions of
22 this witness?

23 MR. STOVALL: Just one other.

24 EXAMINATION

25 BY MR. STOVALL:

1 Q. As far as, you know, if you were to take the
2 option of perforating and producing the gas out of the
3 Westall sand to eliminate the source of gas, given the
4 realities of costs and everything else, what would be
5 the best way to do it? To take one well and set a
6 packer or something and perforate it and produce it,
7 or --

8 A. Well, we have communicated on all four of the
9 Westall wells already. We are communicated to the
10 Westall sand.

11 Q. Uh-huh.

12 A. So you're going to deplete that zone whether
13 you've perforated it or not on our four wells.

14 Perforated, sure, your gas will come into the
15 bore hole directly opposite the sand.

16 I don't see what difference it would make if
17 we did perforate it or just leave it alone. I am not
18 opposed to perforating it.

19 EXAMINER STOGNER: I'm sorry, sir, you just
20 told me you didn't know what the reservoir
21 characteristics was in the Westall sand.

22 Now you're saying without perforating that
23 you can alleviate it.

24 I'm sorry, I'm confused here. You just
25 confused me altogether. You contradicted yourself.

1 THE WITNESS: No, I --

2 EXAMINER STOGNER: You need to straighten me
3 out here.

4 THE WITNESS: Okay, I'm not -- I didn't -- I
5 don't know where I --

6 Q. (By Mr. Stovall) Well, let me back you up
7 and try this again.

8 If I understand what you just said, the
9 answer to my question was that regardless of whether
10 you perforate the Westall sand or continue to produce
11 through your existing perfs, the Westall gas is going
12 to be drained off?

13 A. Yes.

14 Q. It's either going to flow through that shale
15 member and get down to the Brantley and be produced, or
16 if you perforate directly it will perforate -- you'll
17 produce it out of that sand?

18 A. Yes.

19 Q. Now, I think what Examiner Stogner was
20 referring to before was, you had indicated that you
21 didn't know if you were to perforate, say, one well in
22 that Westall, how much area you would effectively drain
23 just of the Westall, with the Westall well?

24 A. Oh, that's correct, that's correct.

25 No, I don't know how much we would drain off

1 of --

2 Q. Was that what you meant before when you said
3 you didn't know the characteristics of that particular
4 sand?

5 A. I don't know the drainage pattern off the
6 sand.

7 Q. Does the problem appear to be primarily on
8 your -- I'm sorry, is that the Santa Fe lease?

9 Is that what that east half of 35 is? Is
10 that what you're calling that?

11 A. Yes, sir.

12 Q. And that's where the problem primarily seems
13 to be --

14 A. That's where --

15 Q. -- at least as far as you can tell?

16 A. Yes.

17 Q. Now, back to my question again.

18 If there were some concern about raising a
19 GOR and its broader effect in the pool, would it be
20 possible to take, say, the -- it wouldn't matter which
21 well -- one of those six or seven wells in that east
22 half of 35, set a packer below the Westall, perforate
23 the Westall, get the gas out, would you expect to see,
24 then, that you'd have a pressure drop in the Westall
25 and that it would therefore -- you would have less

1 cross-flow down to the Brantley, and therefore you
2 would lower the GOR in the oil wells in the Brantley?

3 A. Yes, if you could --

4 Q. Is that too much of a --

5 A. If you could effectively drain more than that
6 140 acres, yes, you would see a pressure drop in that
7 sand.

8 Q. Do you have any -- Looking at your logs, can
9 you tell from the permeability whether you would expect
10 to --

11 A. The logs indicate fairly good relative
12 permeability.

13 Of course, that's not even calculatable.
14 It's just assumed by the amount of distance between the
15 micro -- the shallow and the deep ladder logs.

16 Q. And that's a sand formation, right?

17 A. Yes, sir.

18 Q. Given you have kind of a general geologic
19 presumption that gas is going to drain a larger radius
20 than oil, then conceivably you could put -- take one of
21 these wells right in this -- Look at the 2 or 3 for
22 example, or the --

23 A. Conceivably, yes, you could drain the gas off
24 with one well.

25 Q. And I guess given the amount of gas that

1 you're seeing, it really could be economically viable
2 to go ahead and produce that gas for a short time and
3 move it out and --

4 A. Oh, yes.

5 Q. -- kind of protect the Brantley portion of
6 the formation, right?

7 A. Yes.

8 Q. The bottom line is, is that is a viable
9 option?

10 A. Yes.

11 Q. Given the -- It wouldn't necessitate
12 expensive drilling of another well or anything else.
13 It could be done as a...

14 A. (Nods)

15 Q. Bottom line, in your opinion, either -- The
16 Westall sand is going to be drained of gas either
17 through the cross-flow to the Brantley, or if another
18 perforation in that sand were required -- That gas is
19 coming one way or the other.

20 A. That gas is overriding everything else in the
21 other two oil zones, yes.

22 MR. STOVALL: I don't think I have any more
23 questions.

24 EXAMINER STOGNER: Any other questions of
25 this witness?

1 MR. KELLAHIN: One follow-up, Mr. Examiner.

2 EXAMINER STOGNER: Mr. Kellahin?

3 FURTHER EXAMINATION

4 BY MR. KELLAHIN:

5 Q. Is there any direct measurement of the
6 composition of the hydrocarbons in the Westall sand?

7 A. Yes.

8 Q. Show me which well has been perforated --

9 A. No, no, no, no --

10 Q. -- exclusively in the Westall sand.

11 A. No, no, not exclusively, no, no.

12 We do have analyses of the gas itself at the
13 higher rates, and our engineer will --

14 Q. But that's gas that we cannot specifically
15 quantify --

16 A. That's correct.

17 Q. -- as being produced only out of the Westall
18 sand?

19 A. No, we cannot quantify that, no.

20 Q. So we don't know if the Westall sand will
21 classify itself as a gas sand or not.

22 The presumption at this point is that it
23 should?

24 A. Yes. From all evidence with the ohm
25 impedance, with all the gas coming in the top two or

1 three perforations, yes, it's a pretty good assumption.

2 Q. And the way you've mapped the Westall sand,
3 it's going to extend beyond the Westall leases, and it
4 should be present in the Fortson Oil Company's Pinnacle
5 State Number 1?

6 A. Yes, sir.

7 MR. KELLAHIN: No further questions.

8 FURTHER EXAMINATION

9 BY MR. STOVALL:

10 Q. And in response to that, follow-up question
11 to that is that Fortson could then perforate a
12 Westall -- one of its wells in the Westall and get its
13 share of that gas, correct?

14 A. That's correct.

15 MR. STOVALL: I have nothing further.

16 EXAMINER STOGNER: Anything further of this
17 witness?

18 MR. CARR: Nothing further.

19 EXAMINER STOGNER: You may be excused at this
20 time.

21 Mr. Carr?

22 MR. CARR: At this time we call Rex Howell.

23 REX HOWELL,

24 the witness herein, after having been first duly sworn
25 upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. CARR:

Q. Will you state your name and place of residence?

A. My name is Rex G. Howell. I reside in Houston, Texas.

Q. Mr. Howell, by whom are you employed and in what capacity?

A. I'm an independent petroleum engineering consultant being retained by Collins and Ware at this time.

Q. Could you briefly review your educational background and work experience?

A. Yes, sir. I graduated with a bachelor of science in petroleum engineering from the University of Texas in 1958. I went to work for Amoco as a junior petroleum engineer in Levelland, Texas, and then worked through many offices and many different engineering positions for about 17 year with Amoco. At that time it was Pan American Petroleum.

I left Amoco in 1974. I was division reservoir engineer and supervisor in charge of all the reservoir engineering operations in Texas, New Mexico, and the mid-continent.

Joined the Energy Reserves Group as the

1 division production manager responsible for all
2 production activities in the southern half of the US.

3 And then in 1982 I joined H & G Oil Company
4 in Midland, Texas, as the executive vice president,
5 served in that capacity until about 1985 when Inter
6 North and Houston Natural Gas merged, and was named the
7 executive vice president of the merged companies, Enron
8 Oil and Gas Company, served in that capacity until
9 early 1989 and then took early retirement from Enron
10 and have been an independent petroleum consultant since
11 that time.

12 Q. What interest does Collins and Ware have in
13 this pool?

14 A. Collins and Ware has interest in both the
15 Westall-operated wells in Section 35, and also the 14
16 wells operated in Section 36.

17 Q. When were you actually contacted about this
18 particular question in this pool?

19 A. This particular question came up in mid to
20 late August. Mr. Collins called me and wanted me to
21 update and do a reserve analysis for all of his
22 properties, and then particularly look at this field
23 because it was a recent, new discovery, and attempt to
24 assign reserves to these wells.

25 Q. And you've reviewed this pool as part of that

1 effort?

2 A. Yes, sir, I have.

3 Q. When did you become aware of the potential
4 for a separate gas zone in this pool?

5 A. When I first got to Midland in late August
6 out there, they had all the logs hung up, and a map, on
7 the wall, and were telling me that they had a high --
8 or high gas/oil-ratio wells in the Delaware, and they
9 thought it was coming from a gas sand between two oil
10 zones.

11 Q. And then what have you done since that time
12 to evaluate these properties and, in particular,
13 determine whether or not there is a gas -- separate gas
14 sand in this area?

15 A. All right, sir, I've looked -- attempted to
16 look at all the available data to Collins and Ware,
17 including looking at the well logs and all the
18 production history in attempting to make reserve
19 estimates.

20 Q. Have you reached certain engineering
21 conclusions that you're prepared to present to the
22 Examiner today as a result of this study and review of
23 the pool?

24 A. Yes, sir, I have.

25 MR. CARR: We tender Mr. Howell as an expert

1 witness in petroleum engineering.

2 EXAMINER STOGNER: Any objections?

3 MR. KELLAHIN: No, sir.

4 EXAMINER STOGNER: Mr. Howell is so
5 qualified.

6 Q. (By Mr. Carr) Mr. Howell, I think it would
7 be helpful if you would now in detail review exactly
8 what you studied and what processes you went through
9 with the limited data available to you to determine
10 whether or not you did have a separate gas sand.

11 A. All right, sir. At the time I started my
12 study on the Westall lease in Section 35, I had well
13 log data on five logs, the logs on Santa Fe wells
14 number 1 through 5. I also had log data on three of
15 the Fortson wells, wells number 1, 2 and 3. So I had
16 logs -- complete electric logs and porosity logs on
17 eight wells in the field.

18 We also had production history from Mr.
19 Westall's four wells -- at the time wells number 1, 2,
20 3 and 4 -- and a short production history on the
21 Pinnacle Federal Number 1 well.

22 Taking that data, then what I did in using
23 the geological nomenclature that this reservoir has
24 been divided into, the three sands, the Collins sand,
25 the Westall sand and the Brantley sand, I then made a

1 log analysis foot by foot for each zone there,
2 determined the porosity, the water saturation, and then
3 from that developed a hydrocarbon pore volume for each
4 zone.

5 That would allow me to determine the original
6 oil in place and the original gas in place for each one
7 of the wells and for each one of the zones.

8 Once knowing the original oil in place,
9 derived by log calculations, I had to go in and make
10 several assumptions. That was really about the end of
11 my real hard data.

12 But I made the assumption that a Delaware
13 well could drain 40 acres.

14 I further made the assumption that a well
15 completed in the Collins sand would have a primary
16 recovery factor of 15 percent of the original oil in
17 place.

18 I made the further assumption that a well
19 completed in the Brantley sand would only have a ten-
20 percent recovery factor of primary oil.

21 Q. And what were you basing that on?

22 A. Well, it's just really looking at the log
23 characteristics here.

24 The average porosity in the Collins sand was
25 higher than it was in the Brantley sand. The Collins

1 sand is a lot more uniform, you can correlate it from
2 well to well better.

3 The Brantley sand is, as I say, lower
4 porosity and seemed to be more heterogeneous than the
5 Collins sand there.

6 So I assumed a lower recovery factor. It was
7 an assumption to try to take into account either lower
8 drainage or lack of good pack.

9 And for the Westall sand, what I did was use
10 the -- calculate bottom-hole pressure from surface
11 shut-in pressures. I assumed an abandonment pressure
12 of 500 p.s.i. and then calculated the original gas in
13 place, and using a 500-pound abandonment pressure you
14 would come up with a recovery of 85 percent of the gas
15 in place for the Westall zones.

16 Q. Now, what other information did you have
17 available to you?

18 A. Well, we don't have a fluid sample on this
19 thing and it's really unfortunate, because it's really
20 key to some of the conclusions that we've drawn on this
21 thing.

22 We know that the oil gravity is 43 degrees
23 API. We do know that.

24 On one of the Fortson wells, they had an
25 early test out of the Brantley sand with a producing

1 gas/oil ratio of 1500. Now, I assumed that the
2 solution gas/oil ratio for this reservoir, then, was
3 1500 cubic feet per square barrel.

4 Knowing the oil gravity of 43 degrees,
5 assuming a solution gas/oil ratio of 1500, and knowing
6 the bottom-hole temperature of the gas gravity, then I
7 could calculate a reservoir volume factor of 1.65.

8 Now, that's a pretty high reservoir volume
9 factor, and -- almost indicating a volatile oil. But
10 what it indicates to me is that this is a real high-
11 quality hydrocarbon being produced out of here, a light
12 crude, and it's with a lot of gas in just the Collins
13 and just the Brantley sands, in addition to probably
14 being essentially all gas out of the Westall sand.

15 Q. Now, admittedly you're working with limited
16 information?

17 A. Yes, sir, very limited information. And like
18 I say, we don't have a bottom-hole sample. You would
19 like to have a -- say, a recombination sample on that
20 thing.

21 But to really get meaningful fluid properties
22 out of it, you've got to know what proportion to
23 combine the gas back with the oil. And with all the
24 evidence out here of communication with the gas zone,
25 it's really difficult. And about the only way I would

1 know to get a valid fluid sample out of this thing, a
2 bottomhole sample -- and I think the operations people
3 would not look on this kindly -- is maybe to drill stem
4 test just the Collins sand there, and then you might
5 could get a true fluid sample and do it.

6 I'm not advocating that, but I don't know how
7 to get a good bottom-hole sample or a -- or what
8 proportions to recombine the gas and oil to come up
9 with the correct fluid properties.

10 Q. With the information available, and based on
11 the assumptions that you've had to make, have you been
12 able to reach conclusions concerning the producing
13 gas/oil ratios for this pool?

14 A. Yes, sir, just taking -- on these
15 assumptions, and there are many assumptions in here --
16 for just the Collins sands and the Brantley sands,
17 which are the oil sands in here, and based on these
18 assumptions that I've outlined, I think the average
19 producing gas/oil ratio of those wells, of the wells
20 completed in just those sands, with no communication,
21 will be in the vicinity of 7700 cubic feet per barrel,
22 over the life of the properties.

23 Q. And this is just from the solution gas only?

24 A. Yes, sir, that's just from production of
25 solution gas in those two oil sands.

1 Q. Have you attempted to factor in what you
2 understand to be the Westall sand?

3 A. Yes, sir, again taking into account an 85-
4 percent recovery factor, which is assuming a 500-pound
5 abandonment pressure, then I calculate in just the
6 eight wells that I analyzed, assuming they'll drain 40
7 acres, that there's about 2.6 BCF of gas in the Westall
8 sand.

9 So when you add that to the 2.6 BCF to the
10 gas, solution gas that's going to be produced, you're
11 going to come up with about an average gas/oil ratio of
12 9700 cubic feet per barrel over the life of these
13 properties.

14 Q. Do you have an opinion as to whether or not
15 it would be prudent to independently produce the
16 Westall sands?

17 A. Well, sir, I -- I don't think it would be --
18 I don't think you can independently produce the Westall
19 sand, just as I don't believe you can independently
20 produce the Brantley and the Collins.

21 I know that the Westall sand has good
22 productivity, following stimulation by a frac from the
23 lower zone. But just because a well has good initial
24 bottomhole pressure and initial deliverability doesn't
25 indicate it's going to be a big well and drain a large

1 area there.

2 But your question, specifically, I don't know
3 how you would do that, because in my belief, by looking
4 at the log characteristics of that well -- we don't
5 have any cores and no permeability measurements there
6 -- I think the Westall sand is going to have to be
7 stimulated.

8 So if you stimulate the Westall sand, you go
9 into the Brantley sand and the Collins sand. So I
10 don't think you can independently produce the Westall
11 sand.

12 Q. Based on your understanding of this
13 reservoir, do you see evidence of a gas cap?

14 A. No, sir, I do not see any evidence. And when
15 we first -- when I first went to Midland and they told
16 me about a gas zone between two oil zones, it didn't
17 seem right to me. And I thought, Well there's a zone
18 that's got a gas cap in it; that's their a problem
19 there.

20 But after reviewing -- And this is a sample
21 log from a cross-section there. But reviewing all of
22 the logs available out there, you can see that there is
23 a good shale barrier between the Westall interval and
24 the Brantley sand. And in my opinion, that is a good
25 geologic barrier there.

1 Right above the Westall sand there is another
2 good shale barrier. In fact, it's thicker than the one
3 between the Brantley. Again, it exists in all the
4 wells over there, and so I think that's the thing
5 there.

6 Now, why there's just gas in the Westall
7 zone, I can't answer that.

8 But -- And then I further looked at the --
9 Based on log analysis only, I cannot calculate or
10 locate a gas/oil contact in either the Brantley or the
11 Collins zones. Consequently, I can't locate an
12 oil/water contact.

13 Now, I can locate zones that have high water
14 saturation scattered through there, much higher than I
15 would suspect connate water or irreducible water, and I
16 suspect some water production in here.

17 But I cannot locate, in these wells that I've
18 seen, I cannot locate either a gas/oil contact nor an
19 oil/water contact in either of the zones.

20 Q. In your opinion, would approval for six
21 months of a gas/oil ratio on a temporary basis of
22 10,000 to 1 dissipate reservoir energy?

23 A. No, sir.

24 Q. In your opinion, would denial of this
25 Application ultimately result in oil being left in the

1 ground?

2 A. Yes, sir.

3 Q. In working with this information, did you
4 come across any other data or information that would
5 support the existence of a separate gas zone in the
6 reservoir?

7 A. Yes, sir, we did. We looked at some gas
8 analysis that was available.

9 One, the first one here, what I've got is
10 produced gas analysis from three wells. All three of
11 these wells produce from the Brushy Creek section of
12 the Delaware here.

13 The first one, what I've looked at is the
14 heating values and the liquid content of the gas.

15 And you can see on the Ray Westall well the
16 heating value in BTU's per MCF is about 1167, where the
17 other two wells, again out of the Delaware, are 1571
18 and 1431.

19 In other words, a much dryer gas reflected by
20 the heating value.

21 This is also reflected and shown by the
22 liquid content of the gas. Five gallons per million
23 for the FM pluses in the Ray Westall well, 13 gallons
24 per million in the Bird Creek well, and in excess of 10
25 gallons per million in the Myrtle Meyer Number 2 well.

1 So to me -- And this is only three samples.
2 But to me, this indicates that the Ray Westall well is
3 a much dryer gas and is really not representative of
4 what you would expect casinghead gas to be in a normal
5 Delaware reservoir.

6 Q. Could you just summarize for Mr. Stogner the
7 conclusions you've reached from your work with this
8 pool?

9 A. Yes, sir. What I've concluded from looking
10 at the data -- and I admit that it's limited here --
11 that we really have three geologically separate zones
12 out here, two of them being oil and the third one being
13 in the middle of the two oil zones, being a
14 predominantly gas zone.

15 That when you try to stimulate either the
16 upper oil sand or the bottom oil sand, you're going to
17 get communication with it, and that, consequently, the
18 gas contributed by that zone is going to contribute to
19 a higher gas/oil ratio in this field.

20 And that I do not believe that the well can
21 be -- that the field can be efficiently depleted at a
22 gas/oil ratio limit of 2000 to 1.

23 Q. Is 10,000 to 1 needed to do this efficiently?

24 A. Yes, sir, in my opinion a period of six
25 months here will allow us to collect other data and see

1 if this is the optimum gas/oil ratio to produce this
2 field at.

3 Q. Admittedly, there's a lot of activity in the
4 area right now?

5 A. Yes, sir, there's many wells, as you heard,
6 being drilled.

7 Q. And it's your recommendation that if this
8 Application is approved it should be re-opened and
9 reviewed again in six months?

10 A. Yes.

11 Q. Was Exhibit Number 7 prepared by you?

12 A. Yes, it was.

13 MR. CARR: At this time, Mr. Stogner, I would
14 move the admission of Applicant's Exhibit Number 7.

15 EXAMINER STOGNER: Are there any objections?

16 MR. KELLAHIN: No objection.

17 EXAMINER STOGNER: Exhibit Number 7 will be
18 admitted into evidence.

19 MR. CARR: And that concludes my direct
20 examination of Mr. Howell.

21 EXAMINER STOGNER: Thank you, Mr. Carr.

22 Mr. Kellahin, your witness.

23 CROSS-EXAMINATION

24 BY MR. KELLAHIN:

25 Q. Mr. Howell, give me a checklist, if you will,

1 sir, of what type of data you would propose the
2 operators gather from their wells so that in six months
3 when we come back to the Examiner we will now have
4 sufficient data to satisfy the issue of the appropriate
5 gas/oil ratio for the reservoir.

6 A. You know, let me think of the things that
7 would be ideal from a reservoir engineering standpoint.

8 From an operator's from an operator's
9 standpoint, looking at costs --

10 Q. No, sir, my question was for the reservoir
11 engineer, what do you see?

12 A. I think a complete core analysis of the whole
13 -- of all three sands out here would be quite helpful
14 in determining permeability, porosity and hopefully
15 coming at some answer of what drainage areas might be.

16 Q. We don't have any core data yet for the
17 reservoir?

18 A. Not to my knowledge. Now, I think maybe one
19 of the Fortune wells has had the upper sand cored. I
20 have not seen that analysis yet.

21 But I would like to see core analyses on all
22 three sands, a full core analysis.

23 Q. All right, sir. What else?

24 A. I'd like to see relative permeability data
25 obtained from those things so we can make not only some

1 primary recovery calculations, I believe that these
2 sands really have a -- quite a potential for waterflood
3 and even tertiary. So I'd like to see some oil/water
4 relative permeability rates.

5 So I'd like to see relative permeability,
6 gas/oil and oil/water.

7 Q. All right, sir. What else?

8 A. I'd like to see a bottomhole flood analysis.
9 Now, I think that's going to have to be some thought of
10 how we're going to collect that. Is anybody willing to
11 drill stem test?

12 Once you get through the Collins sand or
13 penetrate that shale below the Collins sand, I'm not
14 sure you can get a representative sample of just the
15 oil.

16 Q. When you're looking at a fluid analysis, do
17 we have to take them for multiple wells in the
18 reservoir in order to have an accurate reflection of
19 the reservoir?

20 A. Well, the more you have, the better. The
21 more data points you have. I would think if you could
22 get one good -- one good -- I guess if we could get one
23 sample that kind of fit what we thought it should be, I
24 would be kind of comfortable with that.

25 If it doesn't fit what I want, then I would

1 want to take a couple. But the more you have, the
2 better. But a fluid sample would really be helpful.

3 Q. All right, sir. What else?

4 A. I think, of course, daily production
5 histories on all the wells of the choke sizes and the
6 -- as the operators normally get. All rates, all
7 gas/water, the pressures and the choke sizes, and I
8 think that could help on that thing.

9 Pressure data would also be helpful too.

10 Q. What kind of pressure data would you propose
11 to gather, over what intervals?

12 A. Well, on the flowing wells, if you could run
13 bottoms in there, you know, I think that would be
14 appropriate, to run bottoms, if the operators, you
15 know, would consent to running bottoms on the wells.
16 There's always a chance of losing the bottom, and you
17 don't like to do that.

18 But, you know, if you could take pressures
19 fairly early -- and I think what we're seeing here,
20 they're going to be pretty representative over there.
21 But if you could get, say, a well every 80 acres, every
22 other well, like that, pressures over the history
23 here -- You know, in six months and if this reservoirs
24 are as good as I expect it to be -- I don't like -- I
25 don't expect to see a lot of pressure drawdown in these

1 wells out here. But I think we do need to get some
2 pressure data on as many wells as are feasible.

3 Q. Let me ask you to respond to a question that
4 Mr. Stovall introduced into the topic a while ago, and
5 that is whether one of these operators could simply
6 selectively perforate the Westall sand, get all the gas
7 out of that sand and not somehow disrupt the reservoir.
8 Is that a solution for us?

9 A. Well, in my opinion it's not. And as I told
10 Mr. Carr, I don't think you can find your withdrawal
11 point to just the Westall sand.

12 And further, just because you have good
13 initial productivity doesn't indicate you're going to
14 drain the world on that, and so I think you could get
15 gas out of a well by perforating it there.

16 But I think if you had to stimulate it, in my
17 opinion, if you have to stimulate you're going to get,
18 also, some oil out of the Collins and the Brantley
19 zone. And just because you get the well at this 40
20 acres, I don't think you lose the problem from the
21 other 40 acres, in my opinion.

22 Q. You introduced the topic just now of
23 potential future pressure maintenance for the
24 reservoir?

25 A. Yes, sir, I think this really has a lot of

1 potential for secondary by waterflooding and tertiary
2 by CO₂. And that's based on -- When I joined H & G Oil
3 Company, we were operating the Delaware Field in Loving
4 County, Texas, and we bought the field from Mobile
5 after it had been successfully waterflooded. Not a
6 great waterflood, but a successful waterflood.

7 And we picked up CO₂ and compressed it and
8 carried it 26 miles there. And when I left, we had
9 already recovered 4 million barrels of tertiary oil
10 from that field.

11 And looking at the quality of sand,
12 particularly the Collins sand is much better than that
13 one. So if this field responds under primary, as I
14 suspect it will, I think secondary by waterflooding
15 would be quite feasible and followed by CO₂. So I
16 think this is a very valuable reservoir, yes, sir.

17 Q. Part of a scheme for pressure maintenance
18 would be control of pressure by limiting the gas
19 withdrawals from the reservoir, would it not?

20 A. Under primary, I think you could -- I don't
21 think you'll want to ever -- You can slow the rate of
22 pressure decline, but you will stretch the life.

23 In other words, if this zone, on the solution
24 gas drive reservoir, which I think is the predominant
25 producing mechanism, and you deplete it down to the

1 balance pressure, the economic limit, under a 2000-to-1
2 gas/oil ratio, you can do this.

3 I think it's going to take 25 to 35 years to
4 do it. You're going to get to the same point and
5 essentially the same ultimate recovery as under a
6 10,000-to-1 gas/oil ratio, but you can shorten the life
7 by roughly a fivefold increase to do that.

8 So I don't think you're going to conserve
9 energy by not producing the gas/oil ratio.

10 Now, I think everyone realizes or believes --
11 the reservoir engineers do -- that the quicker you
12 start a waterflood and less the shrinkage of crude, the
13 better your ultimate recovery.

14 Q. Let me ask you this: Does it impair the
15 opportunity for success of the pressure maintenance
16 project by increasing the gas/oil ratio to the 10,000-
17 to-1 rate for a six-month period?

18 A. No, sir, not in my opinion.

19 Q. If this is truly a solution gas/oil reservoir
20 and we were not going to develop a gas cap or make an
21 existing gas cap larger in any of these zones, then
22 it's not rate-relative?

23 A. That's correct, sir.

24 Q. So at a solution gas/oil ratio reservoir,
25 we're not going to leave oil in the ground by

1 manipulating the gas/oil ratio?

2 A. No, you can stretch the life out a lot.

3 Q. Anything else on data-gathering for the
4 reservoir in order to come back in six months and have
5 an answer to the issue?

6 A. There's probably other things, but that's all
7 I can think of right now, sir.

8 MR. KELLAHIN: Thank you. No further
9 questions.

10 EXAMINER STOGNER: Thank you, Mr. Kellahin.
11 Mr. Bruce?

12 CROSS-EXAMINATION

13 BY MR. BRUCE:

14 Q. Mr. Howell, you said you did look at log data
15 on Fortson wells 1 through 3?

16 A. Yes, sir.

17 Q. Did the Westall zone extend eastward to the
18 number 3 well?

19 A. Yes, sir, it did.

20 Q. And what kind of production history data did
21 you have? What kind of production data did you have
22 when you did your study?

23 A. I had -- On the Westall wells I had the four
24 tests that were submitted there, and then on the
25 Fortson Pinnacle Number 1 I had one test that had been

1 submitted to Mr. Collins, who's a working interest
2 owner under that unit, one test only, and it was a
3 fairly short-term test.

4 Q. Okay. Do you recall what the Fortson test
5 showed?

6 A. No, sir, I do not recall. I'm sure we could
7 find it.

8 Q. Okay. And there wasn't any pressure data on
9 the Fortson wells?

10 A. No, sir.

11 MR. BRUCE: I don't have anything further,
12 Mr. Examiner.

13 EXAMINER STOGNER: Mr. Carr, any redirect?

14 MR. CARR: No redirect.

15 EXAMINER STOGNER: Mr. Carr, I have a few
16 questions for Mr. Howell, and then I would like to come
17 back to Mr. Harris.

18 EXAMINATION

19 BY EXAMINER STOGNER:

20 Q. Mr. Howell, this -- In answering Mr.
21 Kellahin's questions, I jotted down what he had asked
22 you. I call it a sort of a reservoir engineer's wish
23 list --

24 A. Yes, sir.

25 Q. -- core data and such as that.

1 In your opinion, is that type of information
2 and data feasible on a lease basis for -- in this area?

3 A. You mean can it be collected? Yes, sir, I
4 believe it can. Now, Mr. Westall, I don't know -- I
5 know he's drilled well 6. I don't know if 7 and 8 are
6 available to be drilled. But, you know, at that time
7 they could be cored.

8 Q. Let me -- Can it be collected by one operator
9 on his lease?

10 A. Yes, sir. Yes, sir.

11 Q. It could. Would it be better if a
12 conglomeration of operators collected this data?

13 A. Yes, sir. The more data points you have
14 scattered out across the field, the more better it
15 would be.

16 Q. So this would be information that perhaps you
17 would like for unitization, say?

18 A. Oh, I think ultimate unitization and
19 secondary recovery, yes, sir. Just proper maintenance
20 of the field, operation of the field to develop a real
21 optimum plan of depletion, the more data you get, the
22 better that you can do the design work.

23 EXAMINER STOGNER: I have no other questions
24 of Mr. Howell. Are there any questions of this
25 witness?

1 MR. CARR: No.

2 EXAMINER STOGNER: I'd like to recall Mr.
3 Harris at this time.

4 MR. CARR: Mr. Harris?

5 RANDALL L. HARRIS (Recalled),
6 the witness herein, after having been previously duly
7 sworn upon his oath, was examined and testified as
8 follows:

9 EXAMINATION

10 BY EXAMINER STOGNER:

11 Q. Mr. Harris, you are employed by which
12 company?

13 A. Ray Westall Operating.

14 Q. Before proposing this today, was there a
15 meeting with the operators in this particular pool
16 about what was going on, about your proposal, about
17 what you have presented today?

18 A. Yes, sir. We've had several meetings. One
19 was just a joint operating meeting between Fortson Oil
20 and Great West Oil and Collins and Ware. That was, I
21 believe, September the 1st or 2nd.

22 Q. And that was just of the three original
23 Applicants?

24 A. That's correct.

25 Q. Has there been any communications with -- Let

1 me go back. How many operators are out in the pool?
2 How many operators have wells that are -- have
3 production from this pool or dedicated to this pool?

4 A. Just Bird Creek, Ray Westall and Fortson.

5 Q. Okay.

6 A. We have shown the data, however, to Bass and
7 to Hanley and to Heyco as a matter of courtesy before
8 this hearing. We've basically presented our case to
9 them for their nod of approval or not object before we
10 appeared here today.

11 EXAMINER STOGNER: So gentlemen, and Mr.
12 Kellahin, Mr. Bruce, Santa Fe, Hanley and Bass, and Mr.
13 Carr, Harvey Yates is appearing here today as a working
14 interest in this pool?

15 MR. KELLAHIN: Yes sir.

16 MR. CARR: Correct.

17 EXAMINER STOGNER: I just wanted to make sure
18 I was clear on everything.

19 MR. BRUCE: I'm not sure where Santa Fe's
20 interests are. I think they're within a mile of the
21 pool.

22 EXAMINER STOGNER: But they're not -- Your
23 client is not an operator?

24 MR. BRUCE: I believe not at this time.

25 Q. (By Examiner Stogner) Has there ever been

1 any talk that you're aware of, of unitizing this area?

2 A. Yes, in our first initial meeting with
3 Collins and Ware and Fortson, it was discussed that the
4 quality of the reservoir, especially the Collins sand,
5 did appear to have the characteristics of secondary
6 recovery, so it was touched on that ground, yes.

7 As far as unitization, you would just assume
8 unitization if you were going to go into a joint
9 waterflood project at some time in the future.

10 Q. Getting away from that line of questioning,
11 the wells -- I don't want to use the word "caused" --
12 well, yeah, I will -- that causes communication with
13 the Westall sand, you have narrowed it down to which
14 four wells, in your opinion?

15 A. The Santa Fe Federals 1, 2, 3 and 4.

16 Q. And when I look at Exhibit Number 2, which is
17 a map, it's those four wells marked 1, 2, 3 and 4 in
18 the east half of Section 35?

19 A. Yes, sir.

20 Q. Wells 6 and 7 are proposed locations?

21 A. Number 6 is currently -- I just got a late
22 report. We are running casing on it as -- right at the
23 moment.

24 Q. Okay. Now, when I look up north, there's a
25 well number 5.

1 A. Yes.

2 Q. That wasn't on the cross-section.

3 A. No, that is a new well that we were in the
4 process of still completing.

5 Q. A geological question: We have used and we
6 have continually used your nomenclature. I'll say the
7 Collins sand, the Westall sand, Brantley sand and Bird
8 Creek sand.

9 Are these -- You've mentioned already that
10 these names are not recognized but only localized for
11 today's case. Do they correspond with any other known
12 sand intervals that have been named or designated out
13 there as such?

14 A. No, sir.

15 Q. Okay. So any reference to these names today
16 in an order subsequent to this is just for that
17 particular purpose; it is not, nor do we -- nor is the
18 Division advocating naming any pools, parts of or
19 sands, intervals or producing sands?

20 A. No, sir. Every company has their own
21 designation, generally of their pay sands within the
22 Delaware.

23 EXAMINER STOGNER: Okay, I want that clear
24 that if these -- we recognize these names today, we've
25 utilized them but nor are we in any way advocating the

1 designation of any pools or parts of, other than the
2 normal accepted procedures of naming after formations
3 such as geographical area.

4 I have no other questions of Mr. Harris. Are
5 there any other questions while he is on the stand?

6 MR. KELLAHIN: No, sir.

7 MR. CARR: No, sir.

8 EXAMINER STOGNER: Mr. Carr, do you have
9 anything further?

10 MR. CARR: I have nothing further in this
11 case.

12 EXAMINER STOGNER: Mr. Kellahin?

13 MR. KELLAHIN: No, sir.

14 EXAMINER STOGNER: Mr. Bruce?

15 MR. BRUCE: No, sir.

16 EXAMINER STOGNER: Is there any need for
17 closing statements at this time?

18 MR. CARR: No, sir.

19 MR. KELLAHIN: No, sir.

20 EXAMINER STOGNER: Does anybody else have
21 anything further in Case Number 10,541? If not, this
22 case will be taken under advisement.

23 (Thereupon, these proceedings were concluded
24 at 11:55 a.m.)

25 * * *

CERTIFICATE OF REPORTER


STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

CASE 10541 -
 TRANSCRIPT +
 EXHIBITS.

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL October 10th, 1992.


 STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 1994

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 10541, heard by me on 1 October 1992.

 Examiner
 Oil Conservation Division